

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 030001-EI

In the Matter of

FUEL AND PURCHASED POWER COST
RECOVERY CLAUSE WITH GENERATING
PERFORMANCE INCENTIVE FACTOR.

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 3

Pages 398 through 563

PROCEEDINGS:

HEARING

BEFORE:

CHAIRMAN LILA A. JABER
COMMISSIONER J. TERRY DEASON
COMMISSIONER BRAULIO L. BAEZ
COMMISSIONER RUDOLPH BRADLEY
COMMISSIONER CHARLES M. DAVIDSON



DATE:

Wednesday, November 12, 2003

TIME:

Commenced at 9:30 a.m.
Adjourned at 5:34 p.m.

PLACE:

Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY:

JANE FAUROT, RPR
Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732

APPEARANCES:

(As heretofore noted.)

DOCUMENT NUMBER - DATE

FLORIDA PUBLIC SERVICE COMMISSION 11959 NOV 24 8

FPSC-COMMISSION CLERK

I N D E X

WITNESSES

NAME:	PAGE NO.
WILLIAM T. WHALE	
Continued Cross Examination by Mr. Vandiver	401
Cross Examination by Ms. Kaufman	411
Continued Cross Examination by Mr. Vandiver	427
Redirect Examination by Mr. Beasley	433
JAVIER PORTUONDO	
Direct Examination by Mr. McGee	448
Prefiled Direct Testimony Inserted	451
Prefiled Direct Testimony Inserted	461
Prefiled Direct Testimony Inserted	467
Supplemental Prefiled Direct Testimony Inserted	499

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXHIBITS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NUMBER:		ID.	ADMTD.
21	E-mail, 9/27/02, Shelnut to Scott and Sheffield	423	444
22	TECO Total Energy Supply O&M Expense	445	445
23	JP-1 through JP-4 and Schedules	449	561

P R O C E E D I N G S

1
2 (Transcript continues in sequence from
3 Volume 2.)

4 CHAIRMAN JABER: Let's get back on the record.
5 We'll let you finish your cross-examination before we take up
6 the motion that's pending.

7 MR. VANDIVER: Thank you, Madam Chairman.

8 WILLIAM T. WHALE

9 continues his testimony under oath from Volume 2:

CONTINUED CROSS EXAMINATION

10
11 BY MR. VANDIVER:

12 Q Back on the record, Mr. Whale. Mr. Whale, I just
13 wanted to summarize the cyclone issue, if we could, before we
14 leave it. And going back to Exhibit Number 15, in August 2002,
15 you had the estimate prepared, the Gannon 1 through 4 could be
16 prepared for a 18-month run for \$4 million, is that correct?

17 A That's correct. That repair is a patch and go
18 repair.

19 Q Yes, sir. And then in February 2003, you decided to
20 close 1 through 4 in 2003, is that correct?

21 A One through 4 in 2003, yes.

22 Q And then on the 3rd of March, you prepared or had
23 prepared the MJM-6 charts that had the 53 million estimate of
24 85 percent reliability, is that correct?

25 A Which one is that again?

1 Q It says energy supply Gannon Station at the top. It
2 is MJM-6.

3 A That's correct.

4 Q Okay. And that 85 percent reliability comes at a
5 cost of 53 million, and that evolved into the 57 million
6 figure?

7 A Correct.

8 Q Okay. And the second chart showed that to be 36
9 million for a 60 percent reliability figure?

10 A Correct.

11 Q And that is our EAF number?

12 A Correct. EAF.

13 Q EAF; yes, sir. At this time I would like to have you
14 take a look at MJM-3, sir. I believe this is a 34-page
15 document, is that correct?

16 A Correct.

17 Q And this, in fact, is a presentation that you gave to
18 the Tampa Electric officers on August 26th, 2002, is that
19 correct?

20 A Correct.

21 Q And if we could go to Page 17 of MJM-34 (sic). That
22 is entitled changes in consequences, correct?

23 A Correct.

24 Q What did you mean when you said changes in
25 consequences here?

1 A This would be the changes that would occur with a
2 Gannon Unit 1 and 2 shutdown with a Bayside startup, and a
3 Gannon Unit 3 and 4 shutdown September 1.

4 Q What does accelerated shutdown mean?

5 A It was moving the shutdown date to an earlier time.

6 Q An earlier time from what would have been previously
7 planned?

8 A There were several dates in '04 that were initially
9 contemplated, and this is moving it up to an earlier time.

10 Q Let's go back to MJM-1, briefly, sir.

11 A I have located it.

12 Q Okay. Is that, in fact, what you had budgeted for
13 the shutdown?

14 A This was in -- MJM-1 is from myself to Karen
15 Sheffield, subject base plan. We were initially starting the
16 budget process and we had to budget off some kind of plan. It
17 is not uncharacteristic that we establish a plan and change
18 that plan through the year. And we had to start the budget
19 process, so this was like the strawman I dictated to run off,
20 build a plan based on this.

21 Q Could you point me to any other budget documents?

22 A There is a lot of budget documents. Can you clarify
23 the question.

24 Q Yes, sir. This is the only budget document I have
25 been able to find that states your original plan.

1 A Again, it was just a strawman to start the process
2 with. There is, I consider, a lot of documents, budget
3 documents.

4 Q Okay. If we could go back to 17 of 34, then, sir.

5 MR. BEASLEY: I'm sorry, what are you referring to?

6 MR. VANDIVER: I'm back to 17 of 34 on MJM-3, Mr.
7 Beasley.

8 BY MR. VANDIVER:

9 Q Are you back with me, Mr. Whale?

10 A Yes, I am.

11 Q Okay. And what consequences were you discussing
12 here?

13 A Changes in consequences. As far as consequences,
14 there would be a reduction in 11.2 million if we ran the
15 station and 16 million for 2004; 11.2 million for 2003, 16 in
16 2004.

17 Q And what were the contemplated shutdown dates of
18 Units 1 and 2, and 3 and 4 under this plan?

19 A This changes was probably the original base plan
20 which I had indicated to Karen Sheffield.

21 Q So that would have been March 15th for 1 and 2, and
22 September 1 for 3 and 4?

23 A Correct.

24 Q Okay. And so you discussed the savings that could be
25 achieved as a result of the accelerated shutdown with the

1 officers, is that correct?

2 A These weren't really savings. This was basically the
3 difference between if we were running with all units as far as
4 Gannon, Bayside, Polk, and all the stations versus if the
5 station was shut down.

6 Q But the chart says savings, does it not?

7 A It says savings, but that was under the pretense that
8 we had the money. This was a budget presentation, and that was
9 just identifying the delta with the unit shut down.

10 Q Okay. If we could go to Page 21 of 34, please, sir.
11 Now, this is the consequences side of the changes in
12 consequences, is it not?

13 A It says changes in consequences, Gannon accelerated
14 shutdown consequences.

15 Q Yes, sir. Did you tell the officers that the
16 accelerated shutdown of Gannon would result in higher purchased
17 power costs?

18 A This presentation was a large presentation, the bulk
19 of it was educating the officers as to where we spend our
20 money, how those resources are spent.

21 Q Mr. Whale, could you just answer me with a yes or no,
22 please, sir?

23 A I was identifying areas that needed to be highlighted
24 to my peers, because those are areas that are not in my
25 particular area.

1 Q Was higher purchased power cost identified as
2 something the consumers would have to pay as a result of the
3 accelerated shutdown?

4 A I did not know that at that time, I just identified
5 it as something that we ought to investigate.

6 Q So did you see it as a consequence of shutting down
7 the Gannon units early?

8 A I viewed it as something that needed to be
9 investigated as far as options. I don't know for a fact
10 whether it would or wouldn't at the time, but I thought it was
11 something to highlight to my peers that handled those
12 particular areas.

13 Q And did you also tell them it would have an impact on
14 wholesale sales?

15 A I identified it as a potential because those
16 megawatts would not be available.

17 Q And is that because when you shutdown Gannon earlier
18 than originally planned you would have to go into the wholesale
19 market to replace generating capacity again?

20 A No, I viewed it as because of the Bayside units
21 coming on and the Gannon units, that there might be additional
22 power available to sell, and if it was shutdown it would not be
23 available to sell.

24 Q Now, in our deposition held on November 4th, I asked
25 you if you had any subsequent discussions with Tampa Electric

1 officers regarding shutting down Gannon 1 through 4 in 2003.

2 A Correct.

3 Q And I'm not sure whether your answer was yes or no.
4 Did you, in fact, discuss this again with the officers of Tampa
5 Electric?

6 A As far as in the deposition I was talking about
7 discussions, I highlighted this. There were scenarios to look
8 at, but that wasn't my area to look at the purchased power
9 requirements. My area was to look at operationally what was
10 required, so I didn't have any major discussions on purchased
11 power.

12 Q Okay. Do you recall in your first deposition you and
13 I had an extended discussion about the September 9th meeting
14 with the officers, and if we could go to -- I believe it is
15 MJM-4, please, sir. And this is a confidential document, so
16 I'm not going to ask you to reveal any details. And I'll try
17 to be careful, too, because this isn't my best thing, sir.

18 A Sure.

19 Q Now, specifically I want to take a look at -- I want
20 to ask you first, was there a meeting on December 9th of the
21 Tampa Electric officers?

22 A December 9th? No.

23 Q September 9th, 2002.

24 A Yes.

25 Q Okay. And this was of the top management of Tampa

1 Electric Company, was it not?

2 A It was the officers of Tampa Electric, yes.

3 Q Yes, sir. And those initials over on the left hand
4 side of the margin identify the officers responsible for those
5 discussion items, do they not?

6 A Correct.

7 Q And that WTW is, in fact, your discussion item, is it
8 not?

9 A Yes.

10 Q And if we could just briefly turn to one more
11 confidential item, and that is WJM-5. MJM-5, that is the next
12 one over. And in Mr. Barringer's (phonetic) deposition I think
13 we established that the notes there, the handwritten notes on
14 the right-hand side of the page, in fact, correspond to the
15 five scenarios.

16 MR. BEASLEY: Are you referring to MJM-5?

17 MR. VANDIVER: Yes, I am.

18 BY MR. VANDIVER:

19 Q And Mr. Barringer, in fact -- we established in Mr.
20 Barringer's deposition that the first couple of lines there --
21 and I'm trying to not reveal any confidential information.

22 A Sure.

23 Q The first couple of items there discuss the early
24 closure of the units in question, do they not, sir?

25 A The first two lines.

1 Q Yes, sir. Under WTW.

2 A They discuss items to achieve an O&M, and then they
3 also talk about evaluating moving 3 and 4 to some different
4 dates.

5 Q Yes, sir. And, in fact, if we look on MJM-5 -- and,
6 again, we established in Mr. Barringer's notes or Mr.
7 Barringer's deposition that the notes were from MJM-5, that
8 same sheet of paper. And, in fact, Scenario 5 is the closest
9 scenario to what actually happened, isn't it? And I can direct
10 you to another sheet, if necessary, to establish that.

11 A You will have to do that.

12 Q Okay, sir. If we could go to MJM-2.

13 COMMISSIONER DEASON: Mr. Vandiver?

14 MR. VANDIVER: Yes, sir.

15 COMMISSIONER DEASON: We are at a loss up here. We
16 don't really know what you are talking about because we don't
17 have these confidential exhibits. Do you have a red folder --

18 MR. VANDIVER: Oh, you don't have it?

19 COMMISSIONER DEASON: Do you have any in red folders
20 that we could look at while you are conducting --

21 MR. VANDIVER: I apologize, Commissioner. I assumed
22 that you all had copies of the confidential testimony.

23 COMMISSIONER DEASON: I don't. And maybe other
24 Commissioners do.

25 CHAIRMAN JABER: No, we don't automatically get the

1 confidential documents.

2 MR. VANDIVER: Well, you would be at a loss then,
3 because I assumed that the Commissioners had the confidential
4 testimony.

5 CHAIRMAN JABER: No. That is why in the order on
6 procedure in the prehearing order we let the parties know that
7 if you intended to use confidential information you need to let
8 us know seven days before or pass it out. Do you have copies
9 available?

10 MR. VANDIVER: No, we don't. I assumed -- and,
11 again, this is my ignorance, because I thought it was like the
12 old days where you all had copies of testimony.

13 CHAIRMAN JABER: There is only one person here in the
14 old days, and that was you.

15 COMMISSIONER DEASON: Mr. Keating is not that old.

16 MR. KEATING: I'm getting there, though.

17 CHAIRMAN JABER: Mr. Vandiver, do you have copies?
18 If we take a break, do you want to make copies? I get the
19 impression that the point you are trying to make is critical,
20 so --

21 MR. VANDIVER: It is just four pages.

22 CHAIRMAN JABER: Can you move on to another round of
23 questions?

24 MR. VANDIVER: This is the end of our
25 cross-examination of Mr. Whale.

1 CHAIRMAN JABER: Okay. Then do you have any
2 objection to us moving forward and then coming back.

3 MR. VANDIVER: Not at all.

4 CHAIRMAN JABER: Mr. Beasley, do you have any
5 objection that we go on to the next counsel, and we allow
6 Public Counsel to make the appropriate copies and we will come
7 back to Mr. Vandiver's cross.

8 MR. BEASLEY: That's fine.

9 CHAIRMAN JABER: Ms. Kaufman, do you have questions?

10 MS. KAUFMAN: Yes. Thank you, Madam Chair. Are you
11 ready, Mr. Whale?

12 THE WITNESS: Yes, I am.

13 MS. KAUFMAN: Okay, great.

14 CROSS EXAMINATION

15 BY MS. KAUFMAN:

16 Q I'm Vicki Gordon Kaufman. I'm here on behalf of the
17 Florida Industrial Power Users Group, and I think we met over
18 the phone, at any rate, at your deposition last week. Mr.
19 Whale, just to kind of look at the situation from a high level,
20 the Gannon Units 1 through 4 that were shut down burned coal,
21 correct?

22 A Correct.

23 Q And the EPA issued a notice of violation in regard to
24 these units in 1999, and basically they said that in their view
25 TECO had begun major modifications of the units without the

1 appropriate permits, correct?

2 A We have never agreed to that.

3 Q No, I'm just saying that that is what the EPA
4 alleged, correct? I'm not asking whether you agreed or not.

5 A I really didn't read the document. I wasn't in the
6 job at that time.

7 Q But would you accept, subject to check -- the
8 documents are attached to Ms. Brown's testimony -- that at
9 least the agencies responsible for this environmental area
10 suggested that Tampa Electric had started modifications without
11 the appropriate permits?

12 MR. BEASLEY: I think he has indicated he has not --
13 if I heard him right, he hasn't read those documents. And if
14 Ms. Brown wants to make a point about them, she is free to do
15 so.

16 BY MS. KAUFMAN:

17 Q Do you have a copy of Ms. Brown's testimony, Mr.
18 Whale?

19 A No, I do not.

20 Q Let me see if I can get you an extra, because I am
21 going to need my copy.

22 MR. McWHIRTER: Would you all like him to have the
23 confidential information?

24 CHAIRMAN JABER: Mr. McWhirter, I need you to speak
25 into the microphone.

1 MR. McWHIRTER: I was inquiring of counsel if it was
2 all right for Mr. Whale to have confidential information.

3 MR. BEASLEY: If it's ours, it is.

4 BY MS. KAUFMAN:

5 Q Mr. Whale, I have just handed you a copy of Ms.
6 Brown's testimony. Take a look at SLB-5, Page 1 of 55. And if
7 you would just read that first paragraph to yourself.

8 A Okay.

9 Q And my question was simply isn't it true that the EPA
10 had alleged that in 1999 Tampa Electric began modifications of
11 the Gannon units without the appropriate permits?

12 A Maybe I have the wrong page. I was reading SLB-5,
13 54, under termination.

14 Q It's SLB-5, Page 1 of 55, entitled consent decree.

15 A I'm sorry, I read the wrong page.

16 Q That's okay. Maybe that's why you looked confused.
17 I can understand that.

18 A Okay, I've read it.

19 Q Do you need me to repeat the question again?

20 A Yes, I do.

21 CHAIRMAN JABER: I do, Ms. Kaufman.

22 MS. KAUFMAN: I'm sorry.

23 BY MS. KAUFMAN:

24 Q Isn't it true that the EPA alleged that in 1999 Tampa
25 Electric commenced construction of major modifications of major

1 emitting facilities in violation of certain environmental acts?

2 A According to this document, they filed a complaint on
3 November 3rd, 1999, alleging that the defendant, Tampa
4 Electric, commenced construction of major modifications of
5 major emitting facilities in violation of the PSD requirements
6 of Part C of the Clean Air Act.

7 Q Okay. And as a result of this complaint, and also
8 one that I believe that the Florida Environmental Agency filed,
9 Tampa Electric entered into a settlement with these two
10 agencies, correct?

11 A Correct.

12 Q And the settlement required that the Gannon Units 1
13 through 4 cease operation no later than December 31st, 2004,
14 correct?

15 A On or before December 31st.

16 Q Now, as I understand your testimony, and you have
17 discussed this with Mr. Vandiver, though the settlement did not
18 require the units to be shut down until December 31st, 2004,
19 the units were aging, you had reliability concerns, you had
20 safety concerns, you thought significant amounts of money would
21 have to be expended to keep the units running and, therefore,
22 you made -- you or Tampa Electric made the decision to shut the
23 units down prior to December 31, 2004?

24 A Correct.

25 Q And I think you discussed with Mr. Vandiver that 1

1 and 2 were shut down April '03; and 3 and 4 were shut down
2 October '03?

3 A Correct.

4 Q Now, when you filed your direct testimony on December
5 15th, if you would look at Page 16, Line 6, you testified, and
6 you discussed with Mr. Vandiver that in your opinion it would
7 cost about \$57 million to keep the Units 1 through 4 operating
8 through the end of 2004?

9 A Correct.

10 Q And as I understand your testimony, and also you have
11 an exhibit attached to your rebuttal, don't you, in which you
12 detail the activities that would have had to occur for the
13 units to keep operating?

14 A Correct.

15 Q And that is how you calculate your \$57 million
16 number?

17 A Correct.

18 Q And you also say on Page 16, beginning at Line 22, it
19 actually could have cost more than 57 million, because there
20 might have been some additional costs related to outages,
21 unplanned outages, correct?

22 A Correct.

23 Q Now, since the units were shut down in April and
24 October, we would be correct in assuming that this \$57 million
25 was not spent on the activities that would have kept the units

1 running through 2004.

2 A That's an incorrect assumption. The 57 million was
3 never budgeted. That was never a budgeted item. The 53 and 57
4 were in response to questions of how we could -- you know, what
5 would be involved in expenditures to try to get the units up to
6 a higher availability. The 53 and 57 was never a budgeted
7 amount that was there to be saved.

8 Q You didn't spend 57 million or 53 million on the
9 Gannon units, did you?

10 A No.

11 Q Mr. Whale, would you agree with me that generally O&M
12 expenses are recovered through a utility's base rates?

13 A I'm not an expert on rates. I know what the O&M is.
14 I don't -- as far as how it flows, that is not my area of
15 expertise.

16 Q Do you know how O&M expenses are recovered?

17 A No, I do not.

18 Q Would you agree with me that what we are doing in
19 this proceeding is determining how fuel expenses will be
20 recovered?

21 A This is a fuel and purchased power proceeding, so I
22 do understand that. But as far as power plant O&M, how it
23 affects the rate, that is not my area of knowledge.

24 Q Do you understand that in this proceeding that we are
25 involved in today that the Commission will approve amounts

1 related to fuel and purchased power that will be recovered
2 through the fuel clause as opposed to through base rates?

3 A Yes, I understand that.

4 Q So the amounts that Tampa Electric is seeking related
5 to the fuel clause in this case, whether they be related to the
6 Gannon shutdown or other issues, will be recovered directly
7 from the ratepayers through the fuel clause, correct?

8 A Correct.

9 Q Mr. Whale, would it be fair to say that TECO Energy
10 has had a couple of rough years financially?

11 A I mean, I think it is public knowledge that TECO
12 Energy has had some difficulties financially. I guess public
13 record.

14 Q And you are aware, are you not, that TECO Energy has
15 had several negative downgrades of their bonds?

16 A Yes, I'm aware of that.

17 Q Is it your understanding as a Tampa Electric employee
18 that Tampa Electric tries to support TECO Energy in its efforts
19 to improve its financial situation and viability?

20 A The Tampa Electric -- we really in our discussions on
21 budget and everything, TECO Energy people are not there. So,
22 you know, we have our budget that we work with. How that
23 interplays into TECO Energy is not -- that is not my knowledge
24 or area, too.

25 Q Right. I don't think that was the question, either.

1 So let me see if I can ask it again.

2 A Okay.

3 Q Really -- well, first of all, what is your position
4 with Tampa Electric?

5 A Vice-president of Operations for Energy Supply of
6 Tampa Electric.

7 Q Do you think in your position, and the employees for
8 whom you work, do you think that they try to support TECO
9 Energy in its efforts to improve its financial situation?

10 A Trying to support Tampa Electric goals which, in
11 turn, I would think would support -- it's a business, and so
12 all businesses are trying to support each other as far as the
13 needs.

14 Q Is that a yes?

15 A Yes. I mean, if the question is does a business want
16 to be profitable, yes.

17 Q And the Tampa Electric employees do all that they can
18 to support TECO Energy in that effort, is that fair?

19 A I think all the employees of TECO Energy are trying
20 to do what they can to improve the business. I think any
21 business employees are trying to do what they can for their
22 business.

23 Q I totally agree with you. Mr. Vandiver asked you
24 some questions about MJM-3, so I think we are going to turn
25 back to that. And my questions don't involve any confidential

1 pages, so I think we will be all right.

2 A I'm sorry, MJM-3?

3 Q Right. And I think Mr. Vandiver already established
4 with you, and correct me if I'm wrong, that these 34 pages
5 consist of essentially a PowerPoint presentation that you made
6 to the officers of Tampa Electric, correct?

7 A Yes, that is correct.

8 Q And these slides and the content of the slides were
9 prepared by you or under your supervision and direction?

10 A Yes, that is correct.

11 Q And their content was approved by you?

12 A Yes.

13 Q And in preparing these slides, correct me if I'm
14 wrong, but part of what you were trying to accomplish in this
15 presentation was to present to the officers of Tampa Electric
16 various options and consequences of various budgetary
17 decisions?

18 A The bulk of this slide presentation was to educate
19 the officers as to how the resources with energy supply are
20 spent. That is why the bulk of this is talking about a past
21 year, to explain to them how the resources are spent because
22 our budget is so large. And then we did touch on the '03/'04,
23 and touched on several other things. The bulk of it is an
24 educational purpose.

25 Q I think you might have discussed this slide with Mr.

1 Vandiver, but it's one of our favorites, so if you would turn
2 to -- this is MJM-3, it is Page 21 of 34.

3 A I've got it.

4 Q And this slide, correct me if I'm wrong, is intended
5 to let the officers know, in your view, what some of the
6 consequences would be of the accelerated shutdown of the Gannon
7 units, right?

8 A Correct.

9 Q And you may have discussed this with Mr. Vandiver,
10 but one of the consequences that you recognize in the slides
11 you prepared were higher purchased power costs, correct?

12 A It is something I thought we ought to look at, yes.

13 Q I'm sorry, I didn't hear?

14 A It was something that I was highlighting, I didn't
15 know for a fact, but I thought it was something that we needed
16 to investigate.

17 Q It certainly rose to a level of concern that you felt
18 it appropriate to include it on your slide, correct?

19 A Again, it was areas that I thought -- again, they are
20 not my areas, but I was trying to guess to make sure the peers,
21 we all understood or at least would look at it and highlight it
22 to my peers.

23 Q That your peers understood that one of the
24 consequences of the accelerated shutdown could be higher
25 purchased power costs for the ratepayers?

1 A It was something to be looked at, yes.

2 Q And we discussed this a little earlier, but those are
3 some of the costs we are talking about recovering today in this
4 proceeding, correct?

5 A Correct.

6 Q Now, if you will turn back to Page 16 of MJM-3, we
7 are still talking about changes in consequences of the Gannon
8 accelerated shutdown, correct?

9 A Correct.

10 Q And one thing you were pointing out to your peers
11 here was that the shutdown would help to achieve the 2003 and
12 2004 plug, correct?

13 A Correct.

14 Q Which I take that to mean would help reduce expenses,
15 correct?

16 A No, it was the difference -- this was an initial part
17 of the budget process, and so we had the first rack-up. The
18 station racks up everything they would expect, and that creates
19 a number. And then there was a numbers as far as what
20 expectations were, and that created plug, a delta. There was
21 no indication that the initial rack-up is what was going to be
22 funded in the first place. I have never had a budget where the
23 initial rack-up is what you got. And so that was what the
24 plug, the delta was.

25 Q But this was to illustrate, if I'm understanding your

1 slide, that part of the consequences of the shutdown, early
2 shutdown would to be help achieve this plug. That's what the
3 slide says, doesn't it?

4 A It helped allocate the money to the other stations,
5 yes, and addressed the plug.

6 Q I have got a document, Mr. Whale, that I'm going to
7 distribute.

8 MS. KAUFMAN: Madam Chairman, if I could have a
9 number for this exhibit, please.

10 CHAIRMAN JABER: Let me just take a look at it first.
11 Ms. Kaufman, counsel doesn't have a copy, so I'm not going to
12 identify it until counsel has a copy.

13 MS. KAUFMAN: I'm sorry, we are going to ask if we
14 could maybe have one back from the staff.

15 CHAIRMAN JABER: You know, let me tell you something,
16 I do this with the industry, I've got to do it on this side,
17 too. You need to read the orders on procedure, you need to
18 read your prehearing order. It says bring enough copies, put
19 confidential documents in red folders. You are hereby
20 admonished.

21 MS. KAUFMAN: Yes, ma'am. I apologize.

22 CHAIRMAN JABER: It holds up the hearings, it is not
23 very -- well, I will leave it at that, Ms. Kaufman. Thank you,
24 I accept your apology.

25 MS. KAUFMAN: I apologize, Chairman.

1 CHAIRMAN JABER: We are going to take a ten-minute
2 break. You are going to make enough copies for any exhibits
3 that you have and intend to pass out, because I will not
4 inconvenience staff. I'm not going to inconvenience this
5 Commission, and you make sure this doesn't happen again.

6 MS. KAUFMAN: Yes, ma'am.

7 CHAIRMAN JABER: Ten minutes.

8 (Recess.)

9 CHAIRMAN JABER: Let's get back on the record. You
10 had an exhibit that you wanted identified. It looks like it is
11 an e-mail dated September 27th, '02, from Charles Shelnut to
12 Darryl Scott and Karen Sheffield?

13 MS. KAUFMAN: Yes, ma'am.

14 CHAIRMAN JABER: You provided copies to all the
15 parties, the Commissioners, and staff?

16 MS. KAUFMAN: I have.

17 CHAIRMAN JABER: And that document will be identified
18 as Exhibit Number 21.

19 MS. KAUFMAN: Thank you, Madam Chair.

20 (Exhibit 21 marked for identification.)

21 BY MS. KAUFMAN:

22 Q Mr. Whale, you have a copy of the document?

23 A Yes, I do.

24 Q And as the Chairman indicated, this is a September
25 27th, 2002 memo from Mr. Shelnut to Mr. Scott and Ms.

1 Sheffield. Who is Mr. Shelnut?

2 A Charles Shelnut was part of the Bayside project team
3 and was working on both the Bayside team, but also working on
4 the O&M side for myself.

5 Q And you received a copy of this memo, correct?

6 A Yes, I did.

7 Q If you would turn to the second page, which is Bates
8 stamped 408 on my copy. Essentially, as I understand this memo
9 or this chart, it's detailing the various employee positions at
10 Big Bend, Gannon, Bayside, and then it has a total column,
11 correct?

12 A Correct.

13 Q And I want to look with you for a moment at the
14 middle column, that is the employees at Gannon, correct?

15 A Correct.

16 Q For various time periods. If you would look with me
17 at the column that is September '02, and am I correct that at
18 that time there were 176 folks at Gannon?

19 A Yes. TECO folks.

20 Q Yes. This doesn't include contractors. This is TECO
21 employees.

22 A Right.

23 Q And then in September '03, after the shutdowns or
24 right before the shutdowns, there were 16 Tampa Electric
25 employees left at Gannon, correct?

1 A According to the sheet, right.

2 Q Now, at Bayside in September '03, there were 42
3 employees, correct?

4 A These were projections, again. It is projecting 42.

5 Q Well, at the time this was prepared I guess we could
6 assume, could we not, that this was Mr. Shelnut's best estimate
7 of how many Tampa Electric employees would be at Bayside?

8 A Correct.

9 Q So my math isn't very good, but quite a few -- well,
10 176 minus 42 is the net loss, if you will, of employees that no
11 longer worked at Gannon, correct?

12 A At Gannon, but those employees were still within the
13 Tampa Electric system. Big Bend went up as far as the numbers
14 of it went up, and then we had other folks go in other
15 departments also.

16 Q We would other folks what, excuse me?

17 A Other folks we were looking at moving to other
18 departments within Tampa Electric.

19 Q I'm sorry. But certainly the majority of the folks
20 that no longer worked at Gannon did not go to Bayside, correct?

21 A They did not go to Bayside, correct.

22 Q And I just have one final line for you, Mr. Whale, if
23 you will bear with me. You said earlier that you weren't
24 familiar with how costs were recovered, how that related to
25 base rates, and so I'm not going to pursue that with you any

1 further. But I wanted to just give you a hypothetical and see
2 if you could give us your opinion about it. And what I would
3 like you to assume is that -- well, this part is part of your
4 testimony. You have told us to keep the Gannon units running
5 through 2004 would cost about \$57 million, correct?

6 A Correct.

7 Q Now, if the units were shut down and fuel had to be
8 procured from elsewhere and it cost about \$110 million, what
9 would be the prudent decision, would it be to spend 110
10 million, or would it be to spend the 57?

11 A I think a lot of factors go into that. That is a
12 hypothetical that has got a lot of factors to it.

13 Q Can you envision a hypothetical where it would be
14 prudent to spend 110 rather than 57 to accomplish the same
15 thing?

16 A Again, you have taken two different numbers. The 57,
17 that is not the total cost of running a unit. You are not
18 talking about the cost for the replacement time to take the
19 outages. The 57 is purely the cost to fix the units. There is
20 a lot of other costs that are associated that are not
21 quantifiable or identifiable. So I don't have those figures to
22 say hypothetically whether it would or wouldn't be the right
23 thing to do. In looking at it, you are saying, you know, what
24 were the safety issues, those issues that came into play, the
25 reliability issues, a lot of factors come into play to make the

1 proper decision.

2 Q Would it ever be reasonable in your opinion to spend
3 110 million when you could spend 57, that's the question?

4 A Again --

5 Q You can't answer that?

6 A No, I'm not going to answer that.

7 MS. KAUFMAN: Thank you. That's all I have, Madam
8 Chairman.

9 CHAIRMAN JABER: Thank you, Ms. Kaufman. Mr.
10 Vandiver, are you ready to come back to your questions?

11 MR. VANDIVER: Yes, I am.

12 CONTINUED CROSS EXAMINATION

13 BY MR. VANDIVER:

14 Q Mr. Whale, we are back to MJM-4 and MJM-5, sir.

15 CHAIRMAN JABER: Mr. Vandiver, you have passed out
16 two pages of what look like Confidential Exhibit MJM-4 and
17 MJM-5. I would just caution you, the witness, and the
18 Commissioners to remember these are confidential pages. And if
19 you could make sure you pick up all the copies when you are
20 done.

21 MR. VANDIVER: Yes, I will. Thank you, Commissioner.
22 And I don't wish to verbalize anything in the specific numbers,
23 and I will attempt to do that in my questions to Mr. Whale.

24 CHAIRMAN JABER: Thank you.

25 BY MR. VANDIVER:

1 Q Mr. Whale, this is a meeting that the officers held
2 of Tampa Electric Company on September 9th, 2002, is that
3 correct?

4 A Correct.

5 Q And the initials going down the left-hand side of the
6 page are discussion items that each particular officer had
7 responsibility for, is that correct?

8 A Correct.

9 Q And WTW are your initials, are they not, sir?

10 A Correct.

11 Q And under energy supply, the first two issues are
12 concerned with this hearing, are they not? Do you see where it
13 says --

14 A They are associated with the Gannon 1 through 4
15 shutdown.

16 Q Very well, sir. And is that amount shown on the
17 first line we are discussing more or less the year 2002 budget?

18 A For energy supply, yes.

19 Q Was it more or less, sir?

20 A That was the budget for energy supply.

21 Q Oh, that was the budget for energy supply. Okay.
22 And as I look at these items, and I look down here, it looks
23 like, just eyeballing this thing, it looks like this was a
24 meeting to cut the budget of Tampa Electric. Is that a fair
25 assessment of these items?

1 A No, that is not correct. These were a list of items
2 to look at, action items for a business plan as we are looking
3 forward to the year. So there are a lot of lists of action
4 items that are on there. Prepare for zero-based budgeting
5 discussion is not cut the budget. Identify items to be leased
6 or bought. There are several items on there -- it was business
7 plan items.

8 Q Okay. Now, looking again at MJM-5. I believe we
9 established in Mr. Barringer's deposition that the handwritten
10 notes on the right-hand side of the page were, in fact, notes
11 from this sheet MJM-5. And down there on the bottom of MJM-5
12 you see that column that says net savings, the bottom line on
13 MJM-5?

14 A Yes, I see net savings.

15 Q Okay. And there at the top where it says total
16 clause impact, is that the fuel clause, sir?

17 A I don't know that for a fact. I don't know.

18 Q What do you believe it to be?

19 A It says total clause impact, so I would have to take
20 it that that is what the sheet says, so that is what I would
21 have to assume the number is.

22 Q Do you believe that to be the fuel and purchased
23 power clause that we are presently sitting in?

24 A It has fuel and purchased power on the top line, coal
25 contracts, dead freight, so I assume that is the fuel and

1 purchased power.

2 Q All right, sir. Is it correct that you made -- now,
3 this is just about two weeks after your presentation to the
4 officers that we were discussing earlier, is that correct?

5 A Correct.

6 Q It was August 26th. Did you have any further
7 discussions, or do you recall any further discussions of the
8 Tampa Electric management concerning the early shutdown of
9 Gannon as a group?

10 A After the presentation there were several
11 discussions, several scenarios ran on it. You know, one, what
12 could we do to get the availability up? What were those
13 concerns? And so there was multiple discussions that occurred
14 on it.

15 Q With the Tampa Bay officers as a group, sir?

16 A I can't remember if it was all that exact number or
17 whether there were specific ones, but there were other groups
18 of other officers, peers talking about it.

19 Q Okay. And do you remember when those meetings were?

20 A No, we had several.

21 Q Okay. Do you recall what the average customer bill
22 impact number meant there on MJM-5?

23 A No, I do not.

24 MR. VANDIVER: That's all the questions I have, Mr.
25 Whale. Thank you.

1 CHAIRMAN JABER: Thank you, Mr. Vandiver.

2 MR. VANDIVER: I will collect those.

3 CHAIRMAN JABER: When we're done.

4 MR. VANDIVER: When you're done.

5 CHAIRMAN JABER: Staff.

6 MR. KEATING: Staff has no questions.

7 CHAIRMAN JABER: Commissioners?

8 Mr. Whale, I just have one. With regard to MJM-5,
9 let me be clear. You prepared this chart?

10 THE WITNESS: No, I did not.

11 CHAIRMAN JABER: Tell me what you perceive the
12 purpose of MJM-5 is.

13 THE WITNESS: MJM-5, I think, was looking at multiple
14 scenarios as far as the shutdown. Multiple, looking at
15 different ones. You know, different dates, what worked best.

16 CHAIRMAN JABER: Mr. Beasley, I have a question. I
17 don't want to violate the confidentiality of this document.
18 Are the numbers -- it's the numbers that are confidential, not
19 the topics indicated on the left-hand side, is that correct?

20 MR. BEASLEY: You're referring to MJM-5?

21 CHAIRMAN JABER: Yes.

22 MR. BEASLEY: I don't think the headings would be
23 confidential, so it would be the numbers.

24 CHAIRMAN JABER: Okay. Recognizing, Mr. Whale, that
25 the -- what, Mr. Vandiver?

1 MR. VANDIVER: I was going to say that one of the
2 numbers appears in Ms. Jordon's testimony, for whatever that's
3 worth.

4 MR. BEASLEY: If it appears in a nonconfidential way,
5 you are certainly free to refer to it.

6 MR. VANDIVER: Yes.

7 CHAIRMAN JABER: Mr. Whale, my question doesn't go to
8 the numbers anyway. I'm just trying to glean what the purpose
9 of this document was. And I'm taken back by your testimony
10 that you don't know what the average customer bill impact
11 means. Was the purpose of this document to understand what the
12 impact of an early shutdown would be on a customer's bill, or
13 was it to determine the net savings to the company, or both, or
14 neither?

15 THE WITNESS: Again, I didn't prepare the document,
16 Chairman, so I'm not sure. We were looking at several
17 different options as far as how far we could get the units, you
18 know, run, and I think they were looking at various different
19 scenarios and asking me can you get to this point, can you get
20 to this point, can you get to this point, and trying to look at
21 those different scenarios as to where we would be.

22 CHAIRMAN JABER: And what point is that, a monetary
23 point?

24 THE WITNESS: No, it was more of could we get 1 and 2
25 to the -- prior to the summer? Can we get 3 and 4 through the

1 summer? Can you get 1 and 2 through the summer? And saying,
2 no, we need to shut these down at this time. And as they
3 looked at those different scenarios as to what we thought we
4 could do, then people starting analyzing the different
5 scenarios that we were looking at, and analyzing what those
6 impacts were.

7 CHAIRMAN JABER: Okay. And, finally, who did prepare
8 this document?

9 THE WITNESS: I'm sorry?

10 CHAIRMAN JABER: My final question is who did prepare
11 this chart?

12 THE WITNESS: I don't know.

13 CHAIRMAN JABER: Mr. Beasley, let me ask you, did the
14 person that prepared this chart, he or she, a witness for you?

15 MR. BEASLEY: I don't know that myself. I could find
16 out for you if you would like to know that.

17 CHAIRMAN JABER: Please. And if you have redirect?

18 MR. BEASLEY: I'm sorry, redirect?

19 CHAIRMAN JABER: Yes, go ahead.

20 MR. BEASLEY: Yes, ma'am, I do.

21 REDIRECT EXAMINATION

22 BY MR. BEASLEY:

23 Q Mr. Whale, you were handed a document that has been
24 marked Exhibit 15, which refers to budget needs and cost
25 reductions. Do you have that document in front of you, Mr.

1 Chuck Hemrich's document?

2 A Yes, sir, I do.

3 Q That is the one that Mr. Vandiver handed out. Is it
4 routine for you to discuss budget needs, and cost reductions,
5 and plugs, and targets, and goals in the budgeting process,
6 generally?

7 A Yes, we do discuss that with the plant manager as far
8 as where we are as a department, and what we are, you know,
9 what we are looking at, and what the different station needs
10 are.

11 Q Is that common in the budgeting process generally, or
12 was it anything unique to the 2002 period?

13 A No, it is a normal process.

14 Q Is the budgeting process an easy endeavor, or is it a
15 difficult task?

16 A It is a very challenging task. It is a constant give
17 and take as far as what the out of schedule looks like, what
18 the different needs are for the station, if there are different
19 equipment needs that come into play that wasn't expected. And
20 so it was a constant triage to ensure that the highest priority
21 needs are being addressed.

22 Q So the rack-ups, and the plugs, and the targets, and
23 all of these terms that you refer to, that is something that is
24 normal in the budgeting process over time?

25 A The normal process.

1 Q You were also handed what has been marked Exhibit 16
2 and 19, which are two charts showing the availability
3 percentages of Gannon Station, and I think you indicated that
4 there would be some difference in those percentages if that
5 chart only related to Gannon Units 1 through 4, is that
6 correct?

7 A That's correct.

8 Q What would be the impact by having that chart only
9 address Gannon Units 1 through 4?

10 A Give me a minute here. OPA, I do not have the OPA
11 information with me. Again, EAF and forced outages is what I
12 look at. The EAF for the units when they were in 2000, was in
13 the mid-70s, and in 2002 they were dropping down to the 60s.
14 Again, in 1988 they were in the 80s, except for Gannon 4, which
15 had a planned outage at that time, and that dropped that factor
16 down.

17 The thing about availability, we also have to look on
18 the EAFs, is that EAF has two components; it has forced outage
19 and planned outage. And what was really getting us on the
20 Gannon 1 through 4 is the forced outage factor. Which when you
21 have a planned outage you know when you are going to shut down
22 and you plan around it. When you have forced outages, that is
23 like driving your car to work and it forces off. That is not a
24 real pleasant time. And the forced outage factors, equivalent
25 forced outage factors for Gannon 1 through 4 in 2000 was in the

1 high teens. It was up into the high 20s.

2 Q Mr. Whale, you indicated that the safety and
3 reliability of the Gannon Units 1 through 4 were impacted by
4 boiler tube failures, I believe, is that correct?

5 A There were several drivers of safety at the station.
6 There was boiler tube failures. We had structural steel
7 problem, we had a few people go through the grating. We had
8 gas leaks within the boiler. If it has a crack, the gas which
9 stays inside the boiler escapes into the area. So we had
10 several things that we were concerned about.

11 Q What happens when a boiler tube fails, if you could
12 tell me?

13 A Let me show you an example, it would probably be
14 easier. Again, I think it is hard for people to understand
15 what a tube looks like.

16 MR. BEASLEY: If I could have Mr. May present for the
17 Commissioners a close-up view of some of these boiler tubes so
18 you can get a feel for what we are talking about. I wouldn't
19 try it pick one up.

20 THE WITNESS: This particular tube that failed is not
21 uncharacteristic of the pressures at Gannon. You're running
22 anywhere from 15 to 2000-psi pressure. The temperature inside
23 there is anywhere from 600 to 700 degrees Fahrenheit, if it has
24 got water in it. If it has got steam, it is up to 1,000
25 degrees.

1 When that ruptures, it is a very violent event,
2 because as that steam exits from that pressure into the
3 atmosphere it expands considerably. It would fill this room up
4 very, very quickly. It would displace the oxygen in this room,
5 and those would be for the folks that survive the initial blast
6 if it is an external. And that is why external tube failures
7 are a concern to us.

8 An internal tube failure that blows into the firebox
9 is contained within the firebox. An external tube failure that
10 blows out expose workers to that, and that is of concern when
11 you have an external tube failure. And Gannon has experienced
12 some external tube failures, and that is a concern.

13 Q What incidents of boiler tube failures have you
14 experience at Gannon Station in recent years?

15 A We have had several tube failures at Gannon. In
16 fact, it is listed in the interrogatories as far as the number
17 of tube failures that we listed. And, again, the rate was
18 rapidly changing. In 2000 we had 264 tube failures at Gannon.
19 In 2001 we had 330, and that is when we started going to
20 reduced header operation to buy more safety margin. Again,
21 that is where we start reducing the pressure inside the unit.
22 We start losing some load, but it keeps the reliability up
23 there. In 2002 it jumped to 1,319 tube failures, and in 2003
24 we had 2,623 tube failures.

25 When we were shutting down we had multiple areas of

1 the units that had tube failures, and of those there were
2 several that were external. Two that were rather violent. We
3 had ten in the -- since the first of January we had ten
4 external tube failures, two of them were rather large as they
5 show there, but we had ten in total.

6 Q Well, why didn't you simply just put into your budget
7 to replace all the old boiler tubes at Gannon Station and keep
8 it running through the end of 2004? I think that is an issue
9 here.

10 A The tubes that are inside the boiler, you have
11 mechanisms to go in and test for them, and you can see where
12 they are thinning. There is miles of tubing in these units.
13 These units are 100 feet tall, 60 feet and 40 feet wide, and
14 about 40 feet deep. And there is miles of tubing. The inside
15 of the boilers, you can inspect them and look at it and get
16 some feel for it. On the external, those tubes are covered by
17 insulation, and it is extremely difficult to understand where
18 the tube failure is occurring because of the fact that you
19 don't know where it is corroding, what the driver is.

20 New units you don't have that problem, because they
21 have got a lot of life and a lot of strength. But as units
22 age, you introduce a new mechanism that is very, very difficult
23 to detect. And the only way to really do it is to have
24 wholesale changeouts which, again, gets into a large expense
25 that wasn't accounted for there just to try to detect it.

1 Q Mr. Whale, you were asked about O&M savings, and I
2 think you indicate you are in charge of all the energy supply
3 for your company, is that correct?

4 A That's correct.

5 Q To put the alleged O&M savings into perspective, can
6 you tell me what your overall O&M budget for power supply has
7 been, say, from 2000 forward on a budgeted basis?

8 A In 2000 and forward, the total energy supply budget
9 has been roughly about 100 million. It moves up and down a
10 little bit because of outages. As shown on the presentation I
11 gave the officers, in 2002 we had two major outages, but the
12 following year we don't. So it moves around. But, you know,
13 roughly a million, million and a half, or 100 million and 105
14 million.

15 Q Could you tell me what the budgeted O&M totals were,
16 and this is total energy supply O&M expense for the year 2000?

17 A The year 2000 it was 112,000,385 million.

18 Q I'm talking budgeted.

19 A Budgeted, I'm sorry, is 104 million. We actually
20 spent 112,000,385. We overspent that year by 8 million, again,
21 to try to address the units. We have a budget, but if the unit
22 comes down and it needs to be fixed and put back on line, we
23 spend the money. And so we overspent by \$8 million in 2000.

24 Q What did you do in 2001, if you would give me your
25 budget, your actual, and your variance?

1 A The budget was 107 million and we spent 110 million.

2 Q How about 2002?

3 A 2002, we spent 117 million. I'm sorry, we budgeted
4 117 million, we spent 124 million. Again, that was really 125
5 million. It was 124.962, so rounded to 125. We spent
6 approximately 8 million over in 2002. Half of it was for Big
7 Bend Station and half of it was for Gannon. We spent
8 approximately \$40 million at Gannon Station in 2002, which was
9 one of the highest O&M years since '97/'98 as far as what the
10 chart says. Again, we were spending heavy amounts of O&M
11 trying to address to keep the units running.

12 Q What have you done thus far in 2003 as far as --
13 well, first of all, tell me what your 2003 O&M budget is and
14 where you are year-to-date?

15 A 2003 was 102.429 was our budgeted number. Right now
16 we are forecast to spend 110.274 million. Half of that, again,
17 is Big Bend Station, and 3.3 million of it is at Gannon
18 Station.

19 CHAIRMAN JABER: Mr. Whale, it seems like,
20 historically, you are overspending since the year 2001, if I
21 understood your testimony. At some point I question how you
22 were allocating your expenses and your budget.

23 THE WITNESS: A lot of times it was driven by
24 particular events that happened in the units. When we open
25 these units up, you try to guess what is in there. You try to

1 do the best guess as to what is in there and solve it, but a
2 lot of times when we open them up, we find things that we need
3 to fix, and when we do --

4 CHAIRMAN JABER: How long in advance do you prepare
5 your budget?

6 THE WITNESS: The budget is prepared annually, but
7 the units may run for 12 months, and we may not have had time
8 to go in there and look at. So the engineers are trying to
9 guess pretty far in advance what is going on inside that unit
10 and what the needs are. And a lot of times we open it up, and
11 it may be different than what the engineers thought they were
12 addressing. The other thing is that you might have a forced
13 outage that forced it off. Again, Gannon, we did the best that
14 we could, thinking as far as how it would run. But as the unit
15 was forced off and those things, we had to go in and fix it.
16 We did the best that we could.

17 CHAIRMAN JABER: Did you have forced outages for
18 every single Gannon unit?

19 THE WITNESS: Gannon had a lot of forced outages,
20 yes, ma'am. In fact, I will say that the Gannon budget, we had
21 budgeted a million dollars for forced outages. Up to June we
22 had spent 2 million in forced outages, and that was just to get
23 to June. We had overspent by a million dollars just addressing
24 the forced outages at Gannon this year.

25 BY MR. BEASLEY:

1 Q What is your budgeted O&M expense for your total
2 energy supply for the year 2004 as you currently see it?

3 A Right now we're thinking we are going to be somewhere
4 around 96 million. And Bayside is coming on, it is a new unit,
5 the O&M expenses should be lower. The equipment is new, and so
6 we are looking at 96 million.

7 Q The numbers that you have given us hover around \$100
8 million amount for total energy supply O&M expense with the
9 exception of the year 2002, which I believe you indicated you
10 had two major outages?

11 A Two large outages, yes.

12 Q I would like to hand out just for convenience a chart
13 that shows the numbers that Mr. Whale has indicated. Now, Mr.
14 Whale, you have been asked about assumed O&M savings of some
15 \$57 million on account of Tampa Electric shutting down Gannon
16 Units 1 through 4 in 2003, is that correct?

17 A Yes, that's correct.

18 Q Can you tell me where those savings are reflected and
19 what you have got on this chart, your O&M expense for total
20 energy supply?

21 A Those were never budgeted.

22 Q To keep Units 1 through 4 running through the end of
23 2004, what would you have had to do, what would you have had to
24 spend, what kind of outages would you have had to incur?

25 A Again, we would have had to have gone into the

1 acquisition phase of acquiring these cyclones and the rear wall
2 tubes that were identified. That would have been a long
3 process in itself identifying it. Then we would have had to
4 slot in the outages, and 49 days is what we ballparked there,
5 and we would have to fit that into the outage schedule as to
6 when is the best time to do that.

7 Now, how that would move around the Big Bend units,
8 because there is only certain times of the year that we take
9 these units down. During the summer, from April to September,
10 we try not to have any planned outages to address the summer
11 peak that is coming in, and we have got to get all the work
12 done between February and April, and September and November.
13 Really December, we really like to have -- December 15th we
14 like to have all the units back on. So how to fit those in
15 during those time periods when we had the Big Bend units, the
16 Polk units in there, we had to work on that.

17 Q Mr. Whale, in your budgeting process does your senior
18 management challenge you and your peers to cut costs to the
19 bone, to the extent you can, and still have safe and reliable
20 electric power generation?

21 A We have been constantly challenged since we have
22 brought on the Polk Power Station, that is Polk 1, Polk 2, Polk
23 3, it is roughly about 600 megawatts. We are bringing on the
24 Bayside Power Station, and we are bringing those units on
25 avoiding coming in for a rate case. And that is a challenge

1 that we constantly look at your budgets and make sure we are
2 prioritizing those dollars to the best that we can.

3 Q How many megawatts have you brought on line since
4 your last full revenue requirements case?

5 A Polk 1 is 315, Polk 2 and 3 are about 150 megawatts
6 apiece, and the Bayside megawatts I have listed previously.

7 Q Ms. Kaufman had asked you a question or a couple of
8 questions about Bates stamped Page 555, which I think is in Mr.
9 Majoros' -- I hope I am pronouncing his name correctly -- his
10 exhibit. And that has to do with -- I think that was a slide
11 presentation that mentioned higher purchased power costs. Do
12 you know if Tampa Electric is actually seeking higher purchased
13 power costs in this proceeding as a result of the shutdown
14 scheduled for Gannon Units 1 through 4 that your company
15 ultimately arrived at?

16 A I don't know that for a fact. I just highlighted. I
17 don't know for a fact whether we are or aren't. It is not my
18 area.

19 MR. BEASLEY: Thank you. That's all the redirect I
20 have.

21 CHAIRMAN JABER: Without objection, Exhibits 14
22 through 21 are admitted into the record.

23 (Exhibits 14 through 21 admitted into the record.)

24 MR. BEASLEY: Madam Chairman, if I could ask that
25 this document be marked as an exhibit that would be useful.

1 This is the one that I handed out, the O&M total energy supply
2 expense.

3 CHAIRMAN JABER: Tampa Electric Company Total Energy
4 Supply O&M expense will be identified as Exhibit 22. And
5 without objection, Exhibit 22 will be admitted into the record.

6 (Exhibit 22 marked for identification and admitted
7 into the record.)

8 MR. BEASLEY: And I don't know if you mentioned 14,
9 as well. That was the Exhibit WTW-1 that accompanied Mr.
10 Whale's direct case. Thank you.

11 CHAIRMAN JABER: I did, I moved -- if not, I intended
12 to move Exhibits 14 through 22 into the record. And, Mr.
13 Whale, you are excused for now. I understand you have rebuttal
14 testimony that will come before us a little bit later. Thank
15 you.

16 THE WITNESS: Thank you.

17 MR. BEASLEY: I would like to call Benjamin Smith.

18 CHAIRMAN JABER: Actually, Mr. Beasley, let me ask --
19 Mr. McGee, are you ready to come back to Mr. Portuondo?

20 MR. MCGEE: Yes, ma'am, I believe we are.

21 CHAIRMAN JABER: And, staff, there was a pending
22 motion that you all were -- you were going to inspect an
23 exhibit for me, a document for me and be prepared to recommend
24 on the ruling of the motion.

25 Mr. Keating, are you ready to do that now?

1 MR. KEATING: I have looked at it. I could make a
2 presentation on it now. I know that our general counsel has
3 just -- I think just sat down, or left the room to look at that
4 document. You may want to wait for his review and input into
5 the staff recommendation on that.

6 CHAIRMAN JABER: Okay. Well, let's proceed then with
7 Progress' Witness Portuondo, and we will come back to that
8 motion.

9 MR. MCGEE: Madam Chairman, we would like to ask the
10 Commission's indulgence to present a brief opening statement on
11 the issue of 13E, the waterborne transportation question. We
12 think that has some complexities to it that might benefit from
13 setting the stage. Ms. Davis would like to make that opening
14 statement.

15 CHAIRMAN JABER: Ms. Davis, tell me exactly what you
16 want to do.

17 MS. DAVIS: Commissioners, Mr. Portuondo is
18 testifying on several subjects in this docket. And on the
19 issue of 13E having to do with the waterborne transportation
20 costs, we would like to make an opening statement with respect
21 to that particular issue.

22 CHAIRMAN JABER: For what purpose? Where we last
23 left it, I thought you all were trying to negotiate with the
24 parties on a resolution for that issue. Is this in the spirit
25 of obtaining a resolution, or reporting to the Commission that

1 you have a resolution?

2 MS. DAVIS: No, ma'am, I think it is just the
3 opposite. I think we were not able to obtain a resolution of
4 the issue, so we are prepared to try it. And to that point, we
5 would like to make an opening statement.

6 CHAIRMAN JABER: Parties, do you have a response?

7 MS. KAUFMAN: Chairman Jaber, I think FIPUG would
8 object to that. We had not discussed doing opening statements
9 as to any of the issues.

10 CHAIRMAN JABER: Mr. Vandiver.

11 MR. VANDIVER: We haven't talked about it.

12 CHAIRMAN JABER: Sorry?

13 MR. VANDIVER: We haven't talked about it.

14 CHAIRMAN JABER: Ms. Davis, I am going to deny your
15 request. There is a time and place for everything, and that
16 issue, I would note, has been identified for quite some time.
17 You could have taken it up with the prehearing officer. I'm
18 not really sure I understand the nature of your request, but
19 for now it is denied.

20 Do you want to call Mr. Portuondo up to the stand?
21 Thereupon,

22 JAVIER PORTUONDO

23 was called as a witness for Progress Energy Florida,
24 Incorporated, and after being duly sworn, was examined and
25 testified as follows:

DIRECT EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. McGEE:

Q Would you state your name and business address for the record, please.

A Javier Portuondo, 100 Central Avenue, St. Petersburg, Florida.

Q And what is your position?

A I am the Director of Regulatory Services for Florida.

Q Mr. Portuondo, have you caused to be prefiled in this docket true-up testimony on April 11th of this year, actual and estimated testimony on, I believe it was August 10th of this year, and projection testimony on September 12th of this year?

A Yes, I have.

Q Have you also filed supplemental testimony pursuant to the prehearing officer's direction at the prehearing conference?

A Yes, I have.

MR. McGEE: Madam Chairman, Mr. Portuondo has exhibits to the first three sets of those testimony, the true-up testimony, the estimated actual testimony, and the projection testimony. If we might have those marked for identification. If you wanted to do a composite for all of them, that would certainly be satisfactory.

CHAIRMAN JABER: Give me the exhibit numbers, Mr. McGee.

1 MR. McGEE: Those would be --

2 CHAIRMAN JABER: I've got JP-1 through JP-4, but I
3 want to confirm that that is what you have, as well.

4 MR. McGEE: Yes. Actually in the true-up testimony,
5 there are four sets of exhibits, JP-1 through 4. In the
6 projection testimony we have Parts A through F, and Commission
7 Schedules E1 through E10 and H1.

8 CHAIRMAN JABER: Say that again. You have Parts A
9 through F, Schedules E1 through --

10 MR. McGEE: E1 through E10, and H1. And the one that
11 I omitted was the middle of those three, the estimated actual
12 testimony. The exhibits consist of Parts A through D and
13 Schedules A1 through A9 for the month of July '03 period to
14 date.

15 CHAIRMAN JABER: We will reflect that all of those
16 exhibits will be identified as Composite Exhibit 23. There
17 weren't any other exhibits, right?

18 (Composite Exhibit 23 marked for identification.)

19 MR. McGEE: That's correct, there were no other
20 exhibits.

21 CHAIRMAN JABER: Now, walk me through the testimony.
22 I have prefiled direct testimony filed April 1st, I have
23 testimony filed August 11th, testimony filed September 12th,
24 and testimony filed November 3rd.

25 MR. McGEE: That's correct. The first one was filed

1 April 11th. Actually if you have April 1st, I'm not sure my
2 post-it note is correct, and I would be happy to take your
3 date.

4 CHAIRMAN JABER: Okay. Let the record reflect that
5 the testimony filed April 1st, August 11th, September 12th, and
6 November 3rd shall be inserted into the record as though read.

7 MR. McGEE: Thank you.
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PROGRESS ENERGY FLORIDA**DOCKET NO. 030001-EI****Fuel and Capacity Cost Recovery
Final True-Up for the Period
January through December, 2002****DIRECT TESTIMONY OF
JAVIER PORTUONDO**

1 **Q. Please state your name and business address.**

2 A. My name is Javier Portuondo. My business address is Post Office Box
3 14042, St. Petersburg, Florida 33733.

4

5 **Q. By whom are you employed and in what capacity?**

6 A. I am employed by Progress Energy Service Company, LLC, in the capacity
7 of Manager, Regulatory Services – Florida.

8

9 **Q. Have your duties and responsibilities remained the same since you**
10 **last testified in this proceeding?**

11 A. Yes.

12

13 **Q. What is the purpose of your testimony?**

14 A. The purpose of my testimony is to describe Progress Energy Florida's
15 (Progress Energy or the Company) Fuel Cost Recovery Clause final true-
16 up amount for the period of January through December 2002, and the
17 Company's Capacity Cost Recovery Clause final true-up amount for the
18 same period.

19

1 **Q. Have you prepared exhibits to your testimony?**

2 A. Yes, I have prepared and attached to my testimony as Exhibit No. ____ (JP-
3 1) a three-page true-up variance analysis which examines the difference
4 between the estimated fuel true-up and the actual period-end fuel true-up.
5 Attached to my testimony as Exhibit No. ____ (JP-2) are the Capacity Cost
6 Recovery Clause true-up calculations for the January through December
7 2002 period. Exhibit No. ____ (JP-3) presents the revenues and expenses
8 associated with the purchase of the Tiger Bay facility approved in Docket
9 970096-EQ and the corresponding amortization. In addition, I will sponsor
10 the applicable Schedules A1 through A9 for the period-to-date through
11 December 2002, which have been previously filed with the Commission
12 and are also attached to my testimony for ease of reference as Exhibit No.
13 ____ (JP-4).

14
15 **Q. What is the source of the data that you will present by way of**
16 **testimony or exhibits in this proceeding?**

17 A. Unless otherwise indicated, the actual data is taken from the books and
18 records of the Company. The books and records are kept in the regular
19 course of business in accordance with generally accepted accounting
20 principles and practices, and provisions of the Uniform System of Accounts
21 as prescribed by this Commission.

22 **FUEL COST RECOVERY**

23
24 **Q. What is the Company's jurisdictional ending balance as of December**
25 **31, 2002 for fuel cost recovery?**

1 A. The actual ending balance as of December 31, 2002 for true-up purposes
2 is an under-recovery of \$31,685,712.

3

4 **Q. How does this amount compare to the Company's estimated 2002**
5 **ending balance included in the Company's projections for the**
6 **calendar year 2002?**

7 A. An estimated over-recovery of \$34,585,760 was included in the 2002
8 projections and is being refunded to customers through Progress Energy's
9 currently effective fuel cost recovery factor. When this ending balance is
10 compared to the actual year-end under-recovery balance of \$31,685,712,
11 the final true-up attributable to the twelve-month period ended December
12 31, 2002 is an under-recovery of \$66,271,472.

13

14 **Q. How was the final true-up ending balance determined?**

15 A. The amount was determined in the manner set forth on Schedule A2 of the
16 Commission's standard forms previously submitted by the Company on a
17 monthly basis.

18

19 **Q. What factors contributed to the period-ending jurisdictional under-**
20 **recovery of \$31,685,712 as shown on your Exhibit No. __ (JP-1)?**

21 A. The factors contributing to the under-recovery are summarized on Sheet 1
22 of 3. A decrease in the fuel cost factor effective 4/29/02 due to a mid-
23 course correction combined with lower jurisdictional KWH sales due to a
24 weaker than projected economy resulted in jurisdictional fuel revenues
25 falling below the forecast by \$34.4 million. The \$2.6 million favorable

1 variance in jurisdictional fuel and purchased power expense was primarily
2 attributable to lower system net generation cost offset by higher than
3 projected net purchased power prices.

4 When the differences in jurisdictional revenues and jurisdictional fuel
5 expenses are combined, the net result is an under-recovery of \$31.8 million
6 related to the January through December 2002 true-up period. Another
7 factor not directly related to the period is an interest provision of \$.1 million.
8 This results in an actual ending under-recovery balance of \$31.7 million as
9 of December 31, 2002.

10

11 **Q. Please explain the components shown on Exhibit No. __ (JP-1), Sheet**
12 **2 of 3 which produced the \$2.9 million favorable system variance from**
13 **the projected cost of fuel and net purchased power transactions.**

14 A. Sheet 2 of 3 shows an analysis of the system variance for each energy
15 source in terms of three interrelated components; (1) changes in the
16 amount (MWH's) of energy required; (2) changes in the heat rate, or
17 efficiency, of generated energy (BTU's per KWH); and (3) changes in the
18 unit price of either fuel consumed for generation (\$ per million BTU) or
19 energy purchases and sales (cents per KWH).

20

21 **Q. What effect did these components have on the system fuel and net**
22 **power variance for the true-up period?**

23 A. As can be seen from Sheet 2 of 3, variances in the amount of MWH
24 requirements from each energy source (column B) combined to produce a

1 cost increase of \$16.7 million. I will discuss this component of the variance
2 analysis in greater detail below.

3 The heat rate variance for each source of generated energy (column
4 C) reflected a favorable variance of \$16.1 million. This variance was
5 primarily the result of improved efficiency from gas peaking unit operations.

6 A cost decrease of \$3.4 million resulted from the price variance
7 (column D), which was caused by a number of sources detailed on lines 1
8 through 19 of Sheet 2 of 3, of exhibit (JP-1). While for the year gas
9 decreased \$36.2 million and oil increased \$10.4 million, the 4th quarter of
10 2002 showed significant cost increases in both these fuel types. These
11 increases are the result of the colder than expected winter, the energy
12 market's reaction to potential hostilities in the Middle East, and the
13 Venezuelan oil worker's strike.

14

15 **Q. What were the major contributors to the \$16.7 million cost increase**
16 **associated with the variance in MWH requirements?**

17 A. The primary reason for the unfavorable variance in MWH requirements was
18 the .5 million increase in supplemental KWH sales. The effect that
19 generation mix has on total net system fuel and purchased power cost is
20 another reason for the unfavorable variance in MWH requirements.

21

22 **Q. Does this period ending true-up balance include any noteworthy**
23 **adjustments to fuel expense?**

24 A. Yes, Exhibit No. ____ (JP-4) shows other jurisdictional adjustments to fuel
25 expense. Noteworthy adjustments shown in the footnote to line 6b on page

1 1 of 4, Schedule A2 of this exhibit include recovery of the Company's
2 investment in 11 previously approved combustion turbine gas conversion
3 projects at Intercession City Units P7-10, Debarry Units P7-P9, Bartow Units
4 P2 and P4, and Suwannee Units P1 an P3.

5

6 **Q. Did Progress Energy's customers benefit during the true-up period**
7 **from its investment in the Gas Conversion projects previously**
8 **approved by the Commission?**

9 A. Yes. The estimated system fuel savings for the period related to Progress
10 Energy's approved gas conversion projects was \$11,737,182. The total
11 system depreciation and return was \$1,603,401, resulting in a net system
12 benefit to the Company's customers of \$10,133,781. A schedule of
13 depreciation and return by gas conversion unit is included in Exhibit No.
14 ____ (JP-1), Sheet 3 of 3.

15

16 **Q. Has Progress Energy included any sulfur dioxide emission allowance**
17 **transactions in fuel expense for the true-up period?**

18 A. Yes, during the true-up period the Company included \$8,933,684 of
19 emission allowances in fuel expense.

20

21 **Q. Were any other adjustments of note included in the current true-up**
22 **period?**

23 A. Yes. On January 20, 1997, the Company entered an agreement with Tiger
24 Bay Limited Partnership to purchase the Tiger Bay cogeneration facility
25 and terminate the five related purchase power agreements (PPAs). The

1 purchase agreement approved in Docket No. 970096-EQ was executed on
2 July 15, 1997, at which time Tiger Bay became one of Progress Energy's
3 generating facilities. Pursuant with the terms and conditions of the
4 approved stipulation, the Company placed approximately \$75 million of the
5 purchase price into rate base, with the remaining amount set up as a
6 regulatory asset for the retail jurisdiction, according to Progress Energy's
7 jurisdictional separation at that time. The stipulation allows the Company
8 to continue collecting revenues from its ratepayer's as if the five related
9 purchase power agreements were still in effect. The revenues collected
10 would then be used to offset all fuel expenses relating to the Tiger Bay
11 facility and interest applicable to the unamortized balance of the retail
12 portion of the Tiger Bay regulatory asset, with any remaining balance used
13 to amortize the regulatory asset.

14 Following this methodology, a \$40.9 million adjustment was made to
15 remove the cost of fuel consumed by the Tiger Bay facility during the true-
16 up period, since these costs were recovered from the PPA revenues.
17 Exhibit No. __ (JP-3) shows a year-end retail balance for the Tiger Bay
18 regulatory asset of \$46,601,202, computed in accordance with the
19 approved stipulation.

20
21 **Q. Has the three-year rolling average gain on economy sales included in**
22 **the Company's filing for the November, 2002 hearings been updated**
23 **to incorporate actual data for all of year 2002?**

1 A. Yes. Progress Energy has calculated its three-year rolling average gain on
 2 economy sales, based entirely on actual data for calendar years 2000
 3 through 2002, as follows.

4	<u>Year</u>	<u>Actual Gain</u>
5	2000	\$ 8,939,098
6	2001	10,283,714
7	2002	<u>5,628,586</u>
8	Three-Year Average	\$ 8,283,799

9
 10 **Q. Order No. PSC-02-1484-FOF-EI, issued in Docket No. 011605-EI,**
 11 **requires each utility to include in the final true-up each year all base**
 12 **year and recovery year operating and maintenance expenses**
 13 **associated with financial and physical hedging activities. What were**
 14 **the base year and recovery year O&M expenses associated with**
 15 **hedging?**

16 A. There were no base year or recovery year O&M expenses associated with
 17 financial and physical hedging. No financial hedging activities took place
 18 in the Company's base year (projected 2002) nor the recovery year (true-
 19 up 2002), and while Progress Energy was actively hedging physically,
 20 there were no transaction costs associated with any of the physical
 21 hedging activities that occurred in either period. Future incremental
 22 hedging costs will include net new personnel assigned to physical and
 23 financial hedging as well as new hedging computer systems and
 24 transaction costs.

CAPACITY COST RECOVERY

1
2 **Q. What is the Company's jurisdictional ending balance as of December**
3 **31, 2002 for capacity cost recovery?**

4 A. The actual ending balance as of December 31, 2002 for true-up purposes
5 is an under-recovery of \$4,408,138.

6
7 **Q. How does this amount compare to the estimated 2002 ending balance**
8 **included in the Company's projections for calendar year 2003?**

9 A. When the estimated under-recovery of \$8,906,021 to be collected during
10 the calendar year 2003 is compared to the \$4,408,138 actual under-
11 recovery, the final net true-up attributable to the twelve-month period
12 ended December 2002 is an over-recovery of \$4,497,883.

13
14 **Q. Is this true-up calculation consistent with the true-up methodology**
15 **used for the other cost recovery clauses?**

16 A. Yes. The calculation of the final net true-up amount follows the procedures
17 established by the Commission, as set forth on Schedule A2, "Calculation
18 of True-Up and Interest Provision" for fuel cost recovery.

19
20 **Q. What factors contributed to the actual period-end under-recovery of**
21 **\$4.4 million?**

22 A. Exhibit No. ____ (JP-2), sheet 1 of 3, entitled "Capacity Cost Recovery
23 Clause Summary of Actual True-Up Amount," compares actual results to
24 the original forecast for the period. As can be seen from sheet 1, the
25 actual jurisdictional revenues were \$8.9 million lower than forecasted

1 revenues due to reduced customer usage. The \$4.7 million reduction in
2 net capacity expenses was the result of a combination of factors including
3 a reduction in the base level jurisdictional allocation factor, the failure of a
4 cogenerator to meet its contractual obligation, the elimination of the
5 Sebring base rate credit and the inclusion of incremental security costs. An
6 interest provision of \$.2 million also contributed to the under-recovery.

7

8 **Q. Were there any items of note included in the current true-up period?**

9 A. Yes. In Order No. PSC-02-1761-FOF-EI, issued in Docket No. 020001-EI, the
10 Commission addressed the recovery of incremental security costs through the
11 capacity cost recovery clause. Exhibit No. __ (JP-2) includes incremental
12 security costs of \$4,831,124 (system).

13

14 **Q. Does this conclude your direct testimony?**

15 A. Yes.

PROGRESS ENERGY FLORIDA**DOCKET No. 030001-EI****Fuel and Capacity Cost Recovery
Estimated/Actual True-Up Amounts
January through December 2003****DIRECT TESTIMONY OF
JAVIER PORTUONDO**

1 **Q. Please state your name and business address.**

2 A. My name is Javier Portuondo. My business address is Post Office Box
3 14042, St. Petersburg, Florida 33733.

4

5 **Q. By whom are you employed and in what capacity?**

6 A. I am employed by Progress Energy Service Company, LLC, in the capacity
7 of Director, Regulatory Services - Florida.

8

9 **Q. Have your duties and responsibilities remained the same since your**
10 **testimony was last filed in this docket?**

11 A. Yes.

12

13 **Q. What is the purpose of your testimony?**

14 A. The purpose of my testimony is to present for Commission approval
15 Progress Energy Florida's (Progress Energy or the Company)

1 estimated/actual fuel and capacity cost recovery true-up amounts for the
2 period of January through December 2003.

3
4 **Q. Do you have an exhibit to your testimony?**

5 A. Yes. I have prepared an exhibit attached to my prepared testimony
6 consisting of Parts A through D and Commission Schedules E1 through E9
7 for the month of July 2003 (period to date), which contain the calculation of
8 the Company's true-up balances and the supporting data. Parts A through
9 C contain the assumptions which support the Company's reprojected of
10 fuel costs for the months of August through December 2003. Part D
11 contains the Company's reprojected capacity cost recovery true-up balance
12 and supporting data.

13
14 **FUEL COST RECOVERY**

15 **Q. How was the estimated true-up under-recovery of \$210,426,260 shown**
16 **on Schedule E1-B, Sheet 1, line 20, developed?**

17 A. The estimated true-up calculation begins with the actual balance of
18 (\$158,705,476), taken from Schedule A2, page 3 of 4, for the month of July
19 2003. This balance was projected to the end of December 2003, including
20 interest estimated at the July ending rate of 0.085% per month. The
21 development of the actual/estimated true-up amount for the period ending
22 December 2003 is shown on Schedule E1-B.

23
24 **Q. What are the primary reasons for the projected December-ending 2003**
25 **under-recovery of \$210.4 million?**

1 A. At the time Progress Energy prepared the projections used in its February
2 18, 2003 mid-course correction filing, oil and gas prices, which had risen
3 sharply compared to the original projection, were projected to stabilize at
4 above normal levels for the remainder of the year. While oil prices have
5 remained in line with the mid-course projection, the price of natural gas has
6 continued to rise and is forecasted to remain higher than that projection.
7 This higher natural gas price is the primary reason for the projected \$210.4
8 million under-recovery. Also contributing to the under-recovery is a \$37.8
9 million carryover from 2002 that was included in the approved mid-course
10 correction.

11
12 **Q. Does Progress Energy expect to exceed the three-year rolling average**
13 **gain on Other Power Sales?**

14 A. Yes, Progress Energy estimates the total gain on non-separated sales
15 during 2003 will be \$8,805,497, which exceeds the three-year rolling
16 average for such sales of \$8,283,799 by \$521,698. The sharing
17 mechanism approved by the Commission in Docket No. 991779-EI
18 allocates 80% of this difference (\$417,358) to customers, for a total
19 customer benefit of \$8,701,157, and 20% of the difference (\$104,340) to
20 shareholders.

21
22 **Q. Were any other adjustments of note included in the current true-up**
23 **period?**

24 A. Yes. On January 20, 1997, the Company entered an agreement with Tiger
25 Bay Limited Partnership to purchase the Tiger Bay cogeneration facility and

1 terminate the five related purchase power agreements (PPAs). The
2 purchase agreement approved in Docket No. 970096-EQ was executed on
3 July 15, 1997, at which time Tiger Bay became one of Progress Energy's
4 generating facilities. Pursuant with the terms and conditions of the
5 approved stipulation, the Company placed approximately \$75 million of the
6 purchase price into rate base, with the remaining amount set up as a
7 regulatory asset for the retail jurisdiction, according to Progress Energy's
8 jurisdictional separation at that time. The stipulation allows the Company
9 to continue collecting revenues from its ratepayer's as if the five related
10 PPAs were still in effect. The revenues collected were then be used to
11 offset all fuel expenses relating to the Tiger Bay facility and interest
12 applicable to the unamortized balance of the retail portion of the Tiger Bay
13 regulatory asset, with any remaining revenues used to amortize the
14 regulatory asset. The retail balance of the regulatory asset is projected to
15 be fully amortized by the end of October 2003. Beginning in November
16 2003, the Company is projecting to discontinue collecting revenues based
17 on the PPAs and instead will recover only the fuel expense associated with
18 the Tiger Bay generating facility.

19
20 **Q. How does the current fuel price forecast compare with the forecast**
21 **used in the Company's February 2003 mid-course correction filing?**

22 A. Forecasted prices for coal on average increased \$2.48 per ton, or 4.6%
23 from the mid-course filing. Residual (heavy or No. 6) oil increased an
24 average of \$0.78 per barrel, or 3.0%, while distillate (light or No. 2) oil
25 decreased an average of \$0.84 per barrel, or 2.3%. The natural gas

1 forecast rose \$1.27 per MMBTU on average, or 23.8%. According to the
2 Energy Information Administration, the low level of underground storage is
3 the principal reason for the higher natural gas prices.
4

5 **Q. What is the source of the Company's fuel price forecast?**

6 A. The Company's fuel price forecast was based on forecast assumptions for
7 residual oil, distillate oil, natural gas, and coal shown in Part B of my exhibit.
8 The forecasted prices for each fuel type are shown in Part C.
9

10 **CAPACITY COST RECOVERY**

11 **Q. How was the estimated true-up over-recovery of \$3,309,148 shown on**
12 **Part D, Line 29, developed?**

13 A. The estimated true-up calculation begins with the actual balance of
14 (\$7,240,277) for the month of July 2003. This balance was projected to the
15 end of December 2003, including interest estimated at the July-ending rate
16 of 0.085% per month.
17

18 **Q. What are the major changes between the February 2003 mid-course**
19 **filing and the actual/estimated reprojection?**

20 A. The variance between the mid-course filing and actual/estimated true-up
21 balance at year-end 2003 is an over-recovery of \$3.3 million. The variance
22 is primarily attributable to a \$2.4 million increase in revenue due to an
23 increase in projected retail sales, combined with \$0.9 million decrease in
24 capacity expenses mainly due to lower projected incremental security costs.

1 **Q. Does this conclude your estimated/actual true-up testimony?**

2 **A. Yes.**

**PROGRESS ENERGY FLORIDA
DOCKET NO. 030001-EI**

**Levelized Fuel and Capacity Cost Recovery Factors
January through December 2004**

**DIRECT TESTIMONY OF
JAVIER PORTUONDO**

1 **Q. Please state your name and business address.**

2 A. My name is Javier Portuondo. My business address is Post Office Box
3 14042, St. Petersburg, Florida 33733.

4

5 **Q. By whom are you employed and in what capacity?**

6 A. I am employed by Progress Energy Service Company, LLC, in the capacity
7 of Director, Regulatory Services - Florida.

8

9 **Q. Have your duties and responsibilities remained the same since your**
10 **testimony was last filed in this docket?**

11 A. Yes.

12

13 **Q. What is the purpose of your testimony?**

14 A. The purpose of my testimony is to present for Commission approval the
15 levelized fuel and capacity cost factors of Progress Energy Florida
16 (Progress Energy or the Company) for the period of January through
17 December 2004. In addition, I will address Staff preliminary Issue 13D

1 regarding the Company's market price proxy for waterborne coal
2 transportation, including a detailed discussion of the circumstances that led
3 to the Commission's adoption of the market proxy mechanism. I will then
4 address Staff Issues 13A, 13B and 13C regarding ongoing Commission
5 practices for the treatment of certain costs related to Progress Fuels
6 Corporation, Issue 13E regarding Progress Energy's purchase of synthetic
7 coal in 2002, and a new matter of which Staff has recently advised the
8 Company regarding the treatment of Progress Fuel's FOB Barge coal
9 purchases in 2002. Finally, I will address an issue raised by the Company
10 in an attempt to resolve any uncertainty that may exists regarding the
11 appropriate baseline O&M expenses to be used in determining recoverable
12 incremental costs in this proceeding.

13
14 **Q. Do you have an exhibit to your testimony?**

15 A. Yes. I have prepared an exhibit attached to my prepared testimony
16 consisting of Parts A through F and the Commission's minimum filing
17 requirements for these proceedings, Schedules E1 through E10 and H1,
18 which contain the Company's levelized fuel cost factors and the supporting
19 data. Parts A through C contain the assumptions which support the
20 Company's cost projections, Part D contains the Company's capacity cost
21 recovery factors and supporting data, Part E contains the calculation of
22 recoverable depreciation expense and return on capital associated with
23 Progress Energy's new Hines Unit 2 in accordance with the rate case
24 stipulation and settlement approved by the Commission in April 2002, and

1 Part F contains a graphic depiction of the Company's incremental cost
2 evaluation process.

3

4

FUEL COST RECOVERY

5

**Q. Please describe the levelized fuel cost factors calculated by the
6 Company for the upcoming projection period.**

6

7 A. Schedule E1, page 1 of the "E" Schedules in my exhibit, shows the
8 calculation of the Company's basic fuel cost factor of 3.453 ¢/kWh (before
9 metering voltage adjustments). The basic factor consists of a fuel cost for
10 the projection period of 2.90246 ¢/kWh (adjusted for jurisdictional losses), a
11 GPIF reward of 0.00714 ¢/kWh, and an estimated prior period true-up of
12 0.54052 ¢/kWh.

13

14

15

16

17

18

19

20

21

Utilizing this basic factor, Schedule E1-D shows the calculation and
supporting data for the Company's final levelized fuel cost factors for
service received at secondary, primary, and transmission metering voltage
levels. To perform this calculation, effective jurisdictional sales at the
secondary level are calculated by applying 1% and 2% metering reduction
factors to primary and transmission sales, respectively (forecasted at meter
level). This is consistent with the methodology used in the development of
the capacity cost recovery factors. The final fuel cost factor for residential
service is 3.458 ¢/kWh.

22

23

24

Schedule E1-E develops the Time Of Use (TOU) multipliers of 1.310
On-peak and 0.865 Off-peak. The multipliers are then applied to the
levelized fuel cost factors for each metering voltage level, which results in

1 the final TOU fuel factors for application to customer bills during the
2 projection period.

3

4 **Q. What is the change in the fuel factor for the projection period from the**
5 **fuel factor currently in effect?**

6 A. The projected average fuel factor for 2004 of 3.453 ¢/kWh is an increase of
7 0.717 ¢/kWh, or 26.2%, from the 2003 midcourse fuel factor of 2.736
8 ¢/kWh.

9

10 **Q. Please explain the reasons for the increase.**

11 A. The increase is primarily driven by the recovery of the projected 2003 true-
12 up balance of \$210.4 million. Also contributing to the higher fuel factor is
13 an increase in the projected fuel cost of oil and natural gas, as well as a
14 slight increase due to recovery of actual energy costs, since the regulatory
15 asset associated with the 1997 buyout of the Tiger Bay purchase power
16 agreements (PPAs) has been fully amortized. In 2004, Tiger Bay will be
17 treated as a company owned generating facility rather than a contractual
18 cogenerator. Partially offsetting this increase is a reduction in coal prices
19 and higher nuclear generation due to no refueling outage scheduled for
20 2004.

21

22 **Q. What is included in Schedule E1, line 4, "Adjustments to Fuel Cost"?**

23 A. Line 4 shows the recovery of the costs associated with conversion of
24 combustion turbine units to burn natural gas instead of distillate oil
25 (\$124,000), the annual payment to the Department of Energy for the

1 decommissioning and decontamination of their enrichment facilities
2 (\$1,743,831), and the recovery of the depreciation and return associated
3 with Hines Unit 2 (\$42,589,716). These fuel cost adjustments total
4 \$44,457,547.

5

6 **Q. Is the cost of purchasing emission allowances still included in**
7 **Schedule E1, line 4, "Adjustments to Fuel Cost"?**

8 A. No. Beginning in 2004, the cost of emission allowances will be recovered
9 through the Environmental Cost Recovery Clause (ECRC). Order No.
10 PSC-95-0450-FOF-EI in Docket No. 950001-EI allowed emission
11 allowances to be recovered through the Fuel and Purchased Power Cost
12 Recovery Clause if a utility was not participating in an ECRC. Progress
13 Energy began utilizing the ECRC on January 1, 2003 and received
14 Commission approval to move emission allowances to that clause in 2004.

15

16 **Q. What is included in Schedule E1, line 6, "Energy Cost of Purchased**
17 **Power"?**

18 A. Line 6 includes energy costs for the purchase of 60 MWs from Tampa
19 Electric Company and the purchase of 414 MWs under a Unit Power Sales
20 (UPS) agreement with the Southern Company. The capacity payments
21 associated with the UPS contract are based on the original contract of 400
22 MWs. The additional 14 MWs are the result of revised SERC ratings for
23 the five units involved in the unit power purchase, providing a benefit to
24 Progress Energy in the form of reduced costs per kW. Both of these
25 contracts have been approved for cost recovery by the Commission. The

1 capacity costs associated with these purchases are included in the capacity
2 cost recovery factor.

3
4 **Q. What is included in Schedule E1, line 8, "Energy Cost of Economy**
5 **Purchases"?**

6 A. Line 8 consists primarily of economy purchases from within or outside the
7 state. Line 8 also includes energy costs for purchases from Seminole
8 Electric Cooperative, Inc. (SECI) for load following, and off-peak hydroelectric
9 purchases from the Southeast Electric Power Agency (SEPA). The SECI
10 contract is an ongoing contract under which the Company purchases energy
11 from SECI at 95% of its avoided fuel cost. Purchases from SEPA are on an
12 as-available basis. There are no capacity payments associated with either of
13 these purchases. Other purchases may have non-fuel charges, but since
14 such purchases are made only if the total cost of the purchase is lower than
15 the Company's cost to generate the energy, it is appropriate to recover the
16 associated non-fuel costs through the fuel adjustment clause rather than the
17 capacity cost recovery clause. Such non-fuel charges, if any, are reported on
18 line 10.

19
20 **Q. How was the Gain on Other Power Sales, shown on Schedule E-1,**
21 **Line 15a, developed?**

22 A. Progress Energy estimates the total gain on non-separated sales during
23 2004 to be \$4,584,880, which is below the three-year rolling average for such
24 sales of \$8,239,266 by \$3,654,386. Based on the sharing mechanism

1 approved by the Commission in Docket No. 991779-EI, the total gain will be
2 distributed to customers.

3
4 **Q. How was Progress Energy's three-year rolling average gain on**
5 **economy sales determined?**

6 A. The three-year rolling average of \$8,239,266 is based on calendar years
7 2001 through 2003, and was calculated in accordance with Order No. PSC-
8 00-1744-PAA-EI, issued September 26, 2000 in Docket 991779-EI.

9
10 **Q. Why has the depreciation expense and return on capital associated**
11 **with Hines Unit 2 been included in the Adjustments to Fuel Cost entry**
12 **you described earlier?**

13 A. The stipulation approved by the Commission in April 2002 for Progress
14 Energy's base rate review proceeding (Docket No. 000824-EI) provides that
15 the Company will be allowed the opportunity to recover the depreciation
16 expenses and return on capital for its new Hines Unit 2 through the fuel
17 clause beginning with the unit's commercial operation through the end of
18 2005, subject to the limitation that the costs of Hines Unit 2 recovered over
19 this period may not exceed the cumulative fuel savings provided by the unit
20 over the same period. Because Hines Unit 2 is scheduled to begin
21 commercial operation in December 2003, these two cost components of
22 the unit for 2004 have been included in the projection period for recovery in
23 accordance with the stipulation. Part E of my exhibit shows the calculation
24 of the depreciation expense and return on capital associated with Hines
25 Unit 2.

1 **Q. Please explain the entry on Schedule E1, line 17, "Fuel Cost of**
2 **Stratified Sales."**

3 A. Progress Energy has several wholesale contracts with Seminole, some of
4 which represent Seminole's own firm resources, and others that provide for
5 the sale of supplemental energy to supply the portion of their load in excess
6 of Seminole's own resources, 1528 MW in 2004. The fuel costs charged to
7 Seminole for supplemental sales are calculated on a "stratified" basis, in a
8 manner which recovers the higher cost of intermediate/peaking generation
9 used to provide the energy. New contracts for fixed amounts of
10 intermediate and peaking capacity began in January of 2000. While those
11 sales are not necessarily priced at average cost, Progress Energy is
12 crediting average fuel cost of the appropriate stratification (intermediate or
13 peaking) in accordance with Order No. PSC-97-0262-FOF-EI. The fuel
14 costs of wholesale sales are normally included in the total cost of fuel and
15 net power transactions used to calculate the average system cost per kWh
16 for fuel adjustment purposes. However, since the fuel costs of the stratified
17 sales are not recovered on an average system cost basis, an adjustment
18 has been made to remove these costs and the related kWh sales from the
19 fuel adjustment calculation in the same manner that interchange sales are
20 removed from the calculation. This adjustment is necessary to avoid an
21 over-recovery by the Company which would result from the treatment of
22 these fuel costs on an average system cost basis in this proceeding, while
23 actually recovering the costs from these customers on a higher, stratified
24 cost basis.

1 Line 17 also includes the fuel cost of sales made to the City of
2 Tallahassee in accordance with Order No. PSC-99-1741-PAA-EI. The
3 stratified sales shown on Schedule E6 include 100,140 MWh, of which 93%
4 is priced at average nuclear fuel cost, the balance at an estimated
5 incremental cost of \$25 per MWh. Other transactions included on Line 17
6 are the 50 MW sale to Florida Power & Light and a 15 MW sale to the City
7 of Homestead.

8

9 **Q. Please explain the procedure for forecasting the unit cost of nuclear**
10 **fuel.**

11 A. The cost per million BTU of the nuclear fuel which will be in the reactor
12 during the projection period (Cycle 14) was developed from the
13 unamortized investment cost of the fuel in the reactor. Cycle 14 consists of
14 several "batches" of fuel assemblies which are separately accounted for
15 throughout their life in several fuel cycles. The cost for each batch is
16 determined from the actual cost incurred by the Company, which is audited
17 and reviewed by the Commission's field auditors. The expected available
18 energy from each batch over its life is developed from an evaluation of
19 various fuel management schemes and estimated fuel cycle lengths. From
20 this information, a cost per unit of energy (cents per million BTU) is
21 calculated for each batch. However, since the rate of energy consumption
22 is not uniform among the individual fuel assemblies and batches within the
23 reactor core, an estimate of consumption within each batch must be made
24 to properly weigh the batch unit costs in calculating a composite unit cost
25 for the overall fuel cycle.

1 **Q. How was the rate of energy consumption for each batch within Cycle**
2 **14 estimated for the upcoming projection period?**

3 A. The consumption rate of each batch has been estimated by utilizing a core
4 physics computer program which simulates reactor operations over the
5 projection period. When this consumption pattern is applied to the
6 individual batch costs, the resultant composite cost of Cycle 14 is \$.35 per
7 million BTU.

8
9 **Q. Please give a brief overview of the procedure used in developing the**
10 **projected fuel cost data from which the Company's basic fuel cost**
11 **recovery factor was calculated.**

12 A. The process begins with the fuel price forecast and the system sales
13 forecast. These forecasts are input into the Company's production cost
14 model, PROSYM, along with purchased power information, generating unit
15 operating characteristics, maintenance schedules, and other pertinent data.
16 PROSYM then computes system fuel consumption, replacement fuel costs,
17 and energy purchases and costs. This information is the basis for the
18 calculation of the Company's levelized fuel cost factors and supporting
19 schedules.

20
21 **Q. What is the source of the system sales forecast?**

22 A. The system sales forecast is made by the forecasting section of the
23 Financial Planning & Regulatory Services Department using the most
24 recent data available. The forecast used for this projection period was
25 prepared in June 2003.

1 **Q. Is the methodology used to produce the sales forecast for this**
2 **projection period the same as previously used by the Company in**
3 **these proceedings?**

4 A. Yes. The methodology employed to produce the forecast for the projection
5 period is the same as used in the Company's most recent filings, and was
6 developed with an econometric forecasting model. The forecast
7 assumptions are shown in Part A of my exhibit.

8
9 **Q. What is the source of the Company's fuel price forecast?**

10 A. The fuel price forecast was made by the Regulated Commercial Operations
11 Department based on forecast assumptions for residual (#6) oil, distillate
12 (#2) oil, natural gas, and coal. The assumptions for the projection period
13 are shown in Part B of my exhibit. The forecasted prices for each fuel type
14 are shown in Part C.

15 16 **CAPACITY COST RECOVERY**

17 **Q. How was the Capacity Cost Recovery factor developed?**

18 A. The calculation of the capacity cost recovery (CCR) factor is shown in Part
19 D of my exhibit. The factor allocates capacity costs to rate classes in the
20 same manner that they would be allocated if they were recovered in base
21 rates. A brief explanation of the schedules in the exhibit follows.

22 Sheet 1: Projected Capacity Payments. This schedule contains
23 system capacity payments for UPS, TECO and QF purchases. The retail
24 portion of the capacity payments is calculated using separation factors from

1 the Company's most recent Jurisdictional Separation Study available at the
2 time this filing was prepared.

3 Sheet 2: Estimated/Actual True-Up. This schedule presents the actual
4 ending true-up balance as of July, 2003 and re-forecasts the over/(under)
5 recovery balances for the next five months to obtain an ending balance for
6 the current period. This estimated/actual balance of \$3,309,148 is then
7 carried forward to Sheet 1, to be refunded during the January through
8 December, 2004 period.

9 Sheet 3: Development of Jurisdictional Loss Multipliers. The same
10 delivery efficiencies and loss multipliers presented on Schedule E1-F.

11 Sheet 4: Calculation of 12 CP and Annual Average Demand. The
12 calculation of average 12 CP and annual average demand is based on
13 2003 load research data and the delivery efficiencies on Sheet 3.

14 Sheet 5: Calculation of Capacity Cost Recovery Factors. The total
15 demand allocators in column (7) are computed by adding 12/13 of the 12
16 CP demand allocators to 1/13 of the annual average demand allocators.
17 The CCR factor for each secondary delivery rate class in cents per kWh is
18 the product of total jurisdictional capacity costs (including revenue taxes)
19 from Sheet 1, times the class demand allocation factor, divided by
20 projected effective sales at the secondary level. The CCR factor for
21 primary and transmission rate classes reflects the application of metering
22 reduction factors of 1% and 2% from the secondary CCR factor.

23
24 **Q. Please explain the decrease in the CCR factor for the projection**
25 **period compared to the CCR factor currently in effect.**

1 A. The projected average retail CCR factor of 0.77482 ¢/kWh is 13.6% lower
2 than the 2003 mid-course factor of 0.89702 ¢/kWh. The decrease is
3 primarily due to the elimination of the capacity payments associated with
4 the buyout of the Tiger Bay PPAs, since the regulatory asset has been fully
5 amortized. Partially offsetting this decrease is the annual contractual
6 escalation in capacity payments.

7
8 **Q. Has Progress Energy included incremental security charges in the**
9 **2004 projected capacity amount?**

10 A. Yes. The Company has included \$4,644,108 related to incremental
11 security charges for 2004.

12
13 **Q. What additional internal and/or external security initiatives have taken**
14 **place or are anticipated to take place that will impact Progress**
15 **Energy's request for recovery through the Capacity Cost Recovery**
16 **Clause in 2004?**

17 A. On April 29, 2003, the U.S. Nuclear Regulatory Commission (NRC) issued
18 three orders intended to strengthen protection requirements for nuclear
19 reactors (Design Basis Threat or DBT), limit working hours for security
20 personnel, and improve training for guards. Licensees must submit revised
21 DBT plans to the Commission for review and approval by April 29, 2004 and
22 implement by October 29, 2004. Progress Energy is currently assessing
23 this risk. The Company is also assessing the impact of limiting guard
24 working hours and enhancing training. Licensees must start implementation
25 immediately and must complete by October 29, 2004. The estimated cost

1 of these NRC requirements is included in the total recoverable amount
2 above. The NRC has also increased its annual license fee partly to cover
3 the costs of making plants safe from terror attacks.

4 In addition to the NRC orders, the Coast Guard, Department of
5 Homeland Security (DHS) issued on July 1, 2003 a series of interim rules to
6 promulgate maritime security requirements mandated by the Maritime
7 Transportation Security Act of 2002. The six interim rules consist of:
8 Implementation of National Maritime Security Initiatives, Area Maritime
9 Security, Vessel Security, Facility Security, Outer Continental Shelf Facility
10 Security, and Automatic Identification System. The final rule is expected to
11 be issued before November 25, 2003. The rule is expected to impact the
12 following sites: Bartow Plant, Anclote Plant, Crystal River Complex, Higgins
13 Plant, and Bayboro Station. These sites are expected to require such
14 things as additional security officers, additional gates, and closed circuit
15 television (CCTV) systems. The timing of this rule's issuance has not
16 allowed Progress Energy enough time to thoroughly quantify the financial
17 impact of its implementation. Therefore we have not included an estimate
18 of the implementation cost but rather will include the actual cost incurred as
19 part of the Company's Actual True-up filing. The costs will be accounted for
20 in accordance with Order PSC-02-1761-FOF-EI, which states on page 10
21 that:

22 "(B)ecause of the extraordinary nature of the costs in question and the
23 unique circumstances under which they arose, we find that these
24 costs do not clearly fall within the classification of 'items which
25 traditionally and historically would be recovered through base rates'."

1 . . . Because these costs are extraordinary, these costs shall be
2 treated as current year expenses. Further, we require that these
3 expenses be separately accounted to enhance our staff's ability to
4 audit them."

6 WATERBORNE COAL TRANSPORTATION

7 **Q. Before addressing Staff Issue 13D regarding Progress Energy's**
8 **market price proxy, please describe the background of waterborne**
9 **coal transportation to the Company's Crystal River plant site and its**
10 **regulation by the Commission?**

11 A. The origin of the current arrangement for waterborne transportation of coal
12 to the Crystal River plant site took place in 1976. At that time the
13 Company, then Florida Power Corporation (FPC), had two units at the
14 Crystal River site that had been previously converted from coal to oil and
15 were then in the process of being converted back to coal. These units,
16 Crystal River 1 and 2, had a combined capacity of approximately 750 MW
17 and would require about 2 million tons of coal annually. At the same time,
18 FPC was in the design and pre-construction stages of two new coal-fired
19 units, Crystal River 4 and 5, with a combined capacity of approximately
20 1,450 MW and annual coal requirements of nearly 4 million tons per year.

21 Faced with the need to arrange for the procurement and delivery of up
22 to 6 million tons of coal a year starting almost from scratch, the Company
23 elected a strategy aimed at securing a greater degree of control over the
24 costs and reliability of its long-term coal supply and transportation needs
25 than it could obtain as simply a purchaser of these services subject to the

1 vagaries of an uncertain market. Under this strategy, the Company would
2 acquire business expertise and ownership leverage through capital
3 investment in partnerships with organizations experienced in the various
4 segments of the coal supply and transportation business, particularly those
5 segments lacking a competitive market. However, it would have been
6 problematic for FPC to engage in such a business venture itself due to
7 serious legal and tax impediments associated with multi-state operations
8 and asset ownership and other key aspects of the strategy's business plan.

9 As a result, Electric Fuels Corporation (EFC), the predecessor of
10 Progress Fuels Corporation (PFC), was formed in March 1976 as a wholly-
11 owned subsidiary of FPC to carry out this long-term strategy for supplying
12 the coal requirements of the Crystal River plant site.

13
14 **Q. How did EFC implement this strategy with respect to waterborne coal**
15 **transportation?**

16 A. The most critical implementation issues were the absence of competitive
17 markets in two key segments of the waterborne transportation route; (1) the
18 storage and transloading of coal from river barges to Gulf barges at the
19 mouth of the Mississippi River, and (2) the trans-Gulf transportation of coal
20 to the Crystal River plant site. Neither segment had facilities with sufficient
21 capacity to handle the approximately 2 million tons of waterborne coal
22 annually that EFC needed to deliver to the Crystal River site (the
23 requirements of the site remaining after maximum rail deliveries). This
24 meant that a long-term commitment would have to be made for the
25 construction of additional facilities to increase tonnage capacity in both

1 segments. EFC chose to make that commitment through an ownership
2 interest in the facilities, rather than entering into long-term contracts with
3 third-party owners of the new facilities.

4 With respect to the river-to-Gulf transloading segment, EFC acquired a
5 one-third ownership interest with two other experienced partners in
6 International Marine Terminals (IMT), which began the construction of a
7 new transloading and storage terminal on the Mississippi River
8 approximately 60 miles south of New Orleans. In a similar vein, EFC
9 acquired a 65% ownership interest in a partnership with Dixie Carriers, an
10 experienced operator of ocean-going carrier vessels, for the transportation
11 of coal to the Crystal River plant site. Since no carrier vessels capable of
12 navigating the site's shallow, narrow channel were available, specially
13 designed ocean-going tug-barge units had to be constructed by the
14 partnership, Dixie Fuels Limited (DFL).

15 In addition to its investment in these two major undertakings, EFC also
16 acquired ownership interests in several smaller upriver terminals, where
17 coal delivered from the mines is loaded onto river barges. Due to the
18 limited availability of upriver terminal capacity, these investments allowed
19 EFC to obtain priority at existing terminals and to develop additional
20 capacity by constructing new terminals. Since sufficient capacity existed at
21 the time in the upriver mine-to-river (or "short-haul") transportation segment
22 and the river barge transportation segment, EFC contracted with third-party
23 suppliers of those services.

1 **Q. What was the regulatory response of the Commission to the coal**
2 **procurement and transportation responsibilities the Company placed**
3 **with EFC?**

4 A. As I indicated earlier, but for the legal and tax consequences it faced in
5 1976 (and still faces), the Company could have implemented its coal
6 procurement and transportation strategy itself, through an internal operating
7 division or department. Functionally, however, EFC served in much the
8 same capacity and was indirectly regulated by the Commission in a similar
9 manner. I use the term "indirectly regulated" because even though the
10 Commission had no regulatory authority over EFC itself, the Commission
11 had more than ample authority over the coal procurement and
12 transportation costs the Company was allowed to recover through its fuel
13 clause. And since FPC chose to pursue its strategy through an affiliate
14 solely for business considerations, it supported the Commission's treatment
15 of EFC in a utility-like manner.

16 Under this regulatory treatment, FPC was allowed to recover EFC's
17 prudently incurred costs to procure and deliver coal to the Company,
18 including a utility rate of return on its capital investment IMT and DFL. In
19 return, any profits EFC earned from these investments would be returned to
20 the Company and credited to the cost of coal charged to its customers. For
21 example, because of its ownership interest in DFL, EFC receives 65% of
22 DFL's profits. However, under the Commission's regulatory treatment, EFC
23 would also earn a rate of return on its capital investment in DFL.
24 Therefore, EFC would credit its DFL profits dollar-for-dollar against the cost
25 of coal charged to the Company and, ultimately, its customers.

1 **Q. How did this regulatory treatment of EFC work over time?**

2 A. Initially, quite well. By 1986, however, several concerns about the
3 continued use of this regulatory treatment, then referred to as "cost-plus"
4 pricing, led the Commission to initiate an investigation into the matter
5 (Docket No. 860001-EI-G). The investigation continued for nearly three
6 years and included several hearings covering various aspects of EFC's
7 operation. The following quotation from the Commission's final order
8 concluding the investigation, although somewhat lengthy, best summarizes
9 its findings and policy determinations, and also sets the stage for the
10 currently pending issue regarding PFC's waterborne transportation market
11 proxy mechanism:

12 " [W]e believe and find that a change from cost-plus pricing is
13 warranted. While we believe that the current system has been
14 generally successful in allowing only reasonable and prudent cost to
15 be passed through the utilities' fuel adjustment clauses, we believe
16 that it has been administratively costly, caused unnecessary
17 regulatory tension, and left the lingering suspicion that it has resulted
18 in higher costs to the utility's customers. Implicit in cost-plus pricing is
19 the requirement that one is capable of conducting a cost-of-service
20 analysis of a business to determine that its expenses are both
21 necessary and reasonable. This is a methodology that is demanded
22 for monopoly utility services, and which usually proves to be complex,
23 expensive and time consuming. It is a methodology which requires a
24 high degree of familiarity with the capital requirements and expenses
25 necessitated by the operation of the business being reviewed. Cost-

1 of-service analysis of affiliated operations places additional demands
2 upon the regulatory agency in terms of time, expense and acquiring
3 additional expertise. All come at some additional cost that must
4 eventually be borne by the ratepayer, either in his role as customer or
5 as a taxpayer. Furthermore, there seems to be no end to the types of
6 affiliate business that we are expected to become sufficiently familiar
7 with so that we might judge that reasonableness of their cost on a
8 cost-of-services basis.

9 "Considering the many advantages offered by a market pricing
10 system, we, as a policy matter, shall require its adoption for all affiliate
11 fuel transactions for which a comparable market price may be found
12 or constructed.

13 "In concluding, we note the following: (1) from the record in this
14 case, we are convinced that market prices can be established for the
15 affiliate coal; (2) market prices for the transportation-related services
16 should be established if possible, but if not, methodologies for
17 reasonably allocating the cost should be suggested; [and] (3) cost-of-
18 service methodologies should be avoided, if possible;" (Order No.
19 20604, issued January 13, 1989 in Docket No. 860001-EI-G.)
20

21 **Q. With respect to the Commission's finding that "market prices for the**
22 **transportation-related services should be established if possible,"**
23 **was a market price for EFC's waterborne transportation service**
24 **eventually established pursuant to this finding?**

1 A. In a strict sense, no. Unlike the situation with coal purchased by EFC from
2 an affiliated supplier for which a market pricing mechanism was approved,
3 the Commission recognized that comparable prices could not be found for
4 some of the waterborne transportation services purchased by EFC from
5 affiliates. In fact, this is the very reason EFC purchased these services
6 from affiliates. As I described earlier, a market for river-to-Gulf
7 transloading services and trans-Gulf transportation services to the Crystal
8 River plant site did not exist at the time EFC was formed. That remained
9 the situation when Order No. 20604 was issued, as it does today. This is
10 particularly problematic with respect to the trans-Gulf transportation
11 services provided by DFL's tug-barge units, which had to be custom made
12 because of the unique and hazardous channel to the Crystal River plant
13 site. There simply are no other vessels with the capacity to meet the
14 waterborne coal requirements of the site that are capable of safely
15 traversing the site's shallow, narrow channel.

16 Nonetheless, it was clear to the Company that the Commission
17 expected an alternative to cost-plus pricing for EFC's waterborne
18 transportation, even if a true market pricing mechanism could not be
19 established. To this end, the Company began a series of negotiations with
20 Staff, Public Counsel and FIPUG which ultimately led to the development of
21 a pricing mechanism that the parties considered to be a reasonable
22 alternative, or proxy, for a true market pricing mechanism. This alternative,
23 referred to as a "market price proxy", was presented to the Commission at
24 the August 1993 fuel adjustment hearing as a stipulated issue and was

1 approved by Order No. PSC-93-1331-FOF-EI, issued September 13, 1993
2 in Docket No. 930001-EI.

3
4 **Q. Please describe the market price proxy approved by the Commission?**

5 The market price proxy became effective as of January 1993, and consists
6 of a base price and a composite index used to escalate or de-escalate the
7 base price annually. The base price of \$23.00 per ton was derived from
8 EFC's actual 1992 costs incurred for waterborne transportation services in
9 delivering coal to the Crystal River plant site. The base price would then
10 be adjusted as of January 1st each subsequent year using a composite
11 index that consists of five individually weighted indices commonly used to
12 adjust contract prices in the transportation services business. The total
13 weighting of these indices is set at 90%, with 10% of the base price
14 remaining fixed. In addition, the market proxy price may be adjusted for
15 increases or decreases in EFC's waterborne transportation costs which
16 result from governmental impositions on its transportation suppliers not in
17 effect as of December 31, 1992.

18 Established and adjusted in this manner, the market proxy price is
19 then paid to EFC in lieu of any payment for the costs it incurs to obtain
20 waterborne transportation services in any of the five waterborne
21 transportation segments; *i.e.*, short haul transportation to the upriver
22 terminal, upriver storage and loading onto river barges, river barge
23 transportation, storage and transloading from river barges to Gulf barges,
24 and trans-Gulf transportation to the Crystal River plant site. In addition,
25 EFC will no longer receive a return on its investment in IMT or DFL. In

1 other words, compared to the price it will be paid under the market proxy
2 mechanism, EFC will receive the benefit of any cost reductions it can
3 achieve in providing waterborne transportation services to the Company,
4 and it will incur the risk of any cost increases beyond its control, including
5 the risk of catastrophic loss such as the loss of a DFL vessel at sea.

6
7 **Q. With that background, please address Staff Issue 13D: Should the**
8 **Commission modify or eliminate the method for calculating Progress**
9 **Energy Florida's market price proxy for waterborne coal**
10 **transportation that was established in Order No. PSC-93-1331-FOF-EI,**
11 **issued September 13, 1993, in Docket No. 930001-EI?**

12 A. I am not aware of any reason put forward by Staff or a party regarding a
13 flaw or deficiency in the market proxy mechanism or a change of
14 circumstances since the mechanism was approved by the Commission that
15 would suggest it should be modified or eliminated. Nor am I aware of any
16 reason to believe the mechanism has not performed reasonably in
17 approximating the market price of waterborne coal transportation to the
18 Crystal River plant site. To the contrary, when the market price proxy is
19 measured against the benefits and objectives of market pricing articulated
20 by the Commission in Order No. 20604 and quoted earlier in my testimony,
21 I believe this consensus proposal developed jointly by the Company, Staff
22 and other parties has served its intended purpose well. Moreover, the
23 basis for the market price proxy remains conceptually sound. According to
24 the Bureau of Labor Statistics (BLS), indices of the kind used in the market
25 proxy mechanism are typically the basis for contract escalation. The

1 indices used to escalate the market proxy base price are focused on the
2 economic conditions that would reasonably and logically result in increases
3 to the base price over time; and therefore result in an escalated price that
4 fairly tracks these economic conditions, which the BLS quantified in the
5 development of these indices.

6 In short, absent compelling reasons for change that have not yet been
7 provided, the market price proxy developed to comply with the policy
8 requirements of Order No. 20604, and which met the satisfaction of the
9 Commission, Staff, the parties, and the Company, should remain in effect.

11 OTHER ISSUES

12 **Q. Has Progress Energy confirmed the validity of the methodology used**
13 **to determine the equity component of Progress Fuels Corporation's**
14 **capital structure for calendar year 2002? (Staff Issue 13A)**

15 A. Yes. Progress Energy's Audit Services department has reviewed the
16 analysis performed by PFC. The revenue requirements under a full utility-
17 type regulatory treatment methodology using the actual average cost of
18 debt and equity required to support the Company's regulated business was
19 compared to revenues billed using an equity component based on 55% of
20 net long-term assets (the "short cut method"). The analysis showed that for
21 2002, the short cut method resulted in revenue requirements which were
22 \$47,749, or 0.01%, higher than revenue requirements under the full utility-
23 type regulatory treatment methodology. Progress Energy submits that this
24 analysis confirms again the appropriateness and continued validity of the
25 short cut method.

1 **Q. Has Progress Energy properly calculated the market price true-up for**
2 **coal purchases from Powell Mountain? (Staff Issue 13B)**

3 A. Yes. The calculation has been made in accordance with the market pricing
4 methodology approved by the Commission in Docket No. 860001-EI-G.

5
6 **Q. Has Progress Energy properly calculated the 2002 price for**
7 **waterborne transportation services provided by Progress Fuels**
8 **Corporation? (Staff Issue 13C)**

9 A. Yes. Progress Energy has performed its calculation of the 2002
10 waterborne transportation price under the same methodology as the
11 previous calculations that have been approved by the Commission.

12
13 **Q. Were Progress Energy Florida's purchases of synthetic coal during**
14 **2002 cost effective? (Staff Issue 13E)**

15 A. Yes. Progress Energy's purchases of synthetic coal (synfuel) in 2002 were
16 made under an arrangement that allowed these purchases to substitute for
17 purchases that would have been required under a contract for regular
18 compliance coal at a price \$2.00 per ton higher than was paid for the
19 synfuel purchases. This resulted in fuel savings of over \$1.3 million.

20
21 **Q. In consideration of Order No. PSC-93-1331-FOF-EI, in Docket No.**
22 **930001-EI, issued September 13, 1993, should the Commission make**
23 **an adjustment to Progress Energy Florida's 2002 waterborne coal**
24 **transportation costs to account for upriver costs from mine to barge**

1 **for coal commodity contracts which are quoted FOB Barge? (New**
2 **Staff Issue)**

3 A. No adjustment is needed, since the Company and PFC have scrupulously
4 followed the letter and spirit of the waterborne market proxy with respect to
5 FOB Barge coal purchases. The market proxy's base price was
6 determined from the waterborne transportation costs of PFC (then Electric
7 Fuels Corporation, or EFC) in 1992. In that year, 27.8% of EFC's upriver
8 waterborne coal was purchased at an FOB Barge price. This means that
9 for these purchases the upriver "short-haul" transportation costs were
10 included in the commodity purchase price, and were not included in the
11 market proxy's waterborne transportations costs.

12 To avoid any significant over or under-recovery of these short-haul
13 costs under the market proxy, PFC has attempted to maintain
14 approximately the same ratio of purchases at an FOB Barge price since
15 the inception of the market proxy in 1993. Over the ten-year period
16 through 2002, PFC's purchases at the FOB Barge price have averaged
17 24.5%, meaning PFC has under-recovered the short-haul costs reflected in
18 the market proxy through 2002. In 2002 itself, PFC's upriver waterborne
19 coal purchases were 1,774,617 tons, of which 504,288 tons were
20 purchased at an FOB Barge price, or 28.4% of its total upriver purchases.
21 This slight imprecision in the 2002 ratio compared to the 27.8% base year
22 guideline is not only small compared to the 24.5% 10-year average or the
23 2001 ratio of 19.0%, but is particularly small considering the complexities of
24 optimizing individual purchase quantities, scheduling constraints, and

1 periodic adjustments to the Company's coal requirements that PFC must
2 take into account throughout the course of any given year.

3

4 **Q. At the outset of your testimony you indicated a desire on Progress**
5 **Energy's part to resolve any uncertainty that currently exists**
6 **regarding the appropriate baseline expenses to be used in**
7 **determining recoverable incremental costs. Please explain what you**
8 **mean by the term "baseline expenses" as it is used in the**
9 **determination of incremental costs.**

10 **A.** The need to determine incremental costs in this proceeding arises because
11 from time to time the Commission, under long-established policy,
12 authorizes the recovery of certain O&M expenses through the fuel
13 adjustment clause rather than base rates. Typically, this occurs when O&M
14 expenses for an activity related to the adjustment clause are in excess of
15 those that existed when the utility's base rates were last set. A recent
16 example of this is the Commission's decision to authorize recovery of post-
17 9/11 power plant security costs. Before actual recovery can begin,
18 however, the Commission must assure itself that any portion of these
19 expenses which may be included in base rates is not recovered twice –
20 once through base rates and again through the clause. Therefore, to
21 determine the level of incremental O&M expenses recoverable through the
22 clause, the necessary first step is to establish the amount, if any, of these
23 expenses included in the utility's base rates. This amount is sometimes
24 referred to as the utility's "baseline expenses."

1 **Q. Why has Progress Energy raised an issue regarding the appropriate**
2 **baseline expenses to be used in determining recoverable incremental**
3 **costs?**

4 A. In each instance where the recovery of incremental costs has been
5 requested by the Company and approved by the Commission since the
6 2002 rate case settlement went into effect, the baseline O&M expenses
7 used to determine the recoverable amount of the incremental costs have
8 been derived from the MFRs in that proceeding. Progress Energy believes
9 that using the 2002 MFRs for that purpose is entirely appropriate.
10 However, the continued use of these MFRs to establish the Company's
11 baseline expenses has surfaced as a potential issue in pending matters.

12 To the extent any uncertainty exists as to the appropriateness of using
13 the 2002 MFRs as source of baseline expenses, Progress Energy desires
14 to have it resolved, since the need to establish baseline expenses is an
15 ongoing one. Dealing with this issue on a case-by-case basis each time
16 the recovery of incremental costs is sought appears unwise and inefficient.
17 This is particularly so when the underlying question is the same in each
18 instance: What baseline expenses best reflect the level of O&M expenses
19 included in base rates? If the Company's base rates are unchanged, the
20 answer to this question should be the same each time it arises.

21 For this reason, I believe that all concerned would benefit from the
22 establishment of a uniform approach for setting the baseline level of O&M
23 expenses when determining recoverable incremental costs. Doing so will
24 allow everyone to know in advance how incremental costs are to be

1 treated, and thus avoid the need to continually deal with this question on a
2 case-by-case basis.

3
4 **Q. Does Progress Energy seek to recover any incremental costs in this**
5 **proceeding today that have been calculated using baseline O&M**
6 **expenses from the Company's 2002 MFRs?**

7 A. Yes. Based on the Commissions decision authorizing recovery of post-
8 9/11 power plant security costs, these costs have been included in
9 Progress Energy's true-up balance and in its projections for 2004 submitted
10 for Commission approval in this proceeding. The Company has calculated
11 the amount of its recoverable incremental power plant security costs using
12 baseline expenses derived from the 2002 MFRs, as I will explain in greater
13 detail latter in my testimony.

14
15 **Q. Why is the use of baseline expenses derived from the Company's**
16 **2002 rate case MFRs the appropriate way to determine recoverable**
17 **incremental costs?**

18 A. The 2002 MFRs have been and should continue to be used by Progress
19 Energy to establish baseline O&M expenses when determining recoverable
20 incremental costs because they most accurately reflect the level of
21 expenses included in the Company's current base rates. Based on long
22 standing practice, I think it is clear that the MFRs would have been used for
23 this purposes had the 2002 rate case been resolved in the traditional
24 manner, *i.e.*, by a Commission decision based on the evidentiary record
25 from a lengthy adversarial hearing. However, the fact that the 2002 rate

1 case was resolved through settlement – a resolution that all agree is far
2 superior to contentious, inefficient and costly litigation – provides no basis
3 for a different conclusion about the appropriateness of using fully
4 developed, rate case quality expense data in subsequent incremental cost
5 determinations.

6 The 2002 MFRs were extensively reviewed and evaluated through
7 discovery and testimony by Staff and the parties to the settlement
8 negotiations. As has been previously noted, the Commission conducted a
9 full rate case in every sense, except for the final hearing that was
10 superceded by a negotiated settlement. The MFRs were a product of that
11 fully developed rate case process and, as such, they and the related
12 discovery and testimony served as a foundation for negotiations that led to
13 the settlement and for Staff and Commission review and approval of the
14 settlement. The use of the MFRs for incremental cost purpose is not only
15 appropriate for this reason, but also because there simply is no other
16 credible alternative for establishing baseline O&M expenses that reflects
17 the level of expenses in current rates.

18 To summarize, by establishing a uniform treatment for the way in
19 which baseline O&M expenses are determined, the Commission will
20 resolve any uncertainty that now exist, avoid the need to address the issue
21 on an inefficient and potentially inconsistent case-by-case basis, and allow
22 all concerned to know the rules of the game in advance. By establishing
23 the use of the Company's 2002 MFRs as that uniform treatment, the
24 Commission will have selected the best, if not only, source of baseline
25 O&M expenses that reflects the level included in the Company's currently

1 approved base rates, as it must to ensure against double recovery of these
2 expenses.

3
4 **Q. Please describe the evaluation process used by Progress Energy to**
5 **determine the incremental costs it submits for recovery through the**
6 **adjustment clauses.**

7 A. The evaluation process used by Progress Energy incorporates the
8 Commission's long standing practice for determining recoverable
9 incremental costs by removing any O&M expenses associated with the
10 project that were included in the MFRs from the rate proceeding that
11 established the Company's current base rates. Therefore, from the time
12 Progress Energy's current rates were approved at the conclusion of its
13 2002 rate proceeding, the Company has evaluated the incremental costs
14 associated with all projects submitted for adjustment clause recovery,
15 including the incremental costs currently before the Commission, by first
16 examining the 2002 rate case MFRs to determine whether any of the
17 project's costs have been included. If none are found, all project costs are
18 eligible for further evaluation. Any costs that are found to have been
19 included in the MFRs are excluded from the project's recoverable costs at
20 that point.

21 After this initial review, the second step is to identify any specific
22 project costs that, although not associated directly with the project in the
23 MFRs, are reflected elsewhere in base rates,. This step is performed by
24 determining whether the cost would be incurred regardless of the new

1 project. The following list provides an example of how several project cost
2 component are broken down for analysis in this step.

- 3 ● Labor from positions that were part of the last set of MFRs:
 - 4 ► Regular labor is not considered incremental since is would be
5 incurred regardless of the new project or task.
 - 6 ► Overtime labor is considered incremental as it results only
7 from the need to complete this new project or task.
 - 8 ► Regular and Overtime labor for net new positions are
9 considered incremental if it results only from the need to
10 complete this new project or task.
- 11 ● Outside Contract Labor is considered incremental since the
12 expenditure would not have been incurred were it not for the new
13 project or task.
- 14 ● Outside Professional Services are considered incremental since
15 the expenditure would not have been incurred were it not for the
16 new project or task.
- 17 ● Materials and Supplies are considered incremental since the
18 expenditure would not have been incurred were it not for the new
19 project or task.
- 20 ● Travel is considered incremental since the expenditure would not
21 have been incurred were it not for the new project or task.

22 The third step is to determine whether the new project will create any
23 offsetting O&M savings associated with related activities, in which case the
24 savings are credited to the project or task to reduce its total cost. Part F of
25 my exhibit is a decision tree that graphically depicts the Company's

1 incremental cost evaluation process using its post-9/11 power plant security
2 project as an example.

3

4 **Q. Does this conclude your testimony?**

5 A. Yes, it does.

PROGRESS ENERGY FLORIDA**DOCKET No. 030001-EI****SUPPLEMENTAL DIRECT TESTIMONY OF
JAVIER PORTUONDO**

1 **Q. Please state your name and business address.**

2 A. My name is Javier Portuondo. My business address is Post Office Box 14042,
3 St. Petersburg, Florida 33733.

4

5 **Q. By whom are you employed and in what capacity?**

6 A. I am employed by Progress Energy Service Company, LLC, in the capacity of
7 Director, Regulatory Services - Florida.

8

9 **Q. Have your duties and responsibilities remained the same since your**
10 **testimony was last filed in this docket?**

11 A. Yes.

12

13 **Q. What is the purpose of your supplemental testimony?**

14 A. The purpose of my supplemental testimony is to address the last sentence of
15 Staff's position on Issue 30 regarding the methodology for determining the
16 incremental costs of post-9/11 security measures. Because this portion of
17 Staff's position was (a) disclosed to the parties for the first time in the draft
18 Prehearing Order presented at the Prehearing Conference, and (b) unlike the

1 rest of Staff's position, constituted a departure from the well established
2 methodology currently utilized by the Commission that was not supported by
3 Staff testimony or addressed by testimony of the parties, the Prehearing
4 Officer allowed Staff and the parties an opportunity to file testimony limited to
5 this matter. My supplemental testimony is submitted pursuant to this ruling by
6 the Prehearing Officer.

7
8 **Q. What is your overall reaction to Staff's position on the methodology for**
9 **determining incremental costs?**

10 A. With the exception of the last sentence, I am in agreement with the
11 methodology described in Staff's position. While Issue 30 is stated broadly in
12 terms of the incremental cost methodology in general, Staff's position correctly
13 focuses on the aspect of this methodology that gave rise to the issue –
14 identification of the base year expenses reflected in base rates that must be
15 removed in determining incremental costs to avoid the possibility of double
16 recovery. In this regard, I find all but the last sentence of Staff's position
17 consistent with my projection testimony, which addresses the base year issue
18 on pages 27 through 33. The only difference is one of scope. While the
19 relevant portion of Staff's position purports to describe the methodology
20 applicable to incremental security costs, it is equally applicable to the
21 determination of incremental costs in adjustment clause proceedings in
22 general. My projection testimony urges the Commission to recognize the
23 general applicability of this methodology in order to avoid the need to address
24 the same underlying issue on a case-by-case basis in the future.

1 **Q. The last sentence of Staff's position on Issue 30 states: "Once the base**
2 **year costs are determined, the costs would be grossed up (or down) for**
3 **the growth (or decline) in KWH sold from the base year to the recovery**
4 **year." What is your objection to this statement?**

5 A. The preceding portion of Staff's position is a clarification of the current
6 incremental cost methodology that provides a needed elaboration on the base
7 year aspect of that methodology. In contrast, the quoted statement in the
8 position's last sentence represents a significant departure from the current
9 methodology through the addition of a new and, for several reasons, unsound
10 "gross-up" feature

11 In the first place, the gross-up feature fails to recognize one of the basic
12 tenants of ratemaking. When a utility's base rates are set using test year
13 revenues and expenses, all involved understand that the utility's revenues will
14 increase or decrease in subsequent years, primarily as a function of sales
15 growth. However, this, in and of itself, does not indicate the need to adjust
16 revenues, since it is also understood that expenses will likewise vary as a
17 function of inflation and the need to serve the growth in sales. The fact that
18 these variations in test year revenues and expenses have an offsetting effect
19 is the reason base rates often produce earnings that remain within the range
20 of reasonableness well beyond the test year on which the rates were set,
21 absent a major rate base addition. Therefore, if the adjustment for increased
22 revenues suggested in Staff's position were to be made, a corresponding and
23 offsetting adjustment for expense increases would also be necessary.
24 However, this is the slippery slope that can easily transform the fuel
25 adjustment proceeding into a rate case exercise, which would completely

1 defeat the purpose of having two fundamentally different rate-setting
2 mechanisms.

3 Of particular concern to Progress Energy is the inconsistency of Staff's
4 gross-up position with the revenue sharing mechanism contained in the
5 Stipulation and Settlement approved by the Commission in the Company's
6 2002 rate proceeding (Docket No. 000824-EI). Under Staff's proposal, the
7 revenues attributable to the component of security costs reflected in base
8 rates would be grossed up for sales growth since 2002. The effect of this
9 adjustment would be to reduce the incremental security costs recovered
10 through the fuel clause by the amount of the gross-up. However, the revenue
11 sharing mechanism would require that the Company refund to customers two-
12 thirds of the base rate revenues from sales growth above the forecasted
13 sharing threshold. As a result, Staff's proposal would reduce the incremental
14 costs Progress Energy could otherwise recover through the fuel clause
15 because of base rate revenues it did not fully receive. From the customers'
16 perspective, they would receive the benefit of these revenues twice; once
17 through a direct refund and again through a reduction in the incremental costs
18 they would have paid through their fuel charge.

19
20 **Q. Is this the first time Staff has proposed grossing up base year expenses**
21 **when determining incremental costs for fuel clause recovery?**

22 A. No. Staff witness Matthew Brinkley first proposed the gross-up adjustment
23 through testimony submitted in last year's fuel clause proceeding, Docket
24 020001-EI. However, while Staff raised a generic issue and three company-
25 specific issues regarding the recovery of incremental security costs, none of

1 these issues made any reference to the methodology for calculating base year
2 expenses in general or to the gross-up of these expenses specifically.
3 Moreover, Staff's position on these issues did not endorse or even mention
4 the gross-up adjustment described in witness Brinkley's testimony, which had
5 been challenged by rebuttal testimony of three utility witnesses, including
6 myself. The fact that Staff ignored the gross-up adjustment in formulating its
7 positions for the November 2002 hearing, after it had the opportunity to
8 consider the rebuttal testimony, suggests to me that Staff recognized the
9 adjustment was not meritorious. The passage of time has not made it any
10 more so today.

11 Finally, I would note that when the Commission considered the
12 incremental security cost issue at the conclusion of the hearing, it voted
13 unanimously to approve recovery of the individual utilities' incremental costs
14 that were calculated using base year expenses determined in the traditional
15 manner, without a gross-up adjustment. Progress Energy has calculated its
16 incremental security costs now before the Commission in the same manner
17 and urges the Commission to approved the continued use of this
18 methodology.

19
20 **Q. Does this conclude your supplemental testimony?**

21 **A.** Yes it does.

1 BY MR. MCGEE:

2 Q Mr. Portuondo, do you have a summary of your
3 testimony?

4 A Yes, I do.

5 Commissioners, Progress Energy respectfully requests
6 the Commission's approval of its filed purchased fuel,
7 purchased power, and capacity costs for the periods 2002
8 through 2004. In addition, we request the Commission's
9 approval for cost-recovery of incremental post 9/11 security
10 costs necessary to comply with the NRC and Department of
11 Homeland Security regulations and guidelines. This recovery
12 would be net of projections included in the company's last base
13 rate proceeding and net of any reductions which may result from
14 the implementation of these incremental measures on related
15 security activities.

16 Progress Energy would also appreciate the
17 Commission's approval on this methodology for determining
18 recovery of incremental costs through the pass-through clause
19 as being appropriate. Progress Energy agrees with all but the
20 last paragraph, and the position has been restated, but all but
21 the staff's position requiring an annual adjustment to
22 expenses, expense levels included in the company's last base
23 rate proceeding, which is supported by the testimony of Mr.
24 Brinkley.

25 I disagree with the concept proposed by Mr. Brinkley

1 to gross up or gross down the costs included for post-9/11
2 security in the last base rate proceeding by the increase or
3 decrease in kilowatt hour sales. This is inappropriate because
4 it assumes that you can color code revenues collected for
5 specific expenses incurred.

6 The Commission sets rates knowing that over time
7 those rates will recover a variety of different levels of
8 individual test year costs. This reflects the fact that
9 internal and external forces will influence the increase or
10 decrease in overall spending. An increase in revenues does not
11 necessarily mean that a utility is collecting more for any one
12 particular expense component, but rather that the utility will
13 have a source of revenues with which to cover the constantly
14 changing mix of expense levels. Staff's proposal also
15 conflicts directly with the company's stipulation and
16 settlement resulting from the last base rate proceeding.
17 Finally, Mr. Brinkley's proposal attempts to create a base case
18 outcome out of every fuel clause for this particular expense.

19 Lastly, I would address the current cost-recovery
20 methodology for waterborne transportation services. Since the
21 filing of my testimony, the company and the Staff have reached
22 an agreement which covers all the issues related to waterborne
23 transportation. We have agreed to support and adopt the
24 recommendation of Mr. McNulty's testimony which outlines a plan
25 for the orderly transition to a primarily RFP-based recovery

1 method. The plan would call for the termination of the current
2 market proxy methodology as of December 31st, 2004. It would
3 require that Progress Energy Florida, through its agent,
4 Progress Fuels Corporation, implement and conduct a RFP process
5 in 2004 that would be the basis for future cost-recovery
6 beginning in 1/1/2005. All this while not changing the
7 methodology for 2003, which is already over, and keeping 2004
8 under the current methodology so that contracts can naturally
9 expire and management has a chance to respond to these changes.
10 The settlement proposal balances the interests of both the
11 ratepayer and the utility by allowing this orderly transition
12 to a new methodology beginning in 2005. Thank you.

13 MR. McGEE: We tender Mr. Portuondo for
14 cross-examination.

15 CHAIRMAN JABER: Thank you, Mr. McGee.

16 Mr. Vandiver, again, have you all agreed on the order
17 of cross-examination questions?

18 MR. VANDIVER: Yes, I think I will go first.

19 CHAIRMAN JABER: Okay. Mr. Twomey, I see you're at
20 the table now. Do you intend to go after Ms. Kaufman?

21 MR. TWOMEY: I will be happy to go after the lady.

22 CROSS EXAMINATION

23 BY MR. VANDIVER:

24 Q Mr. Portuondo, good afternoon.

25 A Good afternoon.

1 Q Based on your testimony in deposition, is it correct
2 that you have a longstanding contractual relationship with
3 Progress Fuel to transport coal to your Crystal River plant?

4 A That's correct.

5 Q And can you explain what portion of your waterborne
6 transportation is provided by Progress Fuels?

7 A About one-third of our total coal is provided by
8 waterborne transportation.

9 Q And can you describe basically the various subparts
10 of the waterborne transportation system that brings coal to the
11 Progress plants, please, sir?

12 A The waterborne path begins at the mine. There is
13 shorthaul transportation to the upriver terminal where the coal
14 is transferred to river barges which bring it down the river to
15 a Gulf terminal near the mouth of the Mississippi, and at that
16 point it is transferred to a Gulf barge and transported to the
17 Crystal River site.

18 Q And Progress Fuels is involved in which legs of that?

19 A Progress Fuels negotiates the entire coal
20 transportation path.

21 Q Okay. And Progress Fuels bills Progress Energy for
22 the service based on what?

23 A Progress Fuels bills Progress Energy based on the
24 Commission's approved market proxy methodology approved in
25 1993.

1 Q Okay. And the proxy rate is different than the
2 actual cost of Progress Fuels, is that correct?

3 A That's correct.

4 Q Okay. Now, Progress Fuels is the successor
5 corporation to Electric Fuels, and both of those corporations
6 are a wholly-owned subsidiary of Florida Progress, is that
7 correct?

8 A Wholly-owned subsidiaries of Progress Energy.

9 Q Yes. Thank you for keeping my terminology straight.
10 And this relationship has existed for many, many years, is that
11 correct?

12 A Yes, it has.

13 Q Okay. Now, is this relationship basically the same
14 as it was in the year 2000?

15 A Yes, it was.

16 Q Okay. And the audit that the Staff performed in this
17 case was based on the year 2002, is that correct?

18 A That's correct.

19 Q Now, are the parties the same for 2003 and 2004?

20 A What parties are you referring to?

21 Q Okay. The audit that was performed for 2002?

22 A Yes.

23 Q Are the parties to the contract the same for 2003?

24 A Yes. The contracts for the most -- I think all but
25 one continue on through 2004 and then one into 2005.

1 Q So basically the contracts just roll over from year
2 to year, is that my understanding?

3 A Well, the term actually expires in '04 and '05. They
4 were multiyear contracts that happened to cover the period in
5 question.

6 Q Okay. And so it is your testimony that since 2000,
7 though, the parties and the contracts are pretty much the same
8 thing?

9 A Since 2002?

10 Q Yes.

11 A That is correct.

12 MR. VANDIVER: Okay, sir. That's all the questions I
13 have at this time. Thank you, Mr. Portuondo.

14 THE WITNESS: Thank you.

15 CROSS EXAMINATION

16 BY MS. KAUFMAN:

17 Q Good afternoon, Mr. Portuondo. I have a couple of
18 areas to cover with you, but I think I will stick on the coal
19 proxy for the moment, which is Issue 13D. That market proxy
20 mechanism has been in effect since 1993, is that correct?

21 A That is correct.

22 Q And as I understood your summary, Progress has agreed
23 to phase that out beginning with contracts in 2005?

24 A Beginning in 2005 we will be under, if the Commission
25 approves, under the proposal by Mr. McNulty which would call

1 for RFPs to be initiated and conducted in 2004. The successor,
2 or the successful contract will be introduced in the projection
3 filing for '05. The areas or segments of the transportation
4 path, it does not produce enough bids to deem it competitive,
5 the Commission staff has asked that we, the company, propose an
6 alternative market mechanism to reflect that particular
7 segment. And that, too, would be done, hopefully, in time for
8 the hearings in November of 2004 for setting 2005 rates.

9 Q Okay. And the bottom line of what you have just
10 explained to us is that beginning, hopefully, with the factors
11 that will be set in 2005, you are going to attempt to move to a
12 competitive bid solicitation?

13 A Absolutely.

14 Q Now, I know you are aware that Mr. McNulty has filed
15 testimony on behalf of the staff in this prehearing. Have you
16 reviewed Mr. McNulty's testimony?

17 A Yes, I have.

18 Q Do you have a copy in front of you?

19 A I may. Yes, I do.

20 Q And I won't review again Mr. Vandiver's questions,
21 but we have already established we have got the same parties
22 and the same contracts in 2002, 2003, and 2004, correct?

23 A Yes, that's correct.

24 Q I want to direct you to Page 15 of Mr. McNulty's
25 testimony beginning at Line 8. And are you there, sir?

1 A Yes, I am.

2 Q Mr. McNulty says there, and I will quote him, I
3 conclude that both market price proxies exceeded the cost of
4 providing service and allowed the affiliate, PFC, to achieve
5 significantly more profit than is reasonable for this service,
6 given the level of risk assumed. Also, I conclude that the
7 market proxies escalators and their respective weightings do
8 not reflect the cost structure of the industry.

9 Mr. McNulty is referring to the market proxy that you
10 want to apply for this factor, correct?

11 A The market proxies approved by the Commission in
12 1993, yes, ma'am.

13 Q Okay. Turn, Mr. Portuondo, to Page 16, if you will,
14 of Mr. McNulty's testimony, and look at Line 14. And I will
15 quote Mr. McNulty. He says, "The market price proxies have
16 worked to the detriment of PEFI's ratepayers by exceeding both
17 the cost of service and the market price of WCTS." What does
18 WCTS stand for?

19 A Waterborne coal transportation service.

20 Q And, again, he is discussing the proxy that you want
21 to apply to the 2004 factors, correct?

22 A This is a -- yes, he is referring to those proxies,
23 but if I could elaborate. This goes to one specific year, and
24 it does not ignore the history and the performance of the
25 proxy. There have been, as in 2001, when Progress Fuels sold

1 certain ownership interests in those segments, it incurred a
2 significant loss that the customers were insulated from because
3 of the proxy.

4 Q But you would agree with me, based on the Staff
5 audit, there is significant gain in 2002, correct, based on the
6 Staff's audit?

7 A Based on the reading of the staff's report.

8 Q And I'm just going to refer you to one more passage
9 in Mr. McNulty testimony, which is on Page 20, beginning at
10 Line 14. Mr. McNulty says, "I have concluded that the current
11 market price proxies for both domestic and foreign coal
12 transportation are no longer relevant and sufficient for the
13 purpose of assessing cost prudence. The margins PFC has
14 achieved for providing domestic and foreign waterborne coal
15 transport are excessive, given the relatively small additional
16 risk PFC has incurred." Do you see that?

17 A I do see that, yes.

18 MR. MCGEE: Madam Chairman, this is procedurally
19 awkward, but I would like to object to the quoting of that last
20 sentence that Ms. Kaufman read. Staff and the company have an
21 understanding that the sentence that we are referring to now
22 that begins on Line 16 and goes through Line 18 will be
23 withdrawn. And the purpose of having that withdrawn would be
24 somewhat frustrated if it gets quoted into the record now. So
25 if I may make an objection, subject to the ultimate withdrawal

1 of that sentence, then I would like to pose that at this time.

2 CHAIRMAN JABER: Let me make sure I understand, Mr.
3 McGee. The proposed stipulation you and staff have reached was
4 contingent somehow on the withdrawal of that sentence from Mr.
5 McNulty's testimony?

6 MR. McGEE: That is essentially correct. Our
7 understanding actually had to do with Progress Energy not
8 filing rebuttal testimony. And the staff has --

9 CHAIRMAN JABER: I understand.

10 MR. McGEE: -- Mr. Keating to say, but the staff has
11 agreed that that sentence would be withdrawn.

12 MR. KEATING: And, Chairman, what we intended to do
13 was when Mr. McNulty was offered was to allow him to make that
14 correction when his testimony is introduced.

15 CHAIRMAN JABER: Well, Mr. McGee and Mr. Keating,
16 you're right, it is awkward. The dilemma is the Commission has
17 not accepted your proposed stipulation, and I don't think that
18 Ms. Kaufman's question goes to the merits of the statement that
19 Mr. McNulty is testifying to. I mean, he hasn't testified yet.

20 MR. McGEE: Yes. And that is why if you would accept
21 me making the objection, I would certainly make it subject to
22 the actual withdrawal of that. But at the time that that
23 sentence is withdrawn by staff, then it wouldn't be something
24 that would be subject to quotation in the manner that Ms.
25 Kaufman is doing. And I'm not being critical of her, because

1 that, in fact, hasn't taken place yet. That's why I
2 characterize it that way.

3 CHAIRMAN JABER: You want your objection on the
4 record, but no ruling is required because there hasn't been
5 acceptance of a proposed stipulation and Mr. McNulty hasn't
6 testified. Staff, what would you recommend? Your proposed
7 stipulation isn't binding on the parties if the parties haven't
8 entered into that stipulation.

9 MR. KEATING: That's correct.

10 MR. MCGEE: Madam Chairman.

11 CHAIRMAN JABER: Mr. McGee.

12 MR. MCGEE: The one point that I would disagree on,
13 you are correct, the stipulation is subject to Commission
14 approval, and absent that it doesn't mean a thing.

15 Staff, though, has agreed that they would withdraw
16 the sentence that we have been talking about on Page 20, and
17 that was not contingent upon approval of the settlement. I
18 believe it is within staff's prerogative to modify the
19 witnesses -- or within Mr. McNulty's prerogative to modify his
20 testimony as he sees fit.

21 MS. KAUFMAN: Chairman Jaber.

22 CHAIRMAN JABER: Ms. Kaufman.

23 MS. KAUFMAN: If I might be heard. I am unaware of
24 any of this discussion as to what staff is or is not going to
25 withdraw. And just so it is clear, certainly FIPUG has not

1 entered into any stipulation on this issue. I just wanted the
2 record to reflect that.

3 CHAIRMAN JABER: Mr. Twomey.

4 MR. TWOMEY: Yes, Madam Chairman, briefly.
5 Commissioners, this is -- I think it is highly irregular. It
6 strikes me as, following with this morning's discussion, almost
7 snatching the exhibit in the deposition. This is the first, I
8 think, any of the other parties have heard of this deal to take
9 away part of his testimony. It is prefiled testimony, it has
10 been out there for weeks. I propose to ask questions about it,
11 as well. I understand Mr. McGee's point is that our questions
12 would be rendered moot because it will become nonexistent if
13 the Staff takes it away. But I just think it is irregular.

14 MR. KEATING: And let me be clear as to the extent of
15 the clarification or the change that Mr. McNulty intends to
16 make when his testimony is offered. It is not intended to
17 change the substance of his testimony at all or his
18 conclusions. It is, rather, a slightly reworded version of
19 those two sentences. And I think what Mr. McGee is getting at
20 is that Ms. Kaufman's question is going to refer to a sentence
21 that we know we were going to come to later that is going to be
22 clarified by Mr. McNulty when his testimony is offered. To me
23 I think that is something that will be made clear through the
24 record ultimately. If Ms. Kaufman has a question based on the
25 testimony as filed, we are at the point in the proceeding now

1 where that is what we have, and I think it is probably a fair
2 question, but staff can then make its clarification.

3 CHAIRMAN JABER: Mr. Keating, let me ask you this.
4 Did you give all the parties a heads up that that change would
5 be made to Mr. McNulty's testimony?

6 MR. KEATING: I don't recall if we -- I don't believe
7 we provided the exact language to the parties. I think what we
8 indicated at the prehearing was that we would have a
9 modification to a portion of his testimony, and then to be
10 honest I don't recall the extent to which we clarified that.

11 CHAIRMAN JABER: This is the second time I'm going to
12 remind staff. If you communicate with a party, you communicate
13 with all parties. Your objection is overruled. Mr. McNulty
14 hasn't testified. The testimony hasn't been inserted into the
15 record yet. It has been prefiled. For whatever it is worth to
16 Ms. Kaufman, Mr. Twomey, and the rest of the parties, it will
17 be given the appropriate weight it deserves. The proposed
18 stipulation will be ruled on in due course. Start
19 communicating with all parties.

20 BY MS. KAUFMAN:

21 Q Mr. Portuondo, I am not going to belabor the point,
22 given the discussion that we have had, but at least at the time
23 Mr. McNulty filed his testimony the passage we were referring
24 to at Page 20, it was his view that the benchmark was not
25 relevant or sufficient for assessing the prudence of these

1 costs that you are asking to recover, correct?

2 A Those are his statements, yes.

3 Q I'm going to move on to another area now, and I am
4 going to be looking at your testimony that was filed on August
5 13th, which is your estimated actual true-up. And before we
6 turn to that, Mr. Portuondo, I am correct, am I not, that
7 Progress Energy received authority for a midcourse correction,
8 and I think it became effective on April 1, is that right?

9 A Subject to check, I believe so.

10 Q And it was about \$100 million, correct?

11 A I believe so, yes.

12 Q So when we're talking about the amount included for
13 the true-up that is going to be in the 2004 factor, that is in
14 addition to the \$100 million that you got in the midcourse
15 correction? It is over and above it?

16 A It is the projected and result of having received
17 that midcourse correction this year, yes.

18 Q And it is about \$210 million, correct?

19 A That is correct.

20 Q And as I understand your August testimony, and I'm
21 referring to Page 3, beginning at about Line 4, the primary
22 reason for the \$210 million underrecovery is the natural gas
23 prices?

24 A That is correct.

25 Q Were substantially higher than what you had

1 projected?

2 A That is correct.

3 Q And you explain this error -- well, this forecasting
4 difference, if you will, on Page 3 at Lines 1 through 8,
5 correct? And basically what you say there is that gas prices
6 continue to rise and were forecasted -- you didn't forecast
7 them high enough is what I'm trying to say?

8 A That's correct. The conditions in the marketplace
9 drove them higher than we had ever anticipated they would go.

10 Q Would you agree, Mr. Portuondo, that generally the
11 Commission allows companies, including Progress Energy, to pass
12 through to ratepayers these types of increases based on
13 incorrect projections?

14 A I would say that the Commission allows recovery for
15 the actual costs incurred irrespective of the ability to
16 forecast market conditions.

17 Q And so even though you were substantially off in your
18 forecast, generally it has been the Commission's policy to
19 allow you to recover those dollars?

20 A If they were incurred prudently, yes.

21 Q Can you tell us what percentage of your fuel mix is
22 natural gas, and what percentage is coal, and what percentage
23 is nuclear?

24 A Sure. Gas is about 19 percent, nuclear is about 18
25 percent. Did you want all of them? I'm sorry.

1 Q Yes, go ahead.

2 A Coal is about 46 percent, oil about 16 percent.

3 Q So gas is about 19 percent of your fuel mix, really
4 less than 25 percent, but that accounted for the majority of
5 the underrecovery we are talking about?

6 A That is correct. Gas has tended to be the most
7 volatile of the commodities in the past couple of years. It
8 has been very difficult to anticipate the fluctuations in the
9 marketplace.

10 Q Does Progress Energy have any plans in its future for
11 some new base load generation that does not utilize natural
12 gas?

13 A I have no knowledge.

14 Q You don't know one way or the other?

15 A I don't know.

16 Q Do you know when the last time was that Progress
17 Energy built a plant that did not use natural gas?

18 A Wow.

19 Q Would you agree it has been some time?

20 A It has been some time, yes, it has.

21 Q So would you agree that you are tending to move your
22 generation toward natural gas even though it is a very volatile
23 fuel in terms of price?

24 A I would say that at the time the plans were set in
25 motion, the projected cost/benefit I would say has leaned

1 towards gas. Not to say that if these trends continue that the
2 company may not pursue other alternatives if they are deemed to
3 be cost-effective.

4 Q But as you sit here today, you really -- you don't
5 know what is going to happen, whether you will move away from
6 natural gas because of its volatility or whether you will
7 continue to rely on it?

8 A To be honest I don't. I am not in the generation
9 planning area.

10 Q To your knowledge is Progress Energy taking any
11 affirmative steps to encourage cogenerators in their territory?

12 A I do not know.

13 Q I guess that would have been the conservation witness
14 in the other docket. Do you think it would make sense for
15 Progress to encourage cogenerators to maybe stem somewhat some
16 of the problems we are seeing from forecasting natural gas
17 prices?

18 A All I could do is suggest that they would probably be
19 seeing the same volatility that we are if they are using gas.

20 Q But, for example, if they are using waste heat or
21 some other form to cogenerate, wouldn't it make sense to
22 encourage that kind of activity?

23 A I think we have a standard offer contract out there
24 that is intended to accomplish that.

25 Q Do you encourage it in any other ways that you are

1 aware of?

2 A Again, that is outside my area of expertise.

3 Q Now, I'm going to move to your projection testimony.

4 A Okay.

5 Q And if would you look with me at Page 4, Line 7, and
6 from actually beginning on Line 6 you are talking about the
7 fuel factor that you are requesting for 2004, right?

8 A Yes.

9 Q And you have told us that that represents a 26.2
10 percent increase, correct?

11 A Yes, it does.

12 Q Would you agree that that is a pretty significant
13 increase for customers to bear in the fuel factor that is going
14 to appear on their bill?

15 A No, I think it sends a message that that is the cost
16 for the commodity. It is no different than the struggles we go
17 through when we go pump gas and we see the gas prices at the
18 pumps go up. I think this is the cost, this is what we have
19 incurred, plan to incur and project to incur. And we would be
20 the first to try and mitigate that the best we can to get into
21 the markets when they are low, renegotiate contracts. We do
22 that, you know, all the time, but unfortunately sometimes the
23 markets aren't conducive to that, and those are the prices we
24 have to pay.

25 Q Right. And I guess my question is just whether or

1 not you would agree or disagree that 26 percent is a very
2 significant increase?

3 A Oh, I do agree.

4 Q That was the question. Would you accept, subject to
5 check, that that 26 percent increase for some of your largest
6 industrial customers results in an increase of about \$4 million
7 a year in their fuel cost bill?

8 A Subject to check, yes, I do not know.

9 Q Has Progress Energy done any analysis regarding this
10 impact on their larger customers and whether those customers
11 might, for example, cease operations in their service
12 territory?

13 A The only knowledge I have about that would be that we
14 attempted, once we knew the impact, to communicate with our
15 commercial reps, who in turn went to the large commercial
16 customers and advised them of the increase and tried to explain
17 the reasons for the increase. I mean, we try to work with them
18 to find options where options might exist and see if we could,
19 you know, in some way help. But, that is really all I know of
20 the subject is we are out there communicating with them and
21 continuing to partner up with them to find ways to better --
22 for them to better deal with increasing fuel costs through some
23 sort of conservation or something.

24 Q So if I can restate what you have said, and if I am
25 incorrect, tell me, basically you have communicated with them

1 that there is going to be what we have agreed is a significant
2 increase?

3 A Yes, that is correct.

4 Q Do you know around when those communications occur?

5 A I think it is shortly after my testimony is filed.

6 Q So mid-September?

7 A Yes.

8 Q So they have from mid-September, two and a half
9 months to try to incorporate a \$4 million increase into their
10 budgets for the coming year?

11 A That is correct.

12 Q Now, I think you said you try to partner with them to
13 mitigate the impact?

14 A Well, I think we try and work with them to see if
15 there is anything that we could do to help them better manage
16 their energy needs.

17 Q Wouldn't one measure of mitigation be spreading this
18 underrecovery over a longer period of time? Wouldn't that
19 result in less of an increase?

20 A I think that has a tendency to mortgage the future.
21 Given the volatility, it's hard to say what could happen. We
22 could have more crises that impact the commodity prices, and
23 you are risking an even larger increase in a future year. And,
24 again, there has always been the Commission's desire to
25 communicate the price signals to the customer, and I think that

1 is what this does is to make them aware that in today's
2 environment these are the types of prices we are being faced
3 with, and hopefully things will improve in the future.

4 Q But all things being equal, you would agree, wouldn't
5 you, that one way to mitigate this large price increase would
6 be to spread that \$210 million over a longer period of time and
7 not try to collect it all in one year?

8 A That would be true in any situation.

9 Q I think I asked you if you had done any analysis of
10 the impact of this on your large customers, and we got into the
11 communication. So is it fair to say that you have not done any
12 analysis, nor have you analyzed, for example, the impact on the
13 tax base if these customers were to cease operations in your
14 service territory?

15 A No, I have not.

16 Q Now, Progress Energy Florida is part of Progress
17 Energy, is that what the parent company is called?

18 A That is correct.

19 Q And you have operations -- the Progress Energy parent
20 has operations in North Carolina, correct?

21 A That is correct.

22 Q Now, in your North Carolina location has the company
23 absorbed itself some of these large increases to mitigate the
24 effect on its customers?

25 A I am not aware of that.

1 Q You have no knowledge one way or the other?

2 A No, I do not.

3 Q Would it surprise you to learn that that was the
4 case?

5 A I mean, the one thing I do know is they have a very
6 different fuel mix than we do. They are predominately coal and
7 nuclear.

8 Q Has Progress Energy Florida given any thought to
9 absorbing some of this increase themselves?

10 A No, we have not.

11 Q So you have not considered that, and I guess you are
12 telling us that is not something the company would consider?

13 A No, it is not.

14 Q There is one more area that I want to talk to you
15 about, Mr. Portuondo, and that is beginning on Page 27 of the
16 testimony we are looking at. I think this is -- I think this
17 is Issue 30.

18 A Yes.

19 Q Which is how to figure out what the appropriate
20 baseline is for incremental expenses. Is that your
21 understanding?

22 A That is correct.

23 Q And you address that in our testimony beginning at
24 Page 27. And on Page 30 at Line 6 you talk about the 2002
25 MFRs. If I understand your position, it's that those MFRs

1 should be used as the baseline to determine future incremental
2 costs?

3 A Yes.

4 Q Now, you agree, wouldn't you, that those MFRs were
5 filed as a part of your rate case?

6 A Yes, they were.

7 Q And it's, I believe, 000824, correct?

8 A Yes, that is correct.

9 Q And the case there went to hearing, correct?

10 A That is correct.

11 Q The parties entered into a settlement?

12 A That is correct.

13 Q And the settlement was not based on any finding that
14 those MFRs were or were not appropriate, was it? The parties
15 did not agree that the MFRs were appropriate, did they?

16 A There is no mention of it in the stipulation, that is
17 correct.

18 Q And, in fact, when you came in with your MFRs, you
19 were seeking a substantial rate increase that by way of
20 settlement did not occur, correct?

21 A As a result of the inclusion of the post-9/11 decline
22 in sales, yes, it did result in an increase.

23 Q It didn't result in the increase that you were
24 seeking when you filed your MFRs, did it?

25 A That is correct.

1 Q And on Page 30, still at Line 6, when you say the
2 MFRs were extensively reviewed and evaluated through discovery
3 and testimony by staff and the parties to the settlement, you
4 are not intending to imply that there was ever any agreement on
5 the proprietary of the MFRs, are you, among the parties?

6 A Well, to the extent that the MFRs were the basis from
7 which the parties could negotiate and reach a settlement, it
8 was the overwhelming, I think, direction of this Commission
9 that we file MFRs for that purpose, so that all the parties
10 could be on equal footing and understand the cost structures of
11 the utility in order to reach a compromise and the settlement
12 we ultimately signed.

13 Q My point is simply that those MFRs upon which you
14 want to base your baseline were never accepted by the parties
15 and, in fact, the settlement is not based on those MFRs?

16 A The implementation of the results of the settlement
17 are applied to those MFRs. Those were our costs. The results
18 of the settlement are applied to those MFRs to then derive the
19 achieved return, the achieved revenues, based on the parties to
20 the settlements.

21 Q We might be taking past each other, and I apologize
22 if we are. My only point is that a settlement was reached and
23 the parties did not agree that any portion of those MFRs was
24 either appropriate or inappropriate because we settled the
25 case, correct?

1 A Correct, the case was settled.

2 MS. KAUFMAN: If I could have just one minute.

3 BY MS. KAUFMAN:

4 Q I just want to go back for a moment to the fuel mix
5 question that we were talking about earlier, if I could. I
6 think we established that gas was about -- less than 25 percent
7 of your fuel mix, and we established as well that you have
8 about a 26 percent increase based on your true-up amount.
9 Would you agree that as of the midcourse correction that was
10 about an 18 percent increase, roughly?

11 A The midcourse?

12 Q Right.

13 A Subject to check.

14 Q So I'm going to do some math here. It is about a 50
15 percent increase, correct?

16 A Subject to check.

17 Q 48.7. So for gas alone to account for that much of
18 an increase, since it is less than 25 percent of your fuel, it
19 would have to have increased by about 250 percent, correct, and
20 that would have had to happen in the past year?

21 A I don't have access to your analysis, so subject to
22 doing my own analysis, I don't think I can respond. What I can
23 say is that many of our projections for fuel prices during that
24 period were in the maybe \$4 MMBtu and it reached as high as 8
25 or \$9 in certain months. So that is a 100 percent increase in

1 certain months. And my testimony does say that it is primarily
2 driven by gas. There are other commodities that also
3 increased, but not at the magnitude of gas.

4 Q So essentially to kind of come full circle, the
5 projections that you had made for natural gas were
6 substantially off?

7 A Well, yes. I mean, in retrospect, yes, absolutely.
8 But, again, we attempt to secure the intellectual, you know,
9 knowledge of the markets through consultant studies, and those
10 were the answers that they were providing. They too were
11 wrong. I think for this coming year we attempted to use our
12 own history in being in the markets and influenced the --
13 worked with the consultants and maybe arrived at hopefully what
14 we hope to be a more accurate and closely tied to the market.

15 Q I appreciate that. And I don't want to belabor the
16 point any further, but in 2003 they were off by a magnitude of
17 about 50 percent, correct?

18 A That is your number.

19 Q You don't have any reason to question that, do you?

20 A Not until I go back and analyze it.

21 MS. KAUFMAN: Thank you.

22 COMMISSIONER DEASON: Mr. Twomey.

23 CROSS EXAMINATION

24 BY MR. TWOMEY:

25 Q Good afternoon, sir.

1 A Good afternoon.

2 Q I want to ask you what is your understanding of the
3 Commission's standard by which -- let me ask you first, isn't
4 it true that these fuel hearings attempt to, on one hand, look
5 at the prudence of past expenditures, and on the other look at
6 the reasonableness on a going-forward basis of company
7 projections, is that generally the case?

8 A That is generally the case.

9 Q And what standard are you aware of that the
10 Commission utilizes in ascertaining whether or not to sign off
11 on past expenditures?

12 A I think the standard has been whether the utility has
13 prudently entered into those costs. The audit is conducted by
14 the Commission staff to review contracts, to review the costs
15 incurred in those contracts, and make sure that they are
16 accurately reflected.

17 Q Would you agree with me that the Commission should
18 find that the costs you are requesting to have finalized for
19 the year 2003, in this case, would have to be reasonable?

20 A I would say yes.

21 Q Now, is it my understanding that -- let me ask it
22 this way. Are you suggesting that the Commission doesn't have
23 the authority in these proceedings today to determine the
24 reasonableness and prudence of your 2003 fuel transportation
25 costs?

1 A No, I think that the Commission today is judging the
2 reasonableness of our reprojection of what we believe the year
3 end results will be, and that is what they are deciding today.

4 Q So not to belabor this point, but it is certainly
5 within not only their jurisdiction, but would you agree it is
6 their responsibility to determine before they sign off on the
7 year 2003 expenditures that those costs are, in fact,
8 reasonable and prudent?

9 A Well, yes, knowing that the Commission will have
10 another opportunity to review the actual results next year and
11 true-up their decision based on the Commission's audit of those
12 costs.

13 Q I'm sorry, of 2003?

14 A Yes, sir.

15 Q So you are not asking for total approval of your 2003
16 costs in this proceeding?

17 A We never do. It is a true-up process in this
18 proceeding.

19 Q But to the extent that you have demonstrated those
20 costs through whatever time period your testimony covers, you
21 want those approved, right?

22 A No, sir, those costs have not yet been audited by
23 this Commission. That will take place in the first quarter of
24 next year and we will file testimony in support of those actual
25 results. And those actual results will go to hearing next

1 year, and the Commission at that point will have the
2 opportunity to decide their prudence and final recovery.

3 Q Excellent. I want to ask you some questions, if I
4 may, about your testimony. At Page 18 of your prefiled
5 testimony, in describing the prior treatment of the fuel
6 transportation cost, you say at Line 16, "Under this regulatory
7 treatment, FPC was allowed to recovery EFC's prudently incurred
8 costs to procure and deliver coal to the company, including a
9 utility rate of return on its capital investment," presumably
10 in IMT and DFL, correct?

11 A That's correct.

12 Q And IMT is the transloading facility near New
13 Orleans?

14 A Yes, sir.

15 Q And DFL is your cross-Gulf transportation?

16 A Yes, it is.

17 Q Now, am I correct in understanding that the ability
18 to include a rate of return on its capital investment in those
19 two companies is no longer operative under the proxy system
20 approved by the Commission in 1993?

21 A The system approved by the Commission in '93 sets the
22 amount that the affiliate would be paid for all services for
23 waterborne transportation. It sets the components and it is up
24 to the affiliate to manage its operations and achieve a return
25 of, you know, whatever it can based on that proxy.

1 Q So if I understand correctly, the proxy sets the
2 price that you can charge your customers through these hearings
3 for coal transportation services, and that price is today
4 completely independent of what your fuel affiliate actually
5 pays for transportation, is that correct?

6 A That's correct.

7 Q So if they negotiate good contracts and save a
8 substantial dollar margin per ton as compared to what the proxy
9 provides, they get to keep that as their margin of profit,
10 correct?

11 A That's correct. And the opposite also occurs, as I
12 tried to indicate earlier in my testimony, that they have had
13 opportunities where they have had to sell segments of their
14 ownership and incur significant losses that the customer was
15 insulated from because of the Commission's foresight to set up
16 this market proxy.

17 Q Is it your testimony that during the term of this
18 1993 proxy that the overall cost in any given year allowed to
19 be recovered from your customers through the proxy pricing
20 methodology was less than your overall cost of transportation
21 services in that year?

22 A Could you restate that, please?

23 Q Yes, sir. You are saying, I understand, that it is a
24 double-edged sword. That your fuel affiliate can obtain
25 certain savings and realize a profit by contracting in a

1 reasonable manner and operating efficiently. On the other
2 hand, it runs the risk of having to pay more than the proxy
3 price and, therefore, losing which would insulate the
4 customers. And what I want to know is has there ever been a
5 year since the Commission's approval of this proxy in 1993 in
6 which your actual fuel affiliates costs for total
7 transportation of the coal exceeded the amount you recovered
8 from your customers through the proxy?

9 A Well, I haven't gone back and calculated. I do have
10 knowledge that in '01 through the sale of the downriver
11 business and the sale of IMT there were significant losses
12 incurred. I have not gone back to quantify what the per ton
13 impact was, but it was close to \$20 million that had to be
14 absorbed by the affiliate.

15 Q So is your answer to my question, then, that you
16 don't know?

17 A That I do not know.

18 Q Okay. On Page 22, sir, at Line 7 of Page 22 of your
19 prefiled direct testimony, you say that the base price of \$23
20 per ton was derived from EFC's actual 1992 costs incurred for
21 waterborne transportation. In that regard, I want to ask you,
22 didn't I hear you say earlier in response to Public Counsel's
23 question, perhaps, that the composition of parties that are
24 involved in carrying the coal from mine to Crystal River are
25 different now than they were in 1992?

1 A Not totally.

2 Q Let me ask it this way. Is there a greater number of
3 nonaffiliate parties in the contracts than there were in 1993
4 or '92?

5 A No, I think that today there is one less affiliate in
6 the chain than there was in 1992.

7 Q Okay. The same page, Line 12, you say the total
8 weighting of the indices is set at 90 percent with 10 percent
9 of the base price remaining fixed. So, I take that to mean
10 that 90 percent of the proxy was assumed to be associated with
11 variable costs, is that correct?

12 A As my reading of the information surrounding this
13 issue indicated that there was an attempt to identify the
14 underlying drivers to those costs, and these were the
15 percentages that the signatories to the settlement arrived at.

16 Q Yes, sir. I'm not questioning the fact that they
17 arrived at these percentages in the settlement, I just want to
18 understand, isn't it true that when you take into account the
19 capital costs of the river barges and tugs, the capital costs
20 of the transloading facilities at IMT, the large, presumably
21 large capital costs of the tugs and seagoing barges for the
22 trans-Gulf transportation, that the actual fixed costs as
23 compared to the variable are substantially larger than 10
24 percent?

25 A I do not know. The fixed component would be the

1 depreciation. But as we all know, O&M from be a utility
2 perspective, can also be quite significant.

3 Q Okay. Thank you. Now, on the next page, 23, at Line
4 2, you talk about the fact that under the proxy that is
5 currently approved, EFC will receive the benefit of any cost
6 reductions that it can achieve in providing waterborne
7 transportation services to the company. Then you go on and
8 talk about it will also incur the risk.

9 Isn't it true that if there is a difference between
10 the actual cost of transporting the coal and the price allowed
11 by the proxy, due to the inappropriateness of the escalators
12 being used, that EFC will benefit from that spread, as well?

13 A I don't think anyone has indicated there is an
14 inappropriateness in the factors that the parties to the
15 settlement were using at the time.

16 Q Did I hear you say earlier that you had read the
17 testimony of Mr. McNulty?

18 A Yes, I did.

19 Q And didn't I hear you say that with few exceptions
20 that you agreed with it?

21 A Yes, I do.

22 Q Okay. Let me change gears for a minute, then, if I
23 may. Do you have a copy of Mr. McNulty's testimony?

24 A Yes.

25 Q I would like to ask you to look at Page 7 of Mr.

1 McNulty's testimony. In response to a question that was put to
2 him starting at Line 16, he says -- and I would like to see if
3 you agree with -- if this is one of the parts that you agree
4 with or not -- he says according to Order Number
5 PSC-93-1331-FOF-EI, PEFI's domestic WCTS market priced proxy
6 was based on the EFC's 1992 cost of providing WCTS service to
7 FPC. The market price proxy was a quote, unquote, best guess
8 as to what direction market prices would be for WCTS for PEFI,
9 but it was based on the application of cost escalators that
10 imperfectly gave market price, especially over a long periods
11 of time. The potential has always existed for a significant
12 mismatch between the market price proxy resulting from the
13 application of these cost escalators and the actual WCTS market
14 price.

15 And with respect to that testimony of Mr. McNulty, I
16 want to ask you, first, isn't that a criticism of the validity
17 of the escalators used in the 1993 stipulation?

18 A Well, I think his testimony goes maybe more to the
19 duration over which those indices were used rather than the
20 specific indices chosen.

21 Q Let me ask you this question. His statement that it
22 was based on application of cost escalators that imperfectly
23 gauged market price especially over long periods of time,
24 doesn't that mean that it is imperfect, period, and more so
25 over longer periods of time?

1 A I'm not sure. Say that last part of the question.

2 Q Yes, sir. Don't you read his testimony as saying
3 that the escalators were imperfect generally, but particularly
4 over long periods of time?

5 A Yes, that is what I said.

6 Q In fact, elsewhere in his testimony, doesn't Mr.
7 McNulty point out that based upon data the staff obtained that
8 they had determined that the first five years of comparing the
9 escalators to actual cost experience resulted in him believing
10 that they were imperfect in the first time years, do you recall
11 that?

12 A Subject to check, I will take your word for it. I
13 think that the Commission, when it implemented the factors, was
14 acknowledging to the company that it was up to the company to
15 manage its procurement practices such that they could achieve a
16 return. Because the original \$23 was predicated on the actual
17 costs incurred. So there must be a return component
18 incorporated into the analysis, which Mr. McNulty does in the
19 more recent years.

20 Q Yes, sir, but that is not my -- the point I want to
21 get, and I'm not taking issue with the \$23 base cost in 1993,
22 but in that stipulation there was a methodology that was agreed
23 to at that time by which you would have some basis for
24 inflation or some escalation, correct?

25 A That's correct.

1 Q And there were five different escalators that were
2 used, correct?

3 A That is correct.

4 Q And isn't a true now that Mr. McNulty is saying that
5 some of those escalators doesn't work, that it doesn't bear any
6 relation to what the actual cost experience was in the
7 waterborne or multimodal transportation of coal?

8 A That is what Mr. McNulty is saying.

9 Q Yes. And to the extent that earlier in response to
10 Mr. Vandiver's questions about whether you agreed with Mr.
11 McNulty's testimony or not, is that one of the areas that you
12 agree with or disagree with?

13 A We agreed to accept Mr. McNulty's testimony as a
14 resolution to the issues in this case.

15 Q Well, let me ask you independent of that, sir.
16 Irrespective of what he said, do you think that the -- and I
17 think there is other evidence in the record, or will be that
18 compares these, but based upon your awareness of the actual
19 cost experience for your fuels provider versus the performance
20 of the escalators since 1993, wouldn't you agree that it is off
21 a bit?

22 A That is off a bit? Yes, I would agree.

23 Q In fact, I believe it was your testimony and the
24 company's position in the stipulation that you are proposing
25 with the Staff that you agree that it is sufficiently off that

1 you are willing to abandon it in favor of some type of a
2 competitive bid process beginning in January 1st of 2005,
3 correct?

4 A Yes. We have agreed to use 2004 as a transition
5 period to the alternative proposed by Mr. McNulty.

6 Q Now, would you agree with me that if 2003's results
7 were ultimately to show that some of the cost recovery you are
8 seeking approval of was not reasonable and not prudent because
9 of the difference between the escalator and actual cost, if
10 that were the case found eventually, would you agree that
11 utilizing that same proxy on a going-forward basis in 2004
12 might cloud the prudence of the 2004 expenditures?

13 A I guess, no, I would not. The actions the company
14 has taken in 2003, which were in November of the year already,
15 were based on the Commission's standing order. We paid our
16 affiliates based on the market proxy which the Commission
17 established, which we calculated, which they review, and which
18 we implemented. And we are abiding by that standing order.
19 And we agree with Mr. McNulty's testimony that the company
20 should be allowed a transition period to migrate from the
21 methodology that has been in place for quite a number of years,
22 and restructure its management to meet the RFP requirements.

23 Q Yes, sir. But doesn't Mr. McNulty say at the outset
24 of his testimony that he doesn't believe that the Commission is
25 bound by this proxy in terms of a given terms of years, that it

1 is capable of being reviewed at any point, essentially?

2 A Yes. And I think that is what we are doing now,
3 review of the proxy and its use prospectively.

4 Q Right. And isn't it also true that he says in his
5 testimony, and irrespective of whether he says it or not, that
6 there was apparently some agreement in the 2002 fuel adjustment
7 hearings among the parties that the fuel proxy for Progress
8 Energy would be examined this year during these hearings?

9 A The issue that was raised in 2002, or the issue that
10 was raised in the 2002 hearing was a matter of whether
11 discovery could be undertaken in this docket or should another
12 docket be opened in which to ask discovery type questions on
13 this subject.

14 Q You are referring to the testimony of Mr. McNulty at
15 Page 6, Line 9?

16 A I'm referring to my recollection from being there
17 last year.

18 Q Let me just ask you to turn to Page 6, Line 9, if you
19 would, please. Would you read that first sentence -- just read
20 it to yourself, that first sentence starting at Line 9?

21 A Yes, that is what I have stated here, that the
22 Commission agreed, or the parties agreed and submitted to the
23 Commission that it was appropriate to conduct the discovery in
24 this docket.

25 Q Well, actually it says that a review of the WCTS

1 market price proxy should take place as part of the fuel and
2 purchased power cost-recovery clause proceeding, does it not?
3 I'm just trying to make the distinction, sir, that it says a
4 review, not just that discovery could take place.

5 A Well, I mean, that is what you do in discovery is
6 review and ask questions.

7 Q Yes, sir. And that is what we are doing now, right?

8 A That is what we are doing now.

9 Q I want to ask you a few more questions about Mr.
10 McNulty's testimony and which parts you concur in. If you
11 would look at Page 10, sir. And I want to be sure I don't read
12 any of the confidential material, but starting at Line 3, Mr.
13 McNulty testifies, "My analysis shows that the growth rate of
14 PEFI's domestic WCTS market price proxy exceeds the growth rate
15 of the market price shown in the EIA data for these years," as
16 depicted in his Exhibit WBM-1. "The data shows that the market
17 rate for multimode coal transportation rates decreased in real
18 terms from 1993 through 1997 by an average of 3.5 percent per
19 year." So that would be -- four times that would give us a
20 noncompounded rate, right?

21 A Yes, subject --

22 Q If we wanted a noncompounded rate of decrease, we
23 would just take four times or three times 3.5?

24 A Subject to check, that's fine.

25 Q While PEFI's market price proxy, and then the next

1 word is confidential, by confidential percent. And I wanted to
2 ask you at this point, sir, is this any reason why that should
3 be confidential, whether it went up or down, or the percentage,
4 or is that something that the Staff did?

5 A The Staff made that confidential, and I think it does
6 serve as a way to disclose the transportation costs.

7 Q Well, it also indicates at a core issue whether you
8 are getting too much or too little by the way the calculations
9 are computed versus the actual data, right?

10 A Like I mentioned earlier, we agreed to adopt staff's
11 position as a prospective means of arriving at an alternative
12 to today's situation, and I did not do any due diligence to
13 analyze Mr. McNulty's growth rates here.

14 Q Yes, sir. Are you saying that you didn't check what
15 he -- no one on your staff checked the figures that he used in
16 this calculation?

17 A We agreed not to rebut his testimony.

18 Q Yes, sir. My question is different. My question to
19 you is did you or anybody under your supervision and control
20 check the calculations of the figures that Mr. McNulty made in
21 the sentence that I just read to you?

22 A No, we did not.

23 Q Okay. But, for purposes of this hearing, you agree
24 with that statement, right?

25 A Subject to check.

1 Q Okay. Same page, Line 13, just to see if you agree
2 or disagree with this. This is Mr. McNulty again. The 1992
3 through 1997 price data comparison shows that PEFI's market
4 price proxies were not reflective of the market trend during
5 this period, and you have maintained that that next series of
6 words is confidential, as well?

7 A Yes.

8 Q Okay. Do you agree with that statement and the
9 conclusion reached?

10 A I would say that I agreed with adopting the testimony
11 in its entirety.

12 Q Let me go on. I just have a few more. Still at the
13 same page, Line 19. Mr. McNulty testifies -- and I think this
14 is still going to be in -- based on the results of staff's
15 discovery and staff's audit of the PFC's 2002 costs, PFC's 2002
16 cost of providing domestic WCTS for PEFI is blank than the 2002
17 domestic WCTS market price proxy as shown in Exhibit WBM-2. My
18 estimate of PFC's 2002 margin for domestic WCTS provided on
19 behalf of PEFI is blank percent or blank total dollars. Let me
20 ask you, when he is referring to margin, I took that to mean
21 profit. Do you take that to mean the same?

22 A No, it is revenues less cost of goods sold. You have
23 to tax effect it to introduce the fact that you have got to pay
24 Uncle Sam. Then you get to return.

25 Q Would I be correct in looking at it as gross profit?

1 A Yes.

2 Q You are aware of the numbers that are in that
3 testimony, correct?

4 A I am aware of them.

5 Q Do you agree with the numbers and the conclusion he
6 reached?

7 A Well, we did verify some of these numbers, and they
8 are a bit off from my calculation. But, again, it was -- in
9 terms of the approach that Mr. McNulty was putting forward
10 seemed reasonable and equitable for both the ratepayer and the
11 company.

12 Q Yes, sir. Let me ask you with respect to the
13 percentage shown on -- not shown on Line 23 --

14 A Yes, sir.

15 Q -- would you feel comfortable telling the Commission
16 whether that number is greater or lesser than the authorized
17 return for the electric utility?

18 A Oh, it is greater.

19 Q Okay.

20 A It is on a gross basis, also. And if I could tell
21 you, if it is adjusted for the numbers presented in some of the
22 discovery questions that came in after his testimony, it will
23 actually show that the after-tax margin is actually below the
24 utility's authorized.

25 Q Are you saying if it is adjusted by the adjustments

1 that you have suggested to staff should be included?

2 A No, the costs that were presented in discovery
3 question, I think, 77 and 76, or 76 and 77, if those were
4 incorporated into Mr. McNulty's formula, and then tax-affected
5 it actually shows that for that particular domestic commodity
6 it would be below the utility's rate of return.

7 Q Thank you. The dollar figure that is not shown
8 there --

9 A Yes, sir.

10 Q -- that is the result of staff's 2002 audit and it is
11 the number for 2002, is that correct?

12 A That is the number that corresponds to the percentage
13 that would also change.

14 Q And to my knowledge, nobody in this proceeding is
15 suggesting that the Commission should reach back to 2002,
16 correct?

17 A That's correct. Mr. McNulty's testimony, which we
18 support, shows no adjustment to '02, '03, or '04.

19 Q Yes, sir. And what I want to ask you is if that
20 number not shown is that big, what would the corresponding
21 number be for 2003, if you know?

22 MR. MCGEE: Madam Chairman, I think the witness has
23 already said that the number that Mr. Twomey is referring to
24 right now is not the correct number.

25 MR. TWOMEY: Yes, sir. But, Madam Chair, what I want

1 to know is what the corresponding number is, whether it is
2 correct or not, would be for the year 2003, which is, in fact,
3 the year that we are suggesting that you should be -- well, not
4 we are suggesting, that you are, in fact, looking at.

5 CHAIRMAN JABER: Mr. McGee, I understood the question
6 to be whatever that correct number is, what is the
7 corresponding number for 2003. And do you have an objection to
8 that question?

9 MR. MCGEE: No, that is not what I understood the
10 question to be; but if that is it, I withdraw the objection.

11 MR. TWOMEY: Well, let me make -- I'm not sure.

12 CHAIRMAN JABER: Mr. Twomey, the way I understood
13 your question, and perhaps you would want to rephrase it based
14 on that, but I understood your question to be whatever the
15 number is for 2002, what is the corresponding number for 2003.

16 MR. TWOMEY: Not quite.

17 CHAIRMAN JABER: Okay. Go ahead.

18 MR. TWOMEY: What I'm trying to get at, Madam Chair,
19 and I apologize for the confusion, is that I will accept that
20 he has got other adjustments that should be addressed that may
21 even be correct. What I'm saying to the witness is that the
22 number that is on this sheet, but you will see it later, I
23 assume, when the McNulty confidential unredacted testimony is
24 pointed out, what I want to know is, is that without the
25 adjustments that he thinks should be made, does he know what

1 the corresponding number would be for 2003 as shown in Mr.
2 McNulty's Page 10, Line 23. And I don't want you to say it
3 specifically, but is it in the same approximate range.

4 CHAIRMAN JABER: Well, Mr. Twomey, let's entertain
5 the objection first. The question is, and thank you for
6 clarifying it, because I didn't understand, apparently I didn't
7 understand either. The second confidential spot on Line 23,
8 Mr. McGee, the question posed to the witness is does he have
9 the corresponding number for that confidential number for 2002.

10 MR. MCGEE: And my only point is that the witness has
11 said when discovery that was pending at the time Mr. McNulty
12 testimony was prepared is taken into account, both the
13 percentage and the dollar figure that is shown are incorrect.
14 The effect of Mr. Twomey's question is asking him can you
15 determine the incorrect number for the next year. And I would
16 object to a request to calculate a number that he has already
17 indicated is not the proper number in the prior year.

18 CHAIRMAN JABER: Mr. Twomey.

19 MR. TWOMEY: Madam Chair, I don't know whether staff
20 has accepted the adjustments the witness speaks to or not. All
21 I am suggesting is that whether it is inappropriate or not,
22 someplace in somebody possession, and presumably in the
23 company's, as well, is a number that corresponds to that
24 number, the second number, irrespective of whether it
25 is correct or not. I'm not asking -- he can say that it is not

1 correct, but the corresponding number for 2003 is bigger,
2 smaller, the same, way bigger, way smaller, that's all.

3 CHAIRMAN JABER: With regard to the question on the
4 table, let me sustain the objection, because I think that is
5 better asked of Mr. McNulty when he gets up on the stand. With
6 regard to recognizing that this witness has twice said they
7 disagree with the number, if you want to pose, well, what do
8 you believe the number is for the year 2003, or do you know
9 what the number is for 2003 recognizing your position is that
10 this contains an error, I will allow that question.

11 MR. TWOMEY: Okay. And I appreciate that. And I
12 will, of course, abide by that. Let me just suggest to you, I
13 think when I asked that question of Mr. McNulty, based upon my
14 understanding of the evidence and discovery presented to your
15 Staff, is that I believe he is going to say that he doesn't
16 know it because they don't have an audit of 2003.

17 CHAIRMAN JABER: Okay. Let's cross that bridge when
18 we come to it.

19 MR. TWOMEY: Yes, ma'am.

20 BY MR. TWOMEY:

21 Q Let me ask the question, then. Given the adjustments
22 that you would make, is that number larger, smaller,
23 substantially larger, substantially smaller, or how would you
24 characterize it?

25 A I mean, the adjusted number for '02 --

1 Q Pardon me?

2 A The adjusted number for the period Mr. McNulty
3 addresses here is about a third of --

4 Q A third of that amount?

5 A No, pardon me. A third less, or two-thirds of that
6 amount. And the '03 figure is probably slightly less because
7 the market proxy goes down in '03.

8 Q Okay. Thank you.

9 A You're welcome.

10 Q If you would turn to Page 12 of his testimony,
11 please. Again, I want to check on your concurrence of his
12 testimony. Page 12, Line 20, my estimate of PFC's margin for
13 domestic -- do you all have phrases for these things?

14 A Phrases for what, sir?

15 Q Instead of saying out W-C-T-S?

16 A Waterborne coal transportation service is what it
17 stands for.

18 Q You don't have a name -- I'm sorry, you don't have a
19 little name? WCTS is blank percent or blank dollars, and he
20 goes on, and he says, "Also my comparison of the cost of
21 domestic CWTS and foreign WCTS reveals that the ratio of
22 transloading and Gulf shipping costs to total domestic cost has
23 blank from 50.2 percent in 1992 to blank percent in 2002." Do
24 you agree with his numbers and his conclusion?

25 A Again, this is another one where his numbers do not

1 reflect the final responses to the interrogatory questions.

2 Q I see. And we would find those in the
3 interrogatories?

4 A You would find the new cost numbers and you would
5 have to plug it into his formula.

6 Q And do they differ substantially?

7 A By about 500,000.

8 CHAIRMAN JABER: Did the interrogatory responses come
9 in after Mr. McNulty filed testimony?

10 THE WITNESS: Yes, they did.

11 BY MR. TWOMEY:

12 Q You said 500,000?

13 A Yes, sir, I did.

14 Q Okay, thank you. Getting near the end on his stuff.

15 Page 15, sir. Mr. McNulty says beginning at Line 8, "I
16 conclude that both market price proxies exceeded the cost of
17 providing service and allowed the affiliate, PFC, to achieve
18 significantly more profits than is reasonable for this service
19 given the level of risk assumed. Also, I conclude that the
20 market proxies escalators and their respective weightings do
21 not reflect the cost structure of the industry."

22 Is that one of the conclusions in Mr. McNulty's
23 testimony that you concur with?

24 A Again, we adopted his testimony in totality.

25 Q So if Mr. McNulty is talking about the profit and the

1 market price proxies not being reasonable for the service given
2 in the year 2003, wouldn't it be reasonable for the Commission
3 to conclude that they should not approve for recovery in your
4 rates those portions of the costs that are unreasonable?

5 A I think the Commission has to weigh the fact that
6 there is a standing order that provided the methodology under
7 which the company was operating for these years. The contracts
8 that were entered were based on the knowledge of that
9 methodology, and I think these hearings are intended to flush
10 out things of this nature so that the Commission can act
11 prospectively to change existing orders that their staff and
12 the parties may want to introduce going forward. I think that
13 Mr. McNulty's proposal here does achieve a balance to allow the
14 company to manage to the changes that he is proposing, quite
15 significant changes, and also provide for the customer benefits
16 that we hope are provided through the RFP process.

17 Q Yes, sir. But you have already agreed with me, I
18 think as shown on Mr. McNulty's Page 6, that the Commission
19 approved the stipulation by the parties, which I presume
20 included your utility, that -- and this was in the latter part
21 of 2002, that the proxies would be reviewed in these hearings.
22 And if that is the case, didn't Progress Energy have notice
23 that the costs they sought for recovery for fuel transportation
24 through the fuel clause would be -- if not at risk, at least
25 subject to examination for their reasonableness and prudence?

1 A No, sir. I think it was our understanding that since
2 it has been such a long time, and since the composition of the
3 staff had changed over those years, that there was a desire on
4 the part of staff to understand the proxy. And I think as
5 evidenced by the types of questions that the Commission staff
6 asked through discovery, that they were trying to educate
7 themselves.

8 It was not until Mr. McNulty presented his testimony
9 that we had real notice that there was a problem or the staff
10 was taking exception to the market proxy. Prior to that no one
11 had raised a concern with the methodology.

12 Q Okay. I just have a couple more, please. Look at
13 Page 16 of his testimony. In his -- I guess close to his
14 bottom line conclusions he says in the reasons he gives for
15 recommending the elimination of the current market price proxy
16 methodology that competitive markets already exist for most of
17 the components. Do you agree with that?

18 A Again, we agreed to adopt his testimony.

19 Q Okay. His second reason, starting at Line 14, and I
20 quote, "Two: The market price proxies have worked to the
21 detriment of PEFI's ratepayers by exceeding both the cost of
22 service and the market price of WCTS." Do you agree with that
23 conclusion?

24 A Again, we accepted the testimony in totality as a
25 resolution to the issues.

1 Q Okay. Would you agree with three the same, then?

2 A The same.

3 Q And number four says, and I quote at Line 20, "The
4 foreign WCTS market proxy is completely obsolete as this time
5 because it was based on a ratio of Gulf transport costs to
6 total cost that existed ten years ago, but that has blank since
7 that time." Do you agree with that?

8 A The same answer.

9 Q Okay. I think I'm almost to the end. I'm finished
10 with his testimony. I want to ask you a few more on your
11 testimony and I will be finished, if I may. Page 26 of your
12 testimony, sir. You discuss on that page that the apparently
13 27.8 percent of EFC's upriver waterborne coal was purchased at
14 an FOB barge price, correct?

15 A That is correct.

16 Q Now, is your discussion of that issue in part to
17 alleve any concerns that there might be a double counting
18 issue?

19 A Yes, sir.

20 Q And would you explain to the Commission how there
21 could be a double counting issue?

22 A Well, if the utility were to include transportation
23 costs that otherwise were intended to be recovered through the
24 market proxy, there could be double recovery once through the
25 commodity and then once through the market proxy.

1 Q And it is your testimony, as I understand it, that
2 you haven't been doing that because -- is it your testimony
3 that 27.8 percent of the coal that was purchased at FOB barge
4 was not included in the calculation of the proxy?

5 A That's correct. That happened to be the basis for
6 the development of that \$23, and we have attempted to maintain
7 that balance throughout the ten-year period.

8 Q Has the Staff, to your knowledge, audited that fact,
9 or confirmed that fact in the construction of the 1993 base
10 price?

11 A I don't know.

12 MR. TWOMEY: That's all I have. Thank you very much.

13 THE WITNESS: You're welcome.

14 CHAIRMAN JABER: Staff.

15 MR. KEATING: Just a few questions.

16 CROSS EXAMINATION

17 BY MR. KEATING:

18 Q Good afternoon, Mr. Portuondo. I believe earlier
19 today your attorney indicated that Progress can agree that as
20 stated in staff's position in the prehearing order on Issue 31A
21 concerning post-9/11 incremental security costs that only 62
22 percent of a recent nuclear regulatory commission fee increase
23 is attributable to homeland security costs, and thus that only
24 62 percent of the fee increase should be recovered through the
25 capacity clause as incremental post-9/11 security cost, is that

1 correct?

2 A That is correct.

3 Q I also want to ask just a few questions about the
4 document that has been provided to the parties and to the
5 Commissioners on Monday, the document identified as the
6 proposed stipulation on pending Progress Energy issues
7 concerning waterborne coal transportation services. Do you
8 have that document?

9 A I do not.

10 Q And it may be that we don't need to refer to it for
11 purposes of this set of two questions. I believe you discussed
12 earlier with Mr. Vandiver some of Progress Fuel's existing
13 contracts for various components of its coal transportation
14 service it provides for Progress Energy.

15 A Yes, I did.

16 Q And you discussed one of the components, the
17 trans-Gulf component. Is it correct that of the four
18 components of waterborne coal transportation that you discussed
19 with Mr. Vandiver that that is the only component that Progress
20 Fuels is under contract for a period past the end of 2004?

21 A That's correct.

22 Q Now, this proposed stipulation or agreed position,
23 however we characterize it, indicates that the way to handle
24 that contract -- well, let me step back. That contract, is it
25 correct, terminates at the end of March 2005?

1 A That's correct.

2 Q So under this proposed stipulation, it states that
3 the trans-Gulf component for the period January 1, 2005,
4 through March 31, 2005, will be equal to 26 percent of the 2005
5 market price per ton proxy. And as I understand, and you can
6 correct me if I'm wrong, that was a means to deal with those
7 three months of that contract even though the other contracts
8 had expired and the market price proxy otherwise would be
9 eliminated at the end of 2004?

10 A That's correct.

11 Q And if you could just explain the basis of the 26
12 percent?

13 A The 26 percent was the ratio of trans-Gulf actual
14 costs to total actual costs for 2002.

15 Q On Paragraph 4, it is the last paragraph of that
16 document, there is a provision that indicates that Progress
17 would be allowed to recover some non-contractual miscellaneous
18 charges imposed upon Progress Fuels in conjunction with
19 providing waterborne coal transportation service, and it
20 provides some examples of those types of costs. Do you see
21 that?

22 A I do.

23 Q There is a cap, it appears, that is provided at the
24 end of that paragraph, the 25 cents per ton for such
25 miscellaneous charges?

1 A I see that.

2 Q Do you know what the basis of that 25 cents per ton
3 cap is?

4 A If I recollect, I think that that was based on
5 historical experience. Some of these costs are actually
6 incurred directly at Progress Fuels rather than through one of
7 the many contracts that are negotiated for the entire water
8 path, so we wanted to make sure that we captured those, like
9 port charges. Sometimes those are assessed directly to
10 Progress Fuels rather than being incorporated within one of
11 those contracts.

12 Q I don't have any other questions concerning that
13 particular document, and I just have a couple of questions
14 concerning your November 3rd supplemental filing. And this is
15 the testimony that addresses growth adjustment or gross-up
16 adjustment. It has been referred to differently by different
17 people. In your testimony beginning at the bottom of Page 4
18 you discuss the fact that a staff witness filed testimony
19 proposing this type of adjustment in last year's fuel docket,
20 is that correct?

21 A That is correct.

22 Q You go on to suggest that because no adjustment was
23 made, that staff may have recognized that the adjustment was
24 not meritorious. Is that also correct?

25 A That was my opinion, yes. The Commission proceeded

1 to approve the base level that we had in our MFRs as the
2 appropriate adjustment to the incremental security calculation.

3 Q At last year's fuel hearing, what period of time
4 would staff have made that type of adjustment for, and what was
5 the period between a base year and a point in time in which
6 incremental expenses would have been determined?

7 A I think it would have been the MFR versus the, I
8 guess, projected results for 2002.

9 Q So it would have been --

10 A It would have been within the same year.

11 Q It would have been within the same year.

12 A Yes. Test period versus actual.

13 Q Is it possible that staff felt no need to make an
14 adjustment in the 2002 fuel hearing because the MFRs had just
15 been filed and base rates had just been set and there was that
16 small period of time over which an adjustment could have been
17 made?

18 A No. Well, I mean, that could have been what was
19 thought on the part of staff. I think on my part I thought
20 staff was proposing policy on how to calculate incremental
21 costs, and that would be irrelevant of the time period. And
22 the fact that it did not make its way into the recommendation
23 and ultimately the Commission decision led us as a company to
24 believe that the methodology that we had proposed, and that we
25 continue to use, was acceptable to this Commission.

1 Q If an adjustment had been made in 2002, would you
2 expect it to be significant to any degree, given the short time
3 period over which growth would have been adjusted for?

4 A I have not gone back to calculate the differential
5 between the projected sales and the actual 2002, or the
6 reprojected at the time for 2002, so I don't know the
7 magnitude.

8 MR. KEATING: Thank you. That's all the questions I
9 have.

10 CHAIRMAN JABER: Commissioners, do you have any
11 questions?

12 Redirect, Mr. McGee.

13 REDIRECT EXAMINATION

14 BY MR. MCGEE:

15 Q Mr. Portuondo, you were asked a number of questions
16 particularly by Mr. Twomey regarding whether you agreed or
17 disagreed with numerous passages in the prefiled testimony of
18 Mr. McNulty. Some of your answers were not completely direct
19 and forthcoming, and I would like to make sure we have the
20 opportunity to put that into a perspective so that that is
21 understood.

22 Mr. McNulty's testimony concludes, for various
23 reasons, that the market price proxy should be changed. Do
24 you, on behalf of Progress Energy, concur that that is a
25 correct conclusion?

1 A That is a correct conclusion.

2 Q Given that the company has agreed to his conclusion,
3 is it your understanding that the company entered an agreement
4 with the staff not to contest Mr. McNulty's testimony with
5 respect to the various components that might have supported
6 that conclusion?

7 A That is correct.

8 Q If you were to be critical of certain aspects of Mr.
9 McNulty's testimony, even though you agreed with the conclusion
10 that he reached based on various considerations, would you view
11 this as being inconsistent with the assurance that you and your
12 company has made to the Staff that we would not engage in
13 contentious cross-examination or rebuttal?

14 A That is correct.

15 MR. McGEE: That is all we have, Madam Chairman.

16 CHAIRMAN JABER: Thank you, Mr. McGee. With that,
17 seeing no objection to Exhibit 23, Exhibit 23 will be admitted
18 into the record.

19 Mr. Portuondo, thank you for your testimony.

20 (Exhibit 23 admitted into the record.)

21 CHAIRMAN JABER: Commissioners, parties, I suggest we
22 break for the evening and start tomorrow. I know that we have
23 got a pending motion, but I have lost a Commissioner for the
24 evening, so the motion will be taken up first thing in the
25 morning, 9:00 o'clock.

1 Mr. Hart.

2 MR. HART: Will we be given -- the importance of the
3 document is to be able to use it in these proceedings. And if
4 we don't receive it, we won't be able to -- and if we don't
5 receive it until right before the witness testifies, in the
6 event we do receive part of it, it will be difficult to use it.

7 CHAIRMAN JABER: Mr. Hart, we're not going to rule on
8 the motion tonight. And I understand your concern. It will be
9 taken up first thing tomorrow morning at 9:00 o'clock. And I
10 know you don't practice here very often, but for whatever it is
11 worth to you, I assure you you will have time to review the
12 document, if that's what the ruling is.

13 We will adjourn for the evening. We will start at
14 9:00 o'clock tomorrow morning.

15 (The hearing adjourned at 5:35 p.m.)

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)

: CERTIFICATE OF REPORTER


COUNTY OF LEON)

I, JANE FAUROT, RPR, Chief, Office of Hearing Reporter Services, FPSC Division of Commission Clerk and Administrative Services, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 24th day of November, 2003.



JANE FAUROT, RPR
Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732