


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 030851-TP

In the Matter of

IMPLEMENTATION OF REQUIREMENTS
ARISING FROM FEDERAL COMMUNICATIONS
COMMISSION'S TRIENNIAL UNE REVIEW:
LOCAL CIRCUIT SWITCHING FOR MASS
MARKET CUSTOMERS.



ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 10

Pages 1563 through 1652

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN BRAULIO L. BAEZ
COMMISSIONER J. TERRY DEASON
COMMISSIONER LILA A. JABER
COMMISSIONER RUDOLPH "RUDY" BRADLEY
COMMISSIONER CHARLES M. DAVIDSON

DATE: Tuesday, February 24, 2004

TIME: Commenced at 9:35 a.m.

DOCUMENT NUMBER-DATE

02982 HAR-1-3

FPSC-COMMISSION CLERK

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR
Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732

APPEARANCES: (As heretofore noted.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

PAGE

Continued Direct Presentation by BellSouth 1567

Attorneys: Lisa Foshee
Doug Lackey

Witnesses: Alphonso Varner
Keith Milner

Direct Presentation by FDN 1592

Attorney: Matt Feil

Witness: Mike Gallagher

DIRECT PRESENTATION BY VERIZON 1606

Attorney: Richard Chapkis

Witnesses: Dr. Bill Taylor
Tom Maguire
Doug Fulp

EXHIBITS

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

NUMBER:

ID. ADMTD.

(No exhibits.)

P R O C E E D I N G S

(Transcript follows in sequence from Volume 9.)

1
2
3 MR. VARNER: Well, now that we have got a batch hot
4 cut process, how do we measure it? As I said, you already have
5 four specific measures of hot cuts. However, there are a few
6 elements of the batch process that are either not covered by
7 those measures or that the Commission may want to monitor more
8 closely. For that reason I propose two new measurements. One
9 is a new preordering measure which will measure the amount of
10 time that it takes for us to return the due date request form
11 that the CLEC sends to us. The other new measurement is a
12 provisioning measure that will indicate how quickly we -- how
13 well we complete noncoordinated customer conversions on time.
14 We already have a measure like that for coordinated
15 conversations.

16 Currently, project managed hot cuts, which include
17 the batch hot cuts, are excluded from all of the ordering
18 measures as directed by the Commission. To monitor batch hot
19 cuts, we propose to revise those ordering measures such that
20 these batch hot cuts would be included. The measures that
21 would be modified are 07, percent rejected service requests;
22 08, reject interval; 09, FOC timeliness; and 011, FOC and
23 reject response completeness.

24 Finally, I propose to revise the measure of whether
25 the wiring work is completed on time for coordinated cuts,

1 namely P7. This measure will now include the time it takes to
2 notify the CLEC that the cut was completed. Now, these changes
3 will measure the relevant component parts of the batch process.

4 There is no end-to-end measure and let me tell you
5 why. The principal obstacle is the fact that the measuring
6 interval to complete the order is partly controlled by the
7 CLEC. As the diagram illustrates, CLECs send us a spreadsheet
8 to start the process. We return it with the due dates for the
9 hot cuts, and then the CLECs send us a global LSR which can
10 contain up to 99 individual LSRs. And as you can see in the
11 ordering section, they submit those EDI, LENS, or TAG, and up
12 to 99 individual LSRs are created.

13 This global LSR in this example was received on 9/1.
14 LSR 1 is due on 9/16, LSR 2 is due on 9/28, LSR 99 is due on
15 9/26. The hot cut will be completed on the date specified on
16 the LSR, but the CLECs decide which LSRs for which intervals
17 are included in the initial global LSR that they send to us.
18 So any overall interval for completion will simply reflect the
19 time frame from when the CLEC elected to send us the initial
20 LSR to when the cut was completed for the hot cuts that they
21 chose to include in it. As a result, there is no meaningful
22 information about our performance that would be included in
23 such a measure.

24 In sum, BellSouth's existing measures with the
25 proposed additions and modifications will allow this Commission

1 to fully monitor our batch hot cut process. And, Mr. Milner,
2 please continue.

3 MR. MILNER: Thank you. We have talked about the
4 process we are proposing, we have talked about why we know it
5 works, and we have talked about how we can scale it to meet
6 even worst-case volumes. Now let's talk about the enhancements
7 to which BellSouth has agreed. First, why did we agree to do
8 these things? The batch hot cut process we have has been in
9 place since March of 2003 and it complies with the TRO. We
10 recognize, however, that this Commission must adopt a process
11 in this proceeding.

12 We looked at all of the CLEC criticisms of
13 BellSouth's process that we were able to learn about in this
14 Commission's hot cut workshops and elsewhere, and we evaluated
15 their feasibility. As Mr. Ainsworth discusses in his
16 surrebuttal testimony, we have agreed to do virtually
17 everything the CLECs asked for. Let me explain that. The
18 CLECs asked for after hours cut-overs. We have agreed to do
19 that and the documentation has already been changed to reflect
20 that.

21 The CLECs asked for cuts on weekends. Okay, we have
22 done that. The CLECs asked that all the lines within a single
23 account be cut on the same day. Good enough, we will do that.
24 CLECs asked for a time window within which the hot cuts would
25 be performed. That's done. CLECs asked for a timely restoral

1 process in case things go badly. Okay, we gave you one. CLECs
2 asked that for CLEC UNE-Ps that moved to another CLEC's
3 unbundled loop that you give us a batch process for that. That
4 is done. They asked that for the cases where we hot cut from
5 one CLEC's unbundled loop to a different CLEC's unbundled loop
6 that we give you process. That is done. You asked for e-mail
7 notifications that BellSouth had finished its part of the work.
8 That was done actually last year.

9 CLECs asked that we provide a process that converted
10 from UNE-P to DS-0 EELs. That work is in progress and should
11 complete around July of this year, 2004. CLECs asked for a
12 web-based scheduler. That work is in process and will be done
13 by October of this year. CLECs asked for web-based
14 notifications. That work is in progress and will be done by
15 June of this year. And, lastly, CLECs asked for shorter
16 intervals in the batch hot cut process, and that work will be
17 completed by July 2004.

18 In sum, CLECs asked for 12 enhancements to
19 BellSouth's batch hot cut process, eight have been done, four
20 are already in progress. With these enhancements, which are
21 not required by the TRO, but which BellSouth has agreed to
22 make, there can be no meaningful debate about the sufficiency
23 of BellSouth's process. Simply, we have addressed the CLECs'
24 concerns and we have made them nonissues.

25 MS. FOSHEE: So, Commissioners, that brings us to

1 what is left. What other things are you going to hear from the
2 CLECs about BellSouth's batch hot cut process? Let me touch on
3 two of them briefly. First, they are going to tell you that
4 BellSouth's batch process does not include loops served by
5 integrated digital loop carrier, or IDLC. This is not correct.
6 BellSouth's batch process does include loops served by IDLC.

7 Secondly, CLECs, such as MCI, are going to complain
8 about the performance for loops served by IDLC. But as Ms.
9 Lichtenberg, or as MCI responded in discovery responses, they
10 don't have any actual experience in Florida with loops served
11 by IDLC, and their statement simply referred to ILECs in
12 general.

13 The CLECs will also tell you that they won't be able
14 to get loops served by IDLC if we don't have spare copper. As
15 we have told you in our testimony, in rare cases in which
16 special construction might apply, BellSouth will provide UNE-P
17 at TELRIC rates to the CLEC.

18 And, lastly, let's look again to the CLEC that is
19 actually using UNE loops in Florida. FDN told us in their
20 testimony that on a daily basis FDN and BellSouth work
21 cooperatively together to install loops served by IDLC.

22 The second thing that you are going to hear from the
23 CLECs is that UNE-L -- that the TRO requires that UNE loops
24 must equal UNE-P. The most quoted footnote in this proceeding,
25 at least in our part of the case, is likely to be Footnote

1 1574, on which the CLECs hang their argument that the TRO
2 requires UNE-L to equal UNE-P. First of all, Commissioners, as
3 a matter of common sense, BellSouth's unbundled loop
4 performance should not equal UNE-P. Unbundled loops and UNE-P
5 are different.

6 This Commission recognized that difference when it
7 established performance standards for the services. If the
8 Commission had believed they should be the same, it presumably
9 would have established the same standards.

10 Secondly, and I've got it on the screen, when you
11 read the footnote in context, which is Paragraph 512 of the
12 TRO, you will see that that paragraph is referring to
13 nondiscriminatory access. That is the access that you measure
14 with your UNE loop performance measures. So every time this
15 week that the CLECs point you to Footnote 15774, be sure to
16 look at Paragraph 512, which they will notably not point out.

17 Mr. Milner.

18 MR. MILNER: Thank you. Now, I want to talk a moment
19 about BellSouth's mass migration conversion process. The goal
20 of this process is for BellSouth to handle as many functions
21 for the CLEC as possible, and thereby allow BellSouth to gain
22 maximum efficiencies by scheduling the cuts when it is most
23 economical to do so. In this process the CLEC submits a
24 spreadsheet containing minimal information about the loops it
25 wants migrated. BellSouth then handles the rest, including the

1 number porting once the hot cut is complete.

2 Now, to make a CLEC indifferent as to when a
3 particular loop is cut, BellSouth gives the CLEC the unbundled
4 loop rate after it submits the spreadsheet rather than at the
5 completion of the hot cut. The mass migration process allows
6 the CLEC to migrate large volumes of UNE-Ps to unbundled loops
7 with the least expenditure of CLEC effort.

8 MS. FOSHEE: And, Commissioners, in conclusion, you
9 have been charged, as Mr. Lackey told you, with adopting and
10 implementing a batch cut process in this proceeding. BellSouth
11 is the only party that has proposed any specific process, and
12 BellSouth's evidence proves that the process works and that it
13 is scalable. BellSouth's evidence includes a third-party test,
14 actual data and real facts. The CLECs, on the other hand,
15 admittedly build their case on speculation, three-year-old
16 data, entirely uncorroborated data, and suppositions about a
17 process that they have never used.

18 You should ask yourself, Commissioners, why the CLECs
19 have not used BellSouth's batch cut process. The answer is
20 simple. If they did, it would prove BellSouth's case rather
21 than their own.

22 The Commission's decision here is simple really. Do
23 you want to base your decision on facts and empirical evidence,
24 or base it on supposition and speculation. The facts show that
25 BellSouth's batch hot cut process works even for worst-case

1 scenario loads. So, accordingly, the Commission should adopt
2 BellSouth's batch process.

3 Now, Commissioner -- Mr. Chairman, if I could have
4 your indulgence, Commissioner Jaber had asked a question about
5 what a CLEC needs to do to prepare to migrate to UNE loop in
6 situations in which no impairment is found, and Mr. Milner is
7 prepared to address that question if this would be an
8 appropriate time.

9 CHAIRMAN BAEZ: You can go ahead and answer the
10 question, I guess.

11 MS. FOSHEE: Okay. Mr. Milner.

12 MR. MILNER: Okay, thank you. If I understood the
13 question correctly -- and, Commissioner Jaber, please interrupt
14 me if I did not -- I think your question went to what sort of
15 activities would the CLEC have to do to migrate loops to its
16 own switches and how long might that take and what sort of
17 transition period might apply.

18 COMMISSIONER JABER: Right, to its own switches or to
19 another provider.

20 MR. MILNER: Okay, good. Let me start this way.
21 These at a high level are the things that the CLEC would have
22 to do. A CLEC would have to acquire collocation, would have to
23 acquire the switching facilities, the transport facilities,
24 what I will call ancillary facilities, or services such as
25 operator services, voicemail platforms, and the like.

1 Now, your question said, you know, what is the impact
2 on the customer of the migrations. Well, all of those things
3 that I just described are invisible to the end user. In other
4 words, those go on before the transition is made from
5 BellSouth's network to the CLEC's network. So that part at
6 least is invisible to the end user.

7 What is visible is the time that it takes to do this
8 hot cut; that is, the period of time between when the customer
9 is removed from BellSouth's switches and is not yet reattached
10 to the CLEC switches. And, as Mr. Varner pointed out a moment
11 ago, on average that is about 2 minutes and 39 seconds. There
12 are some other functions, such as number porting which have to
13 be performed in order for the customer to receive calls. The
14 CLEC in the batch hot cuts process performs those functions.

15 The second part, if I understood your question right,
16 was what sort of transition period should apply. Well, I think
17 the TRO has already set out that transition period. If the
18 Commission rules in this case around -- by July, rather, of
19 2004, the FCC's transition period does not commence until
20 August of 2005, over a year away. And I think that is a
21 sufficient time, if a CLEC were to decide to acquire switches,
22 build transport networks, to do those things. And I said if,
23 because a CLEC does not necessarily have to do those things,
24 because some CLECs already have switches. They could adapt
25 those switches to add their UNE-P customers to them. They

1 could acquire switching from another CLEC on a wholesale basis,
2 or the CLEC and BellSouth could strike an agreement that the
3 customer would stay on BellSouth's switch at some market rate.

4 COMMISSIONER JABER: So the five months proposed by
5 the FCC would not start until August of 2005?

6 MR. MILNER: No, that is the end of the five-month
7 period.

8 COMMISSIONER JABER: Oh, okay.

9 MR. MILNER: And then there is a period that a third
10 have to be moved in a period, a third, and a third. And that
11 takes almost another two years.

12 COMMISSIONER JABER: Okay.

13 MR. MILNER: Did I get at your question,
14 Commissioner?

15 COMMISSIONER JABER: You did. And with regard to
16 what is invisible to the end user, all of the acquisitions the
17 CLEC has to make and the agreement signed as it relates to
18 collocation switching and operational facilities happen
19 obviously between the two providers. Is that what you propose
20 the 90 days be used for?

21 MR. MILNER: No.

22 COMMISSIONER JABER: Okay.

23 MR. MILNER: And if you started from scratch and had
24 none of those assets, you would probably be hardpressed to do
25 it in 90 days. I think it could be done even in 90 days, but

1 that would be a stretch.

2 No, what I meant was that the proposed transition
3 period that the FCC lays out commences August of next year.
4 Once CLECs have your order in this docket, then they can
5 examine the markets in which you gave relief to BellSouth and
6 begin that effort. They will still have over a year to get
7 those things done.

8 COMMISSIONER JABER: Okay. Thank you.

9 MS. FOSHEE: Mr. Lackey.

10 MR. LACKEY: Thank you. Mr. Chairman, Commissioners.
11 In addition to our direct case, we also filed responses to the
12 various claims made by the people who claim that they are going
13 to be impaired with that access to our local switching. I want
14 to tell you a little bit more about what you are going to hear
15 from the other side and what I think you ought to look for.

16 As you review the evidence that is presented by the
17 impairment group, there are three themes probably not intended
18 by them which will jump out at you. Dr. Aron gave away the
19 first theme, and that is that the FCC has sent you on a snipe
20 hunt. They sent you looking for an animal that doesn't exist.

21 According to the CLECs, for the foreseeable future it
22 is impossible for any state commission to make a finding of no
23 impairment. In this regard, I would refer you to Mr. Gillan's
24 direct testimony where he says UNE-P is a part of a natural
25 market transition whose duration is unknown because it is in

1 the hands of customers themselves. He suggested UNE-P will be
2 required until customers have moved to shared platforms using
3 soft switch technology, or alternatively, until we have AIN
4 architecture that is open to competitive innovation.

5 In this same vein, the CLECs refuse to admit that
6 there is a single trigger candidate in Florida. Let me give
7 you an example of what I'm talking about. Quite frankly, I
8 have no idea what Mr. Gallagher is going to say, and I'm going
9 to nervously listen to it, but you will hear from him shortly.
10 He has 100,000 -- more than 100,000 loops hooked up to his
11 switches. He states without equivocation that his firm is a
12 trigger candidate, and he states that he hopes to be around for
13 awhile.

14 It would seem logical that everybody would agree that
15 FDN is a trigger candidate, and we would move on to look for
16 the other two trigger candidates in the markets where FDN
17 operates. That is not the tack the CLECs have taken in this
18 case. Instead, they have done what I call a scorched earth
19 policy. They testify that you shouldn't consider FDN as a
20 trigger candidate. In fact, Mr. Gillan questions whether FDN
21 has the financial ability to survive. Its financial security
22 is tenuous is what he said, ignoring Paragraph 5 of the TRO,
23 which specifically precludes the states from evaluating any
24 other factors, such as financial stability. For all I know,
25 FDN is fine. But, I mean, the point of the matter is the TRO

1 precludes you from looking at what Mr. Gillan tells you to look
2 at.

3 I said there were three themes that would jump out at
4 you. Let me tell you about the second one that Dr. Aron didn't
5 given away. The second theme is that consistency doesn't
6 count. The CLECs here find no need, apparently, to be
7 consistent today with what they told you in the past. They
8 find no need to be consistent with each other, and they find no
9 need to be consistent in the logic that they are advocating to
10 you.

11 Let me given you examples. In 2000, AT&T speaking to
12 you about its network in Florida, said that TCG is able to
13 connect virtually any customer in a LATA to the TCG switch
14 serving that LATA. They didn't say business customer, they
15 didn't say large business customer, medium business customer,
16 small customer, residential customer. Virtually any customer.
17 This was done under direct examination. It wasn't under cross.
18 It wasn't in the heat of the moment. It was prefiled.

19 They also told you that they could serve end users
20 economically. They have a menu of options capable of
21 economically connecting end users located relatively far from
22 the switch. And one of the examples they used was UNE-L. Now
23 they are telling you that what they meant back then was that
24 their switches had the potential to cover an area equal to
25 BellSouth's switches. I don't think that is what they said.

1 It's an interesting argument by AT&T in 2000 when
2 AT&T wanted something that required them to have a network that
3 covered the entire area that BellSouth served. When that
4 happened they said virtually any customer in the LATA could be
5 served by their switches. They bragged about the efficiency of
6 their network, and they said that a network design with fewer
7 switches and longer loops was the way to go. Then their
8 network was efficient, and they could economically serve
9 customers, now they cannot apparently.

10 What about the consistency between the parties? You
11 have got parties on the market definition who are telling you
12 it ought to be a wire center, it ought to be MSA, it ought to
13 be LATAs. I have no idea how they are going to reconcile their
14 positions. I assume they will, but I don't have any idea how
15 they are going to reconcile what are obviously inconsistent
16 positions.

17 There is a third inconsistency that I hope you find
18 particularly troubling. What the CLECs have said -- this is
19 Mr. Gillan -- has said is that eliminating UNE-P would reduce
20 local competition in 2004 based on BellSouth's projections by
21 nearly 90 percent. Evidence is going to show that that claim
22 is not true, but that is not the point here. The question that
23 you have to consider is that how can the CLEC say that 90
24 percent of the competition is going to disappear if you do away
25 with UNE-P on the one hand, and then claim that our hot cut

1 process isn't going to be able to handle the volume of
2 conversions from UNE-P to UNE-L if you find no impairment. Is
3 it it is going to go away, or is there going to be so many
4 conversions that we can't handle them? It seems like to me
5 they can't have it both ways. They have to be consistent I
6 would suggest.

7 Not only is their story inconsistent, but there is a
8 third thing in our view. They keep rewriting the TRO and the
9 rules to make their theories, or make the TRO and the rules
10 consistent with their theories. Consider what they do to the
11 FCC's bright line test. Remember, this thing was pretty
12 simple. Find three CLECs not affiliated with each other, not
13 affiliated with BellSouth, self-provisioning switches, vast
14 market customers and a market. That's it. When you listen to
15 the impairment folks, however, you are going to wonder whether
16 we are all reading the same order and rules.

17 Basically, they have turned the FCC's objective
18 bright line test on its head. For instance, Mr. Gillan has
19 worked up a list of six criteria and claims that a trigger
20 candidate has to meet every single one of them before they can
21 be a trigger candidate. Am I fairly characterizing the
22 evidence? Let's take a look at it. This is from his
23 testimony. The self-provisioning trigger criteria must be
24 satisfied. The six categories are -- and this is Number 3, the
25 self-provisioning trigger candidate should be relying on ILEC

1 analog loops to connect a customer to its switch. Well, guess
2 what, intermodal carriers, cable companies, electric companies,
3 and wireless companies don't use our loops. Buried in Mr.
4 Gillan's list of criteria is a requirement that will eliminate
5 every cable company in Florida from potentially being a trigger
6 candidate.

7 Now, is that fair? No. The rule that we are talking
8 about here specifically mentions intermodal providers. Here is
9 the rule on the self-provisioning trigger. You include
10 intermodal providers of service comparable in quality with that
11 of the incumbent LEC, and so forth. Moreover, the FCC has said
12 that you include intermodal carriers. And, indeed, the CLECs
13 in Washington in their arguments acknowledge that you could
14 include intermodal carriers. Yet if you adopt Mr. Gillan's
15 criteria, the intermodal carriers are gone.

16 In this regard I want to refer you to your own report
17 to the legislature and remind you of what happened in Panama
18 City where we have lost 35 to 40 percent of the local market.
19 And you know who we have lost it to? A cable company.

20 What else does Mr. Gillan do? Consider his last
21 criteria. He wants to impose a de minimis requirement on it,
22 on the trigger candidates. What does this mean? It means that
23 when you look at the trigger candidate he wants you to have
24 some minimum number of customers that they have to be serving.
25 Now, is this in the rule? No, that's not in the rule. Even

1 Mr. Gillan admits this is an interpretation of what the TRO
2 says. The question is if the CLEC can serve ten customers, why
3 can't it serve a thousand? If it can serve a thousand, why
4 can't it serve ten thousand? What is the limitation? There
5 isn't one.

6 If the FCC had wanted -- well, switch size obviously,
7 but if the FCC had wanted to put a de minimis test in the rule,
8 they could have done it. And they didn't do it. But if you
9 adopt the criteria the CLECs are advocating, that is what you
10 are going to do.

11 What also are you going to hear? This is one of my
12 favorite ones. You know, I have several. According to the
13 CLECs, if a CLEC is providing service to customers with its own
14 switch, unless the CLEC is using 20 percent or more of the
15 capacity of that switch to serve mass market customers, it
16 doesn't count. Let me give you an example. Let's suppose we
17 have got a switch out there, a CLEC owns a switch of 50,000
18 voice grade equivalent capacity. The CLEC is serving 5,000
19 residential customers, each with a single line into the house.
20 The other 45,000 lines they serve business customers. Let's
21 just agree that they are enterprise customers. According to
22 the CLECs, the CLEC that has that switch and uses it in that
23 way isn't a trigger candidate, even though they are serving
24 5,000 residential customers.

25 Indeed, according to this testimony, if the CLEC were

1 serving 10,999 residential customers with a single line to each
2 house it wouldn't qualify. Where is the logic in that? If the
3 CLEC is serving mass market customers with the switch, the
4 switch ought to count. The rules that we were talking about do
5 not require anything different. The FCC didn't require
6 anything different.

7 I have got one more point I want to make with regard
8 to the triggers test, which I hope will make my point even more
9 clearly. This is a picture of Florida, and it is taken from
10 your web page, and it has got the codes in it. You can see in
11 the southeastern LATA, which is now highlighted up there, there
12 are four areas. When I looked at them last time the 305 was
13 gray, the 954 was yellow, 561 is red, and the 561 to 772 was
14 white. But it will make my purpose.

15 You can see that there are four divisions in the
16 southeastern LATA and that will serve my purpose. I asked the
17 FCCA witness who was advocating the use of the LATA as the
18 geographic market, whether if there were four CLECs serving the
19 southeast LATA, each serving 10,000 customers, but each
20 confined to its own service area, each of those blocks, those
21 four blocks we are looking at there, whether those four CLECs
22 could be trigger candidates. His answer was that they could
23 not. According to the CLECs, each of the trigger candidates
24 would have to serve customers from Key West to Vero Beach in
25 order to qualify as a trigger candidate.

1 Now, of course that is not what the FCC said. Look
2 at the quote from the FCC brief. These deletions eliminate any
3 suggestion that a state's finding of no impairment is
4 contingent on a determination that a facility-based competitor
5 could economically serve all customers in the market. The FCC
6 hasn't required that.

7 Moreover, I asked the FCCA witness whether he knew of
8 any single CLEC that served the entire area using UNE-Ps. It
9 seemed like that would be a logical requirement if that is what
10 you want the facility-based carrier to do. The answer was
11 nope. Actually, he said that is correct to my very articulate
12 question, but that is still the sentiment.

13 In addition to the points that they make challenging
14 the criteria, they also challenge our trigger candidates on
15 other grounds. For instance, one argument you are going to
16 hear, particularly from AT&T, is that the analog lines that
17 AT&T has that are being used to serve mass market customers,
18 basically using TCG switches, can't be counted. That AT&T and
19 TCG -- or AT&T I guess I should just say -- is not a trigger
20 candidate. Their logic is that TCG is serving these customers
21 as sort of legacy customers and it is part of a failed business
22 plan, and so, therefore, you can't count it.

23 Well, the question that we asked them and that you
24 ought to ask them is whether it's a product of a failed
25 business plan, or is it simply the result of UNE-P becoming

1 available. I mean, it is no secret, if you can buy a UNE-P for
2 \$15 and it costs you \$20 to put your own loop in, anybody in
3 their right mind -- I don't want to go too far. I better not
4 go too far with that. Most people would conclude that you
5 ought to provide the service using the UNE-P. You wouldn't use
6 your own switches, you would use UNE-P. It's easier.

7 So, the question is, is why isn't TCG a trigger
8 candidate? Now, Mr. Gallagher, as I told you, I don't know
9 what he is going to say, but what he did say in his deposition
10 is that when he was working for Brooks Fiber and MCI, that they
11 were using -- Brooks Fiber was using UNE-P loops, and when MCI
12 bought them, they quit using UNE-P loops as a business
13 decision. Not because it didn't work, not because it couldn't
14 be made to happen, as a business decision. We need to know
15 whether TCG was doing that same thing.

16 Now, I have talked about the trigger test. Let me
17 talk about the potential deployment test for just a moment.
18 Quite frankly, I expect most of the attacks on the potential
19 deployment test to deal with the economic model. I mean, I
20 don't think anybody is going to challenge that there is actual
21 deployment out there. They may. But I think from looking at
22 the outline of their presentation, most of it is going to
23 address the economic barriers.

24 Their attacks on the model are really kind of
25 interesting. Some of the CLECs claim that the model is too

1 sensitive to the inputs. Other CLEC witnesses claim that the
2 model isn't sensitive enough to inputs. Sprint's witnesses
3 will probably continue to echo their cry that they have been
4 deprived of a meaningful opportunity to look at all of this. I
5 would note, however, that Mr. Stegeman sat in his deposition
6 and went through the source code a line at a time using the
7 same documents we have given them, the source code in PDF
8 format. I would also note that of all the CLECs that have
9 looked at the model, the only one who continues to harp on
10 access to it is Sprint.

11 Finally, I hope you look at the Sprint testimony that
12 was filed last Friday after they had access to this
13 information. I may be wrong about this, and I'm sure they will
14 straighten me out, but it looked like to us that all of the
15 testimony they filed on Friday, a month after testimony was
16 due, dealt with inputs, inputs that they have had for three
17 months. Not source code. They didn't say, oh, we found this
18 mistake in the source code, it doesn't work. It dealt with
19 inputs.

20 Now, while I'm on Sprint, I expect Sprint is going to
21 be held up as the poster child in this proceeding. The ILEC
22 that did right. The good ILEC. You will notice they are
23 sitting on the other side of the table from us. If you are
24 inclined to think about that, let me refer you back to your
25 report to the legislature again. I think if you will take a

1 look through that you will see why they are on that side of the
2 table.

3 It is clear that the CLECs don't like anything about
4 this model. They claim that it doesn't work, that it's wrong.
5 That, gosh, if you could make money going into these markets
6 they would have done it. Gee, people have been going into
7 these markets for years and have gone broke. This just can't
8 possibly be right.

9 Well, two points. First of all, this is the only
10 model in this docket that comports with the FCC's TRO
11 requirements. It was done by Mr. Stegeman who has done models
12 that have been accepted by this Commission before. He knows
13 what he is doing. He has developed a model that reflects what
14 will happen in these markets. Now, maybe it is easier and
15 better to use UNE-P than to go in and do it, but that doesn't
16 mean the model is not right. And in that regard, let me ask
17 you to ask them how they are going to explain away the CLECs
18 who are in those seven markets, seven of the nine that we were
19 talking about, who are using their own facilities. If it can't
20 be done, how are they doing it?

21 Now, basically the answer to all of this is they came
22 into this with a preconceived notion. The preconceived notion
23 was there ain't no such thing as a potential deployment test
24 that is going to work. If it could work, we would have made
25 money at it. We haven't, we can't, so it must be wrong. If

1 you will look at their testimony, and I'm not going to read it.
2 Unless I've got it backwards this is Mr. Gillan's testimony
3 first, and basically what he is saying is he knows we have got
4 the opportunity to show this, but you look back over history it
5 hasn't worked before so, you know, clearly a potential
6 deployment model isn't going to work. This was in his direct
7 testimony, I believe, but I could be wrong. Yes, it is direct
8 testimony.

9 Then you look at AT&T's witness' testimony, which I
10 believe was also in his direct testimony, where he says it is
11 not likely that an impairment model will establish anything.
12 Now, again, I mean, this testimony was filed before we filed
13 our direct case, or when we filed our direct case. This was a
14 preconceived notion these folks had, it ain't going to work.
15 That is the bottom line here.

16 A couple of more points and I will sit down. I don't
17 know whether the CLECs are going to waste their time on this
18 when they get up or not, but several of their witnesses talk
19 about how even if you find under the TRO that there is no
20 impairment in the market, you, the Florida Commission under
21 Florida law, can require UNE unbundled switching and UNE-Ps.

22 Now, I told you at the beginning I'm a lawyer, what I
23 say isn't evidence. Well, I'm going to tell you even though
24 some of them don't realize it, they are not lawyers and what
25 they tell you ain't the law. The FCC has clearly addressed

1 this subject already in the TRO, and I'm not going to read it
2 to you, but what it basically says is if the FCC finds that a
3 UNE, or a network element isn't a UNE, or if they delist it,
4 then a state decision that requires us to provide it -- well,
5 if they say they believe it would be unlikely that such a
6 decision would fail to conflict with and substantially prevent
7 implementation of the federal regime. I mean, this has already
8 been addressed.

9 Let me tell you about another topic that I think you
10 are going to hear about. I think one of the witnesses is going
11 to sit up here, stand up here, whatever they do, and say, look,
12 what is going on here? Why are the ILECs doing this? Why does
13 BellSouth want the CLECs to go out and put their own switches
14 on the ground and take the calls off of their switches? That
15 doesn't make any sense. Obviously what they -- they, meaning
16 BellSouth -- want to do is run the CLECs out of business. That
17 is the only reason that they could possibly be doing that.

18 Well, that ignores the obvious answer, and that is
19 this. We don't want them to put in their own switches, we want
20 them to either use the switches that are there that they have
21 already, or we want them to pay us a fair market price to use
22 our switches. We would rather have competitors use their own
23 existing switches rather than being required to sell ours to
24 them at the rates we are currently allowed to charge. It is as
25 simple as that. We have a dispute about it. I know we have a

1 dispute about it. We think that the prices that we are being
2 allowed to charge are below our relevant cost and we would
3 rather have them on their own switches than be spending our
4 investors' money giving them service below what we think the
5 cost is. That's the answer. Nothing nefarious about it.

6 Now, furthermore with regard to continued
7 competition, let me remind everyone that no matter what you all
8 do, BellSouth still has a 271 obligation to provide unbundled
9 switching in Florida. If you find no impairment in Florida
10 under 251, we still have to provide switching under 272. We
11 just don't have to do it at TELRIC pricing, and we don't have
12 to provide UNE-P. Now, we have said that we will provide UNE-P
13 on a commercially viable basis for a fair price, and we will.
14 We just don't want to have to give it away.

15 Competition isn't going away. In fact, reasonable
16 people might conclude that competition will be stronger.
17 Reselling our loops and switches may be a form of competition,
18 just like resale is, but these folks are just recycling our
19 network, not innovating.

20 This has taken a while to cover, I'm just about done.
21 I appreciate your attention. You have got some things you have
22 got to do. You have got to define who constitutes a mass
23 market customer. We have given you a definition. You have to
24 define market areas. We have given you a definition that
25 actually has economic meaning. You have to apply the bright

1 line trigger test. We have shown you the results of doing
2 that. You have to apply the potential deployment test. We
3 have shown you the results of doing that. You have to approve
4 and implement a hot cut process, and we have given you one.
5 When you do all of that, you ought to find that CLECs in
6 Florida in BellSouth's territory are not impaired in 21 of 31
7 markets without access to our unbundled switching. And the 21
8 markets are listed on the slide in front you and in back of
9 you, I suppose.

10 On behalf of BellSouth, we appreciate your attention,
11 we appreciate you letting us use this format. We hope it has
12 been productive. I guess only time will tell. With that, I
13 think I need to turn this over to Mr. Feil.

14 CHAIRMAN BAEZ: Thank you, Mr. Lackey. We are going
15 to take a five-minute break.

16 (Recess.)

17 CHAIRMAN BAEZ: All right. We will go back on the
18 record.

19 Mr. Feil, I think we were up to you now.

20 MR. FEIL: Thank you, Mr. Chairman. FDN is in a
21 little bit of an uncomfortable spot here in that we do not fit
22 neatly or completely on one side or the other, yet here we are.
23 I actually may be moving my seat depending on who the witness
24 is at any given time. It is true, FDN does support BellSouth
25 and Verizon on certain issues, opposes BellSouth and Verizon on

1 other issues. But the way the time division worked by side, I
2 start here first.

3 FDN agrees with specific aspects of the BellSouth and
4 Verizon nonimpairment claims, and specifically those which are
5 identified in Mr. Gallagher's testimony. He is here today to
6 testify. To be in agreement, though, FDN did not have to be
7 here. We could have sat on the sidelines and watched as the
8 ILECs and the UNE-P providers fought it out. We could have sat
9 back and had a beer. However, we believed that we needed to be
10 here so the Commission would have a complete and broad
11 perspective of what is going on in the marketplace and have a
12 balanced view of the case.

13 We are here to ensure that you know that CLECs can
14 and do own and operate their own switches, can and do serve
15 mass market customers from those switches. Indeed, what the
16 Telecom Act envisioned is what FDN is, a facility-based UNE-L
17 provider. FDN acquired its own switching, as any CLEC can.
18 FDN made the resource commitment necessary to serve via UNE-L,
19 as any CLEC can. FDN built its own OSS from scratch to
20 interface with the ILECs, as any CLEC can. FDN made the local
21 service focus necessary to do hot cuts, as any CLEC can.

22 And not only is FDN what the Telecom Act envisioned,
23 FDN is also what the TRO envisioned, and that is a trigger
24 company. FDN is a trigger company in all of the BellSouth and
25 Verizon markets that BellSouth and Verizon have identified in

1 their prefiled cases except for one market, and that is
2 BellSouth's Pensacola market.

3 Notably under the TRO, great significance is attached
4 to trigger companies even if the bright line test of three is
5 not met. The TRO states substantial weight must be given to
6 the presence of two or even just one UNE-L trigger company.
7 Why is that? Because it shows that UNE-L can be done. And
8 along that line, Mr. Gallagher testifies that if you can do one
9 hot cut to a CLEC switch, you can do 1,000 and more.

10 FDN's geographic coverage is as I have described.
11 FDN serves one-line, two-line, three-line customers and above
12 in that geography. Its status as a trigger company should be
13 unquestioned. In fact, if we weren't here, you might be
14 wondering to yourselves why we weren't here. And yet there are
15 CLECs in this room who argue that FDN is not a trigger company,
16 and they are all busy saying that none of them are trigger
17 companies either, even though they too serve mass market
18 customers with their own switches.

19 These CLECs unfortunately are asking you to do what
20 they couldn't get the FCC to do, which is rewrite the TRO as
21 Mr. Lackey referred to. I would urge you, as Mr. Lackey did,
22 not to rewrite the TRO.

23 And now for a moment I would like to change hats and
24 not necessarily change chairs, but talk briefly about the
25 points where FDN agrees with the other CLECs and disagrees with

1 BellSouth and Verizon. And specifically that concerns aspects
2 of the batch hot cut proposals. Here the ILEC proposals abound
3 with inconsistencies, illogic, and questions.

4 I don't know that I could disagree more with what Ms.
5 Foshee said when the theater in the round was standing up here
6 earlier. It sort of reminded me of how the Greeks use to
7 present tragedies, and like every Greek tragedy, there is a
8 protagonist who suffers from hubris. And the hubris here for
9 BellSouth is it is refusing to recognize what the TRO requires.
10 And what the TRO requires is a batch process, if approved, is
11 supposed to cover any conversion two or more loops from one
12 carrier switch to another carrier's switch. And all of the
13 improvements that Mr. Lackey showed you on his slide above,
14 those improvements did not include the one exclusion from
15 BellSouth's proposed batch process, which is ILEC retail to
16 CLEC UNE-L orders are not covered under the batch process. So
17 if you have asked yourself why hasn't FDN used the batch
18 process, it is because they don't let us. We are excluded from
19 it. We are foreclosed.

20 Interestingly enough, Verizon in their batch
21 proposal, which is not yet implemented, agrees that the TRO
22 says that ILEC retail to CLEC UNE-L orders must be encompassed
23 within the batch process. Interestingly enough also, while Mr.
24 Lackey was pointing out inconsistencies among the CLECs, there
25 is an inconsistency among the ILECs which needs to be fleshed

1 out and explained. And, again, the TRO flatly requires the
2 batch process is supposed to cover conversions from one switch
3 to another.

4 Under the BellSouth proposal, some CLEC orders are
5 eligible, some are not. FDN's would be excluded. In other
6 words, UNE-P providers under the Bell proposal could convert
7 loops from BellSouth's switch to the CLEC switch, but FDN could
8 not cut loops from the BellSouth switch to the FDN switch under
9 a batch process. There is simply no supportable reason to
10 exclude the FDN type of orders, ILEC retail to CLEC UNE-L.

11 Moreover, the FCC's idea behind the batch process is
12 that it is supposed to be a lower cost, more efficient means
13 for cutting over multiple loops, two or more. If you listen to
14 and look carefully at what Mr. Lackey was showing you, you
15 would see that the provisioning intervals were longer. The
16 discounts that are mentioned in BellSouth's testimony for batch
17 processes are not significant. So, the question that you are
18 left with is if this is supposed to be a more efficient, less
19 costly means for processing hot cuts, where is the efficiency
20 with minimal discounts and extended provisioning intervals.

21 And with that I wanted to ask Mr. Gallagher to the
22 stand so he can give a brief presentation to the Commission.
23 He has been sworn.

24 MR. GALLAGHER: Thank you. My name is Mike
25 Gallagher. I am CEO of FDN Communications. As Mr. Feil

1 indicated, FDN is caught in the middle of this debate. I must
2 admit it is a strange feeling sharing a common viewpoint with
3 BellSouth. As this Commission is aware, Mr. Feil and I have
4 opposed BellSouth in many cases here. I know first-hand what
5 it is like to take on an endless barrage of Ph.D.'s and expert
6 witnesses and rehearsed presentations, so I do understand what
7 it is like to be on the other side of this proceeding. But our
8 experience for six years as a CLEC has to count for something,
9 and that's why we are here.

10 We are here today to debate the concept of gluing
11 together UNEs. The local UNE, the local loop UNE, and the
12 switching, the ILEC switching to form something called UNE-P.
13 The UNE-P agenda has historically been driven by large
14 interexchange carriers who were looking for a nationwide entry
15 process into the local phone business, similar to PIC changes
16 in the early LD divestiture days.

17 While we acknowledge the temporary availability of
18 UNE-P when we were starting FDN, we never really believed in
19 the underlying regulatory premise that UNE-P must be made
20 available because switching was impaired. This is only because
21 our own experience has shown us that a UNE-L business plan does
22 indeed work. We assumed that regulators would eventually
23 surmise the same and that switching as an impaired UNE would be
24 made unavailable. Thus, the FDN business plan includes
25 collocations, switching, and hot cuts for small, medium, and

1 residential customers throughout Florida.

2 If this Commission decides to keep UNE-P available,
3 however, in the name of good public policy, then FDN will abide
4 by whatever rules are eventually implemented. We will adjust
5 and we will thrive. There is no doubt, however, that the TRO
6 triggers are met and switching is not impaired. The triggers
7 are met and multiple facilities-based providers exist today.
8 We see this when we walk through the COs and look at other
9 peoples' equipment, and we see it when we price deals in the
10 marketplace. We provide our own switching. We have 50,000
11 happy customers. We make money and we plan to continue to do
12 so for quite sometime.

13 FDN has become very proficient at hooking up
14 customers via UNE-L hot cuts. The key to this is geographic
15 focus and regional alignment with the local ILEC. This is
16 because the local telephone business requires local attention
17 to detail.

18 As I mentioned in my testimony, we serve significant
19 numbers of one, two, and three-line customers. Our average
20 customer size is approximately 2.9 lines. A company like FDN
21 could have been created with less capital probably by using the
22 UNE-P entry method. Class 5 voice switches that once cost
23 large sums of money may have been avoided. I believe, however,
24 that our investment in switches and collocations is ultimately
25 good for consumers in the State of Florida, because these

1 investments allow FDN access to the local loop and provide a
2 platform for innovation.

3 The local loop is clearly impaired as there is no
4 possible way a competitor could ever duplicate this
5 infrastructure. FDN has used its collocations to create new
6 forms of DSL and to provide DSL service to thousands of users
7 who could not otherwise get broadband. FDN uses these
8 collocations and switches to provide voice over DSL and voice
9 over IP services to small businesses, allowing firms to get a
10 competitive bundle of voice and high speed Internet access. We
11 provide special switching based features to customers unique to
12 the ILEC and UNE-P providers. Unlike the large IXC's, we built
13 our own OSS around the UNE-L provisioning method, which allows
14 for prompt ordering and timely installation of voice services
15 to the mass market.

16 Ultimately, FDN's network architecture ensures that
17 there are real market forces keeping the ILEC in check and not
18 just regulation. Should this Commission find no impairment for
19 switching, however, I would caution staff and regulators that
20 this body must remain vigilant regarding ILEC tactics and
21 pricing as it relates to collocation, Internet interconnection,
22 and access to UNE-P loops. Further remedy payments from the
23 ILECs should be adjusted accordingly to acknowledge a UNE-L
24 universe.

25 A poor hot cut can result in customer outages,

1 complaints, and long-term bad will towards the CLEC and
2 possibly this Commission. Punishment of the ILEC on such
3 occasion, therefore, should be swift and financially
4 compensatory. Further, this Commission should take advantage
5 of provisions in the TRO which allow the ILEC hot cut rates to
6 be examined and possibly reduced. As I mentioned in my
7 deposition, funds which large IXCs use to advertise on TV to
8 acquire customers must be spent by FDN to pay for UNE-L
9 installations.

10 In conclusion, FDN offers its experience in this
11 matter to this Commission in hopes of finding the best possible
12 solution for the people of the State of Florida.

13 CHAIRMAN BAEZ: Thank you, Mr. Gallagher. Does that
14 conclude your presentation?

15 MR. FEIL: That concluded FDN's presentation unless
16 there were Commissioner questions.

17 CHAIRMAN BAEZ: Commissioners, do you have any
18 questions at this moment?

19 COMMISSIONER JABER: Mr. Chairman, I have one
20 question of Mr. Gallagher. I didn't understand the distinction
21 Mr. Feil was making in his opening about BellSouth creating an
22 exemption, or there was an exemption in BellSouth's batch hot
23 cut process that applies to you all. Could you elaborate on
24 that, please?

25 MR. FEIL: I can, Commissioner. BellSouth has an

1 established batch process. Of the types of orders eligible for
2 batch treatment, the type of order that FDN typically does,
3 ILEC retail to UNE-L CLEC, are not eligible for batch
4 processing.

5 COMMISSIONER JABER: And why is that?

6 MR. FEIL: Well, if you listen to the BellSouth
7 witnesses it is because it is not needed.

8 COMMISSIONER JABER: Well, let me ask Mr. Gallagher
9 that so we can -- since he is the witness. Is there is a
10 technical reason, Mr. Gallagher, for that conversion not to
11 take place? I understand the legal argument that it is not
12 covered in the TRO. Are there technical reasons?

13 MR. GALLAGHER: No. Every day we cut large numbers
14 of customers over this way. We believe the TRO reads that a
15 cut such as that is just two loops or more which we do every
16 day. So, therefore, we believe that BellSouth is just
17 exempting this particular type of cut-over when we take one of
18 their retail customers and put them on our network as just some
19 way to avoid reducing their UNE-L hot cut rates.

20 COMMISSIONER JABER: Mr. Chairman, I wonder if Mr.
21 Lackey has a witness through the cross-examination process that
22 will be able to address that?

23 CHAIRMAN BAEZ: We are getting you a name in a
24 second, Commissioner.

25 MS. FOSHEE: Mr. Ainsworth will be available on

1 cross-examination and he can address that, or, Commissioner
2 Jaber, we would be happy to address it now, whichever you would
3 prefer.

4 COMMISSIONER JABER: I think just to maintain the
5 flow of the proceeding, Mr. Chairman, for you, I can certainly
6 wait.

7 CHAIRMAN BAEZ: And I would agree with you, I think
8 we can hold off until cross-examination.

9 MS. FOSHEE: Okay, thank you.

10 CHAIRMAN BAEZ: Thank you.

11 COMMISSIONER JABER: Thank you.

12 CHAIRMAN BAEZ: Commissioner Jaber, is that the end
13 of your questions?

14 COMMISSIONER JABER: Yes, thank you.

15 COMMISSIONER DAVIDSON: Chairman, I have a couple of
16 questions. Thank you.

17 CHAIRMAN BAEZ: Commissioner Davidson.

18 COMMISSIONER DAVIDSON: Mr. Gallagher, thank you for
19 being here. In my view you are the type of competitor we want
20 to see in this state, a facilities-based competitor. My
21 question for you is what response do you have to the contention
22 of the CLECs' consultant, Mr. Gillan, when he says in his
23 testimony that you have got the wrong business model and
24 ultimately may not succeed?

25 MR. GALLAGHER: That is not my plan. We certainly

1 have been fighting this thing out long enough here. We are now
2 in a good position financially, and we think we are going to
3 succeed. All of our products and prices calculate a positive
4 NPV for all of our products or we wouldn't do it. It's just
5 rational.

6 COMMISSIONER DAVIDSON: Are you familiar with the
7 company Knology?

8 MR. GALLAGHER: Yes.

9 COMMISSIONER DAVIDSON: Would you consider Knology in
10 one form or another a competitor of FDN?

11 MR. GALLAGHER: Yes. In the specific areas where
12 they are, yes.

13 COMMISSIONER DAVIDSON: Is Knology a facilities-based
14 competitor, or do they rely upon the UNE-P platform, if you
15 know?

16 MR. GALLAGHER: I believe that they are what is
17 called a cable over builder, and that they build their own loop
18 and switching facilities.

19 COMMISSIONER DAVIDSON: FDN provides their own
20 switching, Knology provides their own switching, there are some
21 other CLECs that provide their own switching. Is it accurate
22 to conclude that there is a market for switches in this
23 country? I mean, can switches be bought and sold, acquired,
24 put into place?

25 MR. GALLAGHER: Yes, there is absolutely an active

1 market for switches.

2 COMMISSIONER DAVIDSON: Thanks. That's all of my
3 questions.

4 MR. GALLAGHER: I was just going to say there is also
5 a market for switching as evidenced by like a Vonage or someone
6 like that that can buy switching.

7 COMMISSIONER DAVIDSON: Capacity.

8 MR. GALLAGHER: Capacity, yes.

9 COMMISSIONER DAVIDSON: Thank you.

10 CHAIRMAN BAEZ: Thank you, Commissioner. Any other
11 questions, Commissioners? All right.

12 Mr. Feil, you said you had concluded your
13 presentation?

14 MR. FEIL: Yes, sir. And I would like to turn it
15 over to Verizon of completion of that side.

16 CHAIRMAN BAEZ: Mr. Chapkis, did you get your
17 technical difficulties straightened out or --

18 MR. CHAPKIS: Chairman Baez, if we might have a
19 minute to just pass out some handouts and to ensure that our
20 technical difficulties are straightened out, I would appreciate
21 it.

22 CHAIRMAN BAEZ: By all means.

23 MR. MOYLE: To take advantage of this brief lull on
24 an administrative point, the presentation that BellSouth did, I
25 presume that to be a demonstrative exhibit. We would just like

1 to be able to have a copy of that electronically so that we can
2 kind of have that for the record.

3 MS. MAYS: Mr. Chairman, I believe BellSouth has
4 advised staff that it will be provided on Friday. We will be
5 happy to provide a copy to the parties on Friday and it can be
6 entered at that time, if it is appropriate.

7 MR. MOYLE: We were hoping to have access to it to go
8 through some of it as putting on a case. I mean, obviously it
9 is available because it was shown up here.

10 CHAIRMAN BAEZ: Is there a technical reason for not
11 having it until Friday?

12 MS. MAYS: There would be an objection, Mr. Chairman.
13 This format did not -- was not intended to provide a copy of a
14 presentation and summary of evidence that is already in the
15 record so that the parties would be able to perhaps change
16 their presentations. We would just -- Mr. Chairman, just as a
17 matter of just legal strategy presentation, we would be happy
18 to provide it at the conclusion of the case. We did not intend
19 to provide it at the outset and we would object to doing so.

20 CHAIRMAN BAEZ: Mr. Moyle, let me take that under
21 advisement.

22 MR. MOYLE: Okay. Most times when I have been in
23 circuit court or whatnot, if it is a demonstrative exhibit and
24 it is made available to an open court, you are entitled to a
25 copy of it.

1 CHAIRMAN BAEZ: I need to let staff brief me on it.

2 MR. MOYLE: Thank you.

3 CHAIRMAN BAEZ: Thank you.

4 (Off the record briefly.)

5 CHAIRMAN BAEZ: Go ahead, Mr. Chapkis.

6 MR. CHAPKIS: Good afternoon, Chairman Baez,
7 Commissioners. Richard Chapkis appearing on behalf of Verizon.
8 Can I have the next slide, please?

9 We are going to present our direct case in three
10 parts. I'm going take about 15 minutes to give a broad
11 overview of the case, then Verizon Witnesses Doug Fulp and Bill
12 Taylor will take about 30 minutes to give a more detailed
13 presentation about our mass market switching case. And,
14 finally, Verizon Witnesses Tom Maguire and Dr. Bill Taylor will
15 take about 30 minutes to delve more deeply into our hot cuts
16 case. Can I have the next slide, please?

17 I would like to begin with an overview of our mass
18 market switching case. As you are aware, the FCC has
19 established two distinct tests for determining impairment or no
20 impairment in the mass market. The first test is a triggers
21 test, and the second test is a potential deployment test. If
22 either of these two tests are met, the Commission must make a
23 finding of no impairment.

24 The FCC has made clear that this Commission's
25 consideration involves a two-step process. First is an

1 analysis of the triggers. And, second, if the triggers are not
2 satisfied, is the potential deployment analysis, assuming that
3 the ILEC in question requests the potential deployment analysis
4 to be made. Can I have the next slide, please.

5 Under the triggers test, the states must consider
6 whether either of two mandatory objective triggers have been
7 met in the relevant market, and as Mr. Lackey explained, these
8 two triggers consist of the wholesale trigger and the
9 self-provisioning trigger. Verizon's case, similar to
10 BellSouth's case, does not address the wholesale trigger, so
11 I'm not going to discuss it further in this presentation.

12 Under the self-provisioning trigger, the Commission
13 must find no impairment when three or more unaffiliated
14 competing carriers are offering mass market switching using
15 their own switches. May I have the next slide, please.

16 As the prehearing officer expressly recognized in his
17 order on Verizon's motion to clarify the scope of this
18 proceeding, the triggers analysis is mandatory. If either of
19 the triggers is satisfied, this Commission must find no
20 impairment. Moreover, as the prehearing officer has made
21 clear, the triggers analysis is objective. The triggers are
22 key to objective criteria and they provide bright line rules.
23 So as Mr. Lackey quoted from the prehearing officer's order,
24 the triggers analysis essentially amounts to a simple counting
25 exercise.

1 Because the triggers are mandatory and because they
2 are objective, they have the potential to provide a simple
3 solution to this Commission's review. If an ILEC shows the
4 proper number of competitive alternatives, then the Commission
5 must make a finding of no impairment.

6 In applying the triggers, the FCC has tasked the
7 states with defining the relevant geographic market to which
8 the triggers apply. Fortunately, it is not necessary for the
9 Commission to reinvent the wheel in this area. That is because
10 the FCC has authorized this Commission to use existing
11 geographic market definitions to define the relevant market in
12 this case.

13 The Commission should adopt metropolitan statistical
14 areas, or MSAs, or, alternatively, density zones within the MSA
15 as the relevant market definition. MSAs were established by
16 the OMB. They were established by the federal government.
17 They meet the FCC's criteria for defining the relevant
18 geographic market. They have well-established geographic
19 boundaries that were specifically designed to capture economic
20 communities of interest. What's more, the evidence and maps in
21 our testimony show an unmistakable correlation between the
22 population centers represented by certain MSAs and customers
23 actually served by competitors using their own switches. May I
24 have the next slide, please.

25 In applying the triggers, the states must also

1 distinguish between a mass market service and an enterprise
2 service. Here again, the Commission should adopt a simple
3 objective strategy for distinguishing between these two types
4 of service. If a CLEC is currently serving a customer using
5 DSL loops, regardless of how many DSL loops are at issue, it
6 has already made the determination that it is most economical
7 to serve that customer using a mass market service rather than
8 as an enterprise service. Accordingly, the cutoff should be
9 between customers actually being served with DS-0 lines on one
10 hand and customers being served with enterprise DS-1 loops on
11 the other. Can I have the next slide, please.

12 If the triggers aren't satisfied, the Commission may
13 then proceed to the second step of the analysis. In the second
14 step of the analysis, the Commission can -- pardon me, the ILEC
15 can ask the Commission to evaluate certain economic and
16 operational criteria to determine whether or not there is
17 impairment without unbundled switching. The second step, that
18 being the potential deployment analysis, is far more complex
19 than the first step. It involves a consideration of subjective
20 factors such as potential CLEC revenue sources, market demand
21 assumptions, the costs properly incorporated in the CLEC's
22 business case, and a variety of operational issues.

23 Of course, on the other hand, if the triggers have
24 been met, demonstrating that a number of real world CLECs are
25 already operating their switches in the relevant market, there

1 is no need to consider potential deployment. Simply stated,
2 there is no need to show in theory whether CLECs could
3 potentially operate in a geographic market when, in fact, they
4 are already operating in that market.

5 While BellSouth has elected to bring both a triggers
6 case and a potential deployment case, Verizon has chosen to
7 rely solely on the FCC's self-provisioning trigger and the
8 relevant geographic market. And that geographic market in this
9 case, as far as Verizon is concerned, is the Tampa/St.

10 Petersburg MSA. And, as Verizon's testimony demonstrates,
11 Verizon easily satisfies the self-provisioning trigger in the
12 Tampa/St. Pete MSA, because there are a number of CLECs serving
13 mass market customers with their own switches in this MSA.

14 And it is not close. Similar to the slide that
15 BellSouth showed, it is not as if there are three CLECs serving
16 Verizon customers in this MSA, there are eight. And it is not
17 as if they are serving just a couple of customers, they are
18 serving tens of thousands of customers in the Tampa/St.

19 Petersburg MSA. Therefore, the Commission must find no
20 impairment in the Tampa/St. Petersburg MSA as the triggers
21 outcome is mandatory.

22 Verizon's mass market switching case is simple and it
23 is straightforward. It turns simply and exclusively on whether
24 there are three or more unaffiliated carriers serving the
25 Tampa/St. Petersburg MSA with their own switches. Therefore,

1 as you apply the trigger you cannot and you should not allow
2 other irrelevant factors to spill over to improperly distort
3 the triggers analysis.

4 Unfortunately, some carriers, the CLECs, who have
5 made it very clear that they believe that UNE-P should be
6 preserved regardless of the cost to society, regardless of
7 whether it distorts competition, regardless of what it says in
8 the TRO, have attempted to interject just such distortions into
9 the FCC's triggers analysis.

10 As this Commission reviews the hundreds of pages of
11 testimony that these carriers have filed, it should note just
12 how few actual factual disputes exist. The CLECs effectively
13 concede the facts, as they must, since these facts are simple
14 and irrefutable. Verizon has shown that there are eight CLECs
15 serving mass market customers on their own switches in the
16 Tampa/St. Petersburg MSA. These CLECs don't deny that they are
17 providing service in that MSA.

18 Having opted not to dispute seriously Verizon's
19 factual testimony, they attempt to sweep away the meaning of
20 these facts by misstating the requirements of the TRO and
21 attempting to graft nonexistent requirements onto the FCC's
22 objective triggers analysis. Can I have the next slide,
23 please.

24 Contrary to the CLECs' contentions, as you can see on
25 the first bullet point, there is no business-only exclusion.

1 The bright line self-provisioning trigger does not require a
2 finding that residential customers are being served by these
3 switches. There is no such requirement in the order. Instead,
4 the FCC was clear that the relevant customer class is mass
5 market customers, which the FCC has expressly stated includes
6 both residential customers and small business customers. It
7 does not include solely residential customers.

8 Let's look at the second bullet point. Contrary to
9 the CLECs' contentions, there is no geographic ubiquity
10 exclusion. The bright line self-provisioning trigger does not
11 require a finding that a CLEC currently serve or be capable of
12 serving customers throughout the market. The FCC's errata
13 makes clear that the FCC did not intend to impose any such
14 requirement.

15 Let's take a look at the third bullet point.
16 Contrary to the CLECs' contention, there is no market share or
17 de minimis exclusion contained in the TRO. The bright line
18 self-provisioning trigger does not require a finding that a
19 certain number of customers are being served by these CLECs
20 switches. There is no mention at all of any such requirement
21 in the order, and the FCC would have expressly established a
22 de minimis test if it had wanted to create one.

23 Moreover, a de minimis test doesn't even make sense
24 in the context of the FCC's rules. If the FCC had intended to
25 establish a de minimis test, then why did it allow the states

1 to make a finding of no impairment on the basis of potential
2 competition, competition that involves no customers?

3 And, finally, let's look at the fourth bullet point.
4 Contrary to the CLECs' contentions, there is no exclusion for
5 switches that serve enterprise customers in addition to the
6 mass market. The bright line self-provisioning trigger does
7 not require a finding that the switch is only used to serve
8 mass market customers. Indeed, the FCC expressly noted, "The
9 evidence in the record shows that the cost of providing mass
10 market service is significantly reduced if the necessary
11 facilities are already in place and used to provide other
12 higher revenue services." And that is Paragraph 508. And I
13 would like the next slide, please.

14 I don't want to go into detail about the slide, but I
15 have included it in the packet that I have handed out because
16 this is revised Paragraph 499, and the source is the TRO errata
17 dated September 17th, 2003. This puts to rest many of the
18 CLECs' contentions about what they are saying about what the
19 TRO requires, and I would commend you to read this paragraph
20 carefully.

21 Because the facts are not in dispute and the CLECs
22 are misstating and misinterpreting the TRO, the Commission must
23 find no impairment in the Tampa/St. Petersburg MSA. And now
24 briefly I would like to turn your attention to Verizon's hot
25 cut case. Can I have the next slide, please.

1 In the TRO, the FCC determined that hot cut processes
2 could be improved if hot cuts were offered on a bulk or batch
3 basis. To this end, the FCC gave the state commissions two
4 options. One, they could implement and approve a batch process
5 to make the process of transferring large volumes of customers
6 more effective and less costly. Or, two, they could determine
7 that a batch -- the absence of a batch process is not causing
8 impairment in a particular market and they could make findings
9 to that effect. Could I have the next slide, please.

10 It is important to understand that this requirement
11 is entirely distinct from the mass market switching analysis
12 that I have just described. As I explained, operational
13 issues, including hot cuts, have nothing to do with whether
14 CLECs are impaired without access to mass market switching
15 under the triggers test; that is, the purpose of this part of
16 the case is to develop a batch hot cut process that is
17 consistent with the requirements of the TRO, not to demonstrate
18 that there is no impairment, because CLECs can easily migrate
19 from UNE-P to UNE-L. Could I have the next slide, please.

20 As Verizon Witness Tom Maguire will explain later in
21 greater detail, Verizon is offering a menu of hot cut
22 processes, all of which are scalable and all of which are
23 sufficient to handle the volume of hot cuts that will be
24 requested from the elimination of UNE-P. These processes
25 include Verizon's basic large job processes that Verizon

1 currently offers to CLECs, as well as the new proposed batch
2 hot cut process. These processes provide a package of rapid,
3 efficient, and low cost options for migrating customers from
4 one carrier's switch to another.

5 All of Verizon's hot cut processes use an innovative
6 provisioning system known as the wholesale provisioning and
7 tracking system, or WPTS. This system eliminates the need for
8 many manual processes in telephone conversations that used to
9 have to occur between a CLEC and the ILEC to implement a hot
10 cut, and they are still required by certain other carriers. As
11 Mr. Maguire will explain, Verizon's batch hot cut process meets
12 every single requirement laid out in the FCC's rules. Can I
13 have the next slide, please.

14 Were rare exception, the CLECs do not substantively
15 address Verizon's batch hot cut proposal, notwithstanding the
16 fact that Verizon aired this proposal in a collaborative some
17 months ago, notwithstanding the fact that its testimony is
18 quite detailed on this issue, and notwithstanding the fact that
19 it submitted its proposal in other states to which CLECs to
20 this proceeding are also parties. The few criticisms that have
21 been raised regarding Verizon's batch hot cut proposal lack
22 merit. Could I have the next slide, please.

23 The CLECs hypothesize a variety of electronic loop
24 provisioning processes that would, in theory, eliminate the
25 need for manual wiring. But, as the FCC recognized in the TRO,

1 the hot cut process is inherently manual and it requires the
2 technician to lift and lay wires on the MDF, or main
3 distribution frame, to disconnect and reconnect a customer's
4 service. The purpose of this proceeding, therefore, is to
5 establish the most efficient method of moving loops from UNE-P
6 to UNE-L within the constraints of today's existing technology.
7 Contrary to the CLECs' contentions, Verizon's hot cut processes
8 are scalable and sufficient to handle the volume of customers
9 or migrations that can be expected from the elimination of
10 UNE-P.

11 Verizon has presented a sophisticated forced load
12 model that shows that Verizon will be able to hire and be able
13 to train additional workers necessary to meet the increased
14 demand for hot cuts after UNE-P is eliminated.

15 The forced load model employed by Verizon employs
16 conservative assumptions about the volumes of demand for hot
17 cuts following the elimination of UNE-P. For example,
18 Verizon's forecast assumes that UNE-P will be eliminated
19 throughout the entire State of Florida, even though Verizon is
20 only seeking the elimination of UNE-P in the Tampa/St.
21 Petersburg MSA. In addition, Verizon's estimates assume that
22 all UNE-P CLECs in Florida will switch to UNE-L following the
23 elimination of UNE-P.

24 In reality, of course, not all carriers will choose
25 to provision their service with UNE-L. For example, some

1 carriers might seek to go to resale or choose alternative
2 provisioning technology. Out of an abundance of caution,
3 however, Verizon's estimates deliberately ignore these
4 alternative potential arrangements. As Tom Maguire with
5 explain, and as our scalability analysis demonstrates, without
6 question we can meet the hot cut demand expected when UNE-P is
7 eliminated.

8 I would like to thank you for listening to me, and
9 now I would like to turn you over to Dr. Bill Taylor and
10 Verizon Witness Doug Fulp who are going to go into more detail
11 about our mass market switching case.

12 DR. TAYLOR: Thank you. Commissioners, thank you for
13 the opportunity to be here in February. My job is, first,
14 as -- well, I am Bill Taylor. I think you remember me from
15 previous iterations. I am an economist at this point. I will
16 be a statistician a little later.

17 The first task that this Commission has is to
18 determine markets. A product market which the FCC has more or
19 less told us what it is, and a geographic market which the FCC
20 wants your opinion on. Once those markets are fixed, the game
21 is essentially over. We have to simply count noses and the
22 self-provisioning trigger portion of this case is done.

23 The market definition obviously is important because
24 it tells you the geographic area over which we are going to
25 find that CLECs are found not to be impaired. So if it is a

1 wide geographic market, there will be a wide area where
2 impairment is not found. If it is a narrow market, it will be
3 a narrow area over which we find no impairment.

4 What techniques do you use to decide what a
5 geographic market is? Fortunately, this is old hat in
6 economics and in telecommunications. The standard economic
7 test is explained in the merger guidelines of the Department of
8 Justice. It is used every day for determining markets for
9 mergers. It is used frequently by the FCC to determine the
10 geographic markets which it regulates. And a simple version of
11 that test is on the slide in front of you. It says that two
12 areas are in the same market if they are connected by
13 competition. If a change in price in one area affects the
14 price in another area.

15 Now, that is a nice economist thought experiment. It
16 really doesn't tell you how to apply it very well in the case
17 at hand. So, what is the case at hand? What is the business
18 plan? Well, the canonical CLEC business plan which I have
19 taken from Mr. McDermitt's book on CLEC is the following: You
20 choose a city or a region to enter. You think it is a good
21 market; it has got good potential. You buy a switch. You
22 deploy your switch. You then go hire customer service
23 representatives, you hire yourself a sales force. Then you
24 advertise your service.

25 It is a mass market service we are talking about, so

1 you advertise your service through mass market means. You then
2 begin to sign up customers using resale or UNE-P until you can
3 justify actually taking the next step, which for CLECs which
4 use UNE-L is to collocate in the most attractive wire centers
5 first, serve your customers there, and then as more and more
6 customers come in, expand.

7 And that is the canonical business plan. How does
8 that help us determine what the geographic market is? Well,
9 what is the geographical market? Well, first, it has got to be
10 larger than a wire center. A wire center is too small to
11 exhaust the economies of scope and scale that come about from
12 the following, the next three bullets essentially. A
13 geographic market is roughly the intersection of three
14 different geographic areas. One is the economic community of
15 interest, sort of the demand-side of determining what a
16 geographic market is. It is the area where a customer service
17 organization would serve. It is where one set of sales people
18 would serve.

19 The second area is the area served by mass market
20 media. What do you get when you advertise on Channel 6. What
21 do you get when you put an ad in the newspaper. What are the
22 geographic limits of where you are actually effectively
23 offering service to potential mass market customers.

24 And then third, the third area is the geographic area
25 that is served by an efficiently sized switch. The switch you

1 are going to buy is one that is going to serve the customers
2 you expect to get in the geographic area that that switch can
3 serve, and the geographic market corresponding to the CLEC
4 business plan is the intersection then of those three
5 components, the economic community of interest where mass
6 market media serve and where a switch can serve.

7 What a geographic market is not, a geographic market
8 is not is individual customer locations. We are talking about
9 mass media services here. About mass market services, about
10 services to residential customers. So surely services offered
11 to residential customers in one area affect the service
12 offerings and prices of residential customers next door.

13 It isn't a wire center. It's not a wire center for
14 the reasons I gave a moment ago. A wire center is too small.
15 A wire center is certainly not the focus of market entry. You
16 have never seen a CLECs that holds itself out to serve only
17 customers in a given wire center. At some point in time it may
18 only serve customers in a given wire center, but it sure
19 doesn't market itself, that is not its business plan.

20 It is not the area where UNE-L is currently deployed.
21 Why not? Well, because there are other areas where CLECs
22 could -- and that is not impaired from using UNE-L, but areas
23 where CLECs find it more economical to use UNE-P. So you can't
24 just look at the existing market area served by UNE-L and
25 suppose that that is the geographic market.

1 And then, finally, it isn't the area where UNE-P
2 currently serves, because that is what the focus of the
3 impairment docket is all about, about whether UNE-P should be
4 the mechanism by which competition takes place, or a more
5 network-based system in which CLECs use their own switches.

6 The most convenient preexisting geographic area I
7 know of is the metropolitan statistical area. They are defined
8 by the federal government, the Office of Management and Budget.
9 They aren't controlled by an ILEC. It's not like a wire center
10 where the boundaries of a wire center are ultimately in the
11 ILEC's control.

12 The MSAs are county based, that is counties are
13 either in or out of an MSA. They are based on a core urban
14 area and they include outlying counties depending upon the
15 degree of social and economic integration. They differ from
16 the CEAs we heard about this morning mostly in that the MSA
17 will exclude certain rural counties that have little
18 relationship with the center city, whereas a CEA will. And for
19 Verizon's case today, it won't make any difference because the
20 two are the same for the ones we are talking about.

21 Let's look at a picture of what I'm talking about in
22 geography. What we have there is Verizon's service territory
23 in Florida. That is the sort of pink stuff. It is in three
24 MSAs, the Tampa/St. Petersburg/Clearwater MSA. Below that,
25 Sarasota and to the east is Lakeland/Winter Haven.

1 Verizon is asking for relief in only the Tampa/St.
2 Petersburg/Clearwater MSA. And what I have shown you on this
3 diagram is an example of what the reach of a switch might be.
4 The small lines you see in the Verizon MSA territory are the
5 wire centers, and if you look at the cross-hatched purple and
6 pink territory, those are the territories served by the black
7 dot switches, of which I think you can probably see two on the
8 west coast of Florida.

9 And those are actual switches served by an actual,
10 though anonymous for the moment, CLEC, and the cross-hatched
11 area shows the widespread area which those switches serve.
12 They do not serve individual single wire centers, they serve
13 wherever they can find customers.

14 If we were to impose on this diagram two other
15 circles, the circle of what is essentially the DNAs, that is
16 the Nielson broadcasting markets, you would see a similar
17 picture, and if you were to think about where you would hire
18 customer service representatives and drop them, you would see a
19 similar map, as well.

20 So that takes us to the preferred geographic market,
21 namely the metropolitan statistical area. If this Commission
22 were to give strong weight to variations across wire centers,
23 in say cost and revenue opportunities, which is one of the
24 things the TRO asks you to look at, it doesn't say it is
25 dispositive, but it says it is a factor. If in your minds it

1 turns out to be a very important factor, then you can look at,
2 and Verizon has offered for you, density zones within the MSA,
3 because the density zones are the zones across which the UNE
4 loop rates, which is a big component of CLEC costs, vary.

5 And, secondly, if you want to give weight, as the TRO
6 says you should, but don't have to be dispositive, give weight
7 to where competition is actually occurring. It turns out if
8 you look at the maps and the competition that Mr. Fulp will
9 show you in a moment, that that will occur more densely in the
10 Density Zones 1 and 2 in our model.

11 And with that I will turn you over to Mr. Fulp.

12 CHAIRMAN BAEZ: Thank you, Dr. Taylor.

13 DR. TAYLOR: Thank you.

14 MR. FULP: Good afternoon, Chairman and
15 Commissioners. My name is Orville Fulp, I am a director of
16 regulatory with Verizon. I have approximately 20-plus years in
17 the telecommunications field. I started out as a staff person
18 with the Illinois Commerce Commission, worked with ConTel,
19 which merged with GTE, which merged with Bell Atlantic. I have
20 gone through two mergers. I have had various jobs in pricing
21 policy, product management, operations for advanced services,
22 and the last few years I have been doing regulatory, which is
23 currently pricing policy across the states of Verizon.

24 You have heard from Mr. Chapkis, who talked about the
25 legal requirements of the TRO, which is one of the steps that

1 we had to go through in putting together our case. You have
2 heard from Dr. Taylor, who defined the geographic market which
3 is another step that we have to have in defining our case.
4 What you are going to hear from me is the evidence that we put
5 together for our trigger case, as well as I'm going to define
6 the mass market enterprise crossover as you have heard which
7 has to be defined. You have to understand what a mass market
8 customer is, and then pursuing the analysis that you would have
9 for nonimpairment.

10 What else I will describe is the service territory of
11 Verizon, which Dr. Taylor discussed briefly. I will show you
12 where we are asking for relief and where we are not. I am
13 going to describe the data that we utilize to make our triggers
14 analysis. I am going to talk about the data request responses
15 that we received given the staff's good job of getting data
16 requests out to the parties, collecting the data, and allowing
17 us to have additional data for our cases as well as confirming
18 our cases. I'm going to graphically show through a series of
19 maps what our coverage is with our triggers case, and I'm going
20 to show you the density of the coverage that we have. And
21 then, lastly, I will talk about the current competitive
22 environment in Verizon's territory just looking at UNE loops
23 and UNE-P.

24 So, first, as I said, we need to define what the mass
25 market is going to be. As you can see, the FCC has given a

1 definition. Residential, very small business customers, and
2 basically customers that do not require high bandwidth
3 connectivity. The FCC went on to state in other places a point
4 where it makes economic sense to serve a customer with DS-1.
5 It went on to state where it is economically feasible for a
6 CLEC to provide voice service with its own switch using DS-1.

7 Verizon's proposal in this case is the only proposal
8 that speaks to what I will call the economic sense test. In
9 that we are saying if you have DS-0 loops or DS-0 service, it
10 is going to be categorized as mass market. If it is DS-1 or
11 higher, it is going to be enterprise. It is based upon the
12 current on-the-ground competition that we have today. It is
13 based upon current customers and current CLECs and their
14 relationships and how they serve those customers today. And so
15 it is based upon the economic decisions of both the CLECs and
16 the customers.

17 It is not a forecast, and it is not based upon a
18 mathematical model, and it is not the FCC's default of four.
19 And what this proposal does is it gives you an opportunity not
20 to have to pick a number for a crossover. If you look at the
21 information that has been filed in this case, it started off we
22 had two parties that proposed a mathematical formula, one
23 proposed a fixed number for the crossover. If you look across
24 different states you are going to find different proposals with
25 different numbers. You would never have the same number from

1 any one party, I don't believe, just based upon the assumptions
2 and how you would do that calculation.

3 So, basically today there is no consensus among the
4 CLECs. It seems like we are converging a little bit in this
5 case, given the rebuttal testimony, it looks as though we only
6 have one party that has stated anything basically against our
7 proposal, which, again, is to go by what is on the ground today
8 and what choices have been made.

9 So, again, this proposal will allow you not to have
10 to pick a fixed number, because who knows what the right number
11 should be, 4, 15, 18, we don't know. We don't think you have
12 to decide that, and our proposal will allow you to just look at
13 what is in place today.

14 Now, I want to talk about our service territory and
15 just go through the map. First, I want to point out the MSA
16 boundaries. Verizon is in three MSAs that comprises its
17 service territory. The Tampa/St. Pete, the Sarasota and
18 Lakeland MSAs. The yellow that you see on the map there is
19 other Verizon service territory which you can see it comprises
20 the two MSAs outside of Tampa. But the yellow inside of the
21 Tampa MSA is Zone 3, the red inside the Tampa MSA is Zone 1,
22 and the orange inside the Tampa MSA is Zone 2. And you can see
23 in the northern part of the Tampa MSA, the white area is served
24 by Sprint.

25 So the take away from this map is if you look at our

1 proposal as far as our market definition, which Dr. Taylor
2 discussed, which is MSA, as well as we gave you an option if
3 the Commission wanted to go to a more narrower definition, you
4 could utilize the MSA and density Zone 1 and 2. So if you look
5 at this map, you look at our service territory, you will see
6 that we have got eight CLECs in our density Zone 1 that are
7 currently serving mass market customers, and we have got four
8 CLECs in Zone 2 that are currently serving mass market
9 customers in our territory. The Tampa/St. Petersburg MSA is
10 what our case is. We are not asking for nonimpairment in the
11 other two MSAs, only the Tampa/St. Pete MSA.

12 Now I want to talk about the line count study. And,
13 first, why do you need to have a line count study, and the
14 answer is we have got to have some way of identifying the mass
15 market customers that are utilizing voice grade loops served by
16 CLEC switches. And so Verizon went to its billing records, its
17 billing data, and reviewed the billing data for CLECs that were
18 leasing stand-alone UNE voice grade loops. And, again, this is
19 for providing mass market switching. Using their own switches,
20 using our loops.

21 Following the TRO requirements, we screened out
22 affiliate carriers. We made sure that we didn't double count
23 and put those together, and we excluded data CLECs like Covad,
24 and we excluded all of our ADSL lines, or our data lines. And
25 so bottom line our line count study identifies voice grade

1 loops served by CLEC switches. And as I just showed you before
2 in the previous map, in Tampa MSA Density Zone 1 and 2 we have
3 eight CLECs currently serving our service territory that we are
4 seeking impairment for in our case.

5 This is the results of our line count study. This
6 is, again, for the Tampa/St. Pete/Clearwater MSA. And what it
7 shows is Density Zone 1 and Density Zone 2. It shows the
8 CLECs. And if I could, right now I would like to ask you if
9 you would like, you have a decoder sheet, you should have a
10 decoder sheet that allows you to see what CLECs I'm talking
11 about as you look at the numbers up there. And so I think it
12 would be helpful, because we are going to go through a few more
13 maps just for your information to see what CLECs are we talking
14 about. When I start overlaying CLEC service territories, you
15 can see which CLECs are making a contribution to the coverage
16 and the density of the coverage, as well as you can put a CLEC
17 name to the number of switched lines that we showed, the DS-0s
18 up on the chart.

19 So with that in front of you, you can look and see
20 that Density Zone 1 currently has a total of 21,000 CLEC
21 switched DS-0s. And, again, this is serving mass market
22 customers only, and it is served utilizing CLEC switches. In
23 Density Zone 2 you can see that we have a total of 5,000, so we
24 have a total of 27,000 DS-0s that are being served by CLECs in
25 the Tampa MSA Zone 1 and Zone 2.

1 This is our case. I'm going to show you in a minute
2 a slide that talks about the CLEC data responses. We utilized
3 for our initial case and are sticking to that what we pulled in
4 our line count study. What we did with the CLEC responses is
5 use that as a confirmation of what we initially pulled for our
6 original case. So, bottom line, this is the case that we have
7 before you for nonimpairment; 27,000 lines, eight CLECs in the
8 Tampa MSA Zone 1 and 2.

9 The next slide shows you the same information as the
10 previous one, but it has column where CLECs confirm mass market
11 service. And, by the way, these last two slides that I showed
12 you come from data that are in my testimony, in my attachments.
13 This one comes from my direct testimony, ODF-2, and I believe
14 the last one I showed you may have been ODF-1 or 2, but it is
15 from my testimony as well as the map that I utilized.

16 So if you look at the column that I added, this is
17 based upon the CLEC data responses that we got in conjunction
18 with the Commission's data request. And, again, this was
19 extremely helpful information. The Commission data request
20 enabled us to be able to confirm our case, because we had line
21 count information that we are currently billing, but now we had
22 CLEC information. It allows the Commission to have a more
23 robust record because now you have data from the CLECs
24 themselves. So what this tells you is in each one of the
25 density zones and wire centers that this is associated with for

1 the CLECs, we have confirmed mass market service provisioning
2 by the CLECs.

3 Now, the next few slides, I'm going to go through the
4 first one, and then I'm going to go through about four more and
5 toggle back and forth. And, basically, what this is going to
6 show you is if you look over at the left-hand corner you will
7 see our Tampa/St. Pete MSA. And if you look at the legend,
8 what we have shown is wire centers by number of CLECs serving
9 it. So, the very light blue would show you a wire center that
10 is served by one CLEC. Again, this slide starts off with three
11 CLECs. So if you look at your decoder sheet you can see which
12 CLECs we are talking about, and you can see the coverage area
13 that these three CLECs provide based upon the data in our line
14 count study.

15 Again, this is our wire center coverage. It is
16 showing where CLECs are providing mass market loops utilizing
17 their own switching. I'm going to go through some additional
18 slides, and what I want you to look for is this. There is
19 going to be a change in the coverage that you will see on the
20 blues, so that is going to expand as I add CLECs, because I'm
21 going to walk through, because right now you have got three
22 CLECs. I'm going to walk through and I'm going to add
23 additional CLECs. And so what you are going to see is, number
24 one, an expansion of the coverage within the MSA. And, number
25 two, you are going to see a deepening of the blue, which shows

1 the overlap of the CLECs in the particular wire centers so you
2 are getting more dense coverage as you add CLECs.

3 And bottom line, if you look at this one slide alone,
4 this meets the FCC's trigger requirements. I have got three
5 CLECs serving mass market customers in my market area, in my
6 MSA. And so according to the requirements, this meets the
7 trigger analysis at this point.

8 So now I'm going to add a CLEC. I think it is 087.
9 You can look down and see which one that was. And if you just
10 flip back again you can see the change in the coverage and some
11 change in the deepness of the blue. And then I am going to add
12 another CLEC, which is 088, and I will add 073. And, again,
13 you will see the expansion of the coverage area as well as the
14 deepening of the blue.

15 And I don't know if you can see it flipping the maps,
16 but you can see it on the projection. And, again, just making
17 the point of this is the coverage that we have in our case,
18 this is what it means when you look at our market area, which
19 is the MSA, the Density Zone 1 and 2 if you choose that.

20 As I add additional CLECs, again, you will see
21 further expansion. Bottom line, if you look at the last slide,
22 that shows the coverage of the case that I told you we had with
23 eight CLECs in the Tampa MSA. And all I want to do is just
24 flip back to where we started so you can see where we started
25 with three, which meets the requirements, and where we end up

1 with our case with our eight CLECs.

2 The next slide that I want to show you goes to the
3 option that we have provided in our case, which says if you
4 want to take a more narrow approach than the MSA, you can look
5 at Density Zone 1 and 2. So the next slide is going to overlay
6 what I just showed you, the Density Zones 1 and 2. The red
7 hashmarks are the Density Zone 1, with the yellow being the
8 Density Zone 2. From this you can see the correlation between
9 the population centers, say, Tampa, for instance, and the
10 locations of the customers being served by CLECs for mass
11 market purposes. You can see that it covers for the most part
12 the MSA, and you can see for the most part for Density Zone 1
13 and 2 that we have coverage there. So, again, this just takes
14 the information and puts it into a density zone basis.

15 The next slide is talking about the competitive
16 landscape in our territory. And if you look at the pie chart
17 you can see there is quite a bit of UNE-L. In fact, it's like
18 a six-to-one ratio in our service territory today. If you look
19 at the -- I mean, basically what it tells you is that the CLEC
20 business model in our territory is utilizing UNE-L versus
21 UNE-P. What it also tells you is that you are not going to
22 have a massive migration from UNE-P, because we don't have that
23 much UNE-P compared to UNE-L. But, bottom line, I think this
24 tells you a lot about the business model that the CLECs are
25 deploying in our service territory today.

1 In summary, we have told you about the requirements
2 of the TRO that Mr. Chapkis went over. We have defined the
3 appropriate market that Dr. Taylor has. We have given you an
4 alternative for the market which allows you to go to a more
5 narrow view. We have provided our data to show where we are
6 meeting the triggers and that we do meet the triggers. We have
7 confirmed our data with the CLEC data responses, and shown the
8 current competitive landscape in our service territory. And
9 based upon that information, you should approve our
10 nonimpairment case for the Tampa MSA in Zone 1/2 if you choose
11 to use that as your market definition.

12 Thank you. And I will turn it over to Mr. Maguire.

13 MR. MAGUIRE: Good afternoon. My name is Tom
14 Maguire, and I am senior vice-president for CLEC operations. I
15 was here towards the end of last year to give -- during the
16 collaborative process to discuss Verizon's hot cut offerings,
17 and I was also down a couple weeks ago to give a demonstration
18 of a hot cut using our wholesale provisioning tracking system.

19 I have 23 years in the telecom business. I started
20 out as a service technician in Queens, New York, more years ago
21 than I can count at this point. And I have worked in a number
22 of different organizations focussing in on provisioning and
23 maintenance of services to our end users and to the wholesale
24 customers, as well.

25 If you will look at Slide 39, rather than go into a

1 detailed description of all the different steps involved in a
2 hot cut process, what I hope to do is just give a high level
3 overview of our various offerings. I think the folks at
4 BellSouth did a very nice job of going through the individual
5 steps using some of the video that I understand AT&T help
6 produce, so I be won't get into a process method I actually
7 have on Slide 40.

8 But just to give a high level overview, we currently
9 offer or plan to soon offer three different types of hot cut
10 processes. A basic process, which is the everyday process that
11 has been in existence since the late '90s developed
12 collaboratively with a number of CLECs up in the northeast
13 portion of the country. A project process, or a large job
14 process, that was, again, created collaboratively going back
15 into the 2000 time frame. And the batch process, which was
16 developed in August of last year in response to the TRO.

17 The basic process and the project process are ISO
18 certified. The ISO certification involves some very strict
19 guidelines set forth by the international standards
20 organization that is based over in Europe, and every six months
21 or so we undertake a recertification process. It is very
22 arduous. It covers every facet of the operation. And we just
23 moved to the latest standard for ISO in May of last year, ahead
24 of schedule anticipating some sort of work stoppage activity in
25 the August time frame.

1 As soon as the batch process is approved, we plan on
2 pushing that through with ISO certification, as well. In
3 addition to being committed to quality following the ISO
4 processes, we have also consistently met or exceeded our
5 metrics associated with the hot cut processes as they are
6 today, and once the batch process is approved and we have sat
7 down with the other members of the industry to come up with
8 batch metrics, I would imagine that we are also going to live
9 up to those, as well.

10 Now, each one of our processes makes use of WPTS, or
11 the wholesale provisioning tracking system. This is a system
12 that was created orders the 2000 time frame, again, working
13 collaboratively with some of the customers that we deal with,
14 those folks that specifically deal with hot cuts. And the
15 purpose of WPTS is to virtually eliminate the need to make any
16 sort of phone call as we complete any sort of hot cut. And I
17 will explain that a little bit more as we go on. WPTS has been
18 a very effective tool in optimizing our ability to process hot
19 cuts in a very efficient effective fashion.

20 Now, it is also our belief that each one of these
21 processes address the needs of the TRO as stipulated in FCC
22 Rule 319(d)(2), in that we feel that they are efficient, they
23 are timely, and that they have the ability to manage multiple
24 loops simultaneously.

25 Again, I am not going to go into the chart. The only

1 reason put it up there is just to kind of show you this is
2 something that I have used in a number of collaboratives
3 before, just to kind of give a graphical or visual
4 representation of what takes place during a hot cut. And
5 essentially what we are talking about, irrespective of which
6 process we are focusing on, is that we are lifting the ILEC
7 cross-connect, or in the case of a CLEC-to-CLEC migration, the
8 old local service provider cross-connect and coming down the
9 new local service provider's cross-connect wire.

10 COMMISSIONER BRADLEY: Excuse me, Mr. Chair. I need
11 for the gentleman to speak into the microphone.

12 CHAIRMAN BAEZ: Mr. Maguire, can you try and lean
13 forward a little bit.

14 MR. MAGUIRE: I'm going to bounce my head off of it.
15 Okay. How is that?

16 COMMISSIONER BRADLEY: That's better.

17 CHAIRMAN BAEZ: That's working.

18 COMMISSIONER BRADLEY: Thank you.

19 MR. MAGUIRE: Moving along to the basic process on
20 Slide 41. The basic process applies to both residential and
21 business lines. It involves services that are migrating to a
22 UNE-L platform. They could come from UNE-P, they could come
23 from resale, they could even come from retail. And, in fact,
24 they typically come from retail. We use this, as I mentioned
25 earlier, in the ordinary course of business. However, on

1 occasion working with the CLEC, we will accumulate or batch
2 these orders for efficiency.

3 For example, if we know that we have a number of
4 orders due in a particular central office over the course of a
5 week, we might contact that CLEC and pull those orders in early
6 to make use of the -- to take advantages of the fact that a CO
7 technician is going to visit that particular office.

8 The orders in the basic process may include
9 individual or multiple lines. Typically there is no more than
10 three lines on your average hot cut. And, again,
11 telecommunications and WPTS help provide a means of
12 transmitting the status of the cut as well as the different
13 status of whatever is happening with respect to that individual
14 hot cut order.

15 The basic process involves all of the testing that
16 was described earlier in that we do due date minus two prewire
17 and ANI, automatic number identification tests to ensure that
18 everything is set. We go through similar testing right before
19 the cut takes place so as to ensure that the end user is not
20 put out of service.

21 The project process, as I mentioned earlier, was
22 created with one CLEC in particular, but we offer it to
23 everybody. And this process was created to specifically move
24 an embedded base of UNE-P or resale over to UNE-L. And this
25 one company in particular would use this approach to migrate

1 customers over to their network that they felt were good
2 customers, people that paid their bills, people that bought
3 additional products and services from this customer, and
4 people, for lack of a better phrase, worthy of being served off
5 of this particular switch. It was a way to build up an
6 embedded base of customers so as to justify capital investment
7 in a switch.

8 Now, we have rolled this out across the country, it
9 applies to both residential and business lines. And though it
10 was specifically developed to move things from UNE-P or resale
11 to UNE-L, you could also use it to move retail to UNE-L, as
12 well. The one thing about this that is a little bit different
13 from our batch process is that the CLECs need to come to us
14 requesting that we are going to work up a project. And they
15 used to do this by submitting a spreadsheet, but now we have
16 since mechanized the process, or agreed to during a
17 collaborative last year, and the CLEC would put a PON with a
18 special project identifier into our ordering systems, and WPTS
19 will create a spreadsheet essentially aggregating the orders so
20 we can deal with the central office force and get these things
21 worked in an appropriate fashion.

22 Though communications can take place via WPTS, as
23 with the basic, typically because we are dealing with a large
24 number of lines, the CLECs have requested that we either work
25 this thing via miniconference bridge or via phone call letting

1 them know that after every, for example, 20 orders that the
2 service -- the lift and lay operation, or cut in and out
3 operation has been completed on a frame, so they could go ahead
4 and port those numbers. It has proven to be a very efficient
5 way to optimize the resources both in the CLEC organization as
6 well as in Verizon's.

7 Now, we came up with the batch process in August of
8 last year to try to take advantage of the things that we have
9 learned over the course of the last few years, both in the
10 basic process and with respect to the project process, as well.
11 And for the basic process it was just our thought that we could
12 optimize the use of WPTS. As a matter of fact, some of the
13 CLECs have commented in their filings that they would like us
14 to use WPTS as much as possible. So the batch process will
15 rely solely on WPTS.

16 The other thing we wanted to do, realizing that the
17 project process was a very efficient way to handle orders, was
18 to try to figure out how can we open up the project approach to
19 multiple CLECs. Again, taking advantage of one of the things
20 that happens to be specific to WPTS. WPTS has the ability to
21 count or aggregate orders on a CO-by-CO basis. And so it is
22 our belief that if we have these orders come in identified as
23 batch orders specifically, and that they flew -- or flowed,
24 rather, into WPTS, that the CO force could look into WPTS and
25 make a determination when they had a number of cuts to justify

1 having a technician work them.

2 And, again, our desire was to try to do things on a
3 scheduled basis as opposed to an as-needed basis. And the
4 basic process, what I mean by that is that if we have something
5 due on a particular day in some areas, and I will explain this
6 a little bit further in a minute, in some areas we actually
7 have to dispatch a technician to a central office in order to
8 work that cut. And it occurred to me that if we wanted to
9 reduce our costs, if we can work that cut when the technician
10 just happened to be making a scheduled visit, as opposed to
11 making a specific special visit, that that was one way to
12 reduce the costs. So WPTS is going to take advantage of that.

13 Now, incidentally, in the Tampa/St. Pete MSA that we
14 are talking about, all of our central offices that have
15 collocation are staffed continually, which is kind of unique.
16 In some of our other states we actually have roving forces that
17 cover some of the central offices. So I can see from a batch
18 interval perspective that things would happen a lot more
19 frequently in this particular area of the country as opposed to
20 some other remote areas that I deal with.

21 Again, I mention it is open to multiple CLECs, and
22 the other thing that we have added into this is that we are
23 going to use WPTS upon completion of the cut to not only send a
24 notification to the CLEC that the framework is done, but also
25 send notification to NPAC essentially activating the port on

1 the CLEC's behalf. This will enable us to do cuts virtually 24
2 hours a day, seven days a week.

3 To go into WPTS a little bit, as I mentioned, this
4 system was developed by Verizon working with the CLECs going
5 back in the 2000 time frame. It is unique to Verizon. It
6 provides status information to all of the parties that are
7 involved in the hot cut, and by that I mean the CLEC
8 provisioning organization, the regional CLEC coordination
9 center which reports to me, as well as to the central office
10 force that is actually doing the lift and lay operation.

11 In addition, besides providing information and status
12 of cut to those different parties, it enables realtime
13 communications electronically between the different folks. And
14 the way we built this is to sort of give the CLECs the
15 opportunity to manage their work within our systems following a
16 self-service model, figuring that if we can give them
17 visibility to see what was going on in our system and the
18 ability to communicate with our frame techs electronically,
19 that curtails a lot of the manual involvement, and
20 coordination, and the associated expense, as well. So we found
21 this to be an invaluable tool.

22 The other thing that is good about WPTS is that if
23 there is a particular problem with an order, those are easily
24 identified electronically to any of the parties that are
25 involved so they can take appropriate action, rectify the

1 situation, and we can cut the order on the day it is due as
2 opposed to having to issue sups or pushing things out, which in
3 my experience is when things get a little bit fragile in terms
4 of migrating end user service.

5 The other thing WPTS has done is streamline manual
6 involvement such that besides the aforementioned counting that
7 takes place, it also does stare and compare where it looks at
8 vital pieces of information to ensure that they are correct
9 from one order to another order. It performs edits. It really
10 eliminates a lot of the manual involvement. In the central
11 office, once a technician goes in there and updates WPTS, that
12 update will flow to the downstream systems and take care of all
13 of the other completions that need to be addressed.

14 We gave a demonstration of this about two or three
15 weeks ago in the Sweetwater CO in Tampa, so a number of the
16 folks from the Florida staff have seen this in operation, in
17 addition to a number of the CLECs.

18 Now, this last one is a bit of an eye chart, and I'm
19 not going to go through this in detail. But realizing that you
20 have a lot of things to absorb with respect to hot cuts, what I
21 wanted to do is put together a little cheat sheet for future
22 use. And so what this, if you look down the first column of
23 the horizontal rows numbered 1 through 13, there is a couple of
24 different items there or categories of information. For
25 example, if you wanted to look at class of service, Item Number

1 1, and you could see residential and small biz. It says yes
2 under each one of the three hot cut offerings; basic, project,
3 and batch. And when you look over in the note section it
4 explains that hot cuts of POTS services are identical for those
5 different classes of service.

6 And so what I have done is I have picked out a couple
7 of the hot buttons that we have discussed in a number of either
8 filings or other collaborative meetings and wanted to put a
9 line there just for clarification in case the issue should
10 raise up. For example, hunting, Line Item Number 5. And you
11 can see that hunting is addressed under all the different
12 processes, and then the notes go on to explain that since
13 central office technicians work the hot cut on an
14 order-by-order basis, that there really isn't any danger of
15 somebody starting a hunting group in one side of the frame and
16 then walking down to do another cut in the middle of working
17 that hunt group.

18 One of the other things I wanted to mention was Line
19 Item Number 13, which gets into provisioning intervals, and
20 there has also been some discussion about our batch offering of
21 six to 26 days. And as I explained earlier, our desire was to
22 take advantage of scheduled visits as opposed to special visits
23 in order to keep costs down. And the other thing we wanted to
24 take into account is the fact that each one of our offices
25 across the country are visited at least once every 26 or so

1 days.

2 Now, considering that all of the offices in our
3 Tampa/St. Pete area are staffed continually, and given the
4 current volumes that we are experiencing in those offices, I
5 would imagine that an office like Sweetwater, which happens to
6 be our busiest, then every day or every other day could be a
7 batch hot cut in that office, whereas a place like North Gulf
8 Beach, given the limited volume of work that we are getting
9 into there, we might decide to do those things on a bi-weekly
10 or once a month basis. So it all depends on the volumes that
11 we take in, and that will determine the ultimate interval
12 associated with the batch process. Lots of information, just
13 wanted to get it out there for future reference.

14 Now, barring any questions, I was going to hand it
15 back to Dr. Taylor to talk about scalability.

16 CHAIRMAN BAEZ: Commissioners, any questions?

17 Dr. Taylor.

18 DR. TAYLOR: The issue that remains is scalability.
19 The question is the FCC has told us, and we know that hot cut
20 processes are inherently more manual than the resale or UNE-P
21 cut-over process, and the question that arises is does Verizon
22 have the resources to handle the additional load, that is the
23 additional number of hot cuts that would come about if UNE-P
24 were no longer available.

25 Well, that load, or that additional incremental load

1 comes in three flavors. First, there is the ordinary migration
2 of customers that move from CLEC-to-CLEC, from Verizon-to-CLEC,
3 and that is the flow today of new UNE-P orders that come into
4 Verizon. That is the first source.

5 The second is similar, that source in reverse, which
6 is win back, that is customers going from a CLEC using UNE-P
7 back to Verizon. That will be an additional source of hot cuts
8 in the future where we didn't have hot cuts today.

9 And then, finally, third, there is a one-time
10 increment to hot cut demand which is the conversion of the
11 embedded base; that is, there is a stock of UNE-P lines or
12 there will be when this game begins, and the FCC has set a
13 schedule over which those UNE-P lines will all be converted to
14 something over a 27-month period. And each of these three
15 elements contributes to new hot cuts that have to be done, and
16 thus, new force that has to be hired and trained, new costs.

17 So the object is to forecast each one of those three
18 elements. The first is the hardest, and it is hard because
19 this is an immature market. That is, the rate at which CLECs
20 are taking customers from ILECs hasn't stabilized in any sense,
21 particularly in Verizon territory in Florida. If you look at
22 the numbers, it is growing very rapidly. And instead of
23 looking at a sort of a worst case, what is the biggest month of
24 UNE-P migration that we have seen, what I did as a statistician
25 was try to forecast what the UNE-P migration would be from the

1 data that we have and a couple assumptions going forward. And
2 actually the number we end up with is larger than -- much
3 larger than the largest number we have seen to date.

4 The method is essentially to recognize that
5 competition in this market, or CLEC size market share grows
6 like an S-shaped curve; that is, we start out with a very small
7 number of CLEC lines, there will be a period of rapid growth,
8 and it reach, in a mature market, some asymptote and roughly
9 tail off. And if you look at examples in more mature markets,
10 you see precisely that.

11 And what I'm looking at is the fraction of new
12 UNE-Ps, that is customers migrating from Verizon in this case,
13 as a proportion of total lines. That is the number that sort
14 of hits an asymptote and stabilizes.

15 So the actual data, we have data from January 2002 to
16 September 2003, but that data is just upward sloping. You
17 wouldn't want to forecast anything from that, and it is very
18 dangerous forecasting something you know that has an upper
19 asymptote, an upper limit from the data that you have today.
20 There is no way you can learn from what we have today whether
21 that asymptote is going to be one percent, 10 percent, or 20
22 percent of the stock of lines.

23 So what we did was examine evidence in a mature
24 market, and the mature market we had was New York, which is
25 about the most mature market for local competition that we have

1 in the United States, and we looked at the time period it took
2 from when competition, UNE-P competition took off in New York,
3 to when it stabilized. And we looked at the proportion of
4 lines at which it stabilized, and we said if that is the stable
5 condition for a mature market, let's apply that to Florida, use
6 that information to forecast what the UNE-P migration component
7 of our incremental hot cuts will be for Florida.

8 So, we started competition in Florida, we assume that
9 it started to line it up with New York in December 2002, which
10 is just after a reduction in UNE-P prices. And if you look at
11 the data, that is when UNE-P activity -- and this is in Verizon
12 territory -- started to take off.

13 So if we assume that competition began in December
14 2002, assume that there are roughly two years of competition
15 until we reach some sort of steady state, that takes us to
16 December 2004. Not there yet. And we assume that the
17 proportion of migration, UNE-P migrations in that steady state
18 are going to be what we see in New York. So those three things
19 give us everything we need to do, the S-shaped curve.

20 Now, I should say this estimate of migrations that we
21 get is going to be conservative as an estimate of incremental
22 hot cuts. Why is it conservative? Well, not all UNE-P
23 migrations go to UNE-L, or will go to UNE-L. There will be
24 other ways; resale, a UNE-P type service offered by Verizon at
25 market-based rates, that is one reason. A second reason is we

1 are observing over time increased migration away from wireline
2 services towards wireless services and cable systems. So
3 people who leave the wireline network a few years from now, a
4 larger fraction of them won't be going to a CLEC or going to
5 Verizon, won't be using Verizon's switch, they will be using
6 something that doesn't involve a hot cut.

7 And, finally, we may be seeing a smaller rate of
8 migrations because we are seeing more bundled services, that is
9 local, long distance, all of that. And everything we see in
10 the marketing literature tells us that the more bundled
11 services are the lower the churn we will expect to see in
12 customers. So for those reasons we think our assumption that
13 every UNE-P is giving rise to a hot cut here is conservative.

14 That takes care of the first portion of where we get
15 incremental hot cuts from. The second is easy, that is win
16 backs. We don't have direct data, but we can infer the current
17 data from UNE-L, and we simply take that as a fraction of total
18 switched access lines; that is, Verizon will get back some
19 fraction of the CLEC access lines. That fraction we will
20 estimate from current data.

21 And then, finally, we have the third element, the
22 one-time conversion of the embedded base of UNE-P. Our
23 assumptions start that on the assumption that this Commission
24 makes a decision in July of 2004 and finds nonimpairment
25 somewhere. We first estimated what the embedded base would be

1 based on data in 2003. We increased it up until July 2004, and
2 then five months -- for five further months while CLECs are
3 allowed to continue to sign people up to UNE-P. Then we stop,
4 that is where the embedded base is largest, and then we reduce
5 it uniformly based on the FCC's schedule.

6 Now, uniform conversion over time is perhaps
7 problematic because the more condensed in time that conversion
8 is, the higher the peak month of conversion would be, or the
9 month of hot cuts that Verizon would have to serve. However,
10 there are economic reasons for thinking both that CLECs and
11 ILECs would like to both front load, there are some reasons for
12 that, or to back load conversion.

13 Second, the conversion schedule is negotiated between
14 the CLEC and the ILEC. What the CLEC wants doesn't necessarily
15 happen. What the ILEC wants doesn't necessarily happen, and
16 this Commission gets an oar in, as well.

17 So, whatever can be done to make it seamless and
18 effective presumably will be done. That leads you towards a
19 more uniform conversion. And, finally, the ability of anybody
20 to front load or back load the conversion of the embedded base
21 is limited by the FCC's schedule. Because the FCC breaks up
22 the period into three little parts, and it says you must be
23 done with a third of the customers after the first 13 months.
24 You must be done with the next third after the next seven
25 months, and you must be through with the remaining third at the

1 end. So there are limits to how much even if you could, you
2 could try to concentrate the conversion of the embedded base
3 into one or two months.

4 Well, that gives us the forecast. That forecast gets
5 flowed into the forced load model, the model that Verizon has
6 put together. That takes hot cuts, incremental hot cuts,
7 additional hot cuts and turns that into the level of staffing
8 that is necessary to perform those hot cuts on a monthly basis.
9 And if you want to look at the numbers, that is what the
10 forecast looks like over the 27 months of the scheduled
11 embedded base. You can see there is something roughly
12 approximating an S-shaped curve.

13 Numerically, the incremental hot cut volume peaks in
14 the 27th month at about a 28 percent increase in staffing in
15 order to serve it. 28 percent is not a huge number.
16 Sufficient staff can be hired and can be trained to perform the
17 additional work. And that suggests or implies, at least to me,
18 that given the expected volume of incremental hot cuts there
19 will not be a difficulty in Verizon's staffing up to serve that
20 volume.

21 MR. CHAPKIS: Commissioners, I want to take the time
22 to thank you for listening to Verizon's no impairment case. I
23 just want to leave you with two simple, very basic thoughts.
24 There are eight unaffiliated CLECs serving mass market
25 customers in the Tampa/St. Petersburg MSA with their own

1 switches. So under the FCC's self-provisioning triggers
2 analysis, you must find that there is no impairment in that
3 Tampa/St. Petersburg MSA.

4 The second point that I just wanted to point out very
5 briefly is Verizon's innovative offerings will be able to
6 handle the hot cut demand necessary if UNE-P is eliminated.

7 Thank you.

8 CHAIRMAN BAEZ: Thank you, Mr. Chapkis. That sounds
9 like the presentations are concluded. Ms. Mays, you are lining
10 up to say something?

11 MS. MAYS: Just a request, Mr. Chairman. One of our
12 witnesses, Mr. Al Varner, was not designated for
13 cross-examination. He has completed his presentation and we
14 would ask if he could be excused.

15 CHAIRMAN BAEZ: I'm trying to think, did Ms.
16 Foshee -- did you have Mr. Varner answering a question or was
17 it Mr. Ainsworth? It wasn't Mr. Varner.

18 MS. FOSHEE: That was Mr. Ainsworth.

19 CHAIRMAN BAEZ: We're going to take a ten-minute
20 break before we get started on the cross-examination, and then
21 we'll talk about Mr. Moyle's request after.

22 (Recess.)

23 (Transcript continues in sequence with Volume 11.)

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)

CERTIFICATE OF REPORTER


COUNTY OF LEON)

I, JANE FAUROT, RPR, Chief, Office of Hearing Reporter Services, FPSC Division of Commission Clerk and Administrative Services, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 1st day of March, 2004.



JANE FAUROT, RPR
Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732