

BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

In the Matter of


REVIEW OF TAMPA ELECTRIC  
COMPANY'S 2004-2008 WATERBORNE  
TRANSPORTATION CONTRACT WITH  
TECO TRANSPORT AND ASSOCIATED  
BENCHMARK.

DOCKET NO. 031033-EI

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE  
A CONVENIENCE COPY ONLY AND ARE NOT  
THE OFFICIAL TRANSCRIPT OF THE HEARING,  
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 9

Pages 1019 through 1162



PROCEEDINGS: HEARING

BEFORE: CHAIRMAN BRAULIO L. BAEZ  
COMMISSIONER J. TERRY DEASON  
COMMISSIONER LILA A. JABER  
COMMISSIONER RUDOLPH "RUDY" BRADLEY  
COMMISSIONER CHARLES M. DAVIDSON

DATE: Thursday, June 10, 2004

TIME: Commenced at 9:30 a.m.  
Concluded at 9:17 p.m.

PLACE: Betty Easley Conference Center  
Hearing Room 148  
4075 Esplanade Way  
Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR  
Chief, Bureau of Reporting  
(850) 413-6732

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER-DATE  
06594 JUN 15 04  
FPSC-COMMISSION CLERK

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

WITNESSES

NAME: PAGE NO.

ROBERT L. SANSOM

Direct Testimony by Mr. Wright	1023
Prefiled Direct Testimony Inserted	1028
Cross Examination by Mr. Vandiver	1081
Cross Examination by Mr. Twomey	1088
Cross Examination by Ms. Rodan	1120
Cross Examination by Mr. Fons	1130
Redirect Examination by Mr. Wright	1152

EXHIBITS

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

NUMBER:

TD.

ADMTD.

29 through 41

1161

105           TECO approved waterborne  
                  Transportation Benchmarks  
                  1994-2001

1081

----

## P R O C E E D I N G S

(Transcript follows in sequence from Volume 8.)

CHAIRMAN BAEZ: My apologies. We took that extra time we had and a little more.

We are on our next witness, Mr. Sansom.

Mr. Sansom, you have been sworn, haven't you?

THE WITNESS: Yes, sir.

CHAIRMAN BAEZ: Okay. Mr. Wright.

MR. WRIGHT: Thank you, Mr. Chairman. Before we go to Dr. Sansom, right before the end of Mr. White's cross there was some questioning about the vendors, and we said we would get copies made of the vendor list. During the break we have done that?

CHAIRMAN BAEZ: And I must confess, I'm at a loss as to how you would use it when the witness already entered the list into the record. I don't know if the Commissioners need to see the list or anything. I would look to you all, but it has been entered into the record.

MR. WRIGHT: It was fine with me. I thought you had mentioned that we would get copies during the break, and so we did. But I think we are okay.

CHAIRMAN BAEZ: No harm, no foul. Okay.

MR. WRIGHT: Thank you very much.

CHAIRMAN BAEZ: Thank you very much. Go ahead with your witness.

1 MR. WRIGHT: CSX Transportation would call Dr. Robert  
2 Sansom.

3 ROBERT L. SANSOM, Ph.D.

4 was called as a witness on behalf of CSX Transportation, and  
5 having been duly sworn, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. WRIGHT:

8 Q Good afternoon, Dr. Sansom.

9 A Good afternoon.

10 Q Would you please state your name and business address  
11 for the record?

12 A Robert L. Sansom, S-A-N-S-O-M, 1901 North Moore  
13 Street, Arlington, Virginia.

14 Q And are you the same Robert L. Sansom who prepared  
15 and caused to be filed in this case direct testimony consisting  
16 of 48 pages?

17 A Yes.

18 Q Thank you. Do you have any changes or corrections to  
19 make to your testimony before we proceed?

20 A Yes.

21 Q Would you please go over those as quickly as  
22 possible?

23 A Yes.

24 Q Thank you.

25 A On Page 27, the top paragraph should be deleted.

1 This is a result of information from Mr. Duff's deposition

2 And then if you go to 29, and look at Table 3 --

3 MR. FONS: Excuse me. When you say the top paragraph  
4 should be deleted, do you mean the question and answer  
5 beginning on Line 1 and ending on 6 should be deleted?

6 THE WITNESS: That's correct.

7 CHAIRMAN BAEZ: Thank you for that clarification.

8 A And then on Table 3, if you go down in the  
9 nonconfidential portion you will see the word Illinois Fuel.  
10 That row should be deleted, that is, it is no longer in effect;  
11 and, therefore, the number that is confidential on the right is  
12 no longer applicable. And, therefore, the numbers that sum  
13 that number and others needs to be reduced by the amount of  
14 that deletion.

15 And if you go to Exhibit RLS-9C, which is the last  
16 exhibit, and you see this is a confidential exhibit, but what  
17 I'm going to say is not confidential. You go to the bottom  
18 half the table, it says, "Replacement coal by rail," and you  
19 look at the third column over which is headed, "FOB dock," that  
20 should be, "FOB rail." So delete "dock" and put "rail" in.

21 And one more very quick one on RLS-6A, exhibit. In  
22 Footnote 8, the number which appears at single digit dollar  
23 number per ton, should be doubled. And that's it.

24 Q If I could ask you to look at Page 35, Line 12 and  
25 see whether there needs to be a change made there?

1           A     All right. The question, and I don't think this  
2 is -- it is not confidential, is if you are talking about a one  
3 way move, it is three and a half days. The cycle is seven  
4 days. So I think the best way to -- that seven should change  
5 to three and a half.

6           Q     Thank you. And would you also please look at your  
7 Exhibit RLS-9A?

8           A     Oh, yes.

9           Q     Under the row heading 3. I thought you had  
10 identified a typographical error there?

11          A     In Subparagraph 3, you see where the number 1,00,000,  
12 that should be a million. There was a zero that dropped out  
13 there.

14          Q     Thank you. And with those changes and corrections to  
15 your testimony, we will cover the exhibits in a moment, is this  
16 your sworn testimony today?

17          A     Yes.

18               MR. WRIGHT: Thank you. Mr. Chairman, I would  
19 request that with the changes noted to Dr. Sansom's testimony  
20 that that testimony be entered into the record as though read.

21               CHAIRMAN BAEZ: Show the testimony without objection  
22 of Robert L. Sansom entered into the record as though read.  
23 And also note for the record that his Exhibits RLS-1 through  
24 RLS-9C have been marked as Exhibits 30 through 41.

25               MR. WRIGHT: Mr. Chairman I do believe it is 29

1 through 41.

2 CHAIRMAN BAEZ: You're right. I had it marked off,  
3 Exhibits 29 through 41. Thank you.

4 MR. WRIGHT: Thank you.

5 CHAIRMAN BAEZ: Go ahead, Mr. Wright.

6 (Exhibits 29 through 41 previously marked for  
7 identification.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



(REPORTER NOTE: Page 1027 inadvertently blank.)

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

**BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION****IN RE: REVIEW OF TAMPA ELECTRIC COMPANY'S WATERBORNE  
TRANSPORTATION CONTRACT WITH TECO TRANSPORT AND  
ASSOCIATED BENCHMARK, PSC DOCKET NO. 031033-EI****DIRECT TESTIMONY OF ROBERT L. SANSOM, Ph.D.**

1 **Q. Please state your name, employer, position, and business address.**

2 A. My name is Robert L. Sansom. I am President of Energy Ventures Analysis, Inc. ("EVA"),  
3 1901 North Moore Street, Suite 1200, Arlington, Virginia, 22209.

4  
5 **Q. Summarize your background and work experience.**

6 A. For 29 years I have consulted with fuel buyers and producers on fuel and transport matters. I  
7 have participated in fuel procurement prudence audits for state public utility commissions,  
8 utilities, and intervenors. My company monitors fuel markets closely and forecasts fuel  
9 prices. I appear as an expert witness in administrative and courtroom litigation, including  
10 arbitrations, in cases involving issues relating to fuel supply, fuel transportation agreements,  
11 and related matters. Before my consulting career, I served as a White House fellow in  
12 National Security Affairs and on the staff of the National Security Council under Secretary  
13 Kissinger, and in the U.S. Environmental Protection Agency.

14  
15 **Q. Please summarize your educational background.**

16 A. I received a Bachelor of Science degree from the United States Air Force Academy in 1964,  
17 a Master's degree in Economics from Georgetown University in 1965, a Bachelor of  
18 Philosophy degree in Economics from Oxford University in 1968, and a Doctor of

1 Philosophy degree in Economics from Oxford University in 1969. I was a Fulbright Scholar  
2 and a Rhodes Scholar. My resumé is provided as Exhibit \_\_\_\_ (RLS-1).  
3

#### 4 PURPOSE OF TESTIMONY

5 **Q. Please state the purpose of your testimony.**

6 A. I am testifying on behalf of CSX Transportation ("CSXT"), an intervenor in this proceeding.  
7 The primary purpose of my testimony is to assess the prudence of TECO's June 27, 2003  
8 solicitation for coal transportation services, including the substance and scope of that  
9 solicitation, its timing, the methods of evaluation, the relationship of this transportation  
10 procurement process to TECO's fuel supply procurements for the Big Bend and Polk  
11 Stations, and consequently the prudence of TECO's affiliate contract executed in October  
12 2003 governing shipments exclusively by the water transportation route for five years  
13 beginning January 1, 2004 through 2008. In connection with my evaluation of TECO's  
14 procurement processes, I also provide a critique of the study prepared by Sargent & Lundy  
15 for TECO in August and September of 2003 regarding the cost of installing rail delivery  
16 infrastructure at Big Bend and Polk Stations.

17 I also address the appropriateness, as a matter of regulatory policy and practice, of  
18 the coal transportation "benchmark."  
19

20 **Q. Have you previously testified before the Florida Public Service Commission?**

21 A. Yes. I submitted testimony before the Florida Public Service Commission ("Commission" or  
22 "PSC") in Docket No. 860001-EI-G Phase I and II in 1988 and 1989.  
23

1 **Q. Have you previously testified before other regulatory authorities and courts?**

2 A. Yes. I have testified before the Public Service Commissions of Delaware, Georgia, and  
3 Wisconsin, before the Federal Energy Regulatory Commission ("FERC"), before the Surface  
4 Transportation Board, before state courts in Florida, Texas, and Oklahoma, and before  
5 federal courts in Wyoming, Indiana, Ohio, Wisconsin, Utah, Texas, New Mexico, Colorado,  
6 and the District of Columbia.

7  
8 **Q. Are you sponsoring any exhibits to your direct testimony?**

9 A. Yes. I am sponsoring the following exhibits:

10 Exhibit \_\_\_ (RLS-1): Experience of Dr. Robert L. Sansom, including Expert Testimony;

11 Exhibit \_\_\_ (RLS-2): Map Showing Pittsburgh 8 Mines Northern Appalachian Coal;

12 Exhibit \_\_\_ (RLS-3): CSXT's October 23, 2002 Proposal to TECO;

13 Exhibit \_\_\_ (RLS-4): Screening Analysis, Water vs. Rail Coal, October 2002;

14 Exhibit \_\_\_ (RLS-5): Project Timelines for TECO Actions vs. TECO's Inaction;

15 Exhibit \_\_\_ (RLS-6a): Evaluation of Rail vs. Water Delivery Economics for Western  
16 Kentucky Coal in 2004;

17  
18 Exhibit \_\_\_ (RLS-6b): Evaluation of Rail vs. Water Delivery Economics for Pitt 8  
19 Coal in 2004;

20  
21 Exhibit \_\_\_ (RLS-6c): Evaluation of Rail vs. Water Delivery in 2004 for Indiana  
22 Coal (Sommerville Mine);

23  
24 Exhibit \_\_\_ (RLS-7): Water Losses and Higher Inventory Costs for Water-Transported Coal;

25 Exhibit \_\_\_ (RLS-8): Eastern U.S. Utility Stockpiles, Days of Burn, November 2003;

26 Exhibit \_\_\_ (RLS-9a): Summary of TECO Overpayments in 2004;

27 Exhibit \_\_\_ (RLS-9b): TECO Overpayments in 2004 – Pitt 8 Coal from  
28 Northern Appalachia; and  
29

1 Exhibit \_\_\_\_ (RLS-9c): TECO Overpayments on Illinois Basin Coal, 2004.

2  
3 **SUMMARY OF TESTIMONY**

4 **Q. Please summarize your findings regarding TECO's solid fuel transportation**  
5 **solicitation.**

6 **A. I found TECO's solicitation imprudent in the following respects:**

- 7 1. TECO failed to prepare for and solicit alternative modes of transportation, i.e., rail  
8 and water, in a timely and thorough manner. TECO should have solicited, but did not  
9 solicit, rail and water transportation bids. TECO also should have thoroughly  
10 evaluated both modes in order to evaluate moving some tonnage by each mode in  
11 order to develop sustained inter-modal competition, rather than by adopting and  
12 implementing its "all or nothing" preference to favor its water transportation affiliate,  
13 TECO Transport. Accordingly, TECO's June 2003 Request for Proposals for coal  
14 transportation services was not sufficient to determine the current market price for  
15 those services.
- 16 2. TECO failed to take seriously CSXT's interest in providing rail transportation to Big  
17 Bend and Polk about which TECO was informed by CSXT in two meetings in May  
18 2002. In October 2002, CSXT offered TECO firm rail transportation rates that, when  
19 combined with least-cost rail-origin coals, would have resulted in TECO's realizing  
20 much lower delivered coal costs than TECO actually obtained by choosing  
21 waterborne deliveries via its affiliate, TECO Transport; CSXT's offers even included  
22 paying for the installation of rail receiving facilities at both Big Bend and Polk. It  
23 was imprudent in the extreme that TECO, having received a preliminary, conceptual

1 proposal from CSXT in May 2002, and having firm CSXT bids in hand by October  
2 2002, and further knowing that the existing TECO affiliate barge contract expired at  
3 the end of 2003, did not prepare for and solicit well before June 27, 2003 for rail  
4 transportation services to Big Bend in competition with the water transportation  
5 alternative.

6 3. TECO failed to give serious consideration to CSXT's engineering proposal of  
7 October 23, 2002, to provide relevant drawings and information, and to facilitate a  
8 CSXT bid and a thorough TECO engineering evaluation of rail upgrades of Big Bend.

9 4. Notwithstanding TECO's dismissal of CSXT's 2002 interest and bid, and TECO's  
10 failure to solicit a bid from CSXT in response to TECO's June 27, 2003 Request for  
11 Proposals ("RFP"), CSXT learned independently of the RFP and timely submitted  
12 proposals to TECO on July 30, 2003. Following receipt of CSXT's bids/proposals,  
13 TECO on August 27, 2003, engaged Sargent & Lundy (S&L) to undertake a three-  
14 week study of the cost of rail facilities at Big Bend and Polk dated September 18,  
15 2003. S&L's study is not a reliable basis for estimating the cost of such facilities, was  
16 not a result of a dialogue with CSXT to understand CSXT's estimate, did not take  
17 account of available least cost construction options at Big Bend, and did not consider  
18 the possible use of available facilities from the Gannon site, freed up by the closure of  
19 the Gannon coal-fired plant and already in TECO's rate base. In fact, it appears that  
20 the Sargent & Lundy study was designed to enable TECO to avoid considering  
21 CSXT's rail transportation bids rather than to provide an objective analysis of the  
22 feasibility of CSXT's proposals.

- 1           5. TECO failed to solicit coal transportation from all feasible coal supply basins by all  
2           feasible modes of transportation. In particular, TECO failed to solicit rail or barge  
3           coal from Northern Appalachia ("NAPP") and rail origin coal from the Illinois Basin.  
4           TECO's solicitation by its terms was limited to Midwestern coal, even though  
5           Northern Appalachia coal, specifically including Pittsburgh Seam 8, or "Pitt 8" coal,  
6           was a proven fuel for use at Big Bend and Polk.
- 7           6. TECO failed to synchronize the procurement of coal supplies with the procurement of  
8           coal transportation services. It is a well-established practice in the utility industry, as  
9           well as a basic prudence requirement, that coal supply and coal transportation  
10          solicitations and contracts must be coordinated so that a utility is not left with a  
11          transportation obligation that is not coupled with (when considered together) an  
12          economical coal supply source, or conversely, a coal supply source that is not coupled  
13          with (when considered together) an economical transportation method.
- 14          7. TECO failed to properly evaluate the rail versus water transportation option in an  
15          evaluation of the most economical combination of coal supplies and coal  
16          transportation by rail or barge and incorporate the "all in" cost of delivered coal via  
17          each alternative, including the in-transit losses of Btu's, higher inventory  
18          requirements, and the adverse bus bar effects of moving coal by the water  
19          transportation mode.

20

21   **Q. Please summarize your testimony with regard to the "benchmark."**

22   **A. The benchmark is at best outdated and totally inappropriate for use in determining what**  
23   **TECO should be allowed to recover from its customers for coal transportation services**

1 provided by an affiliate. Where, as here, the utility – i.e., TECO – has a firm bid in hand  
2 from a viable supplier – here, one of the largest railroad companies in the United States – that  
3 bid should establish the "price to beat" and the cap on the amount of coal transportation costs  
4 that the Commission should even consider allowing TECO to recover from its captive  
5 customers.

6  
7 **Q. Please summarize your testimony with regard to the Sargent & Lundy study.**

8 A. The Sargent & Lundy study (Sargent & Lundy LLC, Tampa Electric Company Big Bend and  
9 Polk Generating Stations, CSX Transportation Alternate Method of Coal Delivery, SL-  
10 008160, September 18, 2003) was prepared in a very short time frame and apparently failed  
11 to include many obvious steps that such analyses should include, such as – and this is not an  
12 exhaustive list -- evaluating permit conditions, obtaining relevant information regarding  
13 CSXT's estimates, which the Sargent & Lundy study purports to displace, and obtaining  
14 vendor quotes from suppliers of major equipment items. I found it incredible, and even  
15 somewhat humorous, that [REDACTED] of the [REDACTED] cost items identified in the Sargent & Lundy report  
16 were multiples of [REDACTED]. In short, I believe that this Sargent & Lundy study was prepared  
17 hurriedly, with a predetermined outcome in mind, and that it is worthless.

18  
19 **Q. Does your testimony address TECO's evaluation of alternative methods or vendors of**  
20 **waterborne transportation?**

21 A. No. However, the fact that I am not evaluating alternative methods of water transportation to  
22 TECO's sole reliance on its affiliate water carrier is done for economy of testimony (as I  
23 understand that others are addressing this subject). The absence of specific testimony



1 regarding waterborne transportation alternatives may not be construed to imply any view on  
2 my part that TECO's affiliate represents a cost-effective choice for any fuel transportation,  
3 even if there may be some coal sources that are economic choices for TECO when  
4 transported by water.

5  
6 **Q. What are the consequences of these imprudent acts of TECO in the procurement of coal  
7 transportation services?**

8 **A.** As I demonstrate in detail later in my testimony, these imprudent acts will, if allowed by the  
9 Commission, impose additional costs on TECO's ratepayers of approximately [REDACTED] on 2-3  
10 million tons per year ("MMTPY") which puts the annual cost in the range of [REDACTED]  
11 per year. My estimate for 2004, the start up year for rail deliveries, is [REDACTED] on 1.249  
12 MMTPY or [REDACTED] Effective management of rail vs. water transportation competition  
13 would also have reduced the rate for water borne transportation as well. Had this reduction  
14 been [REDACTED] a reasonable estimate in my opinion, TECO's ratepayers, assuming 2.5 MMTPY  
15 were competitive by water, would have saved [REDACTED] per year. Lower water route costs  
16 in turn reduce the "savings" of rail movements on a dollar for dollar basis (because then the  
17 difference between the rail transportation cost and the water transportation cost is reduced)—  
18 so if water transport costs had been driven down by [REDACTED] the ratepayers would benefit from  
19 reduced water route costs and reduced rail transportation costs, but these amounts would not  
20 be additive. Accordingly, since TECO did nothing to effectively manage competition  
21 between rail and barge transportation services, TECO's imprudent acts will cost TECO's  
22 ratepayers about [REDACTED] per year in 2004 and [REDACTED] in 2005. Accordingly,  
23 TECO's costs for coal transportation are not reasonable for cost recovery purposes.

- 1 **Q. Do you have any recommendations as to what the Commission should do in this case?**
- 2 **A. Yes. The Commission should, at an absolute minimum, disallow recovery by TECO of the**  
3 **difference in costs between what TECO proposes to pay its affiliate barge company, TECO**  
4 **Transport, and the amount for which TECO could have procured the necessary coal**  
5 **transportation from CSXT. At a minimum, my estimates indicate that the Commission**  
6 **should disallow approximately [REDACTED] in cost recovery for 2004, [REDACTED] in**  
7 **2005, and more than that in the years 2006 through 2008. The Commission should also take**  
8 **the most stringent steps available under Florida law to prevent TECO from further abusing**  
9 **its customers by overpaying its affiliate; if the Commission has the power, it should mandate**  
10 **fair, open, transparent, Commission-supervised procurement processes for all future TECO**  
11 **coal procurement and coal transportation procurement activities. Additionally, TECO's**  
12 **actions have been so imprudent in this case that I believe that the Commission should**  
13 **consider imposing whatever additional penalties it has available under its governing**  
14 **authority on TECO's shareholders and management.**

### **TECO'S IMPRUDENT FUEL AND TRANSPORTATION FRAMEWORK**

- 15
- 16 **Q. Please describe the prudence analysis that you conducted of TECO's coal**  
17 **transportation procurement processes and decisions and of TECO's coal supply**  
18 **procurement processes and decisions.**
- 19 **A. First, I reviewed the least-cost coal supply regions that TECO should have considered and**  
20 **evaluated, and which, by virtue of their least-cost status, would have been expected to be the**  
21 **supply regions chosen by a prudent utility in a prudent, unbiased solicitation in 2003. I**  
22 **identified how other utilities in similar circumstances to TECO regularly rely on and solicit**  
23 **both rail and water transportation from these supply regions. Second, I examined the time**

1 line of CSXT's efforts to interest TECO in rail-delivered coal, which for a prudent buyer  
2 facing the 2003 expiration of the TECO water delivery contract would have triggered a  
3 solicitation by April 1, 2003 at the latest. Third, I examined how coal from each of these  
4 regions is most efficiently moved to Big Bend and Polk given the CSXT rail transportation  
5 bid and the TECO Transport (TECO's water transportation affiliate company) bids. Fourth, I  
6 evaluated TECO's analysis of the delivered cost of rail versus waterborne coal deliveries  
7 prepared in the Fall of 2003; my evaluation shows that TECO's analysis is flawed and  
8 contains gross errors. Fifth, I examined TECO's pending procurement decision based on its  
9 December 2003 solicitation for 850,000 tons for 10 years, 2005-2014. Lastly, I analyzed  
10 TECO's procurement alternatives and the damages to TECO's ratepayers caused by TECO's  
11 imprudent behavior.

12  
13 **Q. What is your assessment of TECO's fuel procurement and fuel transportation**  
14 **procurement practices and overall approach?**

15 **A.** It is fundamentally flawed. Any utility in TECO's position that can draw fuel from multiple  
16 coal sources and transport fuel by various modes should exploit all available -- here, both  
17 water and rail -- modes by pursuing bids from alternative transportation providers. No one  
18 mode should be given "all" the business. Such a bi-modal transportation approach would  
19 insure that TECO's ratepayers benefit from competitive transportation markets and are able  
20 to draw on the most economical coal supply regions.

21  
22

1 **Q. Was TECO's June 2003 Request for Proposals sufficient to determine the current**  
2 **market price for coal transportation services?**

3 A. No. Both the RFP and TECO's evaluations of the bids received from CSXT were biased and  
4 flawed.

5 **Least Cost Coal Supply Regions For TECO**

6 **Q. What are TECO's coal supply requirements for Big Bend and Polk?**

7 A. TECO requires about [REDACTED] tons per year (TPY) of coal, excluding about [REDACTED] TPY  
8 of petroleum coke, for its Big Bend and Polk Stations. Most of this coal is high-sulfur coal  
9 except for about [REDACTED] TPY of low-sulfur coal for blending down high-sulfur petroleum  
10 coke consumed at Polk to a 6 lbs. SO<sub>2</sub>/MMBtu level for all Polk fuels.

11

12 **Q. What are the supply sources and regions that can meet these requirements?**

13 A. TECO requires about [REDACTED] MMTPY of high-sulfur coal and [REDACTED] TPY of low-sulfur coal.  
14 The high-sulfur coal could come from the Illinois Basin or Northern Appalachia ("NAPP").  
15 Pittsburgh Seam 8, or "Pitt 8" coal is a typical NAPP coal. South America or Central  
16 Appalachia or the Powder River Basin could supply the low sulfur coal.

17

18 **Q. Provide details on NAPP and Illinois Basin coal supplies.**

19 A. These are two of the largest coal basins in the United States. In 2003, 93.2 million tons  
20 ("MMT") was produced in the Illinois Basin, down from about 140 MMT in 1990. The 2003  
21 production was the second lowest Illinois Basin production year on record. Production from  
22 Northern Appalachia in 2003 was 127 MMT. About 75 MMT of this amount was Pitt 8 coal.

23

1 **Q. How do these regions compete?**

2 A. Most NAPP and Illinois Basin coals are high-sulfur in content. The Clean Air Act  
3 Amendments of 1990 effective January 1, 2000 shrunk the market for these coals from a  
4 broad range of power plants to plants like Big Bend that are equipped with flue gas  
5 desulfurization ("FGD") systems, generally known as "scrubbers," and plants like Polk  
6 Station that are equipped with gasifiers. NAPP and Illinois Basin coals compete with each  
7 other at FGD-equipped units.

8

9 **Q. What are the likely low cost coal supply sources for TECO by rail and barge?**

10 A. Since TECO has not taken rail coal at Big Bend, it has favored Illinois Basin coal delivered  
11 by its water transport affiliate. TECO has taken Illinois Basin coal by barge from mines that  
12 originate coal by rail. These mines include Zeigler and Galatia in Illinois, Lodestar (just  
13 purchased by Peabody) and Dotiki in West Kentucky, and the Sommerville mine in Indiana.  
14 TECO has also taken Pitt 8 coal by barge from mines that originate by rail, Maple Creek in  
15 Pennsylvania, and Powhatan #6 in Ohio.

16

17 **Q. What have been the production and pricing trends for the Illinois Basin and Northern  
18 Appalachian coals?**

19 A. These markets were generally depressed through the summer of 2003.

20

21

1 **Q. Of what significance is that fact in this case?**

2 A. This is significant because, if TECO had conducted a rail origin coal supply solicitation in  
3 the first half of 2003, as a prudent approach in conjunction with a rail/water transportation  
4 solicitation, it would have found a buyer's market.

5  
6 **Q. How do other utilities comparatively situated to TECO in terms of alternatives buy coal  
7 from these regions?**

8 A. They buy coal from rail and barge origins. Unlike TECO, they do not put less expensive rail  
9 origin coal on barges. Examples of such other utilities include Louisville Gas & Electric  
10 Company ("LG&E"), the Tennessee Valley Authority ("TVA"), and Seminole Electric  
11 Cooperative, Inc. ("Seminole"), a Florida generation-and-transmission cooperative.

12  
13 **Q. What is LG&E's situation and approach?**

14 A. LG&E has a rail/barge-served unit at Mill Creek, a rail-served Cane Run unit, and a barge-  
15 served Trimble County plant. LG&E's procurement practices for its Mill Creek unit are  
16 cost-effective as confirmed by a recent procurement audit for the Kentucky PUC. See Final  
17 Report Focused Management Audit of The Fuel Procurement Functions of Kentucky Utilities  
18 Company and Louisville Gas and Electric Company, by The Liberty Group, February 23,  
19 2004, at III-20 (concerning rail/barge competition), and at II-3 (concerning fuel supply and  
20 transportation diversity). LG&E's 2002 and 2003 procurements demonstrate low-cost rail  
21 vs. barge acquisitions of coal as LG&E's rail carrier (the Paducah and Louisville Railroad, or  
22 "PAL") competes with barge origin coal, from different mines because least cost rail and  
23 barge origin mines usually differ.

1 Q. What is TVA's situation and approach?

2 A. TVA's plant most comparable to Big Bend is the FGD-equipped Widows Creek 7&8 which  
3 takes both rail and barge coal. Again, TVA in 2003 took rail coal from the Dotiki and  
4 Warrior mines and barge coal from barge accessible mines like Camp (WKY) and Sugar  
5 Camp (IL). Like LG&E but unlike TECO, TVA at Widows Creek does not take  
6 Dotiki/Warrior coal by barge. TECO did so in 2002 and 2003 in an effort to move coal via  
7 its affiliate, even though rail coal transportation would have been less expensive. These  
8 movements were very costly for TECO's ratepayers, but were very profitable to TECO's  
9 affiliate.

10

11 Q. What is Seminole's situation and approach?

12 A. Seminole has a rail-served plant at Palatka, Florida. In 2002 and 2003 Dotiki coal delivered  
13 by rail cost Seminole's members less than Dotiki coal delivered by barge to Big Bend. This  
14 is shown in the table below and demonstrates that CSXT's service to Palatka, which does not  
15 enjoy rail/barge competition, is more efficient and cost-effective by a wide margin for  
16 Seminole's members than TECO's water route to Big Bend is to TECO's ratepayers.

17

18

19

**Table 1.**  
**West Kentucky Coal to Big Bend and Palatka \$/Ton (¢/MMBtu)**

	2002	2003
Seminole Dotiki		
• Contract	\$44.08 (180)	\$41.93 (170)
• Spot	\$40.55 (165)	\$39.26 (161)
Big Bend Dotiki		
1. ██████████ to ECT (Electro-Coal Terminal, also known as Davant) plus ██████████ ECT to Big Bend for a total of ██████████ to Big Bend according to the September 2002 FPSC Form 423.		
2. ██████████ to ECT plus ██████████ ECT to Big Bend for a total of ██████████ per ton delivered to Big Bend.		

20

1 Q. Are you saying TECO's ratepayers paid in 2002 and 2003 around [REDACTED] more for the  
2 Western Kentucky rail origin coal than Seminole's ratepayers paid?

3 A. Yes. This is due to TECO's bias in favor of paying more to its affiliate to move coal  
4 inefficiently by the water route when the same coal can be more efficiently delivered by rail.

5

6 Q. Does Seminole also buy Pitt 8 coal?

7 A. Yes, Seminole also buys Pitt 8 coal, which is delivered to Seminole's Palatka units by CSXT  
8 rail.

9

10 Q. Can you assess how much TECO pays for Pitt 8 coal by barge versus what Seminole  
11 pays for rail deliveries?

12 A. Yes. The results follow:

13

14

**Table 2.**  
**Pitt 8 Coal to Big Bend and Seminole \$/Ton (¢/MMBtu)**

	2002	2003
Seminole	\$40.89 (157)	\$41.81 (160)
Big Bend <sup>1</sup>	N/A	[REDACTED]
1. [REDACTED] FOB barge plus [REDACTED] barge to ECT, plus [REDACTED] ECT to Big Bend for a total of [REDACTED] according to TECO's September 2003 FPSC Form 423 data for 4.65% sulfur coal.		

15

16 Q. Are you saying that TECO paid in 2003 about [REDACTED] per ton more to move Pitt 8 coal to  
17 Big Bend than Seminole pays to move the same coal?

18 A. Yes.

19

20 Q. What, if anything, is noteworthy about this?

21 A. This is noteworthy because it demonstrates substantial cost savings via rail, even though  
22 Seminole is captive to the CSXT rail system and Big Bend could have rail/water competition.



1 **Q. Should this have been known to TECO? If so, what should TECO have done with this**  
2 **knowledge?**

3 A. Yes. Seminole had taken Pitt 8 coal in prior years and TECO, the only party privy to  
4 TECO's "secret" data, was in a position to compare its data to Seminole's public data as  
5 reported to the FERC. Acting prudently, in the best interests of its ratepayers, TECO should  
6 have used this knowledge to solicit a coal-by-rail transportation proposal from CSXT and  
7 then evaluated that proposal against the prices proposed by its affiliate, TECO Transport. At  
8 the very least, this would have been expected to produce significant downward pressure on  
9 the prices charged by TECO Transport, which would have accrued to the benefit of TECO's  
10 customers, albeit to the detriment of TECO's parent and its shareholders.

11

12 **Q. Where are the mines that produce Pitt 8 coal?**

13 A. My Exhibit \_\_\_\_ (RLS-2) shows these mines, many of which are served by the CSXT  
14 railroad.

15

16 **Q. What would a prudent utility have done in 2003?**

17 A. With CSXT's October 23, 2002 bid in hand, TECO's prudent path would have been to  
18 undertake, immediately, the engineering studies to upgrade Big Bend's rail facilities to  
19 receive coal and conduct a vigorous rail vs. water competition for transport services to Big  
20 Bend.

21

22 **Q. Did TECO do this?**

23 A. No.

1 **Q. What was the FOB mine price in the NAPP Pitt 8 market from April to July 2003?**

2 A. According to the trade press this price was \$21 to \$24.00/ton through early August 2003.

3 See Coal Daily, August 4, 2003 at 5 and July 7, 2003 at 5. These prices were generally  
4 available, subject to reasonable escalation factors, for long-term contracts – at least five years  
5 in length – that were entered into with suppliers in this time period.

6

7 **Q. Why is this relevant?**

8 A. This is relevant because a prudent procurement process, by TECO or by any other utility,  
9 would have solicited bids for high-sulfur NAPP Pitt 8 coal via rail or barge in the first half of  
10 2003. Such a prudent utility would have expected to thereby get the best available deal on an  
11 all-in delivered cost of coal.

12

13 **Q. What was the FOB mine price in the Illinois Basin market from April to July 2003?**

14 A. Illinois Basin high-sulfur coal was in oversupply in the first half of 2003, creating a buyer's  
15 market. In West Kentucky, Lodestar shut its Baker mine and Pyro coal preparation plant.  
16 Alliance closed its Hopkins County coal operations. Alliance Resource Partners' president  
17 stated: "Although our sales for the first quarter of 2003 have been strong, we have not been  
18 able to secure any meaningful new commitments for the balance of the year for our  
19 operations in the Illinois Basin. Unfortunately, without new sales commitments for this  
20 region, we will have to reduce production." See Platts, Coal Trader, April 4, 2003 at 3.  
21 Alliance has Illinois Basin coal mines in West Kentucky, Indiana, and Illinois.

22

1 **Q. How much Illinois Basin coal moves by barge and by rail?**

2 A. Most Illinois Basin coal moves initially by rail, although this varies by state. State of Illinois  
3 data, see Illinois Department of Natural Resources, 2002 Statistical Annual Report, for  
4 example, show that of the 33.4 MMT mined in Illinois in 2002, 20.3 MMT originally moved  
5 by rail and 13.1 MMT initially moved by truck, some of which was trucked to barge and rail  
6 loadouts. Overall for the three Illinois Basin states, rail-origin mines originate more tons  
7 than barge-origin mines.

8

**CSXT's Efforts to Bid and TECO's Rejection of CSXT (May 2002-June 2003)**

9

10 **Q. How would you characterize CSXT's attempts to provide coal-by-rail transportation**  
11 **services to TECO?**

12 A. Having reviewed numerous CSXT documents, including CSXT's presentation outline from  
13 May 2002, its written proposal to TECO from October 2002, its July 2003 proposal in  
14 response to TECO's RFP process, and various related documents and correspondence, I  
15 would characterize CSXT as a "determined bidder" in its efforts to provide rail transportation  
16 services to TECO.

17

18 **Q. How would you characterize TECO's behavior toward CSXT in response to CSXT's**  
19 **efforts?**

20 A. Having reviewed many documents furnished in discovery in this proceeding, I would  
21 characterize TECO's behavior toward CSXT as biased, as intended to discourage CSXT's  
22 efforts, and as intended to ensure that TECO gave all of its coal transportation business to its  
23 affiliate, without any regard to the best interests of its customers. The following specific

1 testimony highlights the shortcomings of TECO's actions, considered from the point of view  
2 of a public utility commission interested in protecting the captive customers' interests and  
3 pocketbooks.

4  
5 **Q. Did TECO conduct any preliminary analysis after it received CSXT's October 2002 bid**  
6 **to determine if the rail option was viable?**

7 A. No. TECO's documents reveal no such analysis. Yet CSXT's bid in October 2002 is one of  
8 the most important documents in this proceeding. For convenience it is attached as Exhibit  
9 \_\_\_\_ (RLS-3) to my testimony.

10  
11 **Q. If such an analysis had been conducted, what would it have shown?**

12 A. I have prepared such a preliminary analysis, which is presented as Exhibit \_\_\_\_ (RLS-4).  
13 This Exhibit shows that rail delivery to Big Bend had the potential to save ██████ per ton on  
14 West Kentucky coal and ██████ per ton on Pitt 8 coal. Given that CSXT was willing to pay  
15 for the reasonable rail infrastructure construction costs at Big Bend in addition to saving  
16 TECO ██████████ in transport cost, TECO's only prudent course was to seek a CSXT  
17 bid and evaluate the rail option carefully. My Exhibit \_\_\_\_ (RLS-5) presents a time line  
18 showing the various steps that would have been encompassed in a prudent TECO approach.

19  
20 **Q. What should TECO have done?**

21 A. With CSXT's offer in hand, TECO should have begun and completed conceptual engineering  
22 studies from November 2002 through March 2003 and selected a rail engineering solution for  
23 Big Bend. That solution should then have been engineered to the point that a rail

1 construction bid package was prepared by July 1, 2003. At the same time this engineering  
2 work was being completed, TECO should have solicited for rail and water transportation  
3 services on April 1, 2003. These milestones are shown in Exhibit \_\_\_\_ (RLS-5).  
4

5 **Q. When would the rail facilities have been constructed?**

6 A. From August 2003 to March 2004.  
7

8 **Q. According to your Exhibit \_\_\_\_ (RLS-5), when would the first rail coal have been  
9 unloaded at Big Bend?**

10 A. In April 2004.  
11

12 **Q. If TECO did not follow a prudent solicitation path to develop and take advantage of  
13 rail capability for its Big Bend and Polk Stations, what did TECO do?**

14 A. TECO stalled and sought to exclude CSXT's rail bid. Beginning in October 2002, TECO  
15 asked CSXT to modify the character of CSXT's letter offer so that TECO could claim that it  
16 had not asked CSXT for the proposal. Then, even though CSXT extended the acceptance  
17 term of its offer to January 31, 2003, TECO failed to launch rail delivery engineering studies.  
18 On March 21, 2003, after over four months of inaction by TECO despite the concerted  
19 efforts of CSXT to initiate negotiations, CSXT finally obtained another meeting with TECO.  
20 Three more months of TECO inaction followed the March 21 meeting, as noted in CSXT's  
21 Mr. Bullock's June 13, 2003 letter to Ms. Wehle. Then TECO failed to solicit CSXT in its  
22 June 27, 2003 solicitation. This adds up to seven months of TECO inaction on the rail option  
23 after having received a very attractive and cost-effective offer for coal transportation

1 services. Based on trade press reports about TECO's solicitation, CSXT wrote TECO on  
2 July 16, 2003, asking to bid and finally received a bid package on July 21, 2003, due July 30,  
3 2003.

4  
5 **Q. Is there an irony here?**

6 **A. Indeed there is.** TECO, having refused to respond to CSXT's October 2002 bid and having  
7 failed to solicit a 2003 CSXT bid, claimed in testimony before this Commission that its bid  
8 package, which had been criticized by this Commission's staff, was so good it resulted in two  
9 unsolicited rail bids, both by CSXT! See Joann T. Wehle's October 30, 2003 testimony at  
10 12.

### **CSXT's Bid**

11  
12 **Q. Please review CSXT's bid and the coal sources with rail access.**

13 **A.** CSXT's bid was comprehensive. TECO's solicitation was for water route transport. CSXT  
14 bid to provide rail transportation. TECO's bid sought only Midwestern coal. CSXT  
15 provided rates for Midwestern and NAPP (Pitt 8) coal mines. CSXT provided bids for a  
16 comprehensive list of mine origins based on a study of TECO's coal purchases. CSXT  
17 offered two different volume options, one for [REDACTED] and the other for [REDACTED]  
18 [REDACTED]. CSXT arranged inter-line hauls with the Union Pacific, Illinois Central (now  
19 owned by Canadian National), and Indiana Southern Railroad to ensure that all TECO coal  
20 origins were covered. As I've already noted, much of TECO's water route coal starts at the  
21 mine in a rail car, which transports the coal to a river dock.

22

23

1 Q. What was CSXT's pricing?

2 A. CSXT bid about [REDACTED] per ton for a single line haul and [REDACTED] per ton or less for two  
3 line hauls. CSXT also offered a significant -- [REDACTED] -- volume discount on all coal  
4 volumes above 1 MMTPY that CSXT delivered from CSXT rail-direct mines. CSXT also  
5 bid to rail coal to Polk directly or from Big Bend to Polk by a shuttle train. A fuel surcharge  
6 of about [REDACTED] applies under current oil prices.

7  
8 Q. Was CSXT willing to fund construction at Big Bend?

9 A. Yes. CSX was willing to fund up to [REDACTED] in improvements for the [REDACTED]  
10 [REDACTED] option, including [REDACTED] for transloading facilities at Big Bend to  
11 accommodate coal deliveries to Polk and [REDACTED] at Polk to receive shuttle trains from  
12 Big Bend and remove approximately 25,000 truck trips per year from the roadways of  
13 Hillsborough and Polk Counties. According to CSXT's [REDACTED] bid, the [REDACTED]  
14 tonnage level did not need to be reached until 2005 for TECO and its customers to benefit  
15 from the pricing thereunder.

16  
17 Q. Why would CSXT pay for rail facilities at Big Bend?

18 A. CSXT was willing to pay for rail delivery facilities at Big Bend to accommodate TECO's  
19 tenuous financial situation, given that TECO had indicated that it did not have sufficient  
20 capital funds available to pay for the needed capital infrastructure itself, and because CSXT  
21 viewed this offer as a prudent business decision on its part in light of the business opportunity  
22 that it would thereby create for CSXT. It is very rare for a utility to ask a railroad or  
23 transportation vendor to pay for facilities to be built at the power plant. I cannot recall a

1 similar circumstance to what has occurred here. Apparently CSXT was told that TECO had  
 2 no money to fund rail delivery upgrades even if the ratepayers benefited. It is quite  
 3 remarkable that TECO claims it cannot afford to undertake cost-effective solutions for the  
 4 ratepayers at the same time TECO recovers from its ratepayers a return on rate base to pay  
 5 for debt and equity.  
 6

**Analysis of CSXT's Bid Moving Least-Cost Rail-Origin Coals**

7  
 8 **Q. Have you prepared, using CSXT's bid and FOB rail and barge prices a comparison of**  
 9 **TECO's alternatives in mid-2003?**

10 A. Yes. My Exhibits \_\_\_\_\_ through \_\_\_\_\_ (RLS-6a, 6b, and 6c) show such an analysis.  
 11

12 **Q. What does your Exhibit \_\_\_\_\_ (RLS-6a) show?**

13 A. My Exhibit \_\_\_\_\_ (RLS-6a) shows that, even for barge accessible coal, such as coal from the  
 14 Dekoven mine, TECO could have saved money in 2004 by transporting such coals by rail.  
 15 More significantly, however, for least-cost rail origins in West Kentucky, TECO could have  
 16 saved at least ██████ per ton if it had moved coal under CSXT's rail bid. If the extra costs of  
 17 water route losses and inventory carrying costs are added (see subsequent section of this  
 18 testimony), rail movement from West Kentucky would have saved TECO and TECO's  
 19 customers ██████ per ton.  
 20

21 **Q. What about Pitt 8 coals?**

22 A. As I show in Exhibit \_\_\_\_\_ (RLS-6b), movement of Pitt 8 coal by rail would have saved  
 23 TECO ██████ to ██████ per ton had CSXT origin coal been solicited. If the losses and



1 increased inventory requirements of the water route are added in, the savings are [REDACTED] to  
2 [REDACTED] per ton.

3

4 **Q. What about Indiana coal?**

5 A. Exhibit \_\_\_\_ (RLW-6c) shows that the savings for rail coal from Indiana versus water route  
6 transport via TECO's affiliate would be [REDACTED] to [REDACTED] per ton depending on whether the  
7 losses and inefficiency of the water route are added.

8

9 **Q. You're saying TECO's ratepayers are paying millions of dollars each year for more  
10 costly water route transport?**

11 A. Yes. TECO's ratepayers are overpaying by a minimum of [REDACTED] or [REDACTED] per  
12 year, assuming that 2.5 MMTPY are moved by rail. The overpayments could be as much as  
13 \$7.00/ton or [REDACTED] per year. However, if TECO had undertaken to cultivate and  
14 encourage bona fide rail vs. barge competition, that competition would have reduced water  
15 delivered coal costs, even for those coals that were or are truly more economically delivered  
16 by water. This would have saved TECO's ratepayers even more money, although the results  
17 are not additive. If more than 2.5 million tons per year were to be moved by rail, the savings  
18 realized for TECO's customers would be even greater.

19

1

**TECO's Evaluations**

2

3 **Q. Did TECO evaluate the CSXT July 2003 rail bid versus the award it made to its water**  
4 **transportation affiliate?**

5 A. It appears that TECO did perform some analysis of CSXT's rail bid, but it is not at all clear  
6 when TECO did such analysis or who did it. But TECO's witness Wehle, in Document No. 2  
7 of her October 2003 testimony, re-submitted in January 2004, presents such an analysis.

8

9 **Q. Is Ms. Wehle's analysis correct?**

10 A. No. She takes as TECO's water route transportation cost the cost of affiliate transport from  
11 the barge delivery point to Big Bend not the total transportation cost from the mine to Big  
12 Bend which I present in RLS Exhibits \_\_\_\_-\_\_\_\_(RLS-6a, 6b, and 6c). She has not done a  
13 correct or complete analysis of the total transportation cost of coal moved by the water route.  
14 Her analysis ignores about \$3.00 to \$5.00/ton in transportation cost incurred to get TECO's  
15 coal to a dock. A correct analysis must start at the mine because mines bid coal FOB rail,  
16 barge, or truck at the mine; therefore, loading trains at the mine avoids the haul cost to the  
17 barge and a river dock transloading fee. Ms. Wehle ignores this, which is a fatal mistake.

18

19 **Q. Do TECO's documents reveal any other TECO evaluation?**

20 A. Yes. In response to the Florida Industrial Power Users Group's ("FIPUG") 1st request for  
21 production of documents, TECO supplied undated documents stamped as pages 275 to 279.

22

23

1 **Q. What did TECO's fall 2003 analysis show?**

2 A. The unidentified analyst (any credible evaluation should be initialed) assumes that to move  
3 coal by rail, TECO's coal purchased from Dodge Hill in West Kentucky and Illinois Fuels in  
4 Southern Illinois would move as usual to the same docks, then the coal would be transported  
5 by barge to the GRT terminal on the Tennessee-Cumberland Rivers, then the coal would be  
6 transloaded to rail at GRT, and then, finally, the coal would be transported on the CSXT rail  
7 system to Big Bend.

8

9 **Q. What's wrong with TECO's analysis?**

10 A. The analysis in these pages is, to put it mildly, biased and clearly erroneous. TECO contracts  
11 for FOB barge coal, but it could just as well contract on an FOB mine basis with a distinct  
12 rail or truck haul and dock transloading charge. This would give TECO the option of  
13 directing the coal to a rail loadout. Of course TECO does not want to do this because it  
14 doesn't want to expose all of its transportation cost to regulatory examination. The oldest  
15 TECO contract, [REDACTED] A  
16 prudent utility would instead truck Dekoven coal to a rail loadout near Wheatcroft, Kentucky  
17 (a 13 mile distance) and load directly on rail as I show in Exhibit RLS-6a. This would avoid  
18 a truck to barge transportation charge, a transloading charge, a barge to GRT charge, and a  
19 GRT transloading charge. Instead, Dekoven coal would bear a 13-mile truck and a rail tipple  
20 charge to load on rail near Wheatcroft.

21

22

23

1 Q. What about coal supplied by Illinois Fuels?

2 A. This coal is a by-barge origin coal that is trucked some distance to the Ohio River. If all the  
3 coal contract expires at the end of 2004, it should move by water until it can be evaluated  
4 against other coal-supply-and-transportation options and, if indicated, replaced by less  
5 expensive rail-originated coal or continued, if it were demonstrated to remain an economical  
6 by-water-route coal.

7  
8 Q. What about Galatia coal?

9 A. This same TECO analysis assumes that [REDACTED] tons of Galatia coal are purchased in 2004  
10 for Big Bend. Yet [REDACTED]  
11 [REDACTED] which was for Gannon, when Gannon closed. A document produced by TECO in  
12 response to the same FIPUG Document Request cited above, projects that [REDACTED] tons of  
13 Galatia coal are to be purchased by TECO in 2004 and this is [REDACTED] tons too much.  
14 TECO's response to OPC's Second Set of Interrogatories No. 25 has only [REDACTED] tons of  
15 (apparently) Galatia coal moving to the Cook terminal. Apparently the balance of Galatia  
16 coal had been shifted to American Coal's Powhatan No. 6 origin via the NS railroad to an  
17 upper Ohio River terminal. What TECO should have done in early 2003 was to terminate  
18 Galatia altogether for 2004 and solicit Pitt 8 coal by rail origin and all-rail transport to Big  
19 Bend. TECO should not have bought Galatia coal in 2004 when it could have purchased less  
20 expensive rail-origin coal in a Second Quarter 2003 solicitation.

21  
22  
23

1 Q. What is your opinion regarding this fall 2003 analysis by TECO?

2 A. It appears to be, like Wehle's, an ex-post rationalization and is also erroneous. Moreover, no  
3 TECO documents show any evaluation either in late 2002 or in the first half of 2003 based  
4 on CSXT's October 2002 bid, nor any evaluation after CSXT's July 30, 2003 bid before the  
5 decision to contract with TECO's affiliate and move all Big Bend/Polk coal by the water  
6 route.

7

**TECO's Coal Contract Flexibility To Bid Rail Origin Coal**

8

9 Q. What contractual flexibility did TECO have to take rail coal in 2004?

10 A. TECO's 2004 coal burn for Big Bend and Polk is projected to be [REDACTED]. Without  
11 petroleum coke, the coal burn is about [REDACTED]. As of December 31, 2003, TECO had  
12 639,274 tons in inventory (shown as a 47 day inventory). TECO always has a large amount  
13 of coal in transit. TECO's response to OPC's 1st POD request (p. 778) shows TECO keeps  
14 [REDACTED] tons afloat in river barges, [REDACTED] tons in ocean barges, and up to [REDACTED] at  
15 Electro-Coal Terminal (ECT). To simplify, I assume TECO buys [REDACTED] of coal in 2004.

16

17

1 Q. What are TECO's contractual commitments for 2004?

2 A. [REDACTED] TECO has the following  
3 commitments for 2004:

4 **Table 3.**  
5 **TECO 2004 Coal Commitments**  
6

	Tons
Zeigler	[REDACTED]
[REDACTED]	[REDACTED]
Peabody Patriot	[REDACTED]
Dodge Hill	[REDACTED]
Dodge Hill Put	[REDACTED]
	[REDACTED]

7  
8 Although I have not seen TECO's contract correspondence, from the documents that I have  
9 been able to review, including portions of selected coal contracts, it appears likely that TECO  
10 could have solicited and purchased 1.0 to 1.5 MMT of rail origin coal in 2004 but for its  
11 newly executed water transport contract which requires that [REDACTED] MMTPY move in TECO  
12 ocean barges and its failure to terminate the [REDACTED] contract and solicit rail origin coal prior  
13 to August 1, 2003. TECO's response to Interrogatory No. 25 to the Office of Public  
14 Counsel's 2nd Set of Interrogatories states that as of February 2, 2004, TECO had [REDACTED]  
15 tons of uncommitted coal in 2004.  
16

17 Q. If TECO had followed the path identified in your prudent time line, how much coal  
18 could TECO have obtained from rail-origin mines and transported by rail to its plants?  
19 What effect would this have had on TECO's ratepayers?

20 A. If TECO had followed the prudent course of action outlined in my time line, Exhibit  
21 \_\_\_\_\_(RLS-5), it could have obtained and transported a minimum of 1.0 to 1.5 MMT of coal

1 by rail in 2004, and a minimum of 2.0 MMT by rail in 2005. This would have saved TECO  
2 ratepayers [REDACTED] million in 2004 and at least twice that amount in 2005 and in succeeding  
3 years.

4  
**TECO's December 2003 Solicitation Threatens To Lock TECO Into More  
Uneconomical Coal And Reveals Cost-Effective Rail-Origin Bids**

5  
6 **Q. Please describe TECO's December 2003 coal supply solicitation.**

7 A. In December 2003, TECO solicited for 850,000 TPY of coal, on an FOB barge basis, for the  
8 years 2005 through 2014.

9  
10 **Q. Why did TECO solicit for more coal via the water route?**

11 A. Absent additional discovery I can only give a limited response, but I believe this solicitation  
12 appears to be designed to further foreclose rail-origin coals from TECO's supply portfolio in  
13 order to further enhance TECO Transport's position as TECO's sole supplier of coal  
14 transportation services.

15  
16 **Q. What has been revealed?**

17 A. TECO in December 2003 asked for water borne bids for 850,000 TPY for 2005 to 2014.  
18 Apparently these bids are intended to meet the terms of the [REDACTED]  
19 [REDACTED] on 850,000 tons of high sulfur coal to  
20 follow the 12/31/04 expiration of its long term coal supply agreement with TECO.

21

22

1 Q. What are the terms of [REDACTED]

2 A. They are complex, but [REDACTED]

3 [REDACTED]

4

5 Q. In your opinion, could TECO select a rail origin bid as its least-cost bid and [REDACTED]

6 [REDACTED]

7 A. Yes. [REDACTED]

8

9 Q. Did TECO solicit coal-by-rail bids in its December 2003 solicitation?

10 A. No. TECO's December 2004 solicitation seeks only bids FOB barge.

11

12 Q. When are [REDACTED]

13 A. April 1, 2004.

14

15 Q. Does TECO have another solicitation outstanding?

16 A. Yes. TECO solicited in November 2003 for 500,000 tons in 2004.

17

18 Q. What did the responses to TECO's 2005-2014 bids reveal?

19 A. TECO received a bid from [REDACTED] FOB CSXT in Indiana. The bid was [REDACTED] per ton  
20 FOB rail.

21

22

23



1 Q. Evaluate this coal on a delivered price basis to Big Bend via rail and via the water route.

2 A. First TECO's evaluation (at Bates #35 in TECO's response to Staff's First Request for POD

3 No. 13 filed March 3, 2004) follows:

4 **Table 4.**  
Delivered Cost of ██████████ Indiana Coal As Analyzed By TECO  
(\$/Ton)

	██████████
F.O.B. Mine Bid	██████████
Rail or Truck Rate to River	██████████
Loaded @ Dock	██████████
River Barge	██████████
ECT and Ocean Barge	██████████
<b>Total</b>	██████████
Delivered to Big Bend	████████████████████

5

6 Q. Now evaluate this Indiana coal delivered to Big Bend by CSXT rail.

7 A. The results follow:

8 **Table 5.**  
9 Delivered Cost of ██████████ Indiana Coal by CSXT Rail (\$/Ton)

	██████████
	██████████
	(\$/Ton)
F.O.B. Mine Bid	██████████
Rail Rate From CSX Bid	██████████
Fuel Surcharge	██████████
<b>Total</b>	██████████
Delivered to Bid Bend	████████████████████

10

11 Q. How much less expensive by rail?

12 A. For these supply-and-transportation options, the by-rail option is ██████████ per ton less expensive  
13 than the by-barge option, not including the additional costs resulting from handling and

1 moisture losses incurred with waterborne transport, and not including the additional carrying  
2 costs associated with longer transit times.

3

4 **Q. Did TECO disqualify [REDACTED] bid?**

5 **A. Yes. [REDACTED] bid was disqualified as a by-rail bid.**

6

7 **Q. What is the significance of this? What impacts is it likely to have on TECO's**  
8 **customers?**

9 **A. This is significant because TECO has again failed to solicit by-rail coal. Had it done so,**  
10 **some of its by-barge bidders would have likely been less expensive than [REDACTED] had**  
11 **they bid FOB rail. One of these by-barge bidders that could load by-rail is [REDACTED]**  
12 **[REDACTED] mine in Indiana. Another is [REDACTED] mine(s) in West Kentucky.**

13

14 **Q. Do these recent solicitations indicate any other imprudent practices on TECO's part?**

15 **A. Yes. Particularly considered in light of TECO's other actions with regard to favoring its**  
16 **barge-company affiliate, these solicitations highlight the fact that TECO does not**  
17 **synchronize its coal supply procurement and coal transportation procurement actions, leading**  
18 **to temporal mis-matches between coal supply contracts and coal transportation contracts.**  
19 **This leaves TECO in the position of claiming that it has to continue barge-origin coal**  
20 **supplies because it has another X years to run on its barge contract and also claiming that it**  
21 **has to continue its barge contract with its affiliate because it has another Y years to run on its**  
22 **coal supply contracts for barge-origin coals.**

23

1 **Q. Is this sort of non-synchronized coal supply and coal transportation procurement**  
2 **typical in the electric utility industry?**

3 A. No. It is virtually unheard of, because it is obviously imprudent and contrary to the best  
4 interests of utility customers.

5

### LOSSES AND INEFFICIENCIES OF WATER-TRANSPORTED COAL

6

7 **Q. Have you investigated the losses of Btus due to the multiple handling of coal that moves**  
8 **to New Orleans by barge?**

9 A. Yes.

10

11 **Q. Why do these losses occur?**

12 A. Because coal is handled multiple times on the water route and subject to heavy rainfall on  
13 the river and at ECT (Davant) near New Orleans Coal is loaded in a truck or rail car and  
14 moved to a river dock where it is put in a pile, then loaded on to barges. At ECT it is  
15 unloaded, stored and re-loaded. Each time coal is "handled," i.e., unloaded from one vessel  
16 or rail car to another, some coal is lost due to incomplete trans-loading and some is lost as  
17 dust. Additionally, coal absorbs some moisture when it is exposed to rain or other humid  
18 conditions, resulting in less Btu per net ton. In studies by Ashland Coal and Southern  
19 Company, Ashland quantified the losses on coal via New Orleans as 300 Btu/lb or 2 to 2.5%.  
20 Southern Company uses 1% for coal not transloaded but barged direct. Therefore, these  
21 studies are consistent with a 2% Btu loss for coal that is transloaded for barge shipment.

22

23

1 Q. At New Orleans, are there other costs associated with this moisture?

2 A. Yes, the additional moisture consumes Btu's when the coal is combusted at Big Bend.  
3 Southern Company estimated the additional cost at 25 cents/ton.  
4

5 Q. Are other extra costs associated with the water route?

6 A. Yes. Rail and barge served U.S. utilities carry inventories of 45 to 60 days. TECO  
7 maintains a [REDACTED] inventory when coal at ECT, in transit on the river and in transit by  
8 ocean barge is considered. (See TECO's response to OPC's 1st Request for POD, Bates  
9 #778.)  
10

11 Q. Don't rail-served utilities have coal in transit too?

12 A. Yes, but typically for only <sup>3-1/2</sup> days, not 44 days.  
13

14 Q. Do you have an exhibit that summarizes the additional costs of water route  
15 transportation and provides the back up documents?

16 A. Yes. This information is presented in my Exhibit \_\_\_\_ (RLS-7).  
17

18 Q. What is your estimate of the higher cost of waterborne coal movements to Big Bend vs.  
19 by-rail movements?

20 A. My estimate is an added \$2.00 per ton, composed of about half for water route Btu losses and  
21 related combustion costs and half for the extra inventory required to maintain water  
22 deliveries in the manner that TECO's affiliate operates.  
23

**DAMAGES TO TECO'S RATEPAYERS**

1  
2  
3 **Q. Taking all of the foregoing cost factors into account, have you prepared an estimate of**  
4 **the damages, in terms of excess costs, that TECO's captive customers are suffering and**  
5 **will suffer as a result of TECO's imprudent practices?**

6 **A. Yes. I estimate TECO's excess fuel cost as follows. With a rail system operating as of April**  
7 **1, 2004, capable of receiving coal at a 2.5 MMTPY rate, I estimate that TECO could have**  
8 **received 1.243 MMTPY of coal delivered by rail in 2004. I assume that this coal was**  
9 **purchased in the first half of 2003 when TECO, acting prudently, should have solicited for**  
10 **coal by rail and by water. For 2005, coal-by-rail receipts would be 2.5 MMTPY.**

11 For 2004, TECO could have purchased 700,000 tons from a CSXT Pitt 8 coal origin,  
12 429,291 tons from a West Kentucky supplier such as Alliance mines; and 120,000 tons from  
13 Indiana and/or Illinois mines (Solar Sources at CSXT's Wheatland origin, Black Beauty at  
14 Sommerville via the ISRR/CSXT haul bid by CSXT, or Alliance's Pattiki mine in Illinois on  
15 the CSXT).

16 The barge-delivered coal backed out (see TECO's 2/2/04 response to OPC's 2nd set  
17 of interrogatories No. 25) by these purchases would be:

18 [REDACTED]

19 [REDACTED] of uncommitted coal (assumed to come [REDACTED] from Powhatan #6

20 and [REDACTED] from W. Kentucky)

21 [REDACTED] of Powhatan #6 coal (already planned)

22 [REDACTED] of Indiana coal (already planned)

23 1,243,000 tons

24 The following table summarizes the savings from this 2004 rail/water procurement strategy.

25

1

2

**Table 6.**

3

**SUMMARY - ESTIMATED TECO OVER-PAYMENTS IN 2004**

4

5

(1) Pitt 8 Coal 700,000 tons (see Exhibit 9b)

6

7

TECO Water Route Cost \$ [REDACTED]

8

By CSXT Rail Cost \$ [REDACTED]

9

Total Pitt 8 Savings \$ [REDACTED]

10

Per Ton Savings \$ [REDACTED]

11

12

(2) Illinois Basin 549,291 tons (see Exhibit 9c)

13

14

TECO Water Route Cost \$ [REDACTED]

15

By CSXT Rail Cost \$ [REDACTED]

16

Total Ill. Basin Savings \$ [REDACTED]

17

Per Ton Savings \$ [REDACTED]

18

19

(3) CSXT Rail Discount Savings

20

21

[REDACTED]/ton times ([REDACTED]) or [REDACTED]

22

23

(4) Total 2004 Rail Route Savings \$ [REDACTED]

24

Total \$/Ton Savings \$ [REDACTED]

25

26

**BIG BEND'S CAPABILITY TO STORE AND BLEND COAL  
FOR BIG BEND & POLK STATIONS**

27

28

29

**Q. Do you have experience assessing and testifying on utility coal yard operations, blending and coal handling?**

30

31

**A. Yes.** I have reviewed coal yard and blending operations at many power plants and have testified on rail and barge receiving, coal blending, coal yard handling and reclaim costs and on utility inventory policies in administrative and courtroom litigation in numerous jurisdictions. Power plants that I have examined in this regard include: Powerton (IL), Bailey (IL), Michigan City (IL), Mitchell (IL), Belle River (MI), St. Clair (MI), King (MN), Fayette (TX), Limestone (TX), Crystal River (FL), Scherer (GA), St. John's Power Park

36

1 (FL), Cedar Bay (FL), Jeffrey (KS), Centralia (WA), Independence (AR), White Bluff (AR),  
2 Jim Bridger (WY), and Dave Johnston (WY).

3

4 **Q. Have you visited Big Bend Station?**

5 A. No. Time did not permit me to visit Big Bend, but John Stamberg, P.E., Vice President of  
6 EVA, visited Big Bend and he has reviewed with me, using photographs and layout  
7 drawings, Big Bend's coal handling facilities, and rail and barge facilities.

8

9 **Q. Briefly describe these facilities.**

10 A. Big Bend receives about [REDACTED] by barge. Big Bend has two stacker reclaimers,  
11 advanced blending and silo storage facilities, a coal yard capable of storing 60 days of  
12 inventory for Big Bend/Polk, and at one time had a rail receiving facility to receive limestone  
13 for FGD operations. Big Bend has an air permit for a coal/rail load out to transport coal to  
14 Polk. Presently Polk coal is loaded in trucks at Big Bend for transport to Polk.

15

16 **Q. What coal inventories has TECO maintained at Big Bend in the past?**

17 A. Until December 1998, TECO reported its inventories at Big Bend to the U.S. Energy  
18 Information Administration ("EIA") on EIA Form 759. For many months in the 1990-1998  
19 period stocks at Big Bend exceeded 600,000 tons. In November 1998, Big Bend inventories  
20 rose to 721,344 tons and in December 1998, EIA reported TECO has reported its Big Bend  
21 inventory as 919,882 tons. The highest inventory ever reported at Big Bend was 1,041,730  
22 tons in April 1999.

23

1 Q. How many tons were stored at Big Bend on January 31, 2004?

2 A. 600,000 tons.

3

4 Q. What are the average high burn rates at Big Bend?

5 A. The monthly burns for June/July/August 1996, 1997, and 1998 for Big Bend averaged  
6 430,000 tons per month.

7

8 Q. What is the maximum burn rate for Polk Station?

9 A. TECO reports that Polk's maximum monthly burn is 66,000 tons and that 5,000 tons is stored  
10 on site.

11

12 Q. What are typical eastern U.S. utility inventories?

13 A. Usually 45 to 60 days. I have provided public data on eastern utility inventories in average  
14 days of burn at Exhibit \_\_\_\_ (RLS-8).

15

16 Q. Would having rail and barge delivery capability reduce the risk of supply disruptions?

17 A. Yes.

18

19 Q. What would be the fuel storage (coal and pet coke) requirement at Big Bend for Big  
20 Bend and Polk inventories, assuming that 45 days of inventory is the target?

21 A. 736,500 tons.

22

23



1 Q. What about 60 days?

2 A. 982,000 tons.

3

4 Q. Is the Big Bend site capable of storing 736,500 tons or 45 days of Big Bend and Polk  
5 burn?

6 A. Yes. This has been demonstrated.

7

8 Q. Could it store 60 days of burn or 982,000 tons?

9 A. Yes. The site has stored 1,041,730 tons. Storing 982,000 tons should not present a problem,  
10 especially since all four Big Bend units can burn the same fuel, which was not the case  
11 before Big Bend 1&2 had FGDs installed in 1999.

12

13 Q. Does TECO have sufficient blending capability at Big Bend to handle the blending  
14 requirements for Big Bend and Polk Stations?

15 A. Yes. My partner John Stamberg addresses in detail Big Bend's blending capabilities in his  
16 testimony. At Big Bend, silos and belts to the truck (or rail) load out to Polk are capable of  
17 blending pet coke and coal for Polk.

18

19 Q. How much coal is ECT expected to blend in 2004?

20 A. According to TECO, ECT will be blending only [REDACTED] of total TECO  
21 throughput in 2004. See response to Public Counsel's Interrogatory No. 24, February 2,  
22 2004.

23

1 Q. Does TECO use ECT for coal storage?

2 A. Yes, but the storage is not necessary to make Big Bend reliable or to achieve 45-60 days of  
3 storage at Big Bend. It is obvious the storage is not at Big Bend and is no more accessible  
4 than the Illinois Basin or Appalachian coal mines that could be accessible to Big Bend by  
5 CSXT rail.

6

7 Q. Why have it?

8 A. Storage at ECT is for barge transloading. It is maintained for the convenience of TECO's  
9 affiliate. Storage of fuel at ECT should be viewed as an extra cost of water route  
10 transportation.

11

12 Q. What conclusions do you draw concerning TECO's coal storage and blending  
13 capabilities?

14 A. The foregoing discussion demonstrates that TECO has ample storage capacity at Big Bend  
15 and ample blending capability at Big Bend to handle all of its requirements for both  
16 generating plants. Accordingly, TECO does not need ECT (Davant) for any of these  
17 purposes.

18

19

## SARGENT & LUNDY STUDY

20

21 Q. Have you reviewed the Sargent and Lundy ("S&L") study?

22 A. Yes. I reviewed the study dated September 18, 2003 and a draft dated September 6, 2003.

23

24

1 **Q. What is your assessment of the study?**

2 A. It was prepared hastily and does not appear to benefit from knowledge of the site or site visits  
3 directed to estimating the cost of upgrading Big Bend's rail facilities. S&L's engagement for  
4 this task began August 27, 2003 and S&L's first draft is dated September 6, 2003. It does  
5 not examine the potential transfer and use at Big Bend of the idled Gannon rail unloading  
6 equipment. Nor did it consider the obvious option of upgrading for coal unloading the  
7 existing rail facilities installed to receive limestone.

8

9 **Q. Is there any evidence that S&L obtained vendor quotes?**

10 A. No.

11

12 **Q. Did TECO or S&L contact CSXT or request any information from CSXT in an effort  
13 to understand CSXT's estimates?**

14 A. No.

15

16 **Q. Have you in the past worked with engineers to estimate the cost of construction of  
17 conveyors and other materials handling equipment?**

18 A. Yes.

19

20 **Q. How is this done?**

21 A. In my experience, the client asks the engineer to review the site, obtain as-built drawings of  
22 existing facilities, examine soil conditions, prepare a conceptual plan, obtain preliminary  
23 vendor quotations for large items, and obtain unit cost estimates, e.g., for concrete in dollars

1 per cubic yard, steel in cents per pound or other appropriate units, and for labor in dollars per  
2 hour for each type of employee needed for the job.

3

4 **Q. What else would an engineer do in arriving at such an estimate?**

5 A. The engineer will typically go to documents that have "factored" unit prices for the region  
6 (here, Florida) where the project is located. The engineers should, and typically do, visit or  
7 contact environmental permitting authorities and local government construction permitting  
8 authorities to determine regulatory requirements.

9

10 **Q. Did S&L do this?**

11 A. **I have seen no evidence** they did. The e-mail record does show that S&L obtained tax,  
12 **insurance, and salary** information from TECO.

13

14 **Q. Did you notice anything else peculiar about S&L's cost estimates?**

15 A. Yes. I noticed that [REDACTED] of the [REDACTED] cost items identified and estimated in S&L's study were  
16 multiples of [REDACTED]. The probability of actual, engineering-based estimates exhibiting such  
17 an arithmetic relationship is so very, very small as to be considered impossible. Thus, this  
18 casts further doubt on the accuracy of the S&L study and the legitimacy of S&L's  
19 methodology, whatever it was.

20

21 **Q. Would you give any weight to S&L's estimate?**

22 A. No. A reliable engineering estimate for the type of facilities at issue here must be built from  
23 the ground up because there are existing facilities, a prior rail unloading point, and other

1 physical features that must be taken into account in preparing any estimate of the costs to  
2 install new or upgraded rail delivery infrastructure. A reliable engineering estimate should  
3 also incorporate vendor quotes for the key items and be transparent with regard to unit costs  
4 and loading factors. S&L's estimate does not meet these tests.

5

6 **Q. Did you ask Mr. Stamberg to visit Big Bend and Polk and the Hillsborough County**  
7 **permitting authorities?**

8 A. Yes. He made three visits to the Tampa area as part of his assignment. His visits included  
9 not only "drive-by" or "outside-the-fence" inspections of TECO's Big Bend, Polk, and  
10 Gannon (Bayside) Generating Stations, but also "inside-the-fence" inspections of all three of  
11 these power plants. His visits also included review of the permitting records for both the Big  
12 Bend and Gannon Stations.

13

14 **Q. Did he meet with CSXT's personnel who prepared CSXT's estimate?**

15 A. Yes. Mr. Stamberg met with Mr. White and Mr. Schumann, the two individuals who had  
16 primary responsibility for developing CSXT's cost estimates for the capital improvements  
17 needed to accommodate rail delivery, handling, and trans-loading facilities for serving Big  
18 Bend and Polk.

19

20 **Q. Did you review Mr. Stamberg's estimates?**

21 A. Yes. I found Mr. Stamberg's estimates to be reasonably thorough and complete.

22

1 Q. Did you review the permit information and TECO's engineering information requested  
2 by CSXT?

3 A. Yes.

4

5 Q. Do Mr. Stamberg's analysis and estimates satisfy the criteria that you articulated above  
6 regarding the characteristics of a sound engineering estimate for coal receiving and  
7 handling installations?

8 A. Yes. Accordingly, it is my opinion that his analyses are far more reliable and credible than  
9 anything that is contained in the Sargent & Lundy report.

10

### THE TRANSPORTATION BENCHMARK

11

12 Q. Are you familiar with the Commission's transportation benchmark established in 1988?

13 A. Yes. And I reviewed TECO's benchmark calculations attached as Document 1 to Ms.  
14 Wehle's September 12, 2003 testimony.

15

16 Q. What is your assessment of the benchmark?

17 A. It has no analytical value, and therefore no policy value or regulatory validity.

18

19 Q. Why?

20 A. I contacted the Commission staff and sought the underlying data from the four utilities  
21 surveyed. I was told that the back-up data from Lakeland is not publicly available. Lakeland  
22 is one of the two "low cost" respondents for 2002. The other low cost data point was  
23 Gainesville. Gainesville's volume was 728,847 tons which, even if the data were good,

1 which cannot be determined without an audit of invoices and Gainesville's rail contract,  
2 would tell me little about a potential 2.0-5.0 MMTPY rate to Big Bend.

3

4 **Q. What else did you discover?**

5 A. The back-up data for the St. John's River Power Park rail cents-per-ton-mile submittal given  
6 to me by staff shows under a bold double blocked heading: "Non-Discounted Contract Rail  
7 Rates – 2002". That caveat is sufficient to reject the SJRPP data as not representing SJRPP's  
8 actual rail rate.

9

10 **Q. What about Ms. Wehle's calculation?**

11 A. In the first instance, I note that because the underlying data is bad, which I've shown above,  
12 her calculation is invalid. I also note that she employed an average haul distance of 1,146  
13 miles, testifying this is the rail haul distance "from all Tampa Electric waterborne coal  
14 supplies to plants". With no back-up, this statement is difficult to evaluate, and as I testify to  
15 at length in this testimony, the most economical rail origin will usually not be the most  
16 economical barge origin (not that TECO necessarily buys from the most economical barge  
17 origin).

18

19 **Q. Did you calculate the rail mileage from an economical rail origin to TECO's Big Bend  
20 plant?**

21 A. Yes. My calculation showed the rail mileage from Big Bend to the Webster County and  
22 Hopkins County West Kentucky load outs, which are used by LG&E and TVA and which are  
23 also available to TECO, was 961 miles.

1 Q. **What is the percentage difference between your 961 miles and Ms. Wehle's 1,146 miles?**

2 A. By her method of calculation on mileage alone, her rate is overstated by  $(1,146 - 961 = 185)$   
3 divided by 961, or 19.3% if her result seeks to represent to the Commission what TECO  
4 would pay for coal transportation from a rail transportation efficient coal mine to Big Bend.

5

6 Q. **Is mileage the whole story?**

7 A. No. I've testified earlier that high-sulfur Pitt 8 coal is a likely economical rail source coal for  
8 Big Bend. It is over 1,100 miles by rail to these mines, but because CSXT offers lower rates  
9 per ton mile for transportation from Northern Appalachia and because Pitt 8 coal has a  
10 higher Btu/lb value, Pitt 8 coal, depending on market conditions, could be the preferred rail  
11 source for TECO, just as it often is for Seminole.

12

13 Q. **Do you have any other problems with the benchmark?**

14 A. Yes. If you have a bona fide rail bid as TECO did in October 2002, that should be the  
15 "benchmark" not some calculation using inaccurate data from an invalid origin.

16

## CONCLUSIONS AND RECOMMENDATIONS

17

18 Q. **Please summarize the major conclusions of your testimony.**

19 A. TECO's coal procurement and coal transportation procurement practices were and are  
20 imprudent. TECO's efforts to suppress and avoid rail vs. barge competition, both for coal  
21 supply and for coal transportation, are costing TECO's customers millions of dollars per year.  
22 As explained in my testimony, TECO's projected costs for coal transportation under its  
23 contract with TECO Transport are unreasonable and imprudent. Even generously evaluating



1           TECO's behavior in light of what the Commission now knows that TECO knew in the fall of  
2           2002, the Commission must recognize that TECO's behavior has been imprudent and that  
3           TECO's actions are costing and will cost TECO's ratepayers far more than they should.  
4           Accordingly, the Commission should disallow, at a minimum, for cost recovery purposes, the  
5           difference between the cost of rail-origin-and-delivered coal and barge-origin-and-delivered  
6           coal on 1.5 MM tons for 2004, which I estimate to be approximately [REDACTED] and the  
7           corresponding amount on 2.0 MM tons for 2005, which I estimate to be approximately [REDACTED]  
8           [REDACTED] and even more, probably on the order of 3.0 MM tons, for 2006 through 2008.

9           Additionally, the Commission should take all actions within its power to ensure that  
10          TECO's customers are not further abused and harmed by these imprudent practices by  
11          TECO. If the Commission has the power, it should mandate fair, open, transparent,  
12          Commission-supervised procurement processes for all future TECO coal procurement and  
13          coal transportation procurement activities. If not, it should seek the power from the Florida  
14          Legislature; other state utility commissions have and exercise this power.

15          Additionally, TECO's actions have been so imprudent in this case that I believe that  
16          the Commission should consider imposing whatever additional penalties it has available  
17          under its governing authority on TECO's shareholders and management.

18  
19       **Q. Does this conclude your direct testimony?**

20       **A. Yes, it does.**

21

1 BY MR. WRIGHT:

2 Q Dr. Sansom, have you prepared a summary of your  
3 testimony?

4 A Yes.

5 Q Would you please deliver it to the Commission at this  
6 time?

7 A Yes. You may recall that Senator Baker's statement  
8 in Watergate when he said, "What did they know and when did  
9 they know it?" Well, this is a prudency issue versus  
10 imprudency. And for our purposes here I think we should add,  
11 not only what did they know and when did they know it, but what  
12 did they do about it?

13 Let's starts with the when. Clearly, the time is  
14 October 2002 to March 2003, bracketed on the one hand by the  
15 CSX offer of October 2002 and the timing of a prudent  
16 solicitation to cover the replacement or potential replacement  
17 of the TECO Transport contract that was scheduled to expire at  
18 the end of 2003. And, in my opinion, given the complexity and  
19 the scale of that solicitation, it should have occurred no  
20 later than June 1st of 2003 to allow the proper analysis of the  
21 bids and the consideration of rail versus barge origin coal.

22 Now, the first what is what did TECO know? And the  
23 answer is that they knew by October of 2002 that the CSX bid  
24 offered them a chance to establish intermodal competition at  
25 the Big Bend station; to obtain at CSX's expense a unit train

1 unloading facility at Big Bend and to receive coal for  
2 transportation savings potentially as much as \$7 a ton. And  
3 you can do the math, on \$5 million -- on 5 million tons a year,  
4 that is \$35 million a year. And I'm advocating not giving all  
5 the business to the low-cost bidder in this case, so it would  
6 have been some lesser amount of tonnage, like two and a half  
7 million multiplied by seven, and these are not confidential  
8 numbers. So this is a huge opportunity to minimize fuel costs  
9 to the ratepayers.

10 All right. The second issue is what did they do  
11 about it? And the answer is nothing. They were offered the  
12 opportunity, but TECO was, quote, too busy, according to them.  
13 And in my experience in prudency evaluations, if you say you  
14 are too busy, that is a prima facie imprudency. And you heard  
15 the testimony this morning of Mr. White trying to negotiate.  
16 It was like one-hand clapping. You can't take advantage of the  
17 markets unless you engage the bidders.

18 I found TECO's actions were imprudent in the  
19 following respects: Failure to solicit all low-cost supply  
20 regions and transportation modes. In particular, they  
21 solicited only Midwestern coal, by the water route only, not  
22 Pitt 8 coal. Big Bend has flue gas desulfurization capability.  
23 The ratepayers have paid for that. That entitles those  
24 ratepayers to the opportunity to burn in those units low cost  
25 high sulfur coal. There is two primary areas with billions of

1 tons of reserves in the United States. It's the Illinois basin  
2 and Northern Appalachia, not central Appalachia. So this was  
3 an opportunity to tap the Northern Appalachia Pitt 8 reserves,  
4 and it was an opportunity to tap intermodal competition and CSX  
5 rail as the potential low-cost server to deliver fuel to the  
6 Big Bend station.

7 I have done a damage calculation, and it is in  
8 Exhibit 9A, B and C that we were looking at earlier. And as I  
9 have said, we are talking about over \$7 a ton. I can't give  
10 you the number in an open forum, but it is in Exhibit 9A, B and  
11 C. And in my opinion this is the appropriate rail cap on TECO  
12 affiliate charges. TECO Transport should not be allowed to  
13 charge more than the cap that would be, that results from my  
14 calculation in Exhibit 9A, B, and C.

15 And I did a complete evaluation. The ratepayer buys  
16 electricity; the ratepayer buys Btus per kilowatt hour; the  
17 ratepayer buys not tons, but Btus. And a proper evaluation by  
18 a properly executed procurement is to evaluate the delivered  
19 fuel cost on a cents per MMBtu basis, adjusted for bus bar  
20 effects, and that is what I do in my Exhibit 9A, B and C.

21 Another advantage of intermodal competition is it  
22 improves the reliability, and it would reduce in half the  
23 currently allowed 91 million in inventory costs in the rate  
24 base for TECO electric. They currently keep 900,000 tons  
25 typically on the ground at Davant, which does not -- which if

1 you allowed intermodal competition at Big Bend, based on the  
2 experience of all the utilities in Florida, you could eliminate  
3 this amount of coal from the rate base. That would eliminate  
4 approximately \$45 million from the rate base. And, of course,  
5 you know the carrying charges on that would be somewhere around  
6 four and a half million dollars a year, or another dollar a  
7 ton, which I incorporate in my calculations in Exhibit 9A, B  
8 and C.

9 A couple of other conclusions. In my opinion,  
10 Sargent and Lundy's 48 million-dollar estimate -- I think that  
11 number is not confidential, the total number -- to upgrade Big  
12 Bend's rail unloading facilities is wrong, because it does  
13 reflect vendor bids. Big Bend's construction criteria, as  
14 demonstrated by facilities in place on Big Bend's site as  
15 constructed in the 1990s, namely the specific facilities to  
16 bring the residual from the Polk gasifier into the Big Bend  
17 station and the facilities built at the time to handle the  
18 receipt and loading of Polk coal.

19 I think that the Sargent and Lundy's estimate was not  
20 done in the prudence period. It is a made for litigation  
21 result. If they had done an analysis in the prudency period,  
22 which I consider to be October 2002 through June 1st, 2003, it  
23 would have been evidence that they seriously considered and  
24 seriously addressed the construction cost of rail unit train  
25 unloading facilities at Big Bend. And, of course, more

1 evidence of that would have been some record of a dialogue with  
2 Mr. White and the other people at CSX.

3 My final conclusion is that the benchmark should be  
4 abolished by this Commission. It is really not a serious call  
5 at all. If you look at the CSX bid, the benchmark is some 44  
6 percent above the actual rail bid to move coal. So this is  
7 supposed to be a rail benchmark, and it is not even close. And  
8 I can discuss this in nonconfidential terms because the  
9 declassified FPSC 423s show in 2000 and 2001 that CSX delivered  
10 rail coal to Gannon for \$16.35 a ton in CSX cars. And if you  
11 compare that to the benchmark in those years, I think you will  
12 be astonished at the result.

13 And the rest of my testimony, why the benchmark is  
14 inadequate, is based on data that cannot be audited; it is  
15 based on data that excludes volume discounts; it is based on  
16 data that miscalculates the allowed charge for rail car  
17 ownership; and it is based on data that is not public and not  
18 reviewable. And it is also based on mileage calculations that  
19 are arbitrary, done by TECO themselves.

20 That concludes my summary.

21 Q Thank you, Dr. Sansom.

22 MR. WRIGHT: Dr. Sansom is tendered for cross  
23 examination.

24 CHAIRMAN BAEZ: Mr. Vandiver.

25 MR. VANDIVER: Thank you, Mr. Chairman.

## CROSS EXAMINATION

1  
2 BY MR. VANDIVER:

3 Q Dr. Sansom, at Page 45, Line 17, you state that the  
4 benchmark has no policy or regulatory validity, is that  
5 correct?

6 A You said 45.

7 Q Yes, sir, Line 17.

8 A I'm just trying to catch up to you.

9 Q Sure thing.

10 A Yes, that is my testimony.

11 MR. VANDIVER: Mr. Chairman, I would like to have  
12 Mr. Poucher pass out an exhibit at this time.

13 CHAIRMAN BAEZ: Mr. Poucher. Mr. Poucher, you gave  
14 me two. Are they the same?

15 MR. VANDIVER: Can you I get a number for this,  
16 please, Mr. Chairman?

17 CHAIRMAN BAEZ: Show the document entitled TECO  
18 Approved Waterborne Transportation Benchmarks 1994 through 2001  
19 as Exhibit 105.

20 MR. VANDIVER: 105, thank you, sir.

21 CHAIRMAN BAEZ: 105.

22 (Exhibit 105 marked for identification.)

23 BY MR. VANDIVER:

24 Q Dr. Sansom, this has been labeled Exhibit 105. And  
25 the third column over is the benchmark, and I believe that is

1 the benchmark you referred to in your testimony, is it not,  
2 sir?

3 A Yes.

4 Q And that is a public number, is it not, sir?

5 A That is correct.

6 Q And just so we can all be clear, this is all public  
7 data, is it not, sir?

8 A That is correct.

9 Q All right. Now, that third column there, and the  
10 fourth column, it is labeled at the top actual, that rail cost  
11 and the waterborne cost in the years shown, those would  
12 normally be confidential numbers, would they not?

13 A That's correct.

14 Q All right, sir. And in our benchmark comparison  
15 years those confidential numbers are compared to the public  
16 numbers, are they not, sir, for the benchmark comparison  
17 purposes?

18 A In this table?

19 Q Yes, sir.

20 A Yes. In other words, the now public, previously  
21 confidential, data in the second -- in the columns to the right  
22 is compared with always public benchmark data.

23 Q All right, sir. And I want to, just so we can all  
24 get oriented on this chart, you have Footnote 3 down there, and  
25 it says include estimated cost to get coal from mine on to the



1 river barge. How did you calculate that, sir?

2 MR. FONNS: Excuse me. I'm perplexed here. Is this  
3 an exhibit that this witness has prepared? I thought OPC was  
4 handing it out, and he is now asking him how he prepared it.  
5 Does this mean that this is more than friendly  
6 cross-examination, that the Office was Public Counsel is  
7 actually using a document that was prepared by this witness who  
8 is a witness for CSXT?

9 MR. VANDIVER: This is a probative document that I'm  
10 asking the witness about, Mr. Fons.

11 MR. FONNS: I'm objecting --

12 CHAIRMAN BAEZ: Hold on. Hold on. Hold on. This  
13 way. I know sometimes I don't look like I'm here, but I am.

14 Mr. Fons restate the basis of your objection. And,  
15 Mr. Vandiver, you will have a chance to respond.

16 MR. FONNS: In the examination of this witness,  
17 Mr. Vandiver asked the witness, how did you calculate your  
18 Footnote 3. Now, this witness has been handed this document  
19 apparently for the first time by Mr. Vandiver, and he is now  
20 asking the witness how he calculated it. Is this the witness'  
21 exhibit?

22 CHAIRMAN BAEZ: First of all, I would put the  
23 question to you. I mean, I did hear you say, "How did you  
24 calculate." So where are these numbers coming from? And let's  
25 try to establish the origin of it, and then we will get to the

1 rest of it, of the discussion. Mr. Vandiver, go ahead.

2 MR. VANDIVER: Okay. This is not a document that was  
3 prepared by the Office of Public Counsel. This is a document  
4 that has been given to me. I don't know the origin of this  
5 document. However, I believe this document to be very  
6 probative of the benchmark. I believe I have a right to use  
7 this document in cross-examination as I see fit.

8 CHAIRMAN BAEZ: You don't know the origin of the  
9 document?

10 MR. VANDIVER: No, I don't. But I believe I have a  
11 right to use any probative document as I see fit to question  
12 the witness. I believe it to be a very probative document, and  
13 that I can ask the witness questions as I see fit.

14 CHAIRMAN BAEZ: I know that you have said that a  
15 couple of times, but I am still trying to get over the fact  
16 that we are introducing a document that doesn't have a history,  
17 or we don't know where it came from.

18 MR. VANDIVER: And I'm trying ascertain the truth of  
19 this document from this witness.

20 CHAIRMAN BAEZ: Mr. Vandiver, I'm not going to allow  
21 you to use this document. This document is -- some of the  
22 information on this document may be available publicly and that  
23 might be a way to get around this, but I am not sure that this  
24 document is the proper way to do it.

25 MR. VANDIVER: I think everything on this document is

1 public. I think it is from FERC 423 forms.

2 CHAIRMAN BAEZ: Then can you represent it as -- and I  
3 tend to think that we got off on the wrong foot with this  
4 document. I think we should have established the foundation  
5 for this document from the beginning.

6 So in light -- since the representations are being  
7 made, Mr. Fons, that this is information that is coming from  
8 nonconfidential information contained or readily accessible as  
9 a public record on the 423s, I think we are going to let Mr.  
10 Vandiver establish the foundation for this document.

11 But I've got to tell you, Mr. Vandiver, I'm really --  
12 you know, unless you can do a good job of it, I think there are  
13 other ways to get to this information?

14 MR. VANDIVER: I think we can get there.

15 BY MR. VANDIVER:

16 Q All right, sir. How was the information in  
17 Footnote 3 derived, sir?

18 A It was derived from the now public FPSC Forms 423.

19 MR. FONS: Mr. Chairman, I'll renew my objection now.

20 CHAIRMAN BAEZ: Yeah.

21 MR. FONS: It appears that this document was prepared  
22 by this witness, and in that situation that is a sandbag  
23 exhibit. I'm going to object to it.

24 CHAIRMAN BAEZ: Who prepared this document?

25 THE WITNESS: I prepared it.

1 CHAIRMAN BAEZ: You prepared it?

2 THE WITNESS: Well -- yes.

3 CHAIRMAN BAEZ: It's out. Okay. Move on,  
4 Mr. Vandiver.

5 MR. VANDIVER: All right, sir.

6 BY MR. VANDIVER:

7 Q Do you believe it is appropriate to compare the  
8 public benchmark to proprietary rail waterborne costs?

9 A Yes. I mean, it would be one way of determining  
10 beyond the inherent inaccuracies of the data that the benchmark  
11 relies on, which I address in my testimony on Pages 45 through  
12 47. Another way of showing the benchmark's lack of validity is  
13 to compare it to -- proprietary data is your word as opposed to  
14 confidential data -- but to compare it to actual data that  
15 reveal the rail rates and waterborne transportation rates to  
16 which the benchmark is supposed to be related, but isn't.

17 Q Do you believe the benchmark has served the public  
18 interest?

19 A Well, I was asked a question in my deposition about  
20 the benchmark by Mr. Beasley, and at that time I had only  
21 looked at the one year that I had addressed in my testimony,  
22 which was 2002, and I was highly confident that the data was  
23 useless that I saw from Ms. Wehle on the benchmark. I have  
24 since gone back and looked at the other years and reached the  
25 same conclusion. To the extent this Commission has relied on

1 it, it has not served the ratepayers and it is a misleading  
2 indicator.

3 Q On Page 45, Line 23, you reference Gainesville  
4 Utilities as a data point, is that correct?

5 A Yes.

6 Q Is it fair to compare a 700,000-ton movement to a  
7 four million-ton movement?

8 A Certainly, you wouldn't expect the same rail rate to  
9 be applicable to a less than a million ton movement versus one  
10 over two to three million tons.

11 Q Why is that?

12 A Because an integral part of transportation rates are  
13 volume discounts. And, obviously, if you are moving a lot of  
14 tonnage, as the proposal made to TECO in this case shows, there  
15 is a substantial discount available at the higher volume  
16 levels. And that was the discount that I included in my  
17 calculations in Exhibit 9A, B and C. So, no, to compare a  
18 small volume receiver of coal in that rate, even if everything  
19 else was done correctly, and I'm not saying here it was, would  
20 give you a misleading result for a higher volume movement.

21 MR. VANDIVER: That is all the questions I have.  
22 Thank you, Mr. Chairman.

23 CHAIRMAN BAEZ: Thank you, Mr. Vandiver.

24 Ms. Kaufman. Oh, I'm sorry. Ms. Kaufman, you don't  
25 have any questions?

1 MS. KAUFMAN: I'm sorry, Mr. Chairman. I do not have  
2 any questions.

3 CHAIRMAN BAEZ: Good. I didn't see the signal.  
4 Mr. Twomey.

5 MR. TWOMEY: Yes, Mr. Chairman. Thank you.

6 CROSS EXAMINATION

7 BY MR. TWOMEY:

8 Q Are you the same Bob Sansom I crass-examined in the  
9 Occidental case in the mid-'80s?

10 A Yes. Well, 19 -- 1988. Some things you don't  
11 forget.

12 Q I thought you looked familiar.

13 A I take that as a compliment.

14 Q I want to start --

15 A I had a lot more hair then.

16 Q I want to start at the end of where we left off with  
17 the apparently now deceased Exhibit 105 by not referring to it,  
18 Dr. Sansom, but you do, in fact, at Page 45 of your testimony  
19 malign the benchmark's worth in judging the relevance or the  
20 prudence of reasonableness of what TECO's customers are forced  
21 to pay for transportation, the waterborne transportation,  
22 right?

23 A Yes. I wouldn't use the word "malign". But you did,  
24 and I will accept it.

25 Q Okay. Do you buy -- I would ask your counsel to give

1 you a copy of Exhibit 101 which is still a good exhibit, I  
2 think. And I would ask you to turn to the third to the last  
3 page from the end, which shows the -- it's the FPSC Form  
4 423-2(B) for Tampa Electric Company for the month of May 2000.  
5 Now, you know what the current benchmark is, is that correct?

6 A This --

7 Q No, I'm not asking you with reference to this one,  
8 but you know what the benchmark is?

9 A For 2000, the year we are looking at.

10 Q Yes, sir. Do you know what that is?

11 A Yes. It's 26.23.

12 Q 26.23. And so at least in theory, anything under  
13 that is an acceptable price for TECO's customers to have to pay  
14 through the fuel adjustment clause for the transportation of  
15 coal provided by Tampa Electric Company's affiliate, TECO  
16 Transport, right?

17 A That, as I understand it, is the concept of the  
18 benchmark.

19 Q Okay. And you have read Ms. Wehle's testimony and  
20 examined her exhibits, is that correct?

21 A Yes.

22 Q Okay. In fact, she makes clear in her testimony,  
23 doesn't she, that TECO's actual rates that they pay are always  
24 below the benchmark, right?

25 A Yes. But, of course, she has a very serious flaw in

1 her data. When she uses the TECO Transport rate, she does not  
2 include all the transportation for the water move in her  
3 number, which is an absolutely fatal flaw. It is like your kid  
4 came home from school and said he made straight As. And you  
5 said, "Well, how did you do in Spanish?" And he said, "I got  
6 an F. Oh, I made straight As all the other ones."

7 Q Well, what is the Spanish grade here? What is left  
8 out in her analysis?

9 A Well, she fails to tell the Commission that an  
10 important transportation component of moving the coal from the  
11 mine is moving it from the mine to the barge. So she is  
12 comparing apples and oranges, even if the benchmark were  
13 correct, which you are looking at a document that shows that it  
14 isn't.

15 Q Now, the actual numbers, if you recall, isn't it  
16 correct that the numbers used in Ms. Wehle's favorable  
17 comparison of the benchmark to what TECO charges its customers  
18 is confidential, is it not?

19 A The TECO Transport component of the transportation  
20 cost that TECO charges its customer for waterborne coal is  
21 confidential for the period 2000 -- for the last two years, but  
22 it is not in earlier years.

23 Q Okay. Now, going back to the third to the last page  
24 of Exhibit 101, you have just testified a moment ago what the  
25 benchmark was for the year 2002, and I think it was \$26.23, you



1 said?

2 A That was 2000, the year 2000.

3 Q I'm sorry, I meant to say 2000. Yes.

4 Now, we know now from the declassified data that  
5 TECO's rail charges that it paid to CSX, I guess it was, for  
6 coal delivered to Gannon was \$16 per ton, right?

7 A That is what it shows on the page we are referring  
8 to, which is the 423-2(B) under the line rail charges to  
9 Gannon.

10 Q And yet the benchmark would suggest to us that  
11 anything under \$26.23 is an okay deal for the consumers, isn't  
12 that correct, as you understand what the benchmark is?

13 A Yes.

14 Q Now, Dr. Sansom, isn't it clear that, in your  
15 estimation, that what TECO knew that it was paying CSX to pay  
16 for a shipment of coal per ton to Gannon was clearly a superior  
17 indication of what the reasonable market-based rate should be  
18 as opposed to the benchmark?

19 MR. FONS: Mr. Chairman, I have to object. This is  
20 friendly cross-examination, and that's the most leading  
21 question.

22 MR. TWOMEY: I will withdraw it.

23 CHAIRMAN BAEZ: Well, wait a second. Mr. Fons,  
24 friendly or not, it is still cross. So I would allow you to  
25 object to the editorializing, that is one thing, but that he

1 can lead a witness to some extent has to be. Okay. Let's save  
2 some of the argument over that.

3 MR. TWOMEY: Yes, sir.

4 BY MR. TWOMEY:

5 Q Well, Dr. Sansom, isn't this \$16 rate that TECO  
6 charged -- paid CSX in 2002 for coal shipped to Gannon versus  
7 the benchmark illustrative of the point you were making at Page  
8 45 your testimony, that the benchmark is flawed and is not  
9 reliable?

10 A Right. Your question said 2002. Again, it is 2000.

11 Q I'm sorry. I don't know why my tongue does that.

12 A The answer is the difference is \$10.23 a ton in the  
13 year 2000, which would suggest that the benchmark is not even  
14 close.

15 Q Okay. And if you would turn to -- let's see, the  
16 last page of Exhibit 101. Again, that shows, does it not,  
17 shipments to Gannon Station?

18 A Yes.

19 Q For the year -- month of May, year 2001?

20 A That is correct.

21 Q Okay. And what is the comparable number for the unit  
22 rail total transportation charges at Column P?

23 A The now declassified number is \$16.35 a ton.

24 Q Okay. And, again, if you are aware, how does that  
25 compare to the benchmark for that year?

1 A The benchmark in that year was \$23.87 a ton.

2 Q I want to start at the beginning of your testimony,  
3 Dr. Sansom, and read or ask you some questions that I have made  
4 on your testimony.

5 Page 10, Line 15, in responding to a question that  
6 asked your assessment of the TECO fuel procurement and fuel  
7 transportation practices, you start out saying it is  
8 fundamentally flawed, correct?

9 A Yes.

10 Q And you go on to say that no one mode should be  
11 given, quote, unquote, all the business, correct?

12 A That's correct.

13 Q And you say that a bimodal transportation approach  
14 would ensure that TECO's ratepayers benefit from competitive  
15 transportation markets and are able to draw on the most  
16 economical coal supply regions, correct?

17 A Yes.

18 Q Now, I want to ask you first about the competitive  
19 aspect of that, Dr. Sansom. Are you aware of other electric  
20 utilities experienced in the state of Florida that would  
21 support your assertion that there are competitive benefits to  
22 be had from a bimodal approach?

23 A Yes, I am aware of others in Florida and others in  
24 the east and throughout the country. But the other ones in  
25 Florida would be JEA and Florida Progress, Florida Power, which

1 is now Progress Energy Florida, if I've got it right.

2 Q And to the extent that you know, how have they  
3 benefitted from those -- the advantage of having both  
4 waterborne and rail transported coal.

5 A They compete each mode against the other. Both of  
6 them want the volume, and they make them negotiate and work  
7 hard for whatever volumes they get.

8 Q Now, aside from the benefits of competition, the  
9 price advantages of competition if that is what you are saying,  
10 what other advantages are there, if any, for a utility,  
11 especially in Florida, that would have a bimodal approach.

12 A You have increased reliability and reduced inventory  
13 costs.

14 Q Okay. Why is there more reliability?

15 A By definition, if you have got a different way of --  
16 I mean, if you are only water-dependent, you are subject to  
17 disruptions on the water route, low water levels, hurricanes,  
18 lock maintenance. If you are singly dependent upon the  
19 railroad you are subject to disruptions if there is -- if there  
20 are difficulties on the rail route. By definition, and a  
21 matter of statistics, if you have got two options, you have got  
22 lower risk of disruption; therefore, you can carry lower  
23 inventories.

24 Q Okay. Well, how could it affect the inventory?

25 A In this case, it could cut the rate base inventory

1 from 91 million to 45 million, just like that. In fact, it  
2 would be even -- even if you wanted to use Sargent and Lundy's  
3 utterly highly inflated estimate of the rail -- unit rail  
4 unloading facilities, the ratepayer could have it for nothing  
5 by simply reducing the inventory allowed -- TECO's allowed  
6 inventory in the rate base. And if TECO wanted to invest in  
7 the facilities as opposed to CSX, and I can't see why they  
8 would, given that CSX is willing to do it, it would be a  
9 freebie to have intermodal competition in the lower 20 to \$30  
10 million in savings that I'm talking about.

11 Q Okay. On the next page, 11?

12 A And let me explain how I arrived at that. I actually  
13 looked at the inventories of these other Florida utilities and  
14 compared them to the inventories carried by TECO at Big Bend.  
15 And these other utilities have carried inventories that are  
16 comparable to what Big Bend alone carries, without accounting  
17 for the inventory carried at Davant, and they haven't suffered  
18 disruptions. Therefore, by definition they -- and particularly  
19 I looked at it both ways, the intermodal guys, JEA and Crystal  
20 River on the one hand, and then I looked at it in terms of the  
21 single rail served utilities in Florida on the other.

22 Q Is that supported in your testimony and exhibits?

23 A I have prepared exhibits, but that issue wasn't  
24 addressed in -- it is addressed in my inventory only in the  
25 sense that I calculate in Exhibit 9A, B and C the savings of

1 reducing inventory by having intermodal competition to Big  
2 Bend.

3 Q Okay. On Page 11, Dr. Sansom, the heading you have  
4 at Line 5 is, "Least-Cost Coal Supply Regions for TECO." And I  
5 want to you ask you in connection with that, in your  
6 estimation, does Tampa Electric Company have a least-cost coal  
7 purchasing strategy that you can ascertain?

8 A No, it doesn't. In fact, I question, given the  
9 testimony of Ms. Wehle, TECO doesn't have a commitment to  
10 competition or to making markets work to reduce the cost to the  
11 ratepayers.

12 Q Well, let me ask you this. It is your understanding,  
13 is it not, that, and hasn't the evidence in this case shown  
14 thus far, that all of the waterborne transportation is  
15 provided -- and handling is provided by TECO affiliates,  
16 correct?

17 A Yes

18 Q Now, do you have an opinion on whether -- the fact  
19 that the waterborne transportation is carried and provided  
20 completely by TECO affiliate companies, do you have an opinion  
21 on whether that, in fact, impedes its ability or willingness to  
22 adopt a least-cost fuel strategy?

23 A It appears that it does. It appears to be the  
24 explanation for their refusal to negotiate with willing and  
25 able competitors, including Ingram Barge Company and CSX.

1           Q     Now, because wouldn't it be true, Dr. Sansom, that  
2 necessarily every dollar that Tampa Electric Company gave,  
3 assuming that they had a fixed burn, annual burn of coal,  
4 assuming that as a given, doesn't it necessarily follow that  
5 every dollar that Tampa Electric Company gives for coal  
6 transportation to CSX or any other unaffiliated transportation  
7 carrier must take dollars out of its affiliated company, TECO  
8 Transport?

9           A     Yes.

10          Q     Now, at Page 12 of your testimony, starting at Line  
11 10, you answer the question about likely low cost coal supply  
12 sources for by TECO by rail and barge. Now, as I understand  
13 your testimony, one part of it is, is that, and correct me if  
14 I'm wrong, but one part of it is, is that TECO has purchased  
15 coal that might logically be carried by water when it otherwise  
16 could have taken rail-mine originated coal, and that there is  
17 some costs to the customers from that, is that correct?

18          A     Yes. And I give two examples and do the calculations  
19 in detail for two examples. One is the Pitt 8 coal, which I  
20 was alerted to by the fact that Seminole, a CSX captive utility  
21 south of Jacksonville, takes Pitt 8 coal to a scrubbed unit  
22 just like Big Bend is a scrubbed unit. And they are able to  
23 deliver that coal much less expensively than TECO Transport  
24 delivers that same quality coal, in fact, a little lower  
25 quality coal to the Big Bend Station. And that calculation is

1 on Page 15. And the Pitt 8 mines that I am talking about that  
2 are served in a single line haul by CSX are on my Exhibit 2.

3 But the same thing also happens in West Kentucky,  
4 which is an Illinois Basin coal, which is not quite as high a  
5 Btu; therefore, it carry quite the rail rate that a Pitt 8 coal  
6 can carry. And that calculation is on Page 14. And when -- it  
7 was actually true that they were buying Dotiki coal, which is  
8 west of Madisonville, Kentucky on the CSX railroad, and they  
9 were taking that coal to the river at Mount Vernon, paying CSX  
10 a rail component, loading it on a terminal, which happens to be  
11 also owned by Alliance, which owns Dotiki, and taking it by the  
12 TECO Transport mode all the way to Big Bend. And that is the  
13 price you see that is confidential on Page 14 in the Big Bend  
14 Dotiki line.

15 And then I looked at what Seminole was doing, captive  
16 to CSX, doesn't even have the benefit of intermodal, and they  
17 were getting the same coal from the same mine and paying almost  
18 double digit dollars per ton less delivered than TECO was  
19 paying.

20 Q Okay, sir. Now, the -- is it Dotiki?

21 A Yes.

22 Q Now, as I understand it, and I want you to tell me if  
23 I'm right, going back to Page 12, Line 11, you make the  
24 statement TECO has taken Illinois Basin coal by barge from  
25 mines that originate coal by rail. That's correct, right?



1           A     They have done it from Galatia; they have done it  
2 from Zeigler; they have done it from Dotiki, and they have done  
3 it from others that could move it more economically by rail.

4           Q     So if I understand, it is your testimony that not  
5 only have they purchased coal that might rationally be taken by  
6 water, when they otherwise could have purchased rail originated  
7 coal, but in these examples, they have taken coal that  
8 logically should have gone only by rail, moved it to the water,  
9 with the result that they get to use the affiliated companies  
10 methodologies?

11          A     That is correct.

12          Q     Okay. Now, I want to ask you on Page 14 --

13               MR. TWOMEY: Mr. Chairman, Commissioners, I'm working  
14 from the unredacted document. I don't know if you all have it  
15 or not. I hope you do, so you can see the numbers. And the --  
16 Dr. Sansom, not that this has worked in the past, but I want to  
17 caution you not to blurt out any confidential numbers, okay?  
18 But I want to look at the -- on Page 14 at Table 1, and see if  
19 I can understand the significance of what you are suggesting.  
20 The unconfidential, the nonclassified information, which is  
21 obtained from Seminole, shows there both their contract and  
22 spot delivered costs -- are they delivered costs for 2002 and  
23 2003?

24          A     Yes. And that comes from the federal FERC Form 423.

25          Q     Okay. Now, do we know, for example, for contracts,

1 Dotiki for Seminole, Dr. Sansom, from the year 2002 to 2003,  
2 the delivered price per ton is going down, right, over \$2 per  
3 ton?

4 A Yes.

5 Q Do we know whether that is attributable to the  
6 contract price of the coal, or the transportation, or both?

7 A We don't know. We don't know. But I think it was  
8 due to the reopener of the FOB mine contract for coal, not the  
9 rail rate.

10 Q Now, we can't disclose the -- we can't disclose yet,  
11 maybe in 24 months or whatever the period is, we could talk  
12 about these numbers, but we can't talk about them now. But you  
13 have got Big Bend Dotiki, and we have the year 2002 and 2003,  
14 correct?

15 A Yes.

16 Q And for whatever reason, the figure in 2003 is larger  
17 than 2002, correct?

18 A Yes, that is probably fuel escalation.

19 Q As contrasted to -- the Seminole numbers went down,  
20 TECO's went up for some reason, correct?

21 A Yes.

22 Q And do you know why that went up?

23 A I think the reason TECO's went up was in part due to  
24 fuel price escalation affecting the rates on the river movement  
25 and on the ocean movement. And at that time there was a fuel

1 escalator, I think, in the Davant contract.

2 Q But, the sum and substance, if I understand it  
3 correctly, of your text of your testimony is that, one,  
4 Seminole is captive to the railroad and doesn't have the  
5 benefit of a waterborne carrier, correct?

6 A It doesn't have the benefit of intermodal  
7 competition.

8 Q They mined coal from the same mine, correct?

9 A Yes.

10 Q We can't talk about the difference, which you have  
11 calculated, but there is a difference there that everyone in  
12 the room can see. And you are saying in this particular  
13 example, if I understand you correctly, that this is due in  
14 part because TECO has elected to carry that coal to the river,  
15 transport it on TECO Transport, when it otherwise could have  
16 just done straight rail, is that correct?

17 A Yes. This is about a 965-mile direct rail movement;  
18 whereas, it must go by rail to the river, and another 1200  
19 miles down the river and 474 miles across the Gulf.

20 Q Now, on Page 15?

21 COMMISSIONER DEASON: Mr. Twomey, are you leaving  
22 this particular table?

23 MR. TWOMEY: Yes, sir.

24 COMMISSIONER DEASON: May I ask a question?

25 MR. TWOMEY: Yes, sir, of course.

1           COMMISSIONER DEASON: The numbers that are shown in  
2 Table 1, do we know how much of those numbers are comprised by  
3 commodity costs and how much is transportation.

4           THE WITNESS: The confidential TECO number we do  
5 know. We do not know that from the FERC Form 423 data for  
6 Seminole.

7           COMMISSIONER DEASON: Does Seminole, do you know if  
8 Seminole's -- or do you have an opinion as to whether Seminole  
9 has a more attractive commodity price for that particular coal  
10 in comparison to TECO's. Do they buy more? Do they have more  
11 volume discounts? Do you have any idea what the situation may  
12 be?

13           THE WITNESS: For the FOB mine price for Dotiki coal  
14 to Seminole? Well, that is why I put in both the contract and  
15 spot, because I wanted to be sure I covered both possibilities,  
16 that they could have a contract. Obviously, if you look at  
17 that, the spot price is less than the contract price. And  
18 typically a spot movement is a purchase of around 12 months or  
19 less, in some cases 18 months or less.

20           The Dotiki contract was a three-year contract. So I  
21 was trying to make sure that I didn't -- I mean, I've got  
22 myself bracketed there with a long-term contract. I know that  
23 the Dotiki contract to Seminole is a long-term contract with  
24 periodic price reopeners. The spot movement I have just  
25 described, and I've just told you the term of the Dotiki TECO

1 contract.

2 COMMISSIONER DEASON: Well, I guess what I'm trying  
3 to ascertain, and maybe you can help me, is that what we really  
4 want to compare for purposes of this investigation is the  
5 transportation cost to determine if one is higher than the  
6 other and for what reason it may be. But what I see here is a  
7 comparison of total cost. Can you help me? What am I supposed  
8 to ascertain from this particular table?

9 THE WITNESS: Okay. I think I understand your  
10 question, sir, but I want to caution that the ratepayers pay  
11 for delivered coal costs, not transportation as a separate  
12 commodity. And to diminish the delivered costs --

13 COMMISSIONER DEASON: Just a second, Doctor. I  
14 understand that. Just answer my question, please. I  
15 understand what the ratepayers have to pay, and they have to  
16 pay for everything. My question is we are trying to understand  
17 the relevant transportation costs, one mode versus another, one  
18 mine versus another, one utility versus another. And I am  
19 trying to get that. What I am seeing are total numbers which  
20 includes commodity and transportation, so help me -- what am I  
21 supposed to ascertain from this table?

22 THE WITNESS: You can find the FOB barge Dotiki price  
23 in the confidential FPSC 423s. And that is -- but that does  
24 not give you the FOB mine price, because they purchase the coal  
25 FOB barge rather than FOB mine. I can give you my opinion. I

1 think I know what those prices were, but I want to be  
2 responsive, and I don't think that is what you are asking me.

3 COMMISSIONER DEASON: Thank you.

4 CHAIRMAN BAEZ: Commissioner Bradley.

5 COMMISSIONER BRADLEY: Yes, sir. Thank you, Mr.  
6 Chairman.

7 Mr. Sansom, I don't know if you have been here  
8 throughout the entire hearing, but along the same line as  
9 Commissioner Deason, what I have been wrestling with, and I  
10 have listened intently to many, well not many, but several  
11 presenters make the statement that benchmarking is not an  
12 accurate method of determining the true cost of transportation,  
13 but that a competitive bid is.

14 And I have been trying to, in my mind, reconcile what  
15 the differences would be in terms of -- the mechanical  
16 differences would be between benchmarking and putting together  
17 a competitive bid. Is that something you can help me with?

18 THE WITNESS: Yes, sir. Let me try to help you. I  
19 think the intent, if I may say this without being corrected by  
20 the Commission, of the benchmark was to capture what the market  
21 price of transportation was that was received by these other  
22 largely municipal receivers of rail coal in Florida was. But  
23 that data is not available to the Commission, you don't  
24 regulate those utilities, and you are not getting a good data  
25 response in this phone call inquiry to these utilities.

1 Because they are sending back data that has caveats in bold  
2 blocked letters that says it doesn't include the volume  
3 discount, and then you have got to look at the volume number.  
4 Then you don't know the distance.

5           So, it is a flawed set of -- it's a house of cards,  
6 because each component of the information is not disclosed.  
7 And then it is further abused by a mileage adjustment done by  
8 Tampa. So it is just not a reliable set of data. Whereas, if  
9 you have the number we looked at, which is not confidential, of  
10 an actual rail rate paid by Tampa to Gannon of \$16 and \$16.35,  
11 that is a real number. That is what a competitor put his  
12 assets at risk and took the contract risk to deliver that  
13 commodity to Tampa Electric for. And that is not what you are  
14 getting through the benchmark data. And I explained that on  
15 Pages 45, 46 and 47.

16           COMMISSIONER BRADLEY: Then what are some of the  
17 specifics that a competitor would include in a competitive bid?  
18 What would the prices be for a competitive bid? What is it  
19 called?

20           THE WITNESS: Well, in the business of prudent coal  
21 procurements, which you solicit the market against a specified  
22 amount of transportation services you want over a specified  
23 period with specified tonnages. And, obviously, in this  
24 business when you have intermodal opportunity, as you have  
25 here, and you try to preserve for the buyer some tonnage

1 flexibility so you can move tonnage to one mode to the other,  
2 depending on the best price, but you want to preserve the  
3 capability of both modes to perform.

4           So you conduct a solicitation, you get the bids. And  
5 unlike what Ms. Wehle said, which I thought is not anything  
6 I've ever heard before, you then take the bids and rack them up  
7 on a delivered price per MMBtu basis. And then you start at  
8 the top and bring maybe the top one or two in for hard  
9 negotiations, which didn't occur with CSX, to see what give  
10 there is in their position, how strong their position is on  
11 escalation and on these details and even ask them if their per  
12 ton base rate is negotiable.

13           And then depending upon the spread, you might have  
14 ten bids, and you have got two of them, and if there is a big  
15 spread between the lowest two and the other eight, then you  
16 don't have to go back to the other. Ms. Wehle tried to make  
17 you think you had to go back to all ten; and, therefore that  
18 meant you didn't a good bid in the first place. Well, I've  
19 advised a lot of utilities, and that is not the reality.

20           The low bidder then comes in, and you have hard  
21 negotiations with that low bidder, and then try to strike a  
22 deal. And if he doesn't come off his number, but he is still  
23 the low bidder, then you strike a deal with his number. Then  
24 you argue over the escalation, you argue over the service  
25 issues that Mr. Deason raised. You argue over the other



1 aspects to pin down the interest of the buyer

2 COMMISSIONER BRADLEY: Okay. One other question. In  
3 your expert opinion, is the low bid always the best bid?

4 THE WITNESS: No.

5 COMMISSIONER BRADLEY: When is that not the case?

6 THE WITNESS: Well, it depends upon the reliability  
7 and the assets behind the performance, and the record of  
8 performance, and the service commitments you can obtain. So  
9 the low bid is not necessarily the best bid. But let me give  
10 you an example of, let's say, you are a buyer of rail  
11 transportation services; and just to take it out of this  
12 context, you have got two railroads serving.

13 Let's say you are a western buyer and you've got the  
14 Union Pacific and the Burlington Northern Santa Fe. Well, in  
15 that case it is usually the case that the low bid is the best  
16 bid because they both have substantial assets. If you look at  
17 the terms of contract both are willing to execute, and I have  
18 seen several hundred of them, they're pretty close. Although,  
19 if, for example, one of them wouldn't give you the service  
20 commitment that the other one would give you, then you might  
21 flip over to the other one and pay a little higher price for a  
22 better service commitment. So that is the way you have to look  
23 at it.

24 COMMISSIONER BRADLEY: And one final question. Are  
25 there any instances where the high bid might be the best bid?

1 THE WITNESS: Not in the business of coal and  
2 transportation services. Because if you look at the  
3 solicitations, they are capable suppliers across the price  
4 range of the bids. In other words, in this case they didn't  
5 even get a bid from Ingram. Ingram is a very capable barge  
6 company on the river. I once saw a case where Ingram put barge  
7 coal into a utility in eight weeks, and there wasn't even  
8 unloading facilities at that utility. So we also had to  
9 arrange to get the unloading facilities in in eight weeks.

10 So I'm just saying in this business there are several  
11 very capable vendors, so it wouldn't be likely the high bidder  
12 would be the one you'd go with. It would be very unlikely.

13 COMMISSIONER BRADLEY: So, using that example, and I  
14 think I heard you correctly, if a bidder has the ownership of  
15 capital assets, they might be able to bid at a lower rate than  
16 a company who does not have all of the capital assets that are  
17 necessary for them to be competitive with the company that owns  
18 most of its assets, transportation assets?

19 THE WITNESS: That is true. Except in the  
20 transportation business it is a capital intensive business.  
21 Most of the vendors have good balance sheets. There is one  
22 bankrupt barge company that has been addressed here that is  
23 ACBL, and we all know about that. But they are still moving  
24 coal even in a bankruptcy, Tacagia (phonetic), and performing  
25 So they have substantial fixed assets so there is not -- I

1 think you are describing a situation where you have a new  
2 entrant that doesn't have the assets and wants to get into the  
3 business. That is tough to do when you have got already  
4 well-financed players, multiple players. And, clearly, we  
5 don't have new entrants in the railroad business.

6 CHAIRMAN BAEZ: Dr. Sansom, I'm going to remind you  
7 you made a couple of references there that may have been to  
8 confidential informational, although you characterized it as  
9 everybody knows it. Well, maybe everybody in here knows it,  
10 but if you can be very careful about the information that you  
11 give out.

12 THE WITNESS: Could you help me, Commissioner?

13 CHAIRMAN BAEZ: Well, for instance, I think it was  
14 the two shipping companies that were either involved or not  
15 involved. Those happened to be --

16 THE WITNESS: I don't think that is confidential.  
17 know that directly, not from confidential sources.

18 CHAIRMAN BAEZ: Well, at least let us maintain the  
19 illusion, then.

20 THE WITNESS: Okay.

21 CHAIRMAN BAEZ: Okay. Thank you.

22 Mr. Twomey, I believe you were still --

23 MR. TWOMEY: Yes, sir. Thank you.

24 BY MR. TWOMEY:

25 Q Dr. Sansom, I want to ask you -- I was making some

1 notes while the Commissioners were asking you questions,  
2 Commissioner Bradley was asking you about the benchmark, and I  
3 wanted to follow up on something that he provoked a good  
4 question on, I think.

5           This is one of your points in your testimony, that we  
6 have actual cost data, we have actual prices paid by TECO to  
7 CSX for the coal transportation to Gannon as opposed to a bid,  
8 correct? We know what those prices were now?

9           A     Right. So in that case we have an executed contract,  
10 demonstrated performance, and actual now public price that we  
11 can compare looking back to the benchmark.

12          Q     Correct. What your testimony is, your position is is  
13 that the actual -- the actual cost of transportation of coal to  
14 Gannon by rail is a better indication of what transportation to  
15 Big Bend should be than a constructed model, a benchmark, is  
16 that correct?

17          A     That's correct. That's ten miles down the road.

18          Q     Okay. Now, looking at the differences, could the  
19 distance, the difference in the distance between the rail  
20 mileage from the West Kentucky coal you have on Page 14 and  
21 from the Dotiki mine, the difference in the rail mileage from  
22 Dotiki to Palatka and Dotiki to Gannon, could that distance in  
23 terms of rail charges account for the dollar difference shown  
24 on that exhibit?

25          A     No.

1 Q Could it account for any appreciable amount of the  
2 dollar difference shown, which is a confidential number? I  
3 don't want you to broach any confidentiality.

4 A No, I won't broach confidentiality, but let's say  
5 hypothetical, that it is -- for every 100-mile difference at  
6 1.5 cents a ton mile that would be \$1.50. So, as you can see,  
7 the difference is much greater than that.

8 Q Okay. It's not the distance?

9 A No.

10 Q Okay. Now, Commissioner Deason's observation  
11 notwithstanding, looking at the table, Table 1 on Page 14,  
12 wouldn't you conclude that Seminole, whose data is reported and  
13 must be reported publicly, has obtained a better deal for its  
14 customers on the delivered price of coal than has TECO whose  
15 transportation and price data is confidential?

16 A That's correct.

17 Q Now, with respect to Commissioner Deason's question,  
18 if I understand it correctly, I want to follow up just briefly  
19 because of the excellent point he raises. We could look at  
20 the -- we could look at the current and confidential FPSC Form  
21 423s and find out what the break out is between TECO's coal  
22 costs and the coal delivery cost, the transportation cost,  
23 correct?

24 A Not in this case, because they have -- they give you  
25 the price FOB charge, but they don't give you the price FOB

1 Dotiki in the rail car.

2 Q All right. So you are missing the length, the part  
3 that you have said -- okay.

4 A That is the Spanish grade.

5 Q Do you know, Dr. Sansom, whether the breakdown of  
6 information between -- Commissioner Deason was asking about  
7 that. Is the breakdown between Seminole's coal price and the  
8 transportation is available publicly?

9 A No, it isn't.

10 Q Okay.

11 A The reason I said I thought I could shed some light  
12 on it, I am familiar with the market price of spot coal FOB  
13 mine in West Kentucky in the period that is here, but I can't  
14 get that information from Seminole.

15 Q Okay. On Page 15, going back to Table 2 just for a  
16 minute, that illustrates the difference between what TECO pays  
17 for the same coal?

18 A Yes.

19 Q Versus what Seminole pays?

20 A Yes.

21 Q Page 24 of your testimony. Now, at Line 8, you  
22 answer the question that is designed to calculate, I guess, the  
23 millions of dollars TECO ratepayers have to pay too much for  
24 using 100 percent water transportation, correct?

25 A I calculate a Delta there that is one of the Deltas

1 is redacted and the other one isn't. And then you can take  
2 whatever tonnage you want to put on the rail for intermodal  
3 competition and multiply that number times the tonnage, and you  
4 get what I would call my first-cut estimate. My final estimate  
5 is in Exhibit 9A, B and C.

6 Q Right. And it is not confidential, but at Line 9 you  
7 talk about what those Deltas or difference would be assuming  
8 2.5 million tons per year moved by rail, correct?

9 A Right.

10 Q Now, again, notwithstanding your criticism, if that  
11 amount of coal was being carried by rail, it couldn't be  
12 carried by TECO Transport as well. That is obvious, is it not?

13 A Yes. It is called a zero sum game.

14 Q Okay. Now, Page 27, there are a number of redactions  
15 that are confidential information on that page as well, but I'm  
16 trying to see if we can talk about -- on my copy, anyway, it is  
17 not a criticism -- I mean, it's not redacted, but at 17,  
18 Line 17, you say what TECO should have done in early 2003 was  
19 to terminate -- is it pronounced Galatia?

20 A Yes.

21 Q Altogether for 2004 and solicit Pitt 8 coal by rail  
22 origin and all-rail transport to Big Bend. So, there, if you  
23 can state it without violating any confidentiality, have you  
24 calculated what that difference costs TECO's customers?

25 A Yes, that is in Exhibit 9A, B and C. And let me

1 explain for the Commission what I was trying to do there. I  
2 was assuming if a prudent buyer wanted to establish intermodal  
3 competition and bring rail coal in in competition with barge  
4 coal, that you would have reached for the most economical rail  
5 coal to get that in at the lowest delivered cost and maintain  
6 the most economical barge delivered coal over on the barge  
7 side.

8           And so I had to create the head room to bring that  
9 tonnage in. So I looked at the portfolio of contracts they  
10 had, and I looked at what their commitments were in '04 and  
11 '05. And I would hasten to point out in '05 this problem  
12 vanishes because the contracts expire, so I really had to  
13 create the head room in '04. And then I looked and saw that  
14 there was this Gannon contract.

15           At that time I didn't know that the Illinois fuel  
16 contract that we made the redaction about earlier in my  
17 testimony had been terminated for non-performance, that creates  
18 enough head room. So I probably don't have to go through this  
19 Galatia analysis. But I looked at the Galatia contract and  
20 found certain provisions that were available to Ms. Wehle to  
21 implement based upon conditions I don't think I should go in  
22 here, but related to the consent decree on Gannon and certain  
23 provisions of the contract that gave TECO certain rights and  
24 the decision made before August of '02 to close Gannon 5 in  
25 order to flange up to the gasifier -- the combined cycle unit,



1 not the gasifier, the combined cycle.

2           And that gave the contractual opportunity that if,  
3 having properly evaluated all the options, this was the most  
4 economical to flip to rail, then this one should have been  
5 terminated and they could have found a low-cost rail origin.

6           Now, knowing what Mr. Duff said in his deposition, I  
7 don't think this would even be necessary. Because they did  
8 another solicitation in early '03 and made another commitment,  
9 which was imprudent to make given the October '02 CSX proposal,  
10 which should have made them on red alert to create the space  
11 for rail origin economic coal delivered to Big Bend in  
12 competition with waterborne coal.

13           Q     So the sum of those two are that, if I understand you  
14 correctly, is that they stayed with coals that dictated  
15 waterborne transportation as opposed to either terminating  
16 early, if they could contractually, and then taking advantage  
17 of the other one that was out and going with the rail-based  
18 transportation?

19           A     Right. It is even worst than that. They took the  
20 Galatia coal, which originates on the IC in Illinois, which was  
21 bought for Gannon. Gannon shuts. They allow that vendor to  
22 originate the coal way up the Ohio, 900 miles up the Ohio.  
23 Actually, it's 800 miles up the Ohio; and, therefore, they have  
24 to barge it 800 miles down the Ohio, 900 miles down the  
25 Mississippi, 474 miles across the Gulf; whereas, that coal

1 could have been solicited at a lower price FOB rail on the CSX.  
2 And I give you all of those numbers in 9A, B, and C of what  
3 that increased cost is now being borne by the ratepayers versus  
4 the opportunity that they had.

5 Q Not 9A, B and C are all confidential, is that  
6 correct?

7 A Yes.

8 Q I'm not going to risk going into that. I wanted to  
9 ask you some questions, though, about the table, Table 4 on  
10 Page 32. Do you have that?

11 A Yes.

12 Q Now, the mine shown on page -- Table 4 is redacted,  
13 correct?

14 A That's correct.

15 Q Okay.

16 MR. TWOMEY: I apologize, Mr. Chairman, I had to ask  
17 because I had used yellow marking myself in making some notes.

18 BY MR. TWOMEY:

19 Q Now, if I understand that, Dr. Sansom, these two  
20 tables show in part the mine-to-river cost you accuse Ms. Wehle  
21 of ignoring, is that correct?

22 A Yes. I was able to extract this data from the  
23 information provided by TECO.

24 Q And if we looked on Table 4, without talking about  
25 the dollar amount, that would be the line, the second line rail

1 or truck rate to the river, is that correct?

2 A Yes.

3 Q Approximate?

4 A Yes.

5 Q Okay. Now, these two tables, although confidential,  
6 show the total dollar cost difference between waterborne versus  
7 rail for that coal, is that correct?

8 A Yes.

9 Q Okay. And I started to ask you, it is not  
10 insignificant, but whatever it is, is there, correct?

11 A Yes.

12 Q And you mentioned the Btu value, or you have the Btu  
13 value per -- and why have you done that?

14 A Well, it is like if you ordered a load of wood from a  
15 guy in a pickup truck, and you have got to pay so much a ton to  
16 bring the wood in, and one guy is offering you pine and the  
17 other guy is offering you oak, and he offers the same price per  
18 ton, well, you're going to take the oak, because it's got more  
19 Btus. And that Pittsburgh seam is the oak, and the Illinois  
20 coal is the pine.

21 Q And, consequently, as well, so if you are shipping  
22 oak in a pickup truck, and you wanted to get heat value for  
23 your home, you would want -- and the pickup cost, the  
24 transportation cost was the same for oak or pine, you would  
25 want to ship oak, right?

1           A     You want the Pitt 8, oak.

2                    COMMISSIONER DEASON:  Would you rather split oak wood  
3 or pine wood?  I'm just kidding.

4                    THE WITNESS:  I do it all the time.  I would rather  
5 split the oak any day, particularly red oak.  You have  
6 something down here called live Oak, which I understand you  
7 don't want to get close to.

8                    MR. TWOMEY:  One second, Mr. Chairman.  I think I'm  
9 done.

10  BY MR. TWOMEY:

11           Q     I think one last question on your last page,  
12 Dr. Sansom, and there is confidential information on that page  
13 as well, so I need to caution you and I to be careful.  What is  
14 not confidential is your discussion or suggestion that TECO  
15 could ramp up transportation, the amount of transportation it  
16 could carry by rail from a 1.5 million in 2004, if I understand  
17 this correctly, to 2 million in 2005, and then something on the  
18 order of 3 million, pardon me, 2006 or thereafter.

19                    Again, aside from the economic advantage, why would  
20 they be able to increase their total tonnage those amounts over  
21 that number of years?

22           A     Well, the first reason that the tonnage is lower in  
23 2004 is that in the time line that I constructed, which I think  
24 would be a prudent time line given the October '02 proposal, is  
25 the rail facilities wouldn't be in place at Big Bend until

1 April 1 of '04. If they had moved with dispatch when they got  
2 the bid in October of '02 to move through the scenario to  
3 determine the most economical way to upgrade the rail  
4 facilities for unit trains to do the conveyor purchase and to  
5 solicit the construction services.

6 So the capability is there to move the two and a half  
7 million tons at an annual rate, but we don't have all the year  
8 in 2004 if we only start on April 1st, so that is why the  
9 tonnages are lower. Beyond that I think it is a matter of  
10 head-to-head competition, but I am reminded here that another  
11 utility at Crystal River has taken the split to about 70/30 or  
12 67/33 in favor the rail proportion and that is because, this is  
13 public, that the rail rate is lower.

14 Q Well, lastly, isn't it also true, if you know, that  
15 Progress Energy's ownership interest in the waterborne system  
16 has decline over the years.

17 A I'm aware of that.

18 MR. TWOMEY: That is all I've got, Mr. Chairman.  
19 Thank you.

20 CHAIRMAN BAEZ: Thank you, Mr. Twomey.

21 MR. WRIGHT: Mr. Chairman, I apologize, but I would  
22 like to ask that we take a break.

23 CHAIRMAN BAEZ: I was just going ask Mr. Keating if  
24 he had much longer, because we would break right after staff  
25 questions

1 MS. RODAN: We just have a few questions.

2 CHAIRMAN BAEZ: There is that word again, a few.

3 MR. WRIGHT: That will be fine with me, Mr. Chairman.  
4 Thank you.

5 CHAIRMAN BAEZ: We will be taking a break after staff  
6 finishes their questions.

7 MR. WRIGHT: Thank you, sir.

8 CROSS EXAMINATION

9 BY MS. RODAN:

10 Q Dr. Sansom, in your testimony, you discussed Tampa  
11 Electric's coal supply requirements and the sources for that  
12 supply. Do you know approximately how many mines with CSXT  
13 direct rail service supply low ash fusion temperature coal?

14 A Well, first of all, the Illinois Basin mines are  
15 generally all low ash fusion coals, and the Pitt 8 coals are  
16 low ash fusion to the extent that they have been successfully  
17 burned in wet bottom boilers. Keep in mind Unit 4 is a dry  
18 bottom boiler, and Units 1, 2 and 3 are wet bottom boilers.

19 So all the coal I am talking about is suitable for  
20 use at Big Bend. And the answer to the question of how many  
21 mines, is your question single-line CSX or interline, and let  
22 me just answer it both ways to facilitate the process. You are  
23 talking probably on the order of 20 mines CSX direct, ten each  
24 in the Illinois Basin and Northern Ap, and in terms of the  
25 interline hauls like Galatia and Zeigler you probably can

1 triple that number.

2 Q Thank you. Do you believe a coal-burning utility  
3 would have any difficulty in contracting for one million tons  
4 of low ash fusion temperature coal per year at the mines with  
5 CSXT direct rail service?

6 A No.

7 Q Upon what do you base your opinion?

8 A The capacity of those mines, let me name a few of  
9 them, we have talked about Dotiki, we can talk about Pattiki.  
10 We can talk about the mine -- Cardinal Warrior mine, the  
11 Hopkins County Mine, the formerly Lodestar mines now to be  
12 Peabody mines, and then the Black Beauty mines in Indiana. And  
13 I am also talking about -- was your question just Illinois  
14 Basin?

15 Q Overall. It's overall?

16 A Then I am talking about the mines which I show in my  
17 exhibit -- excuse me a minute. If you look at my Exhibit 2,  
18 you see the mines that are on the Pitt 8 mines that are  
19 available there.

20 MS. RODAN: That is all the questions, I have. Thank  
21 you.

22 CHAIRMAN BAEZ: Thank you, staff. We are going to  
23 break for ten minutes.

24 (Brief recess.)

25 CHAIRMAN BAEZ: We will go back on the record.

1           Commissioners, do you have any questions? I know  
2 Commissioner Jaber -- I know Commissioner Jaber you had  
3 questions.

4           COMMISSIONER JABER: I have questions.

5           CHAIRMAN BAEZ: Okay.

6           COMMISSIONER JABER: Dr. Sansom --

7           CHAIRMAN BAEZ: Commissioner Davidson, leave  
8 Commissioner Jaber alone.

9           COMMISSIONER JABER: On Page 48 of -- I'm using the  
10 confidential version, Dr. Sansom, but it is not going to  
11 matter. I'm not asking a question related to the numbers at  
12 all. You make reference on Page 48 to how you believe the  
13 Commission should mandate a fair, open, transparent bidding  
14 process if we have the authority to do so. And my question to  
15 you is could you elaborate on what you would consider a fair,  
16 open, transparent procurement process.

17          A     Yes. First of all, it's going to be difficult for  
18 Tampa to do it, because I think they have a tarnished  
19 reputation in the marketplace, and people are going to be  
20 skeptical that they are really serious about bids, as the last  
21 solicitation demonstrated. But I think that, first of all, you  
22 have to get rid of the right of first refusals. You have to  
23 give tonnage flexibility. In other words, people shouldn't be  
24 mandated to bid the entire tonnage. And you heard from  
25 Mr. White this morning what that made CSX do. **If they want to**



1 bid entire tonnage, fine, but they have got to look at  
2 splitting the modes and giving tonnage to both modes.

3           You have to solicit both the Pitt 8 coal and the  
4 Illinois Basin coal by rail and water. And, obviously, you  
5 have got to consider imported coal as a serious probability --  
6 possibility. And then I think -- so what you would do would be  
7 to, say, offer a bid for one to two and a half million tons on  
8 the rail route and one to two and a half million tons on the  
9 water route, and with no right of first refusal. And then once  
10 you get the bids in, and then you divide the water route into  
11 the three segments that we have talked about, and you remove  
12 the what I -- I realize it wasn't an inhibition, because IMT as  
13 well as Davant could store and blend the coal. But I think the  
14 integrated aspect of that solicitation and the bias in favor of  
15 an integrated water route should be removed, in addition to the  
16 right of first refusal. Those are some of the elements.

17           And I think you need an outside referee or somebody  
18 to manage the process, because I doubt that Tampa has the  
19 ability to aggressively capture the competitive juices that the  
20 market is going to offer bona fide -- in response to a bona  
21 fide RFP.

22           COMMISSIONER JABER: Dr. Sansom, I see that you make  
23 reference to whether we even have the authority to pursue  
24 looking at the bidding process on a going-forward basis and how  
25 it should be conducted, so I don't really --

1           A       It is outside my area of expertise. I guess I'm more  
2 familiar with the sledge hammer of disallowance. You know,  
3 it's is up to them. They signed the contract. An imprudency  
4 is usually borne by the shareholders, and disallowances is the  
5 other way to proceed. So I can't address the authority.

6           COMMISSIONER JABER: Yeah. And I don't have the  
7 specific question to you on that point, but, Mr. Chairman, I  
8 will use it as a segue to you as prehearing officer, chairman,  
9 and perhaps our legal staff. I've got a question on procedure  
10 in this case. And it seems like this is the appropriate time  
11 to bring it up.

12           Throughout the prehearing order and the positions of  
13 the parties throughout various places in the testimony people  
14 make reference to what exactly our authority is in this  
15 proceeding. And my question to you collectively is do you --  
16 there are no legal issues articulated in the prehearing order  
17 Did you envision or have discussions with the parties to brief  
18 various issues -- and just to give you an example, Mr. Keating,  
19 on Page 8, this may be the company's position. Yes, it is the  
20 company's position, Page 8, they make the statement, "The  
21 Commission has no authority to be abrogate an existing valid  
22 contract between Tampa Electric and TECO Transport." They go  
23 on to say that it is their position that we don't have  
24 authority to require Tampa Electric to rebid. There is a  
25 reference on Page 9 to what authority we have.

1           And the question keeps coming up. And I would want  
2 some sort of mechanism that allows us to understand and address  
3 what our authority is over these issues, over a bidding process  
4 going forward, and authority over whether we can abrogate a  
5 contract that has been executed already.

6           MR. KEATING: I believe in discussions at the  
7 prehearing conference, and I'm relying on my review of the  
8 transcript, because I was not at the prehearing conference, CSX  
9 had raised some specific legal issues in that regard, and the  
10 resolution was that they could address those issues under the  
11 three substantive issues that were identified in the case. And  
12 I would expect that the parties are going to address these  
13 legal issues in their briefs and addressing the substantive  
14 issues as well.

15           COMMISSIONER JABER: Mr. Chairman, do you think we  
16 should do something more definitive? Because I understand that  
17 they can, but I think I'm suggesting that we need to.

18           CHAIRMAN BAEZ: And there was discussion of that at  
19 the prehearing. My take on it, just to clarify where my  
20 thinking was on it, was that since this was, in some respect,  
21 or in every respect it is a spin-off item. And this came from  
22 the context of a fuel hearing. And it seemed to me that it was  
23 most appropriate to continue -- I mean, the fact that you  
24 spin-off an item for further review, it was my reasoning that  
25 it carried with it whatever remedies and whatever resolutions

1 are available under the fuel hearing.

2           And while that is subject to interpretation, I  
3 suppose to many, it may not dispense with the question, but if  
4 ultimately it is a prudency review, it seemed to me that we  
5 already had the remedies available to us in terms of  
6 disallowance, or not disallowing the recovery of all or a  
7 portion of whatever costs are being proposed.

8           COMMISSIONER JABER: I understand and do not disagree  
9 with what you are saying as it relates to cost-recovery. I  
10 think there are pieces of the testimony and allegations made in  
11 the case that go beyond cost-recovery. I mean, the allegation  
12 is that we might not have the authority to abrogate a contract.  
13 Now, that is subject to interpretation on how you define  
14 abrogation of a contract.

15           There is also an allegation in various parts of the  
16 testimony that we might not have authority to address the  
17 bidding process for coal transportation. Those are questions I  
18 don't have answers to. And maybe at the end of the day we  
19 reach the point where costs are disallowed or allowed, but it  
20 seems like we should put those legal issues to bed.

21           CHAIRMAN BAEZ: And, again, my decision was -- and at  
22 the same time, based on our conversation here, even I could  
23 arrive at a different assessment. But, you know, I would be  
24 curious to see what the rest of the Commissioners think. My  
25 thinking at the time, speaking as the prehearing officer, was

1 that because we had -- and, again, it was my interpretation at  
2 the time of what the remedies or what the relief was available  
3 to us in the context in which this docket was spun out. And  
4 while I don't necessarily -- while I don't disagree at all that  
5 perhaps the question of, you know, what authority to abrogate  
6 or what authority to even, you know, evaluate or sit in  
7 judgment of any bid process or a bid process of this character  
8 might be, I didn't necessarily see those questions before us in  
9 order to fulfill what our responsibilities were that we spun  
10 off, that being cost-recovery over, you know, an evaluation of  
11 a contract.

12           And it seemed to me at the time that, you know,  
13 whatever cases as to the inadequacy of the bid process only  
14 flows to say, well, is it cost-recovery -- is it prudent to  
15 allow cost-recovery or not? And, again, I would welcome  
16 whatever the rest of the Commissioners, since we have already  
17 engaged in this, you know, whatever the rest of the  
18 Commissioners may think, if you wanted to discuss it,  
19 whether --

20           COMMISSIONER JABER: I would. It's been nagging at  
21 me. I almost said something the second day of the hearing.  
22 And I thought, well, let me wait and hear the rest of the  
23 testimony. And it's come up again today, so I think -- I'm not  
24 necessarily wed to identifying a specific issue as long as we  
25 have enough information at the end of the day to help us reach

1 back into the law, whether it be case law or statute. So I am  
2 very eager to hear if the other Commissioners have thought  
3 about this or want to think about it.

4 CHAIRMAN BAEZ: We have somehow identified a breaking  
5 point, albeit maybe not -- I don't when is a good time.  
6 Commissioner Deason, have you got some thoughts, or  
7 Commissioner Davidson or Bradley, as well? I would welcome  
8 your thoughts.

9 COMMISSIONER DEASON: I can share some initial  
10 thoughts, but it would be very preliminary at this point. But,  
11 in my opinion, it is clear that the burden is upon TECO to  
12 justify the prudence of their costs. The Commission has  
13 employed a certain mechanism, which was the benchmark. That  
14 very mechanism has come into question as to its adequacy or its  
15 appropriateness and whether it has outlived its usefulness.  
16 But that doesn't mean that the burden still doesn't rest with  
17 TECO.

18 Mr. Chairman, as you indicated, this is a spin-off  
19 from the fuel adjustment docket, and it is clear that we do  
20 have the authority to either allow or disallow costs that are  
21 borne by ratepayers. And it seems to me that we have that at  
22 our disposal. If there are to be other remedies proposed,  
23 which I suppose one would be a rebidding type process, to me it  
24 is incumbent upon whoever is proposing that to demonstrate that  
25 that is something that is permissible. Not only that it is the

1 appropriate thing to do from a policy standpoint, but that it  
2 is permissible under whatever statutory authority we have in  
3 that regard. I think it can be addressed within the confines  
4 of the issues, myself.

5 COMMISSIONER JABER: Okay.

6 COMMISSIONER DEASON: That is just the way -- that's  
7 just the way in preparing for this hearing and reviewing the  
8 prehearing order and the testimony, that is just the kind of  
9 frame of mine I put myself in in going forward with this case.

But I am open to suggestions. And I would love to  
hear from other Commissioners, if their particular viewpoint is  
one way or another.

CHAIRMAN BAEZ: And, Commissioner Jaber, just to  
14 supplement my comments before, I think, you know, touching off  
15 of what Mr. Keating had said, that is, in fact, what the  
16 conversation was. And so there is at least some implication  
17 that whatever -- I'm sorry, Commissioner Bradley -- and there  
18 is at least some implication that the three issues are broad  
19 enough to encompass even those kind of discussions, should a  
20 party want to include it.

21 And I will tell you this, I don't know what remedies  
22 are available even under a fuel hearing. At least in my time  
23 here, I don't think that has ever been a question that has been  
24 before us, at least not squarely where, for lack of a better  
25 phrase, you know, you have a choice of remedies if that be the

1 case. So, I mean, maybe a discussion of that is appropriate as  
2 to what the limitations are in that context. But, in a way,  
3 just to re-enforce what I had said before, I think whatever the  
4 answer to that is in the context of a fuel hearing is what  
5 should carry over. That would be opinion. Now, what the right  
6 answer to that is, I don't know.

7 COMMISSIONER JABER: No, that's very helpful,  
8 actually. I appreciate your comments and Commissioner Deason's  
9 comments. I think the parties -- the discussion we just had  
10 puts the parties on notice that I might be looking for some  
11 backing to the statements that have been made, whether it is  
12 the company's position in the prehearing statements or, Mr.  
13 Wright, various places in your witnesses' testimonies.

14 When you write your brief, I will be looking for  
15 statutory and case law references that support the statements  
16 that are made. I think that is sufficient. I'm very  
17 comfortable with that. I appreciate it, Mr. Chairman.

18 CHAIRMAN BAEZ: Okay. Commissioners, any other  
19 questions at this point? Okay.

20 And I guess, Mr. Fons, we are on to your cross.

21 MR. FONTS: Yes. Thank you, Mr. Chairman.

22 CROSS EXAMINATION

23 BY MR. FONTS:

24 Q Dr. Sansom, my name is John Fons, and I'm  
25 representing Tampa Electric. Good afternoon.



1 A Good afternoon.

2 Q Are you the president of Energy Venture Analysis,  
3 Inc.?

4 A Yes.

5 Q And have you been its only president?

6 A Yes.

7 Q Does your firm primarily review and analyze data and  
8 information produced by others on fuel and transport matters  
9 for purposes of advising clients as to appropriate courses of  
10 action?

11 A No, I wouldn't say that is primarily what we do.

12 Q What do you do primarily?

13 A I guess the thing that bothered me about the way you  
14 characterized it was primarily -- analyze data primarily  
15 produced by others. We do our own price forecasting, our own  
16 analysis from the bottoms up, so to speak, on both fuel and FOB  
17 mine prices, and natural gas, and oil, as well as  
18 transportation. So, I mean, the way you stated it is -- and  
19 then we also involve ourselves in advising clients on both  
bidders bidding on procurements and utilities conducting  
procurements.

Q But isn't the --

A And we help in the negotiation of both fuel supply  
24 and fuel transportation contracts.

25 Q And that is the extent of your firm's services to the

1 public?

2 A No. We also provide engineering services,  
3 particularly related to coal suitability, coal handling and  
4 environmental compliance in the utility sector. And we do --  
5 we have done a lot of work for EPRI on the engineering cost  
6 estimates of various facets of coal-fired utility plants and --  
7 so I wouldn't accept your characterization.

8 Q Has your firm ever designed or acted as the engineer  
9 of record for the design and construction of any fossil fuel  
10 burning power plant?

11 A No.

12 Q Prior to 1980, you were the president of Energy and  
13 Environmental Analysis, Inc. Was that firm engaged in the same  
14 type activities as your current firm?

15 A Generally, yes, with a little more emphasis on work  
16 for the Department of Energy and the U.S. Environmental  
17 Protection Agency.

18 Q Am I correct that Energy and Environment Analysis did  
19 not provide any services involving the engineering or design of  
20 fossil fuel burning power plants?

21 A I think you changed the question there a little. I  
22 have been involved in the -- could you restate the question?

23 Q Yes. Am I correct that Energy and Environmental  
24 Analysis, your predecessor firm, did not provide any services  
25 involving the engineering or design of fossil fuel burning

1 power plants?

2 A The key word there is involving. I mean, I have  
3 advised people like, for example, this isn't confidential,  
4 DuPont on the question of whether they should go with an FBC  
5 unit or a conventional pulverized coal unit and a scrubber.  
6 There is certainly engineering aspects of that. I was  
7 involved, as an engineering matter, in the determination that  
8 the flue gas desulfurization unit was as feasible technology.

9 So the word there "involved," changes the nature of  
10 my answer from your earlier one. We certainly do not do design  
11 work, and we are not engineers of record in the aspects of  
12 coal-fired generators.

13 Q And that was true also of Energy and Environmental  
14 Analysis, Inc., you were not holding yourselves out or did not  
15 act as a designer or engineer of record for the design and  
16 construction of any fossil fuel burning power plants?

17 A That's correct.

18 Q Upon completion of your formal education, Dr. Sansom,  
19 have you ever worked in the private sector for anyone other  
20 than the two firms for which you have been president?

21 A That's an interesting question. I'm the owner of a  
22 mining operation and the managing general partner of a  
23 vermiculite mining operation, part owner. I think that might  
24 meet your test.

25 Q Well, Dr. Sansom, you don't list that particular

1 ownership in your curriculum vitae, do you?

2 A No.

3 Q Dr. Sansom, you do in your curriculum vitae indicate  
4 that you testify quite a bit, isn't that correct?

5 A The exhibits speak for itself, whether you want to  
6 call it quite a bit. I guess you can see on Exhibit 1 that a  
7 couple of times a year I testify, probably, on average.

8 Q Some years more than others, isn't that correct?

9 A Correct.

10 Q Would you dispute my characterization, Dr. Sansom,  
11 that you are a professional witness?

12 A If your definition of a professional witness is one  
13 who comes in from out of state by jet plane, that is probably  
14 me, yes.

15 Q That will suffice. Do you consider yourself as  
16 having an expertise in the area of fuel matters, most  
17 especially coal fuel matters?

18 A Yes.

19 Q With regard to the transportation of coal, do you  
20 consider yourself as having a level of expertise in those  
21 matters?

22 A Yes.

23 Q With respect to the transportation of coal, would  
24 your expertise lie more with the transport of coal by rail than  
25 by water?

1           A     I have been involved in both. But since more coal  
2 moves my rail, and my involvement has been more by rail, but I  
3 have also been somewhat involved on the barge side.

4           Q     What empirical studies have you performed with regard  
5 to the waterborne transportation of coal?

6           A     We periodically do price estimates of the cost of  
7 moving -- of moving fuel by barge. The word "empirical" is the  
8 word that strikes me in your question. That is a little bit  
9 ambiguous, but I consider it to be quantitative analysis when  
10 you assess barge rates for market transactions, which  
11 Mr. Dibner didn't do. He did a cost-based analysis, which  
12 isn't a market analysis.

13          Q     Have you ever done a cost-based analysis of the  
14 waterborne transportation of any commodity?

15          A     I think that was the distinction I was trying to  
16 make. If a client asks us, "What is the price of moving it by  
17 water," we look at transactions as the evidence of the market,  
18 not a cost-based analysis.

19          Q     So your answer is no?

20          A     So the answer is that we would not consider a  
21 cost-based analysis to be a market analysis. It is a cost-plus  
22 analysis. When we look at barge rates, we look at what people  
23 are bidding and offering to carry commodities for by water.  
24 And it is well-known in a capital intensive industry that you  
25 can have periods of excess supply when the owners of the assets

1 aren't recovering a full return on their capital.

2 MR. FONS: Mr. Chairman, I'm sorry --

3 CHAIRMAN BAEZ: I got you, Mr. Fons. Dr. Sansom, you  
4 have every opportunity to elaborate on your answer. If you  
5 could just start yes or no. Thank you.

6 BY MR. FONS:

7 Q I believe, Dr. Sansom, that you are familiar with  
8 Dr. Hochstein's testimony in this proceeding?

9 A I would not want to say that I am familiar with it.  
10 I breezed through it, and Mr. Beasley asked me a question about  
11 it at deposition. I have not studied it, and I have not read  
12 it, other than thumbing through it in a manner of probably less  
13 than two minutes.

14 Q And I believe in your deposition with Mr. Beasley,  
15 you acknowledged that you had read the following statement from  
16 Page 5 of Dr. Hochstein's direct testimony. And that  
17 statements is: "Coal from the Midwest fields can only  
18 rationally be transported to Tampa Electric's Big Bend Station  
19 by water." Do you recall when you were asked about that?

20 A I recall that, and I recall my response. And it was  
21 a little bit -- in substance it was correct, in tone it was  
22 not. And I apologized later to Mr. Hochstein.

23 Q Well, weren't your exact words, "I read that  
24 statement, and I thought he was incredibly stupid"?

25 A That was my reaction, yes.

1 Q And do you recall what your answer was to the next  
2 question in your deposition by Mr. Beasley regarding  
3 Dr. Hochstein's testimony, and that is: "Do you or disagree  
4 with his further statement that water transportation of bulk  
5 cargo, when available, is almost always less expensive than  
6 rail?"

7 MR. WRIGHT: Mr. Chairman, may I have a moment to  
8 hand Dr. Sansom his deposition transcript?

9 CHAIRMAN BAEZ: Yes.

10 MR. WRIGHT: Thank you.

11 CHAIRMAN BAEZ: You can go ahead and show him his  
12 transcript.

13 THE WITNESS: Could you read that again?

14 BY MR. FONS:

15 Q Yes. Let's go to Page 88 of the deposition.

16 A I think I do recall that, and I --

Q Do you have it, Doctor?

A Yes.

Q And at the bottom of the Page 88, beginning at Line  
21, you were asked: 'Do you agree or disagree with his further  
statement that water transportation of bulk cargo, when  
available, is almost always less expensive than rail?' **Do you**  
remember that question being asked?

24 A Yes.

25 Q And your answer was?

1 A "That was another dumb statement."

2 Q Okay. And didn't you also disagree with  
3 Dr. Hochstein's statement that the transportation of Midwestern  
4 coal that is easily accessible by the Ohio and Mississippi  
5 River systems by rail is not economically sound?

6 A Could you read that back?

7 Q Yes. On Page 89 of the deposition, you were asked:  
8 "Did you also read his statement," meaning Dr. Hochstein, "that  
9 transportation of Midwestern coal that is easily accessible by  
10 the Ohio and Mississippi River systems by rail is not  
11 economically sound?"

12 A Yes. I remember that, and my answer was that I  
13 didn't agree with it.

14 Q All right.

15 A And I would be glad to elaborate on that if you want  
16 to give me the opportunity.

17 Q Well, wouldn't you agree, then, that you and  
18 Dr. Hochstein have diametrically opposed opinions on the  
19 economic efficiency of waterborne delivery of coal to Tampa  
20 Electric's Big Bend and Polk Power Stations versus rail  
21 delivery?

22 A I can only comment on the statements that I addressed  
23 here. The totality of his position, I have not addressed.  
24 But, obviously, if he thinks the only way of moving Midwestern  
25 coal to Big Bend is by water, then he and I have a fundamental



1 disagreement. And if he also thinks that always it is more  
2 economical to move by water than rail, then we have a  
3 fundamental disagreement, and so do the markets.

4 Q Doctor, let's talk about your experience with CSXT on  
5 whose behalf you are testifying here. When were you first  
6 approached by CSXT to present testimony in this proceeding?

7 A I addressed that in my deposition. It was last fall  
8 sometime. I recall it would be the fall of 2003, late fall.

9 Q Had you ever performed previous work for CSXT  
10 regarding CSXT's dealings with Tampa Electric?

11 A No.

12 Q Were you in any way involved with the preparation or  
13 presentation of the CSXT proposals made to Tampa Electric in  
14 October 2002 or July of 2003?

15 A No.

16 Q Am I correct that neither you nor anyone in your firm  
17 provided any input or review of either of the CSXT proposals  
18 prior to their submission to Tampa Electric?

19 A I can't speak for my other partners. I can only  
20 speak for myself.

21 Q But you did not provide any input?

22 A That's correct.

23 Q And would you expect that your partners would have  
24 provided input without you knowing about that?

25 A Yes.

1 Q Have you spoken to any of your partners about that  
2 possibility?

3 A Not about that specific possibility, but one of my  
4 partners does work with CSXT, and that certainly is a  
5 possibility.

6 Q Were you asked by CSXT to review the Tampa Electric  
7 request for proposal or bid prior to CSXT providing a response  
8 to that RFP?

9 A No.

10 Q So you can't tell us what factors were considered by  
11 CSXT in formulating the per ton price of coal transported  
12 proposed by CSXT to Tampa Electric, can you?

13 A Not specifically, that is correct.

14 Q Do you know whether the price per ton of coal  
15 transported was an initial price and that the price was subject  
16 to an escalation over time?

17 A Yes, that's true.

18 Q In your experience, if a contract price is subject to  
19 a mechanism for escalating that price, won't the price, in  
20 fact, escalate over time?

21 A It will change in accordance with the indices that  
22 are specified. It can go up or down.

23 Q Would you agree that there has been a upward movement  
24 in the price escalation mechanism known as the rail cost  
25 adjustment factor?

1 MR. WRIGHT: Mr. Chairman, may I ask that the  
2 question be clarified with regard to a time period?

3 BY MR. FONS:

4 Q Well, let's look at Page 90 of your deposition.

5 A Is there a question?

6 Q I am trying to find the location in the deposition.  
7 Would you agree with me that the upward movement in the price  
8 escalation mechanism known as the rail cost adjustment factor  
9 in the last year has been because of high oil prices?

10 A Given that approximately nine percent of our RCAF-U  
11 is made up of a fuel component, that I would except that that  
12 was true, and I notice that RCAF-U which declined in 2002  
13 probably because fuel prices went down, went up in 2003  
14 probably because in part fuel prices went up.

15 Q Was that the RCAF or RCAF-U.

16 A Well, it would be the RCAF unadjusted is what I'm  
17 addressing. The RCAF is usually -- well, there are two RCAFs.  
18 There's RCAF adjusted and unadjusted. And in this proposal CSX  
19 proposed the escalation by RCAF unadjusted effective April  
20 2004, in other words, from that point forward. And the RCAF  
21 adjusted reflects a productivity adjustment; whereas, the RCAF  
22 unadjusted is really based on factor prices, unit prices.

23 Q Wouldn't you agree, Dr. Sansom, that in analyzing a  
24 bid proposal response, the recipient of the proposal would be  
25 wise to consider the relevance of the initial bid price over

1 the life of the contract and not rely solely on the initial  
2 offered price?

3 A In evaluating bids for a term contract you always  
4 consider both the initial price and the escalation.

5 Q If Tampa Electric decided to have some of its coal  
6 transported by rail rather than by water, would it have any  
7 choice in which railroad would deliver the coal to Tampa  
8 Electric's Big Bend and Polk Power Stations?

9 A No.

10 Q So the only rail carrier with which Tampa Electric  
11 can rely on to deliver coal to its power plants in Florida is  
12 CSXT, isn't that correct?

13 A That's correct.

14 Q And wouldn't you concede, then, that CSXT has as  
15 monopoly on the delivery of coal by rail to Tampa Electric's  
16 Big Bend and Polk Power Stations?

17 A No, because it is subject to intermodal competition.  
18 And under the provision of the Surface Transportation Board, if  
19 a delivered destination is subject to intermodal competition,  
20 it is not -- it is not considered captive and is not subject to  
21 stand-alone pricing regulation.

22 Q But as far as delivery by rail?

23 A It is the only rail delivery.

24 Q Okay. So if Tampa Electric was unhappy with the CSXT  
25 rail delivery, Tampa Electric could not turn to another

1 railroad to get delivery of coal to Tampa Electric's Big Bend  
and Polk Power Stations, isn't that correct?

3 A That's correct. It couldn't turn to another  
4 railroad.

5 Q Beside Tampa Electric, what other coal-fired power  
6 plant owners in Florida have intermodal delivery access?

7 MR. WRIGHT: Object to the form. I'm not sure it's  
8 been established that Tampa Electric has intermodal delivery  
9 access.

10 BY MR. FONS:

11 Q Well, let ask it this way: Besides Tampa Electric,  
12 what other coal-fired power plant owners in Florida have the  
13 ability for waterborne delivery of domestic coal?

14 A Crystal River and the Power Park.

15 Q And doesn't the waterborne delivery of domestic coal  
16 to Florida's coal-fired power plants provide a competitive  
17 alternative to the rail delivery of domestic coal, especially  
18 Midwestern coal?

19 A Could you restate that? I just want to make sure I  
20 got it right.

21 Q Doesn't the waterborne delivery of domestic coal to  
22 Florida's coal-fired power plants provide a competitive  
23 alternative to the rail delivery of domestic coal, especially  
24 Midwestern coal?

25 A I would amend that, especially to -- especially

1 Midwestern and imported coal.

2 Q I'm sorry, I didn't hear you.

3 A I would add imported as well as Midwestern, because  
4 the -- JEA, for example, takes a lot of imported coal. So the  
5 water mode does give you the ability to look at imported coal.

6 MR. FONS: Mr. Chairman, could I please, again, ask  
7 the witness to answer yes or no? That was a yes or no  
8 question.

9 CHAIRMAN BAEZ: The witness will answer yes or no.  
10 And you can elaborate again, Doctor, I'm not trying to cut down  
11 your answer.

12 THE WITNESS: I thought I was being brief, but I will  
13 try harder.

14 BY MR. FONS:

15 Q By the same token, Doctor, is it your opinion that  
16 the prices charged by CSXT for the rail delivery of domestic  
17 coal to Florida's coal-fired power plant owners provide a  
18 market price against which waterborne carriers of domestic coal  
19 must compete to retain the transportation business?

20 A I'm having a little difficulty with the way the  
21 question was phrased. And I know you want a yes or no answer,  
22 but I don't think you distinguish between rail-served Florida  
23 power plants and intermodal power plants. So for intermodal  
24 power plants, yes, there would be the -- I think the answer is  
25 yes.

1 Q But only in the instance of intermodal?

2 A Well, again, I am losing your question. But I  
3 thought the question was whether the rail and the water  
4 competed, and they could only compete where there is intermodal  
5 competition.

6 Q I think my question was with regard to rail delivery.  
7 Doesn't it act as a competitive balance to waterborne delivery?

8 A Not for utilities that aren't able to bring in  
9 waterborne coal.

10 Q Did the CSXT rail bids act as a competitive balance  
11 to the purchase of waterborne coal for Tampa Electric's Gannon  
12 Station?

13 A No.

14 Q But there was intermodal competition, wasn't there?

15 A I think the only reason that -- there was intermodal  
16 competition? No, I don't think there was real intermodal  
17 competition at Gannon.

18 Q But Gannon was --

19 A Because intermodal competition wasn't sought by the  
20 fuel buyers for Tampa Electric. The only -- if I may explain,  
21 the only reason that CSX ever got in there was Gatliff coal was  
22 very difficult to move by barge. And Gatliff was another  
23 affiliate, and they moved that by rail.

24 Q In the 1990s was Gatliff an affiliate of Tampa  
25 Electric?

1 A For part of the '90s, yes.

2 Q But not the latter '90s, was it?

3 A For the last, in looking at the data in the public  
4 Form 423s, I think the Gatliff is Premiere Elkhorn (phonetic),  
5 and we looked at some data this morning, I think as late as  
6 2000 that they were moving affiliate -- TECO affiliate coal by  
7 rail into Gannon.

8 Q Would you agree, subject to check, Dr. Sansom that  
9 Tampa Electric severed its affiliation with Gatliff and any  
10 coal company prior to the year 2000?

11 A Can I look at something here? I mean, TECO still has  
12 a coal company. It is not called Gatliff. There is a TECO  
13 coal company, and that coal company still exists, and I saw  
14 movements --

15 Q Would you accept, subject to check, that Tampa  
16 Electric does not make any purchases from Gatliff?

17 A You have to specify a time.

18 Q In the year prior to 2000?

19 A Obviously, subject to check, the facts will be what  
20 the facts are. Premiere Elkhorn, I saw some shipments that  
21 were pretty recent, maybe they were '99 and not 2000.

22 Q Do you know whether there were any coal purchases  
23 from an affiliate by Tampa Electric subsequent to the year  
24 2000?

25 A There may not be. I would have to look at the data.



1 Q I believe, Dr. Sansom, that you are familiar with  
2 this Commission's Order Number 20298 issued on November 10,  
3 1988, are you not?

4 A No.

5 Q You are not familiar with the Commission's order  
6 establishing the rail benchmark that you have mentioned in your  
7 testimony?

8 A I am familiar with the rail benchmark and how it  
9 works. If it was established -- now, I'm not an expert in the  
10 Commission's orders. If was established in that order, then  
11 obviously --

12 Q Would you --

13 A -- that must be the basis for the benchmark that I am  
14 familiar with, but I didn't -- I don't relate it to a specific  
15 order.

16 Q And is that benchmark to serve as a market price  
17 proxy?

18 A That is my understanding, yes.

19 Q Would you agree then that a market test is the most  
20 effective means of ensuring ratepayers are not charged more  
21 than the appropriate cost for fuel and fuel-related services?

22 THE WITNESS: Your Honor, I know your stipulation,  
23 but that is a loaded question and can't be answered yes or no.

24 A The answer is a bona fide market indicator might be,  
25 but one that is not bona fide does not meet that test.

1 Q Well, didn't you file testimony in the Occidental  
2 Chemical Corporation case back in 1986?

3 A Yes.

4 Q And in that testimony, didn't you state, and I quote:  
5 "A market test is the most effective means of ensuring  
6 ratepayers are not charged more than the appropriate cost for  
7 fuel and fuel-related services"?

8 A I sure did.

9 Q And would you further agree that the advantages of a  
10 market test are that a market-based test allows the utility to  
11 comply with existing policy and ensures only just and  
12 reasonable costs are paid by ratepayers?

13 A I believe that.

14 Q And would you agree that the market test provides an  
15 appropriate cost comparison, so that the utility has the  
16 incentive to obtain the lowest cost fuel and related services?

17 A A bona fide market test does that, yes.

18 Q And in your testimony in the Occidental case, you  
19 don't use the word, "bona fide," do you?

20 A Well, I wouldn't think it would be necessary. Most  
21 people know what a market test is. It is something that is  
22 achieved through a competitive solicitation.

23 Q And would you also agree that the market test  
24 protects against the self-dealing opportunities inherent in  
25 affiliate relationships?

1           A     Yes.  A market test that meets my standards or the  
2 standards of a competitive solicitation would do that.

3           Q     And would you also agree that once established, the  
4 market test relieves the Commission and staff of the burden of  
5 constantly evaluating each cost component in the affiliate  
6 procurement chain?

7           A     Yes.

8           Q     Now, if goods or services supplied by a utility  
9 affiliate are priced based on a cost-plus basis, are there  
10 incentives there for the affiliate to operate efficiently in  
11 your view?

12          A     If you have an affiliate relationship that has a  
13 cost-plus contract?

14          Q     Yes, sir.

15          A     It is very difficult to have the right incentives in  
16 such an arrangement.

17          Q     Well, are incentives present when the affiliate  
18 supplies goods or services, and they are priced on the basis of  
19 a market test?

20          A     Could you restate that?

21          Q     Well, are the incentives present when the affiliate  
22 supplies goods or services and they're based on the basis a --  
23 I'm sorry, and they're priced on the basis of a market test?

24          A     A valid market test, yes, that creates the incentives  
25 a low cost service.  I assume that is what you mean.

1 Q So you would agree, wouldn't you, that given the  
2 choice between using a market test or a cost-plus test, this  
3 Commission and consumers would be better served using a market  
4 test in judging the Tampa Electric/TECO Transport affiliate  
5 relationship?

6 A Yes.

7 Q Earlier you were asked by Mr. Twomey some questions  
8 concerning the shipment of coal to Gainesville and the use of  
9 Gainesville as one of the municipal electrics in the  
10 development of the cost benchmark, isn't that correct?

11 A Yes.

12 Q And I believe you indicated that it would be improper  
13 to use Gainesville because it would not indicate the kind of  
14 discounts that would be available?

15 A I said that for a higher volume it would not be the  
16 best evidence of what the market would do.

17 Q Now, the discounts that you -- are there discounts  
18 available to suppliers? I'm sorry, to shippers for the  
19 delivery of coal?

20 A Generally, a volume is a valuable thing to have for a  
21 carrier. And they give discounts because they have committed  
22 heavy capital in a unit train operation that they will give  
23 sizeable discounts for higher volumes.

24 Q Are you familiar with the discounts that are set  
25 forth in the CSXT proposals to Tampa Electric?

1 A Yes.

2 Q And aren't those discounts available only on coal  
3 that is purchased on an original or an origin mine basis?

4 A I think you mean to say on a CSX origin.

5 Q Yes, CSX origin.

6 A Basically, you have an interline possibility and a  
7 single line haul. Discounts are on the single line haul.

8 Q But they are not available on -- they're only  
9 available on the single line?

10 A Right. They are not available on the interline  
11 hauls.

12 MR. FONS: I have no further questions.

13 CHAIRMAN BAEZ: Thank you. And I am looking at  
14 exhibits. We don't have any.

15 COMMISSIONER DEASON: What about redirect?

16 CHAIRMAN BAEZ: Well, we need to move Mr. Sansom's  
17 exhibits.

18 MR. WRIGHT: Yes.

19 CHAIRMAN BAEZ: And we have redirect, too.

20 Go ahead, Mr. Wright.

21 THE WITNESS: Could we take a quick break?

22 MR. WRIGHT: Thank you, Mr. Chairman. The witness  
23 has requested that we take a quick break. Would that be  
24 satisfactory?

25 CHAIRMAN BAEZ: Well, it is coming off of your

1 redirect, so five minutes.

2 MR. WRIGHT: Thank you.

3 (Brief recess.)

4 CHAIRMAN BAEZ: We can go back on the record.

5 Mr. Wright, you have redirect.

6 MR. WRIGHT: Yes, sir, Mr. Chairman, and thank you

7 REDIRECT EXAMINATION

8 BY MR. WRIGHT:

9 Q Dr. Sansom, I am going to try to restate a question  
10 that I believe Commissioner Deason asked to you regarding  
11 the -- some information. I think it is on Page 14 of your  
12 testimony, relating to your Table 1. The question that I  
13 believe Commissioner Deason was attempting to ask you is, as I  
14 heard it, is the following: Is it possible that Seminole  
15 Electric is paying enough less for the commodity cost of its  
16 Dotiki coal that that difference in commodity cost would  
17 account for the entire observed difference between the Seminole  
18 Dotiki costs reported in your table, which are not  
19 confidential, and the Big Bend Dotiki costs, which are. Do you  
20 have an opinion on that, and if so, please tell us.

21 A I don't think it is possible, but I think a  
22 significant portion of the difference could be explained by it,  
23 and I would estimate that at somewhere around -- I've got to be  
24 careful here. We are talking about -- I guess since the  
25 redacted number is the Big Bend number, I would say as much as

5 \$4 a ton could be due to that -- out of that, as much as, more  
6 like 3 to \$4 a ton out of the difference, which I can't give,  
7 because it would be confidential. It would give away the other  
8 confidential number.

9 Q And what is the basis for your statement that that  
10 difference would be, could be as much as 3 to \$4 a ton?

11 A The fact that my recollection is that this TECO,  
12 Seminole, the TECO Dotiki contract was secured in -- somewhere  
13 in the peak of the market in 2000 -- late 2000, early 2001.  
14 And you would expect that to be -- so that would be the basis  
15 for my opinion. And see, what I try to do is this was a  
16 stepping stone to my Exhibit 9 analysis, and I control for all  
17 of those factors and do the analysis the way I think  
18 Commissioner Deason wanted to see it in Exhibit 9A, B and C,  
19 where I clearly show the FOB mine price as well the  
20 transportation costs.

21 Q Thank you. You were asked a number of questions both  
22 by Mr. Twomey and by Mr. Fons concerning the benchmark. I have  
23 a few follow-up questions regarding that. What do you  
24 understand the benchmark to attempt to measure?

25 A It attempts, apparently, to measure the rail  
transportation costs of moving coal to the Big Bend station in  
this case by working from a submitted cents per ton mile cost  
from other recipients of rail coal in Florida, and scaling that  
up to the mileage applicable to a movement to the Big Bend

1 station and then adding on a rail charge, a railcar cost  
2 component. Those are the basic steps. But the problem is the  
3 first step is rotten because the data isn't any good. And then  
4 the second step, the milage adjustment is done in error by  
5 TECO. And then the third step, which is the railcar adder is  
6 wrong, too. So, I mean, it is flawed in all of those respects.

7 Q If, as you just described it, it is to measure -- is  
8 intended to measure the cost for delivery by rail from the mine  
9 to Big Bend, is it even comparable to the waterborne transport  
10 costs as reported by Tampa Electric?

11 A No, because they leave out a component of the  
12 transportation. Every time Ms. Wehle puts up a chart she has  
13 got the TECO Transport cost, but she never includes the cost to  
14 get it from the mine to the barge loading point.

15 Q Is that Spanish grade?

16 A That is the Spanish grade.

17 Q What would you do, if anything, to correct for that?

18 A Well, you have to estimate or get the bidder to bid  
19 FOB mine, which they will do. In a solicitation most utilities  
20 would solicit at FOB mine and then show the component to get it  
21 to the river as a separate component. And, in fact, TVA asked  
22 the bidders to bid both ways, and then they can flip it from  
23 one mode to the other, because many of these mines are  
24 relatively fungible between the two modes. Some of them are  
25 very efficient barge and some of them are very efficient rail.



1 But there is a large proportion of the total universe of  
2 potential mines that are fungible between the two. And if you  
3 specify that as a separate component, I would add that in  
4 response to your question earlier, then you, the buyer, are in  
5 the position to say, well, if I couple that FOB mine price with  
6 this rail rate, I get this result delivered to Big Bend. And  
7 if I couple this FOB mine price plus the price to get it to the  
8 river, plus the TECO Transport charges or whoever is bidding,  
9 then I get that comparison.

10 Q Along those lines, regarding the cost to get the coal  
11 from the mine to the river, I note that you give an estimate at  
12 Page 25, Line 14 of your testimony. I have a couple of  
13 questions regarding that. First, what is the basis for that  
14 estimated range? It is not confidential.

15 A Yes, I spent lot of time on estimating the truck and  
16 rail costs to get coal to the river. And it turns out that  
17 that pretty much brackets it. There are some that are a little  
18 less expensive and -- for example, I was able finally to figure  
19 out how much it costs to get the Galatia coal to Cook, and that  
20 is \$4.10, which fits right into that range, and that is not  
21 confidential, because it comes from a declassified FPSC 423.

22 Q Thank you. Mr. Fons asked you some questions  
23 regarding whether it is economically efficient to move coal by  
24 rail or by water from the Midwestern coal fields to Tampa. I  
25 have some follow-up questions on that subject for you. First

1 off, how would you measure efficiency of a transportation by  
2 water or rail move?

3 A Well, the fundamental way of measuring -- of  
4 measuring efficiency is by the delivered price and, if  
5 appropriate, dividing out the transportation component dollars  
6 are what incorporate all the measures of efficiency. There are  
7 separate measures of energy efficiency, for example. But it is  
8 the price that reflects productivity and all the factor costs.

9 Q Describe what you mean by energy efficiency in that  
10 context, please?

11 A Well, a big issue in this -- in these rates, both  
12 rail and water is the energy required to move the ton of coal  
13 from the coal fields to the Big Bend site. And it turns out  
14 that -- actually, Mr. Beasley asked me this question in  
15 deposition, and I said that barge is more efficient on a  
16 ton-mile basis but not a trip basis. It turns out I was wrong.  
17 Rail is more efficient on a ton-mile basis than moving coal on  
18 the Mississippi. And, in fact, it takes considerably more  
19 gallons of No. 2 oil to move a barge down the Mississippi and  
20 back up on its complete cycle than it does to move the rail  
21 from West Kentucky to Tampa. And it is interesting, the barge  
22 movement to Davant from the FOB barge point is the same mileage  
23 as the rail movement from the mine all the way to Big Bend.  
24 Yet the fuel component in the river barge rate is greater than  
25 the fuel component in the rail rate. And the gallons consumed

1 per ton of coal are greater in the river barge component, not  
2 this 950-something-mile comparison, than in the rail component.

3 Q And just could you tell us briefly what the basis for  
4 the statements you just made are?

5 A Well, I looked at it two ways.

6 Q Without revealing any confidential information, which  
7 may be implicated here.

8 A If you look at the fuel component of the river barge  
9 rate in the old and new TECO Transport contracts, and compare  
10 that -- I told you and this is public, the RCAF number is -- 10  
11 percent of RCAF is fuel. So that tells you what component of  
12 the rail rate is fuel. And, hypothetically, we have a public  
13 rail rate here to Gannon of \$16. So that means \$1.60 of that  
14 would be the fuel component. It turns out -- I queried CSX on  
15 this, this is not confidential, that basically it takes 15,000  
16 gallons of No. 2 oil to get a round-trip train trip to Dotiki.  
17 And I can't give you the number, because it is confidential,  
18 from Mr. Dibner's study, but it is significantly more than that  
19 for just the river component. And then if you add in the fuel  
20 component in the ocean, you have got a much more  
21 energy-intensive move on the water route versus the rail route.

22 Q I have a follow-up question for you regarding the  
23 \$4.10 number that you mentioned in response to a previous  
24 question. That was the cost to get from a mine, and I think  
25 you said Galatia coal?

1 A Yes.

2 Q From the mine to the river. Did that include the  
3 terminaling cost as well as the actual transportation cost or  
4 did it only include the transportation cost?

5 A The terminaling cost to get it on the barge?

6 Q Onto the barge, yes, sir.

7 A It included both.

8 Q Thank you. Just clarifying. Mr. Fons asked you a  
9 question to the effect of whether given that CSXT is the only  
railroad company that is presently capable of serving Big Bend,  
isn't CSXT a monopoly with regard to being -- with regard to  
rail transportation service. Do you recall that question?

10 A Yes, and I recall you pointing out that CSXT cannot  
11 presently deliver coal to the Big Bend station by unit train.

12 Q My question for you is given what you know about this  
13 case, is TECO Transport effectively a monopoly with respect to  
14 the waterborne transportation?

15 A Yes.

16 Q Mr. Fons asked you some questions regarding  
17 escalation, and I have a few follow-up questions for you about  
18 that. You, I believe, are privy to all confidential  
19 information in this case, correct?

20 A Certainly a lot. There may be a level of  
21 classification that I am not allowed to see.

22 Q Again, asking you to be careful not to reveal

1 confidential information, are you familiar with the -- do you  
2 know whether there is an escalation factor applicable to the  
3 fuel component of the barge rates?

4 A Yes.

5 Q Do you know whether there is an escalation factor  
6 applicable to the variable cost component of the barge rates?

7 A Yes.

8 Q And you know what those indexes are, although I  
9 believe those are confidential?

10 A Yes.

11 Q Okay. To your knowledge, to the extent you know, how  
12 comparable are those to the RCAF index in actual numeric value  
13 over time?

14 A Well, the two indexes that operate on the nonfuel  
15 component of the two barge legs of the TECO Transport contract  
16 are very similar in behavior to RCAF unadjusted in terms of  
17 their historical performance. And then the fuel indexes are  
18 basically measuring the same thing, but the fuel intensity of  
19 the barge movement is greater than the fuel intensity of the  
20 rail movement. And the way the escalator works is a little  
21 different.

22 Q To the extent you know, what, if any, difference  
23 would the fuel intensity that you just referred to have on the  
24 impact of a given increase in overall oil market prices on the  
25 barge rate as compared to the rail rate?

1 A It would have a bigger impact on the barge rate.

2 Q To be clear, does your answer mean that if the price  
3 of, generally speaking, oil products were to double, the impact  
4 on the barge rate would be greater than the impact of  
5 implementing a fuel surcharge under CSXT's tariff fuel  
6 surcharge provision?

7 A That is correct.

8 Q You were asked a number of questions by Mr. Fons  
9 regarding the benchmark and its role as a market price proxy.  
10 I am sure you recall those questions, do you not?

11 A Yes.

12 Q Do you consider Tampa Electric Company's 2003  
13 solicitation RFP process to have provided a bona fide market  
14 test?

15 A No

16 Q Do you consider the benchmark to provide a bona fide  
17 market test?

18 A No.

19 Q Do you have an opinion regarding the best measure of  
20 a market test that would be available to the Public Service  
21 Commission in this proceeding?

22 A The best measure of a market test for the affiliate  
23 barge cost would be the bid and the CSX bid.

24 MR. WRIGHT: Thank you. If I could have just one  
25 moment, Mr. Chairman.

1           Thank you for your indulgence, Mr. Chairman. I have  
2 no further redirect. And if it is appropriate, I'll move  
3 Exhibits 29 through 41.

4           CHAIRMAN BAEZ: Without objection show Exhibits 29  
5 through 41 admitted into the record, and I am showing no other  
6 exhibits.

7           (Exhibits 29 through 41 admitted into evidence.)

8           CHAIRMAN BAEZ: Dr. Sansom, thank you very much for  
9 your testimony.

          THE WITNESS: Thank you, sir.

          (Transcript follows in sequence in Volume 10.)

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF FLORIDA )

: CERTIFICATE OF REPORTER


COUNTY OF LEON )

I, JANE FAUROT, RPR, Chief, Office of Hearing Reporter Services, FPSC Division of Commission Clerk and Administrative Services, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 15th day of June, 2004.



\_\_\_\_\_  
JANE FAUROT, RPR  
Chief, Office of Hearing Reporter Services  
FPSC Division of Commission Clerk and  
Administrative Services  
(850) 413-6732