

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of


REVIEW OF TAMPA ELECTRIC
COMPANY'S 2004-2008 WATERBORNE
TRANSPORTATION CONTRACT WITH
TECO TRANSPORT AND ASSOCIATED
BENCHMARK.

DOCKET NO. 031033-EI

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 10

Pages 1163 through 1353



PROCEEDINGS: HEARING

BEFORE: CHAIRMAN BRAULIO L. BAEZ
COMMISSIONER J. TERRY DEASON
COMMISSIONER LILA A. JABER
COMMISSIONER RUDOLPH "RUDY" BRADLEY
COMMISSIONER CHARLES M. DAVIDSON

DATE: Thursday, June 10, 2004

TIME: Commenced at 9:30 a.m.
Concluded at 9:17 p.m.

PLACE: Betty Easley Conference Center
Hearing Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR
Chief, Bureau of Reporting
(850) 413-6732

APPEARANCE: (As heretofore noted.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

NAME:

PAGE NO.

JOHN B. STAMBERG

Direct Examination by Mr. Wright	1166
Prefiled Direct Testimony Inserted	1169
Cross Examination by Ms. Rodan	1222
Cross Examination by Mr. Fons	1224
Redirect Examination by Mr. Wright	1260
Recross Examination by Mr. Fons.	1273
Further Redirect Examination by Mr. Wright	1277

PAULA GULETSKY

Direct Examination by Mr. Beasley	1278
Prefiled Rebuttal Testimony Inserted	1280
Cross Examination by Mr. Wright	1313
Cross Examination by Mr. Rodan	1346
Redirect Examination by Mr. Beasley	1349

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXHIBITS

NUMBER:		ID.	ADMTD.
42 through 51			1277
106	FMC Update to Bid	1254	1277
107	Page From TECO Manual	1266	1277
61	PMG-1		1351
108	(Confidential) Guletsky Late-filed Deposition 1	1317	1351
109	Conveyor Photographs	1321	1351

P R O C E E D I N G S

(Transcript follows in sequence from Volume 9.)

CHAIRMAN BAEZ: Mr. Wright, call your next witness.

MR. WRIGHT: Thanks. Mr. Chairman, CSX Transportation would call Mr. John B. Stamberg.

CHAIRMAN BAEZ: Before Mr. Stamberg takes the stand, I want to let the parties know, if you haven't figured out already, we will be finished tonight. So everybody buckle your seat belts.

Mr. Stamberg, you were sworn, sir?

THE WITNESS: Yes, that is correct.

CHAIRMAN BAEZ: Thank you.

MR. WRIGHT: In a way it's rather like a set change during the intermission at a play.

JOHN B. STAMBERG

was called as a witness on behalf of CSX Transportation, and
having been duly sworn, testified as follows:

DIRECT EXAMINATION

BY MR. WRIGHT:

Q Good afternoon, Mr. Stamberg.

A Good afternoon.

Q Are you the same John B. Stamberg who prepared and caused to be filed in this proceeding direct testimony consisting of 46 pages?

A Yes

1 Q Before we go on, would you please state your name and
2 business address for the record?

3 A John B. Stamberg. I work for Energy Ventures
4 Analysis at 1901 North Moore, Arlington, Virginia.

5 Q Thank you. Back to your testimony, do you have any
6 changes or corrections to make to your testimony?

7 A No.

8 Q Thank you. And do you adopt this testimony as your
9 sworn testimony today?

10 A Yes.

11 MR. WRIGHT: Mr. Chairman, if there are no
12 objections, I would request that Mr. Stamberg's testimony be
13 entered into the record as though read.

14 CHAIRMAN BAEZ: Without objection show the testimony
15 of John Stamberg entered into the record as though read.

16 And --

17 BY MR. WRIGHT:

18 Q Mr. Stamberg --

19 MR. WRIGHT: Did I interrupt you?

20 BY MR. WRIGHT:

21 Q Mr. Stamberg, did you also prepare and/or assemble
22 and cause to be filed in this proceeding a number of exhibits
23 that were attached to your testimony that were there designated
24 as JBS-1 through JBS-10?

25 A Yes.

1 MR. WRIGHT: Mr. Chairman, I believe those exhibits
2 have been marked as Exhibits 42 through 51 in the staff's
3 exhibit list, Exhibit 1.

4 CHAIRMAN BAEZ: They are.

5 MR. WRIGHT: Thank you.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**PREPARED DIRECT TESTIMONY OF
JOHN B. STAMBERG, P.E.**

1 **Q. Please state your name, address, occupation and employer.**

2 A. My name is John B. Stamberg. I am employed as Vice President of Energy Ventures
3 Analysis, Inc. ("EVA"), 1901 North Moore Street, Suite 1200, Arlington, Virginia 22209.

4

5 **BACKGROUND AND QUALIFICATIONS**

6 **Q. Please provide a brief outline of your educational background and work experience.**

7 A. I received a Bachelor of Science Degree in Civil Engineering from the University of
8 Maryland in 1966 and a Master of Science Degree in Sanitary Civil Engineering from
9 Stanford University in 1967. I worked at the United States Environmental Protection
10 Agency, primarily in the areas of water pollution control and solid waste management
11 and handling, from 1967 to 1974. From 1974 to 1981, I worked as a Director for Energy
12 and Environmental Analysis, Inc., in water pollution, boiler conversions, and coal
13 unloading, storage, handling, and reclaiming. Since 1981, I have been with EVA, where
14 I have had primary responsibility for directing EVA's engineering studies and where I
15 have worked with electrical power plants, industrial boilers, mining engineering, and
16 materials handling. I hold patents pending in wastewater treatment system and mineral
17 processing applications. A copy of my resumé is attached as Exhibit ____ (JBS-1).

18

19 **Q. Are you a registered professional engineer?**

20 A. Yes. I am a registered professional engineer in the State of Louisiana.

21

1 **Q. Are you a member of any professional organizations?**

2 A. Yes. I am a member of the Water Pollution Control Federation and the Federal Water
3 Quality Association.

4

5 **PURPOSE OF TESTIMONY**

6 **Q. Please state the purpose of your testimony.**

7 A. I am testifying on behalf of CSX Transportation ("CSXT"), an intervenor party in this
8 proceeding before the Florida Public Service Commission ("PSC" or "Commission").

9 The purpose of my testimony is to present my independent evaluation, analyses, and
10 opinions regarding the following:

- 11 a. CSXT's conceptual design and capital cost estimates for the construction of rail
12 infrastructure that would be needed to accommodate rail deliveries of coal to
13 Tampa Electric Company's ("TECO") Big Bend Generating Station and Polk
14 Power Station;
- 15 b. the estimates of the capital costs for rail infrastructure prepared by Sargent &
16 Lundy ("S&L") at the request of TECO;
- 17 c. the estimates, prepared by Sargent & Lundy at TECO's request, of the operating
18 and maintenance ("O&M") costs associated with the rail delivery system
19 proposed by CSXT; and
- 20 d. the capability of the proposed coal handling facilities at Big Bend Station to
21 provide blending for solid fuels (different types of coals and petroleum coke) used
22 by TECO at its Big Bend and Polk Stations.

23

24

1 **Q. What is the scope of your analysis and testimony?**

2 A. The scope of my analysis is essentially coextensive with the purposes above. I have
3 reviewed and analyzed, independently and using independent sources for input data and
4 factors, the cost estimates prepared by CSXT for the rail delivery infrastructure needed to
5 accommodate rail delivery of coal at TECO's Big Bend and Polk Generating Stations.

6 I have also analyzed S&L's September 18, 2003 report entitled CSX
7 Transportation – Alternative Method of Coal Delivery, Report No. SL-008160. The
8 purpose of the S&L report was allegedly to validate the capital cost for each option
9 proposed and to provide assessments of assumptions that qualify the bid. S&L also
10 provided operating cost estimates. This work was done on behalf of TECO and with
11 TECO's inputs. I obtained access to this S&L report upon signing an "Endorsement to
12 Non-Disclosure Agreement" signed and dated February 25, 2004. TECO has classified
13 this document as confidential.

14 Finally, as a result of gathering certain information and having approximately 4
15 hours to visit the Big Bend site, I feel that there is another engineering design solution for
16 rail delivery of coal to Big Bend that enjoys lower capital costs, lower operating costs,
17 quicker construction time, and less implementation difficulties than either the initial
18 CSXT design concept or S&L's concept. Accordingly, I believe that this solution is worth
19 evaluating. This solution would have likely been envisioned if TECO had cooperated
20 with CSXT in attempting to identify and design a workable coal-by-rail delivery system
21 for the Big Bend site; therefore, I refer to this new alternative as a "cooperative" design
22 concept.

23

24

1 Q. Are you sponsoring any exhibits to your testimony?

2 A. Yes. I am sponsoring the following exhibits:

3 Exhibit ____ (JBS-1): Resumé of John B. Stamberg, P.E.;

4 Exhibit ____ (JBS-2): Excerpts from RS Means Heavy Construction Cost Data,
5 13th Edition, 1999, RS Means Square Foot Costs, 24th
6 Annual Edition, and Dodge Unit Cost Book, 1999;

7 Exhibit ____ (JBS-3): Conveyor Estimate Based on Cubic Storage Systems
8 Budget Quote;

9 Exhibit ____ (JBS-4): Conveyor Estimate Based on FMC Budget Quote;

10 Exhibit ____ (JBS-5): Conveyor Estimate Based on Continental Conveyors
11 Budget Quote;

12 Exhibit ____ (JBS-6): Rapid Discharge Pit and Conveyor – EVA Estimate;

13 Exhibit ____ (JBS-7): Conceptual Diagram – Cooperative Rail Delivery System;

14 Exhibit ____ (JBS-8): Overview of Rail Delivery Options to Big Bend;

15 Exhibit ____ (JBS-9): Sargent & Lundy LLC, Tampa Electric Company Big Bend
16 and Polk Generating Stations, CSX Transportation

17 Alternate Method of Coal Delivery, SL-008160, September
18 18, 2003; and

19 Exhibit ____ (JBS-10): Sargent & Lundy LLC, Tampa Electric Company Big Bend
20 and Polk Generating Stations, CSX Transportation

21 Alternate Method of Coal Delivery, SL-008160, DRAFT
22 September 4, 2003.

23

24

SUMMARY OF TESTIMONY

1 **Q.** Please summarize your testimony.

2 A. CSXT prepared capital cost estimates for two rail delivery infrastructure systems at
3 TECO's Big Bend Station and two systems at Polk Station. CSXT proposed to pay for
4 what CSXT estimated, based on preliminary engineering analyses, to be the reasonable
5 costs of all necessary infrastructure improvements to accommodate rail deliveries of coal
6 to both Big Bend and Polk. Despite significant constraints, imposed by TECO, on
7 CSXT's ability to adequately view the Big Bend site and existing facilities, CSXT's
8 estimates were entirely reasonable. My estimates, presented in this testimony, indicate
9 that the actual costs will probably be somewhat higher than estimated by CSXT but still
10 below the total amount that CSXT offered to pay for the needed facilities.

11 TECO hired S&L on August 27, 2003 to prepare a study of the capital and
12 operating and maintenance costs associated with a rail delivery system for coal at Big
13 Bend and Polk. S&L's study is not based on standard engineering estimating techniques
14 or information sources, is not based on normal data inputs, and produced severely
15 overstated cost estimates for the capital costs associated with CSXT's proposed rail
16 delivery facilities at Big Bend (and Polk). The total overstatement is approximately \$20
17 million to \$40 million, depending on which S&L value one takes as the reference point.

18 Not surprisingly, S&L's estimates of O&M costs are also severely overstated. My
19 estimates, presented in this testimony, indicate that S&L's O&M estimates are overstated
20 by a factor of about four times the correct cost.

21 In addition, the coal handling facilities at Big Bend Station will continue to have
22 excellent blending capabilities following the installation of the proposed CSXT rail
23 delivery systems.

**EVALUATION OF CSXT'S CONCEPTUAL DESIGN AND COST
ESTIMATES FOR RAIL DELIVERY INFRASTRUCTURE
TO SUPPLY COAL TO BIG BEND AND POLK**

1 **Q. Have you reviewed CSXT's July 2003 bid?**

2 A. Yes.

3

4 **Q. Do you understand how the cost estimates were made by CSXT?**

5 A. Yes.

6

7 **Q. How did you come to understand CSXT's cost estimating procedure?**

8 A. I met with Bob White and Mike Bullock of CSXT, and Richard Schumann of RAS
9 Engineering Plus, Inc., on February 20, 2004 at CSXT's headquarters in Jacksonville,
10 Florida for the purpose of learning how Mr. Schumann, Mr. White, and the other CSXT
11 engineering personnel prepared their design and their cost estimates.

12

13 **Q. Who developed CSXT's cost estimates?**

14 A. Bob White of CSXT, with assistance from CSXT's internal engineering sections, and
15 Richard (Dick) Schumann of RAS Engineering Plus, Inc. prepared CSXT's design
16 concept and cost estimates for the rail delivery systems identified in CSXT's proposals
17 (bids) presented to TECO in 2002 and 2003.

18

19 **Q. What information did Mr. White and Mr. Schumann use to develop the cost
20 estimates?**

21 A. In August 2002, TECO provided CSXT an out-of-date macro-scale plot plan. In
22 addition, TECO allowed Mr. White and Mr. Schumann to have a 30-minute "drive

1 through" visit to the Big Bend Station, escorted by Mr. Martin Duff of TECO, in which
2 Mr. White and Mr. Schumann were not allowed to get out of their car, not allowed to take
3 pictures, and not allowed to ask technical questions of Mr. Duff.

4
5 **Q. Why was the out-of-date macro-scale plot plan a problem?**

6 A. There were four major misleading problems with the out-of-date plot plan that made
7 determining a possible rail delivery system difficult: (1) The Polk truck loading system
8 was not shown on this plot plan. The current load out for Polk is in the northern most
9 blend silo. It was not shown. Mr. Duff identified a unit that was about 1,000 feet south
10 of the current Polk truck load out. (2) The area on the out of date plot plan had a single
11 area marked G4, which is and was then divided into a slag pond and a dead coal storage
12 area. (3) The two main radial stackers were not shown on the out-of-date macro-scale
13 plot plan, (4) The out-of-date plot plan showed two parallel tracks on the south side of
14 the station, one of which was in the process of being dug up to accommodate piping that
15 was being installed in association with a new water desalinization plant being installed
16 adjacent to the Big Bend plant site. Mr. Duff orally stated that this second track would be
17 restored, when in fact it was not.

18

19 **Q. How did the out-of-date plot plan handicap CSXT's efforts to propose and cost out
20 rail delivery systems and Polk shuttle reloading systems?**

21 A. First, the misinformation increased the length of the Polk reloading conveyor. Second,
22 the incorrect area-G4 information did not allow Mr. White and Mr. Schumann to select
23 the best location for the new proposed radial stacker to be placed such that the Big
24 Bend's radial stacker could reach more of the rail delivered coal in the 1.0 to 2.0

1 MMTPY system. Finally, the fact that CSXT was told that certain missing or removed
2 tracks would be restored, but which were not restored, directly impacted the needed
3 trackage for rail coal unloading and reloading systems.

4
5 **Q. Would a 30-minute, "no pictures," "stay in your car," drive through visit or "tour"**
6 **of Big Bend Station, or any other power plant, be sufficient to select an optimum**
7 **rail delivery system?**

8 A. No.

9
10 **Q. Why not?**

11 A. The Big Bend coal yard has 69 transfer points identified in its air permit and is a large
12 flexible blending facility with numerous pieces of equipment. Many items cannot be
13 seen from the car. Any new conveyor, the most widely used piece of equipment in a coal
14 yard, must be in a straight line. Checking lines of sight cannot be done from a car nor is
15 30 minutes a sufficient time to identify or examine various alternatives.

16
17 **Q. Did Mr. White and Mr. Schumann talk to anyone from Big Bend that could**
18 **describe how the equipment was used?**

19 A. No. TECO did not give Mr. White and Mr. Schumann access to any Big Bend
20 engineering or operating personnel.

21
22 **Q. What type of information would be readily available to engineers or railroad**
23 **personnel if they wanted to propose a possible coal-by-rail delivery system?**

1 A. Under normal circumstances, there are several easily available sources of information:
2 accurate, detailed site plans with all significant equipment and facilities identified; access
3 to coal yard operators, plant engineers, or supervisors who know how the coal yard is
4 operated; utility drawings for electric power, water, drainage, and other systems; air
5 permits; and reasonable time to walk, view, and understand the coal yard.

6
7 **Q. Given the handicaps that you just identified, how were Mr. White and Mr.
8 Schumann able to propose and estimate the cost of a rail unloading system?**

9 A. They have sufficient experience that they could -- and did -- propose a reasonable
10 solution, which may not be the lowest cost or the only viable solution. With their
11 knowledge and experience, a reasonable solution could be proposed and costs estimated
12 for purposes of evaluating the viability of potential business opportunities. If more site
13 information or access were provided or obtained, a lower cost solution would only make
14 CSXT's bid more attractive.

15
16 **Q. Can you describe the reasonable solution proposed by CSXT?**

17 A. Yes. The design concept proposed by CSXT had the following key features.

- 18 1. The coal would be brought into the plant in 90-car unit trains via new trackage on
19 and within the west side fence in 45 car-segments.
- 20 2. The coal would be dumped into a pit either newly built or using the existing rail
21 unloading pit for limestone.
- 22 3. Then the coal would be transported by conveyor to the coal barge system transfer
23 house either (a) via two straight line conveyors or (b) via a long west-moving
24 conveyor connecting to a northwest-moving conveyor to the coal barge transfer

1 house. (The alternative for lower volumes of coal deliveries would only move
2 westward then directly north).

3 4. The Polk shuttle coal would be picked up at the truck loading source and
4 conveyed to a 250-ton silo which would load the coal into the Polk shuttle cars.
5

6 **Q. Is this a workable concept?**

7 A. Yes.
8

9 **Q. Have you visited the Big Bend site?**

10 A. Yes. I drove around the site and surrounding area during March 8-11, 2004. I obtained
11 information from the Hillsborough County Property Appraiser. I also visited the
12 Environmental Protection Commission of Hillsborough County to review air permit files
13 and wetland locations. At this time, it was uncertain whether TECO would allow me to
14 visit the site. On March 18, 2004, I was able to visit Big Bend. I was able to get out of
15 the car and view equipment. I was there for about four hours and there was no time limit
16 on my visit, and TECO personnel were generally able to answer my questions. I was
17 allowed to make linear measurements, but TECO did not allow me to take pictures or
18 measure noise levels.
19

20 **Q. Were the options proposed by CSXT viable and adequate engineering concepts?**

21 A. Yes.
22

23 **Q. What, if any, adjustments in CSXT's concept do you feel are needed or**
24 **appropriate?**

1 A. Four specific adjustments are needed, as follows.

2 1. Because the right-of-way for the second track was not restored, and because
3 desalinization pump motors on-site are vertical and a pump control house (about
4 16 feet high) is now in this right-of-way, the long conveyor proposed by CSXT
5 has to be elevated to about 18 feet to clear the existing equipment.

6 2. The limestone conveyor goes slightly north by about 12 feet. The proposed
7 elevated conveyor needed a 12-foot southern orientation. This means that if the
8 limestone conveyor is used, a 24-foot conveyor and another transfer house is
9 needed.

10 3. The limestone rail pit and conveyor do not have a magnetic separator.

11 4. The existing limestone pit has a baghouse to control dust. A surfactant dust
12 suppression system might be a better approach. This type of dust suppression is
13 used at the dock unloading system.

14

15 **Q. Would those adjustments result in added costs, above those initially estimated by**
16 **Mr. White and Mr. Schumann?**

17 A. Yes.

18

19 **Q. Can you estimate the resulting increase in cost of making these adjustments?**

20 A. Yes.

21 1. The elevation of the long conveyor would add about \$50,000 in foundation cost,
22 \$25,000 for ladders, \$265,000 for step supports, and \$330,000 for walkways for a
23 total increase of \$670,000.

- 1 2. The dust suppression equipment cost would be \$85,000 to \$95,000 delivered and
2 about \$10,000 to install, for a mid-range total of \$100,000. This is identical
3 equipment (Dust Buster) from the same supplier (Midwest Supply) as the dust
4 suppression equipment used for the Big Bend barge unloading system.
- 5 3. A stationary electromagnetic metal separator would cost \$18,600 for the magnet
6 and 10 KW rectifier to convert AC current to DC current, plus an estimated cost
7 of \$7,400 to install. This totals to \$26,000.
- 8 4. An additional 24-foot conveyor and transfer house would cost about \$350,000.
9 This 24-foot conveyor would only be needed in the [REDACTED] system.

10

11 **Q. What is the total cost that would be needed to add to CSXT's bids in your opinion?**

12 A. For the large system [REDACTED] it would be \$796,000 (\$670,000 + \$100,000 +
13 \$26,000). For the small system it would be about \$896,000 (\$420,000 pro rated elevated
14 conveyor length + \$100,000 + \$26,000 + \$350,000).

15

16 **Q. Do you know how Mr. White and Mr. Schumann prepared their estimates?**

17 A. Yes. The coal handling system cost estimates were provided by Mr. Schumann; CSXT
18 personnel provided the cost estimates for rail and heavy equipment. No formal report
19 was made by Mr. Schumann. Vendor information was obtained orally by Mr. Schumann,
20 and Mr. Schumann's estimated costs for Big Bend were then verbally transferred to Bob
21 White of CSXT. The systems at Polk to unload coal had some written estimates for the
22 Polk scenarios.

23 Mr. Schumann used a variety of approaches to prepare his cost estimates,
24 including specifically: obtaining verbal up-to-date costs from various vendors

1 (particularly for the conveyor systems) and estimating the pit costs based on similar
2 equipment (adjusted to 2003 dollars). In some cases, Mr. Schumann proposed a
3 surrogate design and used various factors to estimate the costs. The estimates were
4 determined to be appropriate by Mr. Schumann when comparing the estimates to his
5 previous work. The specifics were as follows.

6 A. [REDACTED] Bid at \pm 1,500 tons per hour ("TPH").

- 7 1. Modified Limestone Pit -- [REDACTED] by Schumann. The existing
8 limestone pit or under-car loading system was designed for rail car bottom
9 loading. It is covered with a bag house to control dust. Only truck-
10 delivered limestone is being delivered or predicted to be delivered per
11 TECO. Thus, the pit is ideal for conventional coal rail car unloading at a
12 rate of about 1,500 TPH. The details of the belt (size and rate) that were
13 provided may need to be upgraded to meet the 1,500 TPH rate capability.
14 The cost to upgrade the belt rates and use the limestone rail unloading pit
15 for coal was estimated to be [REDACTED] based on Mr. Schumann's
16 experience with similar projects. The coal would then be put on the long
17 conveyor. Mr. Schumann felt that a new limestone truck unloading
18 system was needed to prevent coal and limestone from being
19 contaminated. (See No. 5 below.)
- 20 2. Long Conveyor -- [REDACTED] by Schumann. The conveyor taking the
21 coal from the limestone pit conveyor would be a 54" wide conveyor
22 running 2,100 feet west to a short conveyor running north. Mr. Schumann
23 provided a cost estimate of a complete system, i.e., a system that was
24 covered, fire protected, and provided with access walks, lights, and other

1 necessary appurtenances, complete with engineering and installation. He
2 contacted several conveyor vendors to verify his cost estimate using the
3 most current cost for idlers, frames, and other components. The 54" wide
4 conveyor could handle 2,500 TPH. The estimated cost conformed to the
5 range of cost experienced on other projects.

6 3. Short Conveyor -- [REDACTED] by Schumann. The same approach as used

7 for the long conveyor was used to estimate the cost of the short conveyor

8 4. 200 Foot Radial Stacker -- [REDACTED] by Schumann. The radial stacker

9 cost was based on previous cost experience and escalated to 2003 dollars.

10 5. New Track Dump and Conveyor -- [REDACTED] by Schumann. If the rail

11 coal delivery system is to use the limestone pit system located under the

12 railroad track, another limestone pit and conveyor would be desirable for

13 the truck delivery of limestone. The new limestone pit was estimated by

14 using approximate cost estimates and factors for materials, installation and

15 overhead and profit, as well as engineering for a surrogate design of a pit

16 and conveyor system. The new limestone pit and pit conveyor would feed

17 the existing limestone transfer house. The costs were in the expected

18 range of similar equipment installations.

19 B. [REDACTED] MMTPY Bid @ \pm 2,500 TPH.

20 1. Rapid Discharge System -- [REDACTED] by Schumann. The rapid

21 discharge system cost estimate was made in the same manner as the new

22 limestone truck dump and conveyor system, i.e., a surrogate design and

23 updated conveyor cost were used

- 1 2. Long Conveyor at 3,300 ft. -- [REDACTED] by Schumann. The long
2 conveyor system was estimated in the same manner as the previous
3 conveyors using updated conveyor component costs backed-up by Mr.
4 Schumann's experience.
- 5 3. Short Conveyor at 500 ft. -- [REDACTED] Same method as above.
- 6 4. Transfer Station -- [REDACTED] by Schumann. The transfer station cost
7 estimate was based on previous cost experience for equipment similar to
8 that at Big Bend and roughly escalated to 2003 dollars.
- 9 5. Three 45-Car Tracks -- [REDACTED] by CSXT. The costs of upgrading
10 and installing new trackage were identified by Mr. Schumann and Mr.
11 White of CSXT and the cost estimated by CSXT engineers. The cost
12 included restoring the track disturbed by the desalinization piping.
- 13 6. Truck Dump and Conveyors -- [REDACTED] by Schumann. Same as 1.0 to
14 2.0 MM Ton Bid.
- 15 C. Polk Shuttle Train Loading at Big Bend - [REDACTED]
- 16 1. Conveyor and Transfer Station -- [REDACTED] by Schumann. This
17 estimate was based on updated conveyor cost and surrogate design. The
18 transfer station was similarly estimated.
- 19 2. 250 to Batch Silo -- [REDACTED] by Schumann. The batch silo was
20 considered to be useful and was estimated by escalating similar systems to
21 2003 dollars.
- 22 3. New Trackage -- [REDACTED] by CSXT. The needed trackage was
23 determined by Schumann and White of CSXT and the cost was estimated
24 by CSXT transportation engineers.

1 **Q. If Mr. Schumann based his estimate on a national average cost, should his estimates**
2 **be adjusted for Big Bend?**

3 A. Since Mr. Schumann based his estimates on national average costs for this mechanical
4 work, it may be necessary to adjust his estimates to reflect local differences between
5 Tampa-area costs and national average costs. Currently the "RS Means" (RS Means
6 Heavy Construction Cost Data 13th Edition, 1999, and RS Means Square Foot Costs, 24th
7 Annual Edition) indexes show the cost of construction in Tampa to be 80% of the
8 national average for overall work (1.039 index for Tampa divided by 1.302 for the
9 national average). See Exhibit ____ (JBS-2).

10

11 **Q. Since this work is heavily mechanical, is there a way to take into account that this**
12 **proposed system is mechanical?**

13 A. Yes. The Dodge Unit Cost Book subdivides its index by type of work. In 1999,
14 mechanical/electrical work was 0.89 versus 0.86 for overall work. Thus, mechanical/
15 electrical work in Tampa is 3.5% more costly than overall work in Tampa.

16

17 **Q. From the above sources, can you determine whether and how to adjust Mr.**
18 **Schumann's estimates to Big Bend?**

19 A. Yes. The correct adjustment is made by multiplying the RS Means index value of 0.80
20 (80%) by the Dodge indicator of increased cost for mechanical/electrical work of 1.035.
21 This indicates that mechanical/electrical work at Big Bend should be approximately 83%
22 of the national average.

23

1 Q. Using this information, was there a cost overstatement or implied contingency built
2 into Mr. Schumann's estimates?

3 A. Yes. Mr. Schumann added 5% contingency to his estimates based on national averages.
4 This coupled with the above lower cost in Tampa of 17% results in 21% contingency in
5 Mr. Schumann's estimates.

6
7 Q. Did CSXT include in its proposals (bids) an offer to pay up to [REDACTED] of Mr.
8 Schumann's estimated costs for the rail delivery infrastructure?

9 A. Yes.

10

11 Q. Did CSXT have a contingency built into its estimate for rail trackage?

12 A. No.

13

14 Q. Can you estimate the contingency in the CSXT bid?

15 A. Yes. CSXT's estimated cost of [REDACTED] for track has no internal contingency, and the
16 remaining [REDACTED] in rail infrastructure costs has a 21% estimated internal
17 contingency for a total of [REDACTED] implied contingency. With a [REDACTED] estimate,
18 the implied internal contingency is thus approximately 17.5%.

19

20 Q. Since CSXT was willing to pay [REDACTED] above their estimate, what is the approximate
21 total contingency inherent in CSXT's proposal?

22 A. Since CSXT was willing to pay up to [REDACTED] percent of [REDACTED] for the rail delivery
23 improvements at Big Bend, the total "built in" contingency in CSXT's bid was, or is,
24 approximately 45 percent. This is calculated by dividing the difference between (a) what

1 CSXT was willing to pay [REDACTED] and (b) what the project cost
2 was excluding any contingency [REDACTED] implied contingency =
3 [REDACTED] this calculation indicates that CSXT was willing to pay 45.4 percent more
4 than the no-contingency cost estimate for the rail delivery facilities at Big Bend.

5
6 **Q. Have you made an independent estimate of the cost in CSXT's bids?**

7 A. Yes.

8
9 **Q. What was your estimated rail track cost?**

10 A. I used 1999 RS Means factors for rail, grading to level with purchased fill material,
11 spreading and compaction of the fill material. I also estimated the cost of bumpers,
12 switches, switch timber, road crossings, signage and one signal. I then escalated the cost
13 to 2003 by the RS Means escalation factor and adjusted this to reflect engineering and
14 indirect cost. My estimate is \$1,231,284 versus CSXT's [REDACTED] estimate.

15
16 **Q. What is your estimate for conveyors?**

17 A. I obtained a budget quote for a covered 2,500 ton per hour ("TPH") @ 750 FPM 54"
18 conveyor from Cubic Storage Systems, Inc., a local (Tampa area) conveyor supplier.
19 Beginning with Cubic Storage Systems, Inc.'s budget quote, I added in my cost estimates
20 for foundations, walkways, lights and fire protection to estimate the installed cost based
21 on Cubic Storage Systems, Inc.'s quote. This yielded about \$3,873,467 for 3,800 feet.
22 This is about \$1,020/LF, which equates to \$3,366,000 for the long conveyor as compared
23 to the [REDACTED] estimate by CSXT. This also equates to \$550,150 for the short
24 conveyor as compared to [REDACTED] estimated by CSXT. See Exhibit ____ (JBS-3).

1 **Q. Is there another independent basis for estimating the costs of the needed conveyors?**

2 A. Yes. It is based on FMC, another well-known conveyor supplier, supplying a covered or
3 hooded conveyor with cover lights and walkway. With 30 feet on center supports, FMC
4 estimates the cost will be \$1,083/LF. The long conveyor would thus cost about
5 \$3,573,900. CSXT estimated the cost at [REDACTED] Using this approach, I estimated
6 the short conveyor to cost \$541,500. CSXT estimated the short conveyor cost to be
7 [REDACTED] See Exhibit ____ (JBS-4).

8
9 **Q. Did you estimate the cost using the same manufacturer of conveyors as used at Big
10 Bend?**

11 A. Yes. Big Bend coal yard uses Continental Conveyors, and Continental Conveyors quoted
12 \$2,733,060 for the long conveyor as compared to CSXT's [REDACTED] estimate and
13 \$414,100 for the short conveyor as compared to CSXT's [REDACTED] See Exhibit
14 ____ (JBS-5).

15
16 **Q. Do you have an independent calculation of the cost of the transfer house?**

17 A. I made some rough calculations and concluded that the [REDACTED] is within the reasonable
18 range of costs for such a structure with hoppers.

19
20 **Q. Do you have an independent calculation of a new truck limestone pit and conveyor?**

21 A. Yes. My estimate indicates that this may be about \$400,000. CSXT estimated this new
22 limestone pit and conveyor to cost [REDACTED]

23

24

1 **Q. Do you have an independent estimate of the rapid discharge system?**

2 A. Yes, using a surrogate design and RS Means factors, I estimated the cost including the pit
3 conveyor at \$1,590,391. See Exhibit ____ (JBS-6).

4
5 **Q. Do you have an independent summary of the CSXT system cost estimates?**

6 A. Yes. The estimates using the three different methodologies (CSXT, Cubic Storage/EVA,
7 Continental Conveyor, and FMC/EVA) are shown below based on three vendor quotes
8 and EVA calculations. My estimates are between 3.3% and 5.9% higher than the CSXT
9 estimate. However, after having access to the site that Mr. Schumann and Mr. White did
10 not have, my best estimate after including adjustments for an elevated conveyor
11 adjustment, dust suppression, and an electromagnetic separator, is 15.5% to 17.1% higher
12 than CSXT's estimate. My estimates are still below CSXT's willingness to pay amount
13 of [REDACTED] Thus, I conclude that CSXT's estimates are basically correct and
14 accurate. The problem is that CSXT was denied the necessary access and information to
15 include all the necessary items.

16

1

	CSXT's Estimate	EVA'S Estimate Cubic Storage	EVA's Estimate FMC
I. Original Conceptual Design			
Rapid Dump System	[REDACTED]	\$ 1,590,391	\$ 1,590,391
Long Conveyor	[REDACTED]	3,366,000	3,527,700
Short Conveyor	[REDACTED]	550,150	574,560
Transfer Station	[REDACTED]	230,000	230,000
Rail	[REDACTED]	1,231,284	1,231,284
Limestone Truck Dump	[REDACTED]	400,000	400,000
Subtotal	[REDACTED]	\$ 7,367,825	\$ 7,553,935
Percentage Difference		[REDACTED]	[REDACTED]
Elevated Long Conveyor		\$ 670,000	\$ 670,000
Dust Suppression		100,000	100,000
Electromagnetic		26,000	26,000
Subtotal		\$ 796,000	\$ 796,000
Total		\$ 8,163,825	\$ 8,349,935
Percentage		[REDACTED]	[REDACTED]

2

3 **Q. At this stage of development, what is the accuracy of the engineering estimates?**

4 **A.** The cost estimates are $\pm 20\%$ at this point. A project that has had the design completed
5 and well-written specifications will be bid within 3-5% of competitive bidders.

6 *EVA Alternate "Cooperative" Rail Delivery Concept*

7 **Q. From your observations and information gathered during your site visits and with**
8 **the information you now have, are there any other potential conceptual approaches**
9 **for delivering coal to Big Bend with lower cost?**

10 **A.** Yes. Because this concept should have been readily identified by a cooperative effort
11 between TECO and CSXT, rather than by TECO's limiting CSXT's information
12 regarding and access to the Big Bend site, I call this a "cooperative" approach.

13

14

1 **Q. Can you describe the system?**

2 A. Yes. The east side of the Big Bend site is congested with limestone and gypsum system
3 equipment as well as other maintenance and warehouse facilities. The south side where
4 the current limestone pit is located and where a new rapid rail discharge system would be
5 located is congested with FGD piping north of the remaining rail line. The corridor to the
6 south where the second track was envisioned and was to be restored is now congested
7 with the desalinization piping and pumps. This would require raising the proposed CSXT
8 conveyor up 20 feet or so. An alternative concept is to put the new rapid discharge
9 system, pit and conveyor, near the tracks and near the east end of the slag pond. This
10 would allow the coal unloading equipment to be located on the western part of the Big
11 Bend plant site, thus avoiding further congestion at the east end of the plant. It would,
12 however, require the 90-car unit trains to be split into three 30-car segments rather than
13 two 45-car segments. See Exhibit ____ (JBS-7).

14

15 **Q. Would this "cooperative" approach result in any capital cost savings?**

16 A. Yes. Even if all-new equipment were used to implement and install this design concept, I
17 estimate that the total cost would be slightly less than \$5 million, as opposed to the ██████████
18 million estimated by CSXT. If salvageable coal-handling equipment from TECO's
19 Gannon Station were used, the total capital costs would be on the order of \$3.6 million.

20

21

1 Q. Please provide the estimated capital costs for this system, both with and without the
2 use of Gannon equipment.

3 A. See the table below.

	EVA Estimate Cooperative Concept New Equipment	EVA Estimate Cooperative Concept Used Gannon Equipment	Remarks
Rapid Discharge System	\$ 1,590,391	\$ 1,379,391	The new unit would be unchanged. Two Gannon rail car hoppers are usable (\$115,000). A Gannon transfer station saves \$96,000.
Long Conveyor	1,346,400	1,346,400	The long conveyor would only be 1,300 ft long and cost was proportional to the long conveyor
Short Conveyor	550,150	275,075	Use of two Gannon 1,600 tph conveyors would save new conveyor purchase (50% or \$275,075).
Transfer Station	230,000	115,000	Use Gannon unit with stacker reclaimers would work out fine (50% or \$115,000 savings)
Rail	1,231,284	1,231,284	Unchanged.
Limestone Truck Dump	400,000	400,000	
Elevation of Conveyor	N/A	N/A	
Dust Suppression	100,000	100,000	
Electromagnetic	26,000	26,000	
Total	\$ 4,979,225	\$ 3,641,866	\$1,337,359 savings using abandoned Gannon Equipment

4

5 Q. Can you summarize the capital cost, operating capacities, train unloading time and
6 construction time for the various alternatives to unload coal at Big Bend such as
7 CSXT's original bid, your adjustments of CSXT's original bid and the above system
8 with three 30-car segments?

9 A. Yes. This information is presented in Exhibit ____ (JBS-8).

1 Q. Have you also prepared an estimate of the O&M costs for your "cooperative" 3-30
2 car unit train segment approach?

3 A. The table below summarizes my O&M estimates for the cooperative system.

4 **EVA Estimate of O&M Cost for a 3-30 Car Train Segment Approach**

	Minimum Estimate	Maximum Estimate
Variable		
Power	(\$17,000)	(\$32,000)
Surfactant	0	0
Labor	0	157,440
Fixed		
Labor (less belt length)	\$150,654	\$150,654
Maintenance	149,100	149,100
Taxes	2,169	2,169
Insurance	2,237	2,237
Total	\$287,160	\$429,600

5

6

**EVALUATION OF SARGENT & LUNDY'S
CAPITAL COST ESTIMATES**

7 Q. Did you review the estimated capital costs in the S&L report, and if so, what were
8 your conclusions regarding S&L's capital cost estimates?

9 A. Yes, I reviewed the S&L study. A copy of this study is included as Exhibit ____ (JBS-9)
10 to my testimony. My major conclusions are as follows:

11 1. The S&L report was hastily put together between August 27, 2003 until the draft
12 was presented September 4, 2003. (A copy of this draft report is included as
13 Exhibit ____ (JBS-10) to my testimony.) Labor Day weekend was in the middle
14 of this period (August 30 to September 1). There is no reference to any S&L site
15 visit or vendor quotes made or used in the S&L report. The final S&L report was

1 submitted on September 18, 2003 with no evidence of site visits or vendor
2 information.

3 2. The two most expensive items in the CSXT proposed [REDACTED] ton project, the
4 conveyor systems and the construction of the rapid discharge system, are
5 overpriced in the September 4, 2003 draft report based on my contact with three
6 conveyor vendors (one being Continental Conveyor that is the dominate supplier
7 of Big Bend's conveyors) and based on using nationally recognized standard unit
8 price factors for the construction for a pit similar but longer than the existing
9 limestone pit. Other components were also overpriced.

10 3 Between the September 4, 2003 draft and the September 18, 2003 final report, the
11 conveyor cost were unexplainably doubled, and the cost for the coffer dam and
12 dewatering associated with the rapid discharge pit also doubled for a [REDACTED]
13 increase in construction cost, which with engineering and indirect cost factors
14 resulted in a total [REDACTED] increase. Also, S&L included a category "Other
15 Cost and Adjustments" at [REDACTED] without explanation. Thus, these
16 unexplained increases or "other cost and adjustments" alone are [REDACTED] and
17 total more than CSXT's estimate of [REDACTED] for the entire project for the [REDACTED]
18 [REDACTED] ton bid.

19 4. There are numerous redundant items that are subcomponents of other equipment
20 such as conveyor fireproofing or lighting, or unnecessary items such as HVAC
21 (air conditioning at [REDACTED] for the track hopper and the transfer house. With
22 an open structured transfer house with conveyors feeding hoppers, I do not know
23 why air conditioning is needed. Also, I cannot figure out why a [REDACTED]
24 temporary coffer dam is needed.

- 1 5. In S&L's Exhibit 2A-2, there is [REDACTED] that compose the equipment to unload
2 trains at 2500 TPH and to load shuttle trains. Fully [REDACTED] of the [REDACTED] items are exact
3 multiples of the magic [REDACTED] in S&L's proprietary model and [REDACTED] of the [REDACTED]
4 items have construction and erection cost at [REDACTED] of total equipment or material
5 cost. This is a strong indication that little detailed engineering effort was put into
6 the numbers that were plugged into the proprietary model.
- 7 6. If a proprietary model was used by S&L it is likely that model was used as a mere
8 calculation tool for plug in numbers and not for making engineering equipment
9 selections or calculating estimated costs.
- 10 7 There was no effort to make cost savings or cost-effective choices. S&L failed to
11 consider the use of coal handling equipment at Gannon or to explore ways to
12 minimize construction of trackage; these are the most obvious cost saving
13 opportunities. The coal fired Gannon plant, which is about a dozen miles away,
14 was being phased out in the same time frame as the CSXT bid was being
15 developed. Also TECO owns land on both sides of Pembroke Road, north and
16 east of the Big Bend plant, with three tracks long enough to hold at least 45 rail
17 cars. Two of the tracks are used by IMC that cross TECO's land. IMC has a
18 locomotive and handles 90 car trains that cross TECO land. Also, National
19 Gypsum has track on this same TECO parcel. No effort was made to coordinate
20 rail movements on TECO's own land or share the locomotive.

21

22 **Q. What was the schedule for the S&L report development?**

23 **A. The work was initiated on Wednesday August 27, 2003 with scope of work and schedule**
24 **in "Revision O" (p. 435-436 of docket).**

1 **Q. What was the proposed schedule?**

2 A. Per "Revision O" the S&L and TE Schedule was:

- 3 • 8/27/03 Kickoff (Wednesday)
- 4 • 8/29/03 Conference Call (Friday)
- 5 • 8/30/03-9/01/03 Labor Day Weekend
- 6 • 9/02/03 Conference Call (Tuesday)
- 7 • 9/03/03 Conference Call (Wednesday)
- 8 • 9/04/03 Conference Call and Preliminary Report (Thursday)
- 9 • 9/05/03 Conference Call and Final Report (Friday)

10

11 **Q. Did S&L meet this schedule?**

12 A. S&L met the schedule to provide a preliminary draft dated September 4, 2003. However
13 a final report was late and it was completed and submitted on September 18, 2003, as
14 S&L Report Number SL-008160.

15

16 **Q. Was the schedule adequate to evaluate CSXT's proposal?**

17 A. No.

18

19 **Q. Why do you believe the schedule was not adequate?**

20 A. The proposed schedule did not permit time for S&L engineers to visit the Big Bend and
21 Polk sites or obtain vendor quotes on key equipment, especially with the Labor Day
22 weekend in the middle of the schedule.

23

24

1 **Q. Why is a site visit necessary?**

2 A. One of the key steps in initially evaluating the CSXT proposal was to visit the site in
3 order to understand the location of the proposed equipment, access to electricity, access
4 to fire protection water, horizontal or vertical interferences, the type of foundations used
5 as a basis to estimate future foundation designs, the type and style of equipment actually
6 used; to determine if any potential wetlands or other site or permit conditions that might
7 impact the proposed CSXT proposed design.

8

9 **Q. Is there any evidence that any of the S&L engineers visited the site during the**
10 **scheduled work period?**

11 A. No.

12

13 **Q. How did S&L get information to do its study?**

14 A. TECO provided some site information, operating cost estimates, and wetland quantities
15 (but not location).

16

17 **Q. What site information was provided to S&L by TECO?**

18 A. TECO's Dennis Barrette, Senior Engineer-Civil Structure/Generation Engineering
19 provided a series of drawings to S&L's Paula Guletsky on August 29, 2003.

20

21 **Q. Were the Big Bend site drawings sufficient to evaluate the proposed rail locations**
22 **for the CSXT proposals for Big Bend?**

23 A. No. The site plans were of poor quality and were not clear as to the existence of the
24 second southern track that is now blocked by the desalinization plant piping. This lack of

1 detail made it difficult for S&L to locate the new rail that would be needed. Also,
2 vertical interfaces or the lack of vertical interfaces could not be determined.

3

4 **Q. Was there adequate information to estimate foundation needs?**

5 A. Some information was useful. The drawing entitled "Foundation-Plans and Sections-
6 Limestone Unloading Facilities" was sufficient to use as a basis for a surrogate design for
7 estimating the cost of a new rapid unloading pit using the current rail limestone pit, as an
8 example. Also, the drawings on the limestone pit conveyors (Conveyor-LB, pages 254
9 and 255) and the new truck loadout facility (p. 251) show that "hooded" or "covered"
10 conveyors were used and newly used at Big Bend. S&L added excessive cost for
11 foundations and much more expensive conveyors than those used or required at Big
12 Bend.

13

14 **Q. Was there adequate information on the type and style of conveyors to be used as
15 part of the CSXT proposed system?**

16 A. The drawings supplied by Dennis Barrette showed hooded or covered conveyors in the
17 limestone unloading system (Conveyor LB, docket page 25) and hooded or covered
18 conveyors in the new truck load out conveyor (docket pages 254 and 255). However,
19 TECO's Jimmy Konstas had told TECO's Ralph Painter (docket page 923) that more
20 costly fully enclosed conveyors were necessary. The September 18, 2003 S&L states that
21 the hooded conveyors were assumed and using enclosed conveyors would be [REDACTED]
22 more. Thus, the conveyor should have been correctly estimated. The excess cost for
23 conveyors is not explained.

24

1 **Q. Were vendor budget quotes obtained or used by S&L to develop their cost estimate?**

2 **A. The record shows no evidence of vendor contacts.**

3

4 **Q. How did S&L get its key cost information?**

5 **A. The assumptions or basis used to develop the cost in S&L cost items has been requested.**

6 **It has not been provided.**

7

8 **Q. What are the approximate costs for the long and short conveyors in the S&L study?**

9 **A. The conveyor costs by category from the S&L study are shown in the following table.**

10

1

TABLE

REDACTED

2

1 Q. What did your vendor budget quotes show?

2 A. The vendor budget quotes show the following:

3 1. Continental Conveyor estimate was for \$2,733,000 / 3,300 LF or \$828/LF and
4 would compare with S&L cost of [REDACTED] LF for equipment, construction and
5 direct add ons. S&L estimate is [REDACTED] of Continental Conveyor's estimated cost.

6 2. FMC bid was presented incorrectly with two belts tied together. FMC's bid did
7 not include foundations, and electrical lines. S&L also added a transfer house.
8 The quote was for [REDACTED] ($\pm 15\%$ to $\pm 20\%$). Adjusting this by subtracting
9 S&L estimate for a transfer house at [REDACTED], the quote would be \$5,571,000 for
10 5,400 LF or about \$1,032/LF ($\pm 15\%$ to $\pm 20\%$) plus the cost of foundation and
11 electrical lines and engineering. Subtracting S&L foundation cost ([REDACTED]),
12 electric line cost ([REDACTED]) and EPC cost ([REDACTED]) would indicate that a
13 comparable cost would be about [REDACTED]. S&L's estimate is [REDACTED] of FMC's
14 estimate

15 3. Cubic Storage's estimate after adjustment by EVA was about \$1,020/LF for an
16 engineered system less foundation and electrical lines. Even after removing
17 S&L's estimates for foundations [REDACTED] and electric lines [REDACTED], S&L's
18 cost for conveyors would still be [REDACTED] or [REDACTED] of the estimate based on
19 Cubic Storage System's budget quote.

20

21

1 Q. What was the rapid discharge cost by category from the S&L study?

2 A. The rapid discharge system costs by category from the S&L study are:

TABLE

REDACTED

3

4 Q. What is your estimate for the rapid discharge system?

5 A. I estimate the cost would be \$1,590,391 including engineering. S&L's estimate is [REDACTED]
6 of my estimate, including the coffer dam and dewatering costs. If the coffer dam and
7 dewatering are unrelated to rapid discharge system, S&L's estimate would be [REDACTED]
8 or [REDACTED] of my estimate.

9

10 Q. Do you have any idea why S&L's costs are substantially higher than your estimates
11 or CSXT's estimate?

12 A. It is my opinion that S&L included unnecessary items such as the coffer dam and
13 dewatering, and redundant items such as lighting, fire protection, foundations, belt

1 feeders, hoists, and trolleys that were possibly included in the already overpriced
2 conveyor estimate. S&L may have estimated the cost for the wrong type of conveyors.

3
4 **Q. What are the types of conveyors that might have been incorrectly estimated by**
5 **S&L?**

6 **A. The types of conveyors incorrectly estimated by S&L are:**

- 7 1. **Open Conveyors.** Open to the atmosphere, with no cover or enclosure. These
8 are the lowest cost conveyors.
- 9 2. **Covered Conveyors.** Also known as hooded conveyors or enclosed conveyors,
10 these conveyors are covered on the top but not on the bottom and are slightly
11 more expensive than open conveyors.
- 12 3. **Enclosed Conveyors** to prevent spillage into traffic, people, passing underneath.
13 Enclosed conveyors are more expensive than covered conveyors.

14

15 **Q. What are the types of conveyors required?**

16 **A. The original and new conveyors are covered or hooded. TECO's old and current air**
17 **permit calls the existing conveyor "enclosed."**

18

19 **Q. Could S&L have been confused?**

20 **A. It is unlikely because in the final report, S&L stated that they assumed the conveyors**
21 **were hooded and that if enclosed the cost estimate would be increased another**

22 **[REDACTED] (page 4 of S&L's report).**

23

1 **Q. Would increasing the belt from 54 inches that was proposed by CSXT to the 60-inch**
2 **wide conveyor that S&L used for estimating purpose account for the increased cost?**

3 A. No. This would increase cost 8% over a 54" belt not [REDACTED] or more. Also, all three
4 vendors selected a 54-inch belt for the 2,500 TPH systems. Further, Big Bend has a 54-
5 inch belt in its coal yard rated at 4000 TPH (belt No. 1-Conveyor per Table C-4A WL50
6 Conveyor Physical Data in their coal yard manual). S&L's 60-inch belt size is unusual.

7

8 **Q. Are you familiar with any proprietary model that S&L may have used?**

9 A. Yes. S&L developed software (SOAPP)TM standing for State of the Art Power Plant
10 under sponsorship of EPRI (Electric Power Research Institute). This model is described
11 in a paper entitled "Using the SOAPP WorkstationTM for Planning and Conceptual
12 Design" presented at the International Symposium on Improved Technology for Fossil
13 Power Plants (March 1-3, 1993).

14

15 **Q. Was this model used?**

16 A. I do not know. The categories are similar to the above paper but no evidence that any
17 improved efficiency, enhanced availability, or cost-effectiveness efforts were made.
18 S&L may have plugged in numbers and used their model format to print out the
19 assumptions that were externally made. The fact that so many of the results were exact
20 multipliers of [REDACTED] and used [REDACTED] installation factors is an unlikely result of the above
21 model and more likely resulted from external inputs bypassing the modeling capability of
22 the software.

23

24

1 **Q. Did the above model round off cost?**

2 A. No. The sample calculation presented in the EPRI paper carried calculations to 3 to 6
3 significant digits.

4

5 **Q. Would you rely on the S&L cost estimates?**

6 A. No, the S&L cost estimates are too high relative to vendor supplied and recognized cost
7 estimating guidelines. The S&L estimates appear not to have been based on site visits or
8 vendor quotes. The bases for the cost estimates are unexplained.

9

10 **Q. Should TECO have questioned this document?**

11 A. Yes. A major utility with over 2 miles of conveyors at Big Bend (some recently built) for
12 coal, limestone and gypsum should have sufficient expertise to evaluate and question the
13 S&L cost estimates. TECO's engineering department should have been able to do the
14 estimate of CSXT's proposal and evaluate S&L's cost estimates.

15

16 **Q. Did TECO review the S&L study?**

17 A. It appears that Ralph Painter was the individual to oversee the report. There is no record
18 that he critiqued the report.

19

EVALUATION OF SARGENT & LUNDY'S O&M COST ESTIMATES

20 **Q. Did CSX Transportation prepare an estimate of operation and maintenance**

21 **("O&M") cost, property tax increases and insurance increases associated with its**
22 **proposed rail unloading systems at Big Bend?**

23 A. No.

1 Q. Did S&L prepare an estimate of O&M costs, property taxes, and insurance cost
2 increases in its September 18, 2003 report number SL-008160 for Big Bend?

3 A. Yes.

4

5 Q. Have you reviewed S&L's O&M, tax, and insurance cost estimates for the rail
6 delivery system at Big Bend?

7 A. Yes.

8

9 Q. Do you agree with S&L's findings in Exhibit 2A-3 titled "Operating Cost Estimate
10 [REDACTED] Ton Rail Delivery of Coal Big Bend"?

11 A. No. For the reasons set forth below, I believe that S&L overstated O&M costs.

12

13 Q. Do you disagree with S&L's variable cost for power in Exhibit 2A-3?

14 A. Yes, I disagree.

15

16 Q. Why do you disagree?

17 A. The stated additional power cost estimated by S&L is between [REDACTED] and [REDACTED]
18 The details of how this was calculated were not provided. However, S&L failed to
19 deduct the power savings resulting from not using the coal dock unloading system.

20

21 Q. Is the savings more or less than the power used by the proposed CSXT rail system?

22 A. The savings resulting from using the proposed CSXT rail system would be more than the
23 power used to unload coal from barges. The CSXT system would reduce power usage
24 for coal handling, not increase it.

1 **Q. Explain why the CSXT rail coal delivery would save power during unloading.**

2 A. There are two main reasons. First, the current dock unloading system is designed for
3 4,000 TPH to accommodate the barge bucket elevator. The clamshell normally operates
4 at an average of between 2,000 TPH and 2,500 TPH, and electricity is less efficiently
5 used when oversized equipment is used. Second, the power to lift coal on conveyors is
6 more than level conveyor transport. The dock lifts the coal up about 40 feet above the
7 dock with the clamshell and 60 feet with the bucket elevator. Added to this lift is the
8 initial lift from the barge to the dock level, which is about another 15 feet. Thus, the lift
9 for the dock equipment is 55 to 75 feet. The coal is then dropped down to the dock level
10 and conveyed horizontally. Then the coal is lifted again about 35 feet to the coal yard
11 transfer house. Therefore coal is lifted 90 to 110 feet in the dock operation. The CSXT
12 system would drop coal from the rail car about 20 feet to a below ground hopper. Then
13 the coal would be conveyed to the surface to the same coal yard transfer house up another
14 35 to 40 feet to the coal yard transfer house. Thus the rail systems would lift the coal 55
15 to 60 feet. Consequently, rail-delivered coal needs to be lifted to heights about 55 to 60%
16 of the total lifting height required by the current barge-dock system.

17

18 **Q. How much power would be saved by the rail system?**

19 A. Around 25% less power would be required. At the same cost values used by S&L, there
20 would be a net savings of about \$17,000 to \$32,000, instead of an increased cost of

21 [REDACTED]. This would reduce S&L's estimated O&M cost by [REDACTED]
22 [REDACTED] per year.

23

24

1 **Q. Do you agree with S&L's variable cost increase for surfactant in Exhibit 2A-3?**

2 A. No.

3

4 **Q. Why do you disagree?**

5 A. The use of surfactant is a function of the volume of coal delivery. The total amount of
6 coal used at Big Bend would be the same whether or not the coal is delivered by barge or
7 rail. Thus, the amount of surfactant used and the cost of surfactant would not increase.

8 There would be no variable cost increase for surfactant at Big Bend for a rail system.

9 There is, however, a need to invest in another dust suppression system, which uses the
10 surfactant; this cost is recognized in my capital cost estimates above.

11

12 **Q. Do you agree with S&L's variable labor cost for CSXT's proposed system at Big
13 Bend in S&L's Exhibit 2A-3?**

14 A. No. First, the labor costs were not derived by S&L's analysis. The costs were given to
15 S&L by TECO in Ralph Painter's [REDACTED] Painter's
16 estimate is [REDACTED] additional people, [REDACTED] process specialists and [REDACTED] laborers. This is
17 excessive.

18

19 **Q. What do you think the variable labor cost should be?**

20 A. Since both a barge and train cannot be unloaded simultaneously and since the current
21 unloading staff must be available around the clock, it is possible that no additional staff
22 will be needed. However, an individual manning the security gates for the train and
23 process specialist manning the equipment could be needed.

24

1 **Q. What do you believe the variable operating labor cost should be?**

2 A. It should be between no increase and \$157,440; that being based on TECO's cost for a
3 process specialist and a laborer.
4

5 **Q. Do you agree with the fixed labor cost estimate in S&L Exhibit 2A-3?**

6 A. Yes. There is now about 11,000 to 12,000 feet of conveyor at Big Bend in the coal yard,
7 limestone systems, and gypsum systems. If CSXT's proposal adds 3,800 feet of
8 conveyor, this represents around a 33% increase and up to five people may be needed as
9 proposed by TECO and S&L.
10

11 **Q. Do you agree with S&L's fixed maintenance cost of [REDACTED] of installed
12 cost?**

13 A. No. The [REDACTED] factor is in the correct range; however, the installed cost of the rail delivery
14 system is more properly estimated at [REDACTED] for the Big Bend system to unload coal.
15 Thus, the fixed maintenance cost should be about \$213,000 per year, not [REDACTED].
16

17 **Q. How is the [REDACTED] in the S&L Exhibit 2A-3 split between taxes and insurance?**

18 A. Based on TECO's Ralph Painter's September 3, 2003 memo to S&L, [REDACTED] as
19 projected insurance cost and [REDACTED] is for taxes.
20

21 **Q. Are the projected taxes on property correct?**

22 A. No.
23
24

1 **Q. Why?**

2 A. **The property upon which Big Bend was built is Folio Number 051461-000, PIN Number**
3 **PU-09-31-19-ZZZ-000001-73650.0 per Hillsborough County records. It has an**
4 **appraised "building value" of \$31,328,418 and a "land value" of \$16,433,413 with an**
5 **"extra feature value" of \$2,822,877. Thus total "taxable value" is \$50,584,708.**

6 **Subtracting the "land value", the "taxable value" is \$34,151,295. Last year TECO paid**
7 **\$1,330,888.27 or 2.63% of appraised value. A rough estimate of actual value of the**
8 **capital cost for Big Bend is \pm \$1,000/kw of capacity multiplied by 2,080,000 kW (2,080**
9 **MW) of capacity. Thus the capital cost of Big Bend is about \$2,080,000,000 (\$2.08**
10 **billion). The tax appraisal, less the land, is \$34,151,295 or 1.64% of the above rough**
11 **capital cost. Treated the same way by the tax assessor the taxable value of [REDACTED] is**

12 **[REDACTED] The estimated tax increase would be 2.63% of [REDACTED] or [REDACTED]**

13
14 **Q. Have you spoken to a Hillsborough County Appraiser?**

15 A. Yes.

16
17 **Q. What was his response?**

18 A. **Jim Gibson, of the South County office of the Hillsborough County Property Appraiser's**
19 **Office, felt that a [REDACTED] conveyor system was a tangible asset and would not**
20 **materially increase the property value and the tax impact would be negligible. He**
21 **referred me to TECO's David Keene. Mr. Keene did not comment and referred me back**
22 **to Mr. Gibson.**

23

24

1 Q. Do you agree with TECO's insurance rate of 0.04500% of capital cost?

2 A. The rate seems reasonable. However, since CSXT's proposed rail unloading system is
3 expected to cost [REDACTED], the actual cost is likely to be about [REDACTED] per year, not
4 [REDACTED] as stated in the S&L Exhibit 2A-3.

5
6 Q. Based on the above answer, what would your estimate be of the operating cost of
7 CSXT's rail coal delivery system as compared to the estimate made by S&L?

8 A. See my table below.

	EVA Estimate		S&L Estimate per Exhibit 2A-3	
Variable				
Power	(\$17,000)	(\$32,000)	[REDACTED]	[REDACTED]
Surfactant	0	0	[REDACTED]	[REDACTED]
Labor	0	157,440	[REDACTED]	[REDACTED]
Fixed				
Labor	\$301,308	\$301,308	[REDACTED]	[REDACTED]
Maintenance	213,000	213,000	[REDACTED]	[REDACTED]
Taxes	3,066	3,066	[REDACTED]	[REDACTED]
Insurance	3,195	3,195	[REDACTED]	[REDACTED]
Total	\$503,569	\$646,009	[REDACTED]	[REDACTED]

10

11 Q. Have you reviewed similar operating costs for the [REDACTED] ton per year CSXT
12 case, the Polk shuttle train option, and the Polk unloading system?

13 A. Yes. They are similarly overstated, except for the power cost.

14

15 Q. Why are there no power cost savings at Polk?

16 A. The Polk shuttle loading at Big Bend and Polk unloading systems will have an increase in
17 electrical use at each location, as these are new systems.

18

EVALUATION OF SOLID FUEL BLENDING CAPABILITY AT BIG BEND STATION

1 **Q. Can different coals or pet coke be blended at Big Bend?**

2 A. Yes. The Big Bend coal handling system was designed for blending and has a versatile
3 system for blending coal.

4

5 **Q. Can you briefly describe the coal handling system at Big Bend?**

6 A. Yes. Currently the coal is unloaded by barge then lifted by a bucket elevator or a
7 clamshell, or less frequently by barge self-unloaders. It then is lowered or discharged to
8 a south moving dock conveyor and is lifted to a dock transfer house and lowered a second
9 time. The coal is lifted and conveyed eastward, at right angles to the dock, to a second
10 transfer house. At this second transfer house, the coal can be directed to one of two main
11 conveyors. This second transfer house is where three CSXT, S&L and three-30-car train
12 segment systems all would deliver coal. From this point, the coal pathway through the
13 yard would be the same for barge source or rail source coal. From this second transfer
14 house the southern main east-moving conveyor is fed. A shorter north-moving conveyor
15 feeds the northern main east-moving belt.

16 Both main east-moving belts feed one of two stacker-reclaimers serving each
17 main belt. Both of these stacker-reclaimers can move east or west along the two
18 respective main belts, both can place the coal on either the northern coal storage area or
19 the southern coal storage area, and both can out-stack coal into the center coal area.
20 Additionally there is a dead storage yard south of the south storage area. These coal
21 storage yards can hold about 1,078,000 tons (at 45° stacking, 54#/ft³, 40 feet high). There
22 is an overflow storage capacity in the south and west area of the coal yard. It requires a

1 bulldozer, loader, or scraper (pan) to move the coal to this area and a bulldozer, loader, or
2 scraper (pan) to move the coal back into the area reachable by the south stacker-
3 reclaimer.

4 Retrieving or reclaiming the coal is equally flexible as out-stacking. Both
5 stacker-reclaimers can be positioned on these two main belts and reclaim coal by placing
6 it back on either of the main belts. Both stacker reclaimers can simultaneously retrieve
7 coal. Big Bend also has two mobile conveyors that can be placed anywhere in the yard
8 and fed with a loader. Thus up to four coal or pet coke types can be blended at any one
9 time. The selected coals are fed by both main conveyors to two shorter conveyors to a
10 blending tower.

11 The blending tower feeds two belts to six 2,000-ton silos for a total of 12,000 tons
12 of capacity and six possible different blends of coal. Under the six silos are two bottom
13 hoppers each that can feed the two belts. Thus two different coal blends can be again
14 blended or re-blended and sent to the crusher house. The coals leave the crusher house
15 northward via two belts that feed northward to another transfer house that feeds the boiler
16 day bins with two belts.

17 In summary, many types of coal can be placed in the coal yard and up to 4 coals
18 can be blended at any one time and sent to 6 different blend silos. The 6 different
19 blending silos can be re-blended because they have double bottom hoppers to feed two
20 independent belts. The coal storage yard and blend silos have a total capacity of about
21 1,090,000 tons.

22

23

24

1 **Q. Does TECO agree with this description?**

2 A. Yes. TECO's document "Tampa Electric: Big Bend Station: Coalyard Operator
3 Training Manual" which is 245 pages long goes into every detail of the above summary.

4
5 **Q. Do any documents indicate how many types of coals are available for blending?**

6 A. Yes, the diagram labeled "Coal Field General Arrangement 2004 – Current Yard" shows
7 eight different fuel types, seven different coals and a pet coke area.

8
9 **Q. You estimated that the coal yard could hold 1,028,000 tons. Has Big Bend ever had
10 anywhere near that capacity?**

11 A. Yes, TECO's document "Tampa Electric Company, Big Bend Station, Fuel Inventory,
12 April 1999" shows that 1,041,730 tons with 10 different coals or pet coke fuels.

13
14 **Q. Will the [REDACTED] CSXT system impact Big Bend's blending capabilities?**

15 A. No, the CSXT [REDACTED] per year system will feed the second transfer house that
16 is presently fed by the dock area. From there, coal can be blended just as it is at present.

17
18 **Q. Will the [REDACTED] CSXT system impact Big Bend's blending capabilities?**

19 A. Yes. The CSXT [REDACTED] system would put the coal in reach of the southern
20 main belt reclaimer and in the dead storage area in the south and west area of the coal
21 yard. The result would be that the coal yard would then have less flexibility than at
22 present. Even so, the coal handling facilities at Big Bend Station will continue to have
23 excellent blending capabilities following the installation of either of the proposed CSXT
24 rail delivery systems.

1 Q. Does this conclude your direct testimony?

2 A. Yes.

1 BY MR. WRIGHT:

2 Q Mr. Stamberg, have you prepared a summary of your
3 testimony for the Commission?

4 A Yes.

5 Q Will you please deliver it at this time?

6 A Yes.

7 Q Thank you.

8 A My scope of work was basically to evaluate the
9 conceptual approach and the costs prepared by CSX. Also, I was
10 to look at the capital cost estimate and O&M estimate that was
11 prepared by Sargent and Lundy. And then the third piece was to
12 take a look at the Big Bend coal blending capability and to see
13 if the CSX proposal impacted that blending capability.

14 First, as to rail service, Big Bend is served by
15 three rail spurs. One spur serves the limestone pit, and it
16 had two parallel tracks, one of which has been removed for the
17 desalinization piping that has been put in place of it. A
18 second spur had gone into the boiler area, and is now truncated
19 by the limestone storage area. Then the third spur goes north
20 of the plant to the combustion turbines. Big Bend's air permit
21 now allows rail delivery of limestone and rail reloading of
22 coal or solid fuels onto railcars, presumably for Polk. Big
23 Bend's spur is served by a branch line that serves Big Bend,
24 IMC and National Gyp (phonetic). This spur line is on property
25 that is owned by --

1 MR. FONS: Mr. Chairman.

2 CHAIRMAN BAEZ: Hold on, Mr. Stamberg.

3 MR. FONS: Mr. Chairman, I will need to object at
4 this point. I don't see anywhere in Mr. Stamberg's testimony
5 where he has set forth this information. This is not a summary
6 of his testimony. I believe he is giving new testimony.

7 CHAIRMAN BAEZ: Specifically, which part of his -- at
8 what point did he drift off, Mr. Fons?

9 MR. FONS: Pardon me?

10 CHAIRMAN BAEZ: What portion exactly --

11 MR. FONS: Oh, the portion when he started talking
12 about the air permits and about the rail spurs and the three
13 different locations.

14 CHAIRMAN BAEZ: Mr. Stamberg, either you show -- if
15 you don't believe that that is not part of your testimony, you
16 are going to have to show me where it is. Otherwise, you are
17 going to move on, please.

18 MR. WRIGHT: Mr. Stamberg, the Chairman's instruction
19 is this. If you can direct us in your testimony where the
20 material regarding the spurs I think that you were just
21 describing is to be found, then you may proceed. Otherwise,
22 you are going to have to restrict yourself to the specific
23 content of your prefiled direct testimony.

24 CHAIRMAN BAEZ: Okay. That is what I meant to say.

25 THE WITNESS: The relocation and realignment of the

1 rail system is part of the cost estimate made by CSX, as well
2 as Sargent and Lundy. And I didn't raise it this way, and so I
3 will go on.

4 The major portion is that the rail coal delivery only
5 requires modifications on-site and to the air permit, okay.

6 Blending. Big Bend has one of the best coal blending
7 systems of any coal-fired power plant that I am aware of. It
8 can store and reclaim eight to nine different solid fuels. The
9 Big Bend facility can reclaim and blend three to four types of
10 coal at any one time, and it has six different silos to store
11 these materials. The CSX proposal for the two and a half to 5
12 million system will not impact this excellent blending
13 capability at all. And what I did is for the system, I did an
14 independent analysis of the capital costs provided by CSX. I
15 used a different approach. And I was able to get access to the
16 site for about four hours which resulted in me having to add a
17 few additional items. The big item was the desalinization
18 piping took out one of the rail spurs and made it -- they have
19 vertical pumps that make you have to put the conveyor about 18
20 feet into the air. That adds about \$670,000 to the cost
21 because that rail spur was turned over or allowed to be used by
22 the desalinization plant. I also felt that it was a good idea
23 to put dust suppressant at the coal unloading facility and an
24 electromagnet. And I called the same vendors that supplied the
25 equipment to Big Bend's existing site and got quotes on

1 parallel equipment. My estimate for the coal unloading and
2 delivery system was 8.4 million, marginally more than the CSX
3 proposal for the similar effort and within the 20 percent CSX
4 willingness to pay.

5 My approach was, as I stated before, for the
6 equipment like the electromagnet and the dust suppression is to
7 use the same equipment supplier or a similar supplier and get
8 site-specific bids. I got bids for completely engineered and
9 installed equipment. Engineering, construction, installation.

10 For the pit I developed a surrogate design that I
11 thought would work for the system specific to that site and
12 used standard published bid estimating criteria to fill in
13 where there weren't vendor quotes.

14 One of the vendor quotes that I got was from
15 Continental Conveyor. They are the supplier of most of the
16 conveyors in the coal yard at Big Bend. They knew what the
17 general specifications were, and their quote was for about \$830
18 for an engineered installed system, as identified in the CSX
19 approach.

20 The other company I approached was FMC Technology.
21 They do not have conveyers on the site, but they used the
22 Conveyor Equipment Manufacturers Association criteria for the
23 quote, and spelled out those things in detail. Their quote was
24 for about \$1,070 per linear foot. The CSX conveyor estimate,
25 which I can't speak to, was between these two quotes.

1 As for the rapid discharge pit, I looked specifically
2 at Big Bend. I think the best place to put the pit is adjacent
3 or attached to the existing rail limestone pit. It has access
4 stairway for O&M, ventilation, dust collection, and an existing
5 tunnel for the unloaded coal to come out to the transfer point.
6 This configuration allows the pit to be less deep. It can
7 piggyback on the auxilliary equipment already available to the
8 pit, and it only needs to be slightly wider than the railcar.

9 And then there was another thing that I did, even
10 though this approach was well thought out by CSX, and I think
11 Sargent and Lundy agrees with that in their report, I looked at
12 some other alternatives that looked possible. One was to move
13 the rapid discharge pit from the front, which is the east part
14 of the property, to the back side close to the coal yard. The
15 beauty of this is it shortens substantially the length of
16 conveyor, which is the most expensive piece of equipment in
17 this whole approach. It cuts that down to nearly half. It
18 uses a three 30-car segment train movement rather than a two
19 45-car segment. Using this approach, my estimate, if you used
20 all new equipment, would be about \$5 million. This could be
21 reduced to 3.6 million if used equipment at Gannon that was
22 running, you know, as little as a couple of years ago, the
23 hoppers, conveyors, stacker reclaimers, the nozzles and fire
24 protection equipment could be used. So that approach is
25 something that if the two groups were to be cooperating might

1 have surfaced as an idea. Where the tracks would go for the
2 storage of one of the legs of the third 30-car train would go
3 right under the current Polk coal loading conveyor that loads
4 trucks. And they could also load without any extra cost the
5 trains. They already have the air permit to do so.

6 With respect to S&L's capital cost, I have some
7 criticism of that. They made no site visit for the preparation
8 of the report. They essentially did the draft in seven days
9 over Memorial weekend. They had no site-specific vendor
10 quotes. The conveyor costs were inappropriately based on
11 conveyors unlike those built or required at Big Bend. S&L used
12 conveyor installation costs on the large conveyors that were
13 twice that recommended by conveyor manufacturers or used in
14 other places in Sargent and Lundy's study. They took the big
15 items and put an excessive installation cost in that. The
16 large conveyors are the easiest of the conveyors to go by to
17 build. They have road access on one side and rail on the
18 other. And you couldn't find a more ideal installation
19 situation. This resulted in the S&L estimate for conveyors to
20 be over many times. I won't mention the percentage because
21 that might give away confidentiality.

22 The rapid unloading pit was excessively large,
23 excessively deep, and used an unnecessary difficult
24 construction approach which might be related to a lack of
25 knowledge of site conditions or soil conditions. This resulted

1 in a similarly multiple-fold increase in the pit cost over my
2 estimate. S&L also used redundant, unnecessary, or overpriced
3 estimates in their report. In fact, 22 or 38 items were exact
4 multiples of the same number and there were no vendor quotes or
5 backup to these numbers provided to us.

6 Further, on the S&L operation and maintenance costs,
7 they were not independently developed by Sargent and Lundy.
8 They were based on TECO-supplied information. One of the big
9 problems in the O&M cost provided by S&L is they failed to
10 deduct the power used to unload coal at the dock. They assume
11 everything is done at the rail unloading. In fact, the power
12 used to unload railcars is less than unloading the barge. And
13 I can go into that in some detail.

14 So, actually, there is a net savings as you bring
15 coal in by rail. It is already lifted up, if you would. Also,
16 they add a fairly high number for surfactant use for dust
17 suppression, and it doesn't make any difference if you are
18 going to suppress the dust from coal whether it comes in to the
19 station by rail. It has a suppression in there and goes
20 through a covered conveyor as opposed to suppressing it at the
21 dock on an open uncovered conveyor. So there is really zero
22 increase. The surfactant you've got to spend is proportional
23 to the coal not what method.

24 And, also, I checked with the Hillsborough County tax
25 appraiser and the Big Bend tax history on the Internet, and

1 their projected taxes were completely unrealistic.

2 And, again, when I made all of those adjustments,
3 EBA's O&M costs are less than -- are only a fraction of the O&M
4 costs, and I won't give that fraction.

5 BY MR. WRIGHT:

6 Q Does that conclude your summary?

7 A Yes.

8 MR. WRIGHT: Thank you. Mr. Stamberg is tendered for
9 cross.

10 CHAIRMAN BAEZ: Thank you, Mr. Wright.

11 Mr. Vandiver.

12 MR. VANDIVER: No questions.

13 CHAIRMAN BAEZ: Ms. Kaufman.

14 MS. KAUFMAN: No questions. Mr. Twomey.

15 CHAIRMAN BAEZ: Mr. Twomey, I see you strolling up.

16 MR. TWOMEY: I am not even going to kid you by saying
17 a couple of hours. I have no questions.

18 CHAIRMAN BAEZ: Ms. Rodan.

19 MS. RODAN: I have just a few questions.

20 CROSS EXAMINATION

21 BY MS. RODAN:

22 Q Mr. Stamberg, on Page 13 of your testimony, Lines 3
23 through 5.

24 A Excuse me, what page?

25 Q Page 13, Lines 3 through 5. You indicate that

1 Mr. Schumann prepared his estimate and then compared it to his
2 previous work, is that correct?

3 A Yes.

4 Q And then on Page 14, Lines 17 through 18, you state
5 that Mr. Schumann compared his estimates to the range of costs
6 experienced on similar equipment installations, is that
7 correct?

8 A Yes.

9 Q Is the reference you made to Mr. Schumann's previous
10 work a reference to his cost estimates of the various equipment
11 and facilities related to other projects or the actual costs of
12 installation of the various equipment and facilities in
13 question?

14 A Yes. He used his prior knowledge and adjusted as
15 best he could to the Big Bend situation.

16 Q Was the reference to his cost estimates or the actual
17 costs?

18 A Mr. Schumann did not use FMC Technologies for his
19 estimate.

20 Q Thank you. Please refer to Page 21 of your
21 testimony, and my questions refer to the table shown on that
22 page. Specifically, EVA's estimates using the cubic storage
23 and FMC methodologies.

24 A Yes.

25 Q If rail facilities were installed to match the

1 specifications of the facilities you believe are appropriate
2 for the retrofit of Big Bend and Polk --

3 A Could you repeat that?

4 Q Sure. If rail facilities were installed to match the
5 specifications of the facilities you believe are appropriate
6 for the retrofit of Big Bend and Polk for rail delivery as you
7 reference in testimony?

8 A Yes, this refers to Big Bend and the CSXT's where
9 appropriate.

10 Q Okay. Could such equipment and facilities have a
11 significant value in reuse or in salvage, assuming Tampa
12 Electric stopped using coal at Big Bend in 2007 through 2010?

13 A If they stopped using them, they abandon them in
14 place. They could have a secondary market, but I am not sure
15 what that would be.

16 MS. RODAN: Okay. Thank you. That is all the
17 questions I have.

18 CHAIRMAN BAEZ: Commissioners, no questions?

19 Mr. Fons.

20 MR. FONS: Thank you, Mr. Chairman.

21 CROSS EXAMINATION

22 BY MR. FONS:

23 Q Good afternoon, Mr. Stamberg.

24 A Good afternoon.

25 Q My name is John Fons, and I am going to be

1 questioning you this afternoon on behalf of Tampa Electric.

2 Am I correct, Mr. Stamberg, that you have worked for
3 Energy Venture Analysis for 20 years?

4 A Yes.

5 Q And you have worked for Dr. Sansom since 1971,
6 beginning at Energy and Environmental Analysis, Inc.?

7 A Yes.

8 Q While you have worked for -- and let's just call them
9 EVA and EEA, is that acceptable?

10 A Yes.

11 Q While you have worked for these two firms, has either
12 of these firms ever held itself out to clients or potential
13 clients as being a construction design or plant engineering
14 firm?

15 A We have done some of that, but it is a minor portion
16 of what we do.

17 Q Has EVA or EEA ever designed or overseen the design
18 of a coal-fired power plant?

19 A We have not designed a coal-fired power plant, but we
20 have done a lot of work in the preliminary stages of coal-fired
21 power plants.

22 Q How many?

23 A For the Department of Energy, FEA group, we did site
24 visits at 32 power plants that were switched from coal to oil
25 or natural gas and were needing to switch back to coal. And we

1 did technical and environmental impact reviews of those power
2 plants. We also, for the Environmental Protection Agency,
3 evaluated the relative cost of putting in FGD, flue gas
4 desulfurizations for the top 100 power plants that were built
5 by coal. Big Bend and Gannon were in those groups.

6 Also, we looked at, for the EPRI, which is the
7 Electric Power Research Institute, we did a financially driven
8 review of low cost power plants. We identified recently built
9 power plants and then categorized them and found which ones
10 were low priced and followed up on the reasons why they were,
11 and that one included Big Bend Unit 4.

12 Q Did any of this work involve the rail delivery of
13 coal and the unloading facilities associated therewith?

14 A The 32 power plants did. The 100 flue gas
15 desulfurization was a limestone delivery issue, and the
16 financially driven pulverized coal study we did for EPRI did
17 include the cost of the coal yard as well as the rest of the
18 facility.

19 Q Have you ever designed or overseen the design of a
20 coal-fired power plant coal unloading and distribution system?

21 A No.

22 Q Have you, as an engineer, during the last 20 years
23 seen any construction project through to its commercial
24 operation?

25 A Yes.

1 Q And what was that?

2 A We designed the West Monroe Wastewater Treatment
3 Plant.

4 Q So it was a water treatment plant?

5 A What?

6 Q A water treatment plant?

7 A Wastewater treatment plant.

8 Q Right. That did not involve either a coal-fired
9 plant or the delivery of coal, did it?

10 A No, but it did require the delivery of a special
11 aggregate from Kentucky by barge down the Mississippi, up the
12 Wachita (phonetic), unloading that, conveying it, screening it.

13 Q Have you, as an engineer, ever seen through to its
14 commercial operation any construction project involving a
15 coal-fired power plant or a coal-fired power plant coal
16 unloading and coal distribution system?

17 A No.

18 Q Are you familiar with the engineering firm of Sargent
19 and Lundy?

20 A Yes.

21 Q And would you agree, subject to check, that Sargent
22 and Lundy's design and engineering work is solely related to
23 the electric power business?

24 A I don't know that for a fact, but I know they are
25 active in that area.

1 Q Would you accept subject to check?

2 A I would have to check. I don't know how I would
3 approach finding out everything that they do.

4 Q Well, let me suggest that you could check by going to
5 wwwslchicago.com and you would be able to check. So would you
6 accept subject to check what I've just said?

7 A I will check when I get back to the office.

8 Q Would you also agree, subject to check, that Sargent
9 and Lundy has been providing engineering and consulting
10 services to the electric power business for more than 100
11 years?

12 A I don't know how long they have been doing it, but I
13 know they are active in that arena.

14 Q Do you know how many coal-fired operating power
15 plants have been engineered, designed, and constructed by
16 Sargent and Lundy?

17 A No.

18 Q Would you accept, subject to check, over 1,400 fossil
19 fuel units?

20 A I would still have to check.

21 Q But would you accept subject to check?

22 A I guess so.

23 Q Do you know how many electric power clients Sargent
24 and Lundy has served over the last 100 years?

25 A I don't have that number on the top of my tongue.

1 Q Would you agree, subject to check, over 1,200
2 electric power clients?

3 A Subject to check.

4 Q Is it your belief, Mr. Stamberg, that the cost
5 estimate prepared by Sargent and Lundy for Tampa Electric in
6 September 2003, and which is attached to your testimony as
7 Exhibit JBS-9, is the first such cost estimate for a rail coal
8 delivery system ever prepared by Sargent and Lundy in its
9 one-hundred-year history?

10 A I don't know how many they have done.

11 Q But you would agree with me that your cost estimate
12 prepared for CSXT is the first such cost estimate for a coal
13 unloading and delivery system that you or EVA has ever prepared
14 for as long as you have been an engineer, isn't that correct?

15 A We prepared that kind of material --

16 MR. FONS: Mr. Chairman, may I? I think that was a
17 yes or no. Would you agree with me?

18 CHAIRMAN BAEZ: Mr. Stamberg, the -- and I can't -- I
19 guess I can't repeat it enough. Start with a yes or no answer,
20 and you can elaborate as much as you want and couch your answer
21 or throw as many caveats as you have to.

22 THE WITNESS: Could you go back over that again?

23 BY MR. FONS:

24 Q Yes. Would you agree with me, that your cost
25 estimate prepared on behalf of CSXT is the first such cost

1 estimate for a coal unloading and delivery system that you or
2 EVA has ever prepared for as long as you have been an engineer?

3 A No.

4 Q How many others have you done where it has been a
5 coal unloading and delivery system?

6 A We looked at power plants at Lee, Cliftside, Marshall
7 River Bend, and looked at alternate rail, rail/truck unloading,
8 intermodal and interplant truck transfer of coal.

9 Q How about for a rail coal unloading system, is this
10 the first cost estimate you have ever done for a rail coal
11 delivery system?

12 A The answer was no, and I was going over the list.

13 Q All right.

14 A We also worked at White Bluff and looked at alternate
15 rail route and cost, and we also looked at alternative barge
16 concepts which eventually was implemented. We also did due
17 diligence review of the coal unloading systems at Oak Union
18 (phonetic) and Coletto Creek (phonetic), both in Texas.

19 Q And were you the project engineer on that?

20 A We were responsible for those aspects of it as the
21 prime engineer.

22 Q As the what?

23 A As the lead engineer on those team efforts.

24 Q Did you prepare the cost estimate?

25 A Yes.

1 Q You personally prepared the cost estimates?

2 A Yes.

3 Q You are certainly not contending that Sargent and
4 Lundy does not know what it takes in terms of equipment,
5 material, and labor to construct a rail delivered coal
6 unloading and distribution facility, are you?

7 A State that -- are we talking about Sargent and Lundy
8 or this particular study?

9 Q No, we are talking -- yes, about this particular
study or -- yes, this particular study. You are not
contending, are you, that Sargent and Lundy does not know what
it takes in terms of equipment, materials, and labor to
construct a rail delivered coal unloading and distribution
14 facility?

15 MR. WRIGHT: Mr. Chairman, I object to the form of
16 that question. There are just too many negatives in it.

17 CHAIRMAN BAEZ: Mr. Fons --

18 MR. FONTS: I'll restate it.

19 BY MR. FONTS:

20 Q Are you saying that Sargent and Lundy does not know
21 what it takes in terms of equipment, material, and labor to
22 construct a rail delivered coal unloading and distribution
23 facility?

24 A In my summary I provided the shortcomings of this
25 particular study.

1 Q Do you believe that Sargent and Lundy could reign as
2 an industry leader in its field for over 100 years if its cost
3 estimates were three or four times the necessary costs for
4 projects they have worked on?

5 MR. WRIGHT: I object to the form. It assumes a fact
6 not in evidence. I don't think he's established --

7 CHAIRMAN BAEZ: I have to agree, Mr. Fons, it's --
8 you know, this whole thing about reigning and -- no, the other
9 raining, I guess -- maybe it is raining, I don't know.

10 BY MR. FONS:

11 Q Mr. Stamberg, what makes you think that Sargent and
12 Lundy would take cost estimating shortcuts or add unnecessary
13 equipment on a routine project like this and risk its
14 reputation as an industry leader in its field?

15 A One of the things is Sargent and Lundy developed for
16 EPRI a state of the art power plant cost estimating model that
17 was peer grouped and reviewed by the Electric Power Research
18 Institute, and some of the approaches in this particular study
19 are inconsistent with some of the things that were available in
20 that state of the art power plant modeling project that they
21 had.

22 Q Would you turn to Page 1 of your Exhibit JBS-9?

23 A Page what?

24 Q One.

25 MR. WRIGHT: Excuse me, Mr. Chairman. If I could

1 just direct the witness. Mr. Fons was asking you about Page 1
2 of your Exhibit JBS-9, not Page 1 of your testimony.

3 BY MR. FONS:

4 Q And it is actually Page 3 of 44, which is identified
5 as Page 1 of the study. Do you have your Exhibit JBS-9?

6 A Is this the Sargent and Lundy study?

7 Q Yes, it is.

8 A That is the September 8th version, not the draft.

9 Q It is the September 18th version.

10 A Right. Okay.

11 Q Would you agree that on the bottom of that page there
12 is what I would call a chart that compares the CSXT estimate
13 with the S&L estimate?

14 A Yes.

15 Q And would you agree with me that the dollar amounts
16 of the CSXT and Sargent and Lundy cost estimates are
17 significantly different?

18 A Yes.

19 Q All right. Now, let me --

20 COMMISSIONER JABER: Mr. Fons, I'm sorry to
21 interrupt. What page of 44 did you say?

22 MR. FONS: Page 3 of 44.

23 BY MR. FONS:

24 Q Now, Mr. Stamberg, under the CSXT proposal, who was
25 going to build the coal unloading facilities?

1 A My understanding was CSX was going to pay for it. It
2 is not clear who was going to be in charge of building it. I
3 am certain that it would probably require input from both the
4 utility and CSX.

5 Q Who would be ultimately responsible for that
6 particular facility function in the manner in which it was
7 intended?

8 A Probably it would be a mutual decision on what needed
9 to be done.

10 Q Well, where in the proposal does it indicate, the
11 proposal from CSXT, that CSXT would have any part in the
12 building of the facility?

13 A I think if you listened to CSX, Mr. White's testimony
14 today, he said that the differences would be negotiated or
15 ironed out.

16 Q I'm not asking about differences. I am asking about
17 the responsibility for building the facility. Can you point to
18 me where in the CSXT proposal that CSXT would have any
19 responsibility other than advancing the funds for building this
20 plant?

21 A I am not aware of where that is stated in their bid.

22 Q But ultimately when the -- if this plant -- if this
23 will facility was to be built, who would operate it?

24 A Big Bend.

25 Q It would be Tampa Electric, isn't that correct?

1 A Yes.

2 Q And would that particular facility also have to be
3 integrated into the other facilities that are already in
4 existence at Big Bend?

5 A That is correct.

6 Q And who would have the responsibility for that?

7 A The design engineer and the constructor.

8 Q And what do you -- what I'm trying to find out is who
9 has the ultimate responsibility for the operation of that
10 facility?

11 A TECO, Big Bend.

12 Q All right. And to the extent that the costs that are
13 set forth on this chart -- in this chart on Page 3 of 44 exceed
14 the CSXT estimate, who bears those costs?

15 A I think Bob White addressed that.

16 Q Do you know? Just answer me do you know who bears
17 those costs?

18 A From this morning testimony, I do not.

19 Q Are you familiar with the rail delivered cost -- coal
20 unloading cost estimate prepared by CSXT and included in its
21 October 2002 proposal to Tampa Electric?

22 A 2002?

23 Q Yes.

24 A I am only familiar with the latest one.

25 Q You are not familiar with the original proposal in

October of 2002?

A No.

3 Q So EVA or you did not have any involvement in the
4 development of that proposal?

5 A No, sir.

6 Q Have you ever seen a cost estimate from CSXT with
7 regard to this 2002 proposal?

8 A Could you state that again?

9 Q Have you ever seen the estimate prepared by CSXT as
10 part of the 2002 proposal to Tampa Electric?

A I don't believe I do.

Q So you don't know who prepared the cost estimate?

A My understanding was it was a combined effort between
Mr. Schumann of RAS Engineering and CSX.

Q Anytime since October 2002 have you seen the cost
16 estimate prepared by CSXT that was included as part of its
17 proposal to Tampa Electric in October of 2002?

18 A Yes.

19 Q And when did you first see that?

20 A Late February of 2004.

21 Q And that was after CSXT had not only made the 2002
22 proposal, but also after CSXT had made the July 2003 proposals,
is that correct?

A Correct.

Q And was the proposal that you saw -- the CSXT cost

1 estimate, I'm sorry, that you saw, was that for the delivery of
2 two to five million tons of coal a year or one to two million
3 tons of coal a year?

4 A They had estimates for both ranges of coal delivery.

5 Q And did the cost estimate that you saw include the
6 same unloading facility for both of those coal tonnages?

7 A The two proposed cost estimates were differently
8 constructed and differently based.

9 Q And was the unloading pit the same in both of those
10 estimates?

11 A No.

12 Q And what were the differences in the unloading pit?

13 A The one to two-something million delivery used the
14 existing limestone pit upgraded to handle coal deliveries by
15 rail. The second larger system, between two and 5.5 million,
16 was based on a newly configured rapid discharge pit.

17 Q And do you know the dimensions of the current
18 limestone unloading pit that formed the basis for the first of
19 the CSXT proposals?

20 A I have a rough estimate of that.

21 Q And what are those dimensions?

22 A The hoppers are about 12 feet wide.

23 Q No, I am talking about the size of the pit?

24 A The pit has two basic compartments. Which
25 compartment are you looking at?

1 Q I am talking about the current limestone unloading
2 pit.

3 A It has two compartments, and I can talk to each part
4 of it.

5 Q Aren't the current dimensions of the pit 27 feet wide
6 by 40 feet deep by 58 feet long?

7 A That would be very close to the configuration of both
8 compartments.

9 Q And how many hoppers are in the limestone unloading
10 pit?

11 A Two.

12 Q And they take up the entire 27 by 40 by 58?

13 A No. No.

14 Q Now, what modifications were going to be made to that
15 limestone unloading pit to make it function as a coal unloading
16 pit?

17 A The basic change would be to upgrade the size of the
18 conveyor coming from the bottom up to the transfer house. That
19 tunnel is nine feet wide and has a 36 or 42-inch belt. That
20 conveyor would have to be removed and upgraded to something
21 like a 54-inch conveyor belt.

22 Q Did you determine that that particular configuration
23 designed by CSXT, Mr. White and Mr. Schumann, would work?

24 A Yes.

25 Q And would it work for both, for the one to two

1 million tons?

2 A It would work for the one to two million tons, yes.

3 Q And with two hoppers as a rapid discharge, is that
4 correct?

5 A No, it is not a rapid discharge. Stop and dump, a
6 conventional dump.

7 Q Are you talk about a rotary dump?

8 A No. No.

9 Q Each car would have to stop --

10 A Go ahead.

11 Q Each car would have to stop and be unloaded before
12 the next car would be accepted?

13 A Yes.

14 Q Now, you designed a rapid discharge, did you not?

15 A I put a surrogate design for a rapid discharge pit
16 similar to what was proposed by CSX.

17 Q And how many hoppers would be required for the rapid
18 discharge?

19 A I proposed four.

20 Q Wouldn't you agree with me that your cost estimate
21 only includes two hoppers?

22 A I think it is four.

23 Q Would you please turn to --

24 A Go to JBS-6, Page 5, where it says hoppers, and I've
25 got four each.

1 Q But you only have them priced out for two of them,
2 don't you?

3 A It looks like I started off with two, wrote over it
4 and got four, and I used four.

5 Q But you only priced for two, didn't you?

6 A No, that price is for four.

7 Q I thought the price is at \$48,000 apiece?

8 MR. WRIGHT: Mr. Chairman, can I ask where we are? I
9 have gotten lost.

10 MR. FONS: We are on Page 3 of his Exhibit JBS-6.

11 MR. WRIGHT: Thank you.

12 THE WITNESS: That would be correct.

13 BY MR. FONS:

14 Q Did you perform or rely on any engineering studies to
15 establish the required dimensions for this rapid discharge coal
16 unloading pit?

17 A State that again.

18 Q Did you perform or rely upon any engineering studies
19 to establish the required dimensions for this rapid discharge
20 coal unloading pit?

21 A No, I used wall thicknesses and made the dimension
22 estimates myself.

23 Q And your estimates were how wide would the coal
24 discharge pit be?

25 A It only needs to be about the width of the rail car,

1 which is 12 feet.

2 Q And do you require stairwell in a discharge pit?

3 A The existing limestone pit has one of the chambers
4 that has the operation and maintenance access and stairways,
5 and I would really abut or extend the rapid discharge pit
6 adjacent to this pit and piggyback and use that infrastructure
7 for stairway access, lighting, bag house and the other
8 auxiliaries.

9 Q Well, isn't the current rapid -- or the limestone
10 discharge pit 40 feet deep?

11 A Yes.

12 Q And how deep were you going to go with your discharge
13 pit?

14 A 25.

15 Q Did you look at any other discharge pits engineered
16 by anyone else to make a determination as to your pit size?

17 A Yes. I looked at the profile at Morgantown, and I am
18 also familiar with the Mountaineer AEP plant that only has a
19 15-foot deep pit. It has ten hoppers and it runs conveyors
20 out perpendicular to the rail and gets it out. So the
21 trade-off between depth and the number of hoppers is a -- if
22 you want to put one big hopper under two rail cars, you go
23 deep. If you put in multiple hoppers, you can have a much
24 shallower pit, and it's a trade-off of conveyors to get it up
25 to the side and the number of pits versus depth.

1 Q Would you accept, subject to check, Mr. Stamberg,
2 that the Morgantown plant that you relied upon, the dimensions
3 are 35 feet wide, 120 feet long and 55 feet deep?

4 A I relied on the external dimensions, the length,
5 which is -- I measured at about 120 feet.

6 Q You actually went on site?

7 A I talked to the people after I did the study.

8 Q After you did the study, is that because of your
9 deposition?

10 A Yes.

11 Q Okay. But would you accept, subject to check, that
12 the Morgantown plant actually is 35 feet wide, 120 feet long
13 and 55 feet deep?

14 A It is a rotary dumper.

15 Q Well, nonetheless, whatever it is --

16 A I would accept that, yes.

17 Q Okay. With just the two-hopper system included in
18 your estimate, won't the larger, deeper hoppers required for
19 rapid discharge require a 40-foot deep unloading pit?

20 A The four-hopper system fits well within a 25-foot
21 depth.

22 Q But you only costed out a two-hopper system, didn't
23 you?

24 A It looks like that arithmetic should be -- two more
25 hoppers should be added to the numbers.

1 Q Did you consult any power plant construction
2 guidelines or power plant engineering studies to ascertain
3 whether your width and depth assumptions were correct?

4 A No. I checked with other power plants to see whether
5 their pits were of this type.

6 Q When did you make that check?

7 A Afterwards.

8 Q After when?

9 A After I prepared this testimony.

10 Q Okay. Would either the CSXT or your proposal require
11 a new conveyor system to move the coal from the discharge pit
12 to the coal piles?

13 A Yes, it would require a conveyor to lift it out to a
14 transfer point. Then it would have to be moved by short
15 conveyor south to get the alignment over the old second track,
16 and then made a junction about where the old loading
17 equipment -- unloading dock was. And then you would make a
18 dogleg up to the dock transfer house where the coal unloaded at
19 the barges enters into. And from there on it would be the
20 same.

21 Q How many conveyor systems?

22 A How many what?

23 Q Conveyor systems. How many conveyors systems?

24 MR. WRIGHT: Mr. Chairman, how many conveyor systems
25 what?

1 BY MR. FONS

2 Q How many conveyor systems did you determine were
3 needed to move the coal from the unloading pit to the coal
4 piles?

5 A One lifting it out of the pit, a second short one to
6 get it in alignment, one long one, and the short one that lifts
7 it up to the dock unloading transfer house.

8 COMMISSIONER JABER: How many would that be?

9 THE WITNESS: Four.

10 COMMISSIONER JABER: Thank you.

11 BY MR. FONS:

12 Q Am I correct in understanding your summary to say
13 that you looked at the conveyor systems that are currently in
14 existence at Tampa Electric and simply tried to replicate those
15 systems for your coal unloading system?

16 A I went to the same supplier and that was --

17 Q Are you familiar --

18 A Go ahead.

19 Q And that was Continental Conveyor?

20 A Yes. Go ahead.

21 Q Did you provide Continental with written
22 specification that included a design basis, code standards, or
23 terms and conditions?

24 A No.

25 Q Do you know what the design basis, that is the tons

1 per hour capacity, is of the current conveyor system that you
2 sought to replicate?

3 A I didn't seek to replicate all the numerous
4 conveyors. There is 1,100 feet of conveyors at the Big Bend
5 site, pretty close to that. They are of different sizes,
6 different types, different angles.

7 Q Now, the one that you selected, the Continental
8 conveyor, what were the dimensions in hauling capacity of the
9 conveyor that you looked at?

10 A It's a 54-inch. They came up with a --

11 Q Who is "they?"

12 A Continental Conveyor recommended a 54-inch conveyor
13 for 2,500-ton per hour capacity for the long and short
14 conveyor, and I supplied them with the tons per hour and the
15 lengths of the conveyors.

16 Q Did you provide them with the serial numbers of the
17 conveyor that you saw out there?

18 A No.

19 Q Did you measure the conveyor that you saw out there?

20 A The existing conveyors' length aren't part of it.
21 The length was taken off the plot plan, the same as CSX did.

22 Q How about the size of the conveyor belt, the 54
23 inches. Did you find any 54-inch conveyor belts at Tampa
24 Electric Big Bend?

25 A They have several 54-inch conveyors.

1 Q And was that the kind of conveyor that you were
2 trying to use for the rapid discharge pit?

3 A They have covered and uncovered conveyors.

4 Q They also have a --

5 A And we asked for a covered conveyor.

6 Q All right. And it was Continental that told you that
7 you needed 2,500 tons per hour?

8 A No. We told them that the performance that we were
9 after was a conveyor of this length, this height, to move 2,500
10 tons per hour.

11 Q Are you aware of any conveyor system at the Tampa Big
12 Bend plant with 54-inch width conveyor belts that is rated at
13 2,500 tons per hour?

14 A Yes. The conveyor WL-50 is rated at 4,000 tons per
15 hour.

16 Q And what is the width of the belt on that?

17 A Fifty-four inches.

18 Q Would you accept, subject to check, that it is 72
19 inches?

20 A If you give me a minute, I can find the conveyor
21 description copy, and we can submit it into the record that it
22 was in the operation training manual.

23 Page 238 of CSX's fifth request for POD, Docket
24 Number 031033-EI, conveyor WL-50, 54-inch wide, speed is up to
25 950 feet per minute, and it has a capacity of 4,000 tons per

1 hour when operated with the electric motor. And when they go
2 to an auxilliary diesel power, it is 3,000 tons her hour.

3 Q What is the length of that conveyor?

4 A 16 feet -- 16 and a half feet.

5 Q That is the length of it?

6 A Yes.

7 Q So it is only covering 16 feet. That is carrying
8 coal for a distance of 16 feet, correct?

9 A Correct.

10 Q But you're designing a conveyor system that had
11 upwards of 1,300 feet, isn't that correct?

12 MR. FONS: Mr. -- please.

13 MR. WRIGHT: I'm sorry.

14 THE WITNESS: That doesn't seem to be correct.

15 BY MR. FONS:

16 Q Well, and it is not correct because your attorney is
17 shaking his head no, isn't that correct?

18 A No.

19 MR. WRIGHT: I apologize.

20 CHAIRMAN BAEZ: Hold on. Hold on. Mr. Wright.

21 MR. WRIGHT: Yes.

22 CHAIRMAN BAEZ: Go ahead. Ask your next question.

23 THE WITNESS: The conveyor lengths are about 3,200
24 and 500-and-something for the long lift, the two long
25 conveyors.

1 BY MR. FONS:

2 Q But that is longer than 1,300 feet; 3,300 feet, isn't
3 it.

4 A Yes.

5 Q So you are talking about a conveyor system that is
6 3,300 feet long?

7 A Correct.

8 Q All right. Does your cost estimate include the cost
9 of additional electric hardware to run the conveyor system?

10 A The FMC Technology bids includes the switch gear
11 starters and electric design for their system, and all you have
12 to do is bring wire. And that is for a 480-volt motor. When
13 you get down to brass tacks, Tampa Electric on the south side
14 of their plant has a 4,100-volt electrical system that feeds
15 their conveyors, and that would be a more efficient design.
16 But that is included in FMC's design.

17 Q Doesn't the FMC budgetary quotation state that the
18 customer to provide all electrical unless noted otherwise in
19 the following bid?

20 A They supply the electric power wire, and then they
21 take the power and do the necessary switch gear and starter
22 motors for the motor.

23 Q And isn't the customer to provide the 460/60 line
24 voltage to the system?

25 A Yes.

1 Q Does the CSXT cost estimate include the cost of the
2 additional instrumentation and control logic necessary to
3 operate the new unloading and conveyor system?

4 A Are you talking about the CSX or my --

5 Q Well, let's talk about yours.

6 A Okay.

7 Q Let's just talk about yours.

8 A Okay.

9 Q Does your cost estimate include the cost of the
10 additional instrumentation and control logic necessary to
11 operate --

12 A It has self-control logic programming, but it is not
13 tied back to a central or remote control room.

14 Q Can you please identify where in the FMC quote I can
15 find the instrumentation and control logic?

16 A It is -- they sent me an update and clarification,
17 and it is on --

18 Q Are we -- are we privy to that update and
19 clarification?

20 A Yes.

21 Q Where is it located in your testimony or your
22 exhibit?

23 A It is not located in the exhibit. It is a
24 clarification on that point.

25 Q Well, just a moment. I have never seen that

1 clarification. You have never supplied that to us, have you?

2 A No.

3 Q All right. And didn't you upgrade this clarification
4 after you had filed your testimony?

5 A Yes.

6 Q And after Ms. Guletsky had filed her testimony, isn't
7 that correct?

8 A Yes.

9 Q And did you seek this clarification based upon the
10 concerns raised by Ms. Guletsky in her testimony?

11 A Yes.

12 MR. FONS: Mr. Chairman, this is the first time we
13 have seen this. We would like the opportunity to review it. I
14 will continue with my questions, but if --

15 CHAIRMAN BAEZ: How long do you think you are going
16 to need to review it? Because I think -- I want to give the
17 court reporter a break, and if a ten-minute break would be --

18 MR. FONS: We will just keep going.

19 CHAIRMAN BAEZ: All right. You are not making
20 friends with Jane.

21 MR. FONS: Oh, I'm sorry, Joy.

22 CHAIRMAN BAEZ: That's okay.

23 MR. FONS: I've got Joy wrong, too. It's Jane. I
24 really struck out.

25 COMMISSIONER JABER: Mr. Chairman, how long did

1 Mr. Fons have?

2 CHAIRMAN BAEZ: Mr. Fons, I don't know. We didn't
3 get to discuss that. I don't know that -

4 MR. FONTS: I've probably got about another 15
5 minutes.

6 CHAIRMAN BAEZ: Very well. Go ahead.

7 COMMISSIONER JABER: Well --

8 CHAIRMAN BAEZ: No, you know -- the Commissioner,
9 defer to the Commissioner. Do you want a ten-minute break?

10 COMMISSIONER JABER: I'm ready for a ten-minute
11 break

12 CHAIRMAN BAEZ: Okay. Let's take a ten-minute break.
13 It will give you a chance to review your document, and then
14 Jane will love us all.

15 (Brief recess.)

16 CHAIRMAN BAEZ: We will go back on the record

17 Mr. Fons, have you had a chance to look at the
18 document?

19 MR. FONTS: Yes, we have, Mr. Chairman. I'm not sure
20 whether this is a confidential document or not. There are
21 numbers in the document that are blacked out on pages -- and
22 this is unnumbered, so it is called EVA Bid Clarifications
23 5-18. There are pricing, the item description, engineering
24 structural/mechanical. The numbers are blacked out. I don't
25 know what those number are, so we have no way of determining

1 what changes have been made. Although, I would point out that
2 the document, the handwritten document from Randy Baird at MHS
3 Systems Business Manager, FMC Technologies, does indicate that
4 there is an additional price as a result of these additional
5 items.

6 CHAIRMAN BAEZ: Mr. Fons, let's work on getting this
7 clarified. There is a question put before Mr. Wright, is this
8 a confidential document? I am assuming that this is an
9 addendum to what is -- what is it? JBS-4.

10 MR. WRIGHT: Well, it's --

11 CHAIRMAN BAEZ: Go ahead. Go ahead.

12 MR. WRIGHT: I'm sorry, Mr. Chairman. It is not --
13 well, it is an update to JBS-4 that was, as Mr. Stamberg
14 described, requested following further activities in this case.
15 I intend to inquire of him on redirect about this document. It
16 is not confidential. I have sufficient copies to pass out and
17 I would propose to go ahead and do so at this time.

18 CHAIRMAN BAEZ: If you would, please, for our
19 benefit.

20 Mr. Fons, does that answer your question?

21 MR. FONS: What are we going -- no, not entirely,
22 because there are numbers that are blacked out.

23 MR. WRIGHT: Either you or I or anyone else can
24 inquire about those. I think I know, but I don't think it is
25 appropriate for me to say right now.

1 MR. FONTS: When will it be appropriate for you to --

2 CHAIRMAN BAEZ: Mr. Fons, let's let Mr. Wright get
3 back to the -- get back to the microphone, because we're --
4 I'll trip him as he goes by.

5 MR. FONTS: No, because if you do that, he can't
6 answer the questions, you see.

7 CHAIRMAN BAEZ: Mr. Wright, there do seem -- in this
8 new handout, there do seem to be numbers that are blacked out.
9 And you had given an explanation or some response to that.
10 First of all, that I don't know if the court reporter caught,
11 but more importantly, I'm not sure I understood. So if you
12 could please clarify.

13 MR. WRIGHT: Actually, I think I did not give an
14 explanation, because I -- while I said I believe that I know, I
15 don't think it is probably the most appropriate thing for me to
16 be the one to try to do that. I think Mr. Stamberg having been
17 the one directly --

18 CHAIRMAN BAEZ: Well, let me ask you a question.

19 MR. WRIGHT: -- received the communication from Mr.
20 Baird can do so, and if Mr. Fons doesn't ask him about it, I
21 will.

22 CHAIRMAN BAEZ: Right. So I guess to clarify, Mr.
23 Fons, I think Mr. Stamberg is going to be able to provide you
24 with whatever information you require to complete the notion of
25 this document, I think.

1 MR. FONS: May I inquire of you and Mr. Wright
2 whether or not there is an unredacted version of this document
3 in the building, in the hearing room?

4 MR. WRIGHT: Mr. Chairman, it is my belief that --
5 Mr. Stamberg can confirm this. But it is my belief that this
6 is how this document was sent to Mr. Stamberg by Mr. Baird.

7 CHAIRMAN BAEZ: And Mr. Stamberg is confirming that,
8 so I guess the answer to that sounds like a no to me, Mr. Fons.

9 MR. WRIGHT: The answer is no to that question.

10 MR. FONS: That is fine. Let's mark it as an
11 exhibit, please.

12 CHAIRMAN BAEZ: Okay. And I am showing -- if you
13 will bear with me for a moment. I am showing the next exhibit
14 number is 106, and we will call it update to FMC bid.

15 (Exhibit 106 marked for identification.)

16 MR. FONS: May I proceed?

17 CHAIRMAN BAEZ: Go ahead, Mr. Fons.

18 BY MR. FONS:

19 Q Mr. Stamberg, this document, Exhibit 106, which you
20 received from Randy Baird and is dated 5-18-04, which you
21 describe and he describes as a clarification of a budgetary
22 quote?

23 A It's clarifications, and the other purpose of this
24 was to get a price estimate for the different things that
25 Sargent and Lundy, Paula Guletsky, had criticized in her

1 testimony as to speed, spacing of the idlers, type of idlers
2 and type of motors. And even though they are not needed, and
3 the original quote meets the Conveyor Equipment Manufacturers
4 Association criteria, we asked them to update that to respond
5 to all of her -- what she described as shortcomings. And that
6 adds 15 percent to the price of the original quote.

7 Q And that is found on handwritten Page 4, is that
8 correct?

9 A Those are the six items and the notes, and that
10 resulted in a 15 percent increase.

11 Q And there were eight items in this Exhibit 106, isn't
12 that correct?

13 A Is there what?

14 Q There are eight items in this Exhibit 106?

15 A Yes.

16 Q And the quote only addresses one, two, three, four
17 and five -- I'm sorry, one, two, three, four, five and six, is
18 that correct?

19 A Yes.

20 Q And the original price for supply of Items 1, 2 and
21 3, is that correct? Let's go to the bottom of Page 2 of
22 Exhibit 106.

23 A Yes.

24 Q It says, based upon our conversations of 5/16/04 and
25 5/17/04 --

1 A Yes.

2 Q -- less than a month ago, I am providing the attached
3 bid clarifications and a price adder for the requested changes.

4 A That is correct.

5 Q And the budgetary quote now includes foundation --
6 number one, foundation engineering design and foundation
7 construction. Would you agree with me that the original quote
8 from FMC did not include these items?

9 A They did not include the foundation design.

10 Q The foundation engineering design or foundation
11 construction, isn't that correct? Isn't that what it says
12 here, foundation engineering design and foundation
13 construction?

14 A Right.

15 Q And number two is added to this, all electrical
16 engineering and scope supply of attached bid clarifications
17 dated 5/18/04. Would you agree with me that the FMC quote did
18 not include these items previously?

19 A That would be a clarification.

20 Q But my question is did it include these items
21 previously?

22 A Yes.

23 Q It did? I thought it says at the bottom of Page 2
24 the budgetary quote now includes, and then it goes to 2, all
25 engineering and scope supply of attached bid clarifications.

1 A Yes. These are two things, clarifications and
2 additions.

3 Q And Number 3 is, designed to use CEMA D FMCT, idlers,
4 6-inch rolls?

5 A Yes.

6 Q And that says four on ten center design. What does
7 that mean?

8 A That the original quote was to CEMA criteria, which
9 included C idlers at 5-foot spacing, which is consistent with
10 CEMA criteria and design. Ms. Guletsky thought that they
11 should go to four-foot spacing and D idlers, which are not
12 necessary, according to CEMA criteria. But if those are added
13 that would make the price increase.

14 Q And all structural steel to be galvanized per scope
15 of attached bid clarifications?

16 A That is a clarification.

17 Q And is there additional cost to it being galvanized?

18 A No.

19 Q What about Number 5, NEMA 4 electrical design. What
20 does that mean?

21 A National Electric Manufacturers Association, Series
22 4, which is I believe a Class 2 type F motor.

23 Q And prior to that the FMC quote did not meet the NEMA
24 4 electrical design, is that correct?

25 A I believe so.

1 Q And Number 6 says includes head discharge chute boxes
2 as required by appropriate design. What is the appropriate
3 design reference there?

4 A They are throwing in the chutes and boxes which would
5 be part of the transfer station now.

6 Q But they weren't previously?

7 A No.

8 Q And did that add a cost?

9 A Yes.

10 Q And then there is a note, we continue to quote a
11 54-inch -- is that CVI?

12 A Yes.

13 Q Conveyor per EVA specification. What written
14 specifications did you provide to FMC?

15 A We provided performance needs, which was the 2,500
16 tons per hour, the length, and compliance with CEMA criteria
17 and it be hooded.

18 Q Now, all of these result in an increase which is set
19 forth in Page 4. There is another line under that, under the
20 revised price to include Items 1 to 6 of this 5/18/04 addendum.
21 There is a line that says range constrict due to recent
22 specification clarification. And that increases from 6,631,133
23 to 7,747,366 (sic), is that correct?

24 A Yes.

25 Q So that the increase is to 7,747,336, is that

1 correct?

2 A Well, you have got to look at the range at 67 million
3 to 7 or the median, you know, the center increase. You can't
4 compare the top range with the previous average.

5 Q And this is still a budgetary pricing quote, is it
6 not?

7 A Yes.

8 Q And isn't that set forth on Page 2 under Subparagraph
9 3, which says pricing provided as budgetary only. Exact
10 pricing will require further scope development, specification
review, and site analysis. Final pricing to occur prior to
order acceptance, is that correct?

A You would -- before you purchased, you would review
14 all of this and make any adjustments, particularly if you had
15 to -- you would want to get the engineers involved at the Big
16 Bend Power Station.

17 Q And who would do the specification review? Would
18 that be FMC before they gave you a firm quote?

19 A Yes.

20 Q And that has not been done, has it?

21 A No.

22 MR. FONTS: I have no further questions.

23 CHAIRMAN BAEZ: Thank you, Mr. Fons.

24 Mr. Wright.

25 MR. WRIGHT: Thank you, Mr. Chairman. Mr. Chairman,

1 I will be as quick as I can. There are some pages I am just
2 going to have to find. I apologize for any delay.

3 REDIRECT EXAMINATION

4 BY MR. WRIGHT:

5 Q Mr. Stamberg, Mr. Fons asked you some questions
6 regarding the number of hoppers shown in your hand calculations
7 on Page 3 of 12 of your Exhibit JBS-6. Do you recall those
8 questions?

9 A Yes.

10 Q And I believe he pointed out that your design calls
11 for a four-hopper design, but that your cost estimate there
12 includes only two hoppers, is that accurate so far?

13 A Correct.

14 Q What correction would you need to make to your cost
15 number there to account for the four-hopper design that you
16 contemplated?

17 A You would take the 96,000 and double it, and for the
18 gates or the grates you would put in another 96,000, so you
19 would add about 200,000.

20 Q And that would cause the number at the bottom of the
21 page there to increase, by my arithmetic -- well, I will ask
22 you to do it. I shouldn't lead. What would the new number be
23 that is comparable to the 802,104, if you were to do that?

24 A It would increase to 1,700,090 by adding another
25 200,000

1 Q Will you repeat that, please?

2 A That would increase the number from 1,590,000 to
3 1,790,000.

4 Q Thank you. Where is the 1,590,000 number,
5 Mr. Stamberg?

6 A That would be on Page 5.

7 Q Of what?

8 A Of JBS-6, Page 2 of 12.

9 Q Thank you. Are there any other flow-through changes
10 that would result from increasing the number of hoppers and
11 number of grates as you just described?

12 A No.

13 Q Thank you. If you know, would that still keep the
14 estimate within the 120 percent of what CSXT was willing to
15 fund?

16 A With that adjustment, it would still be under that.

17 Q Thank you. You were asked some questions by Mr. Fons
18 regarding rapid discharge unloading pits for coal and any
19 others that you might have looked at. My notes indicate that
20 in response to that you mentioned Morgantown and AEP
21 Mountaineer.

22 My question for you following on that, is are you
23 aware of any other plants that have similar discharge pits to
24 that contemplated by your proposed design?

25 A Yes. AEP has pits similar to this at the Amos

1 (phonetic) Power Plant in West Virginia.

2 Q Can you tell the Commission how similar it is?

3 A It is two stories, about two cars wide and has
4 multiple pits.

5 Q And two stories equates to what in terms of overall
6 depth?

7 A That is somewhere around the 20 to 25 feet range.

8 Q Any others?

9 A The Gannon pit, which is a stationery pit, is a
10 shallow pit, also.

11 Q Do you mean --

12 A It is not a rapid discharge, but it is a single car
13 unloading pit.

14 Q And that is the pit at Tampa Electric's Gannon
15 Station?

16 A Yes.

17 Q Okay. Approximately how deep is that pit?

18 A It is about 20 to 25 feet.

19 Q Thank you. Mr. Fons asked you a question regarding
20 the design specifications that you gave to Continental
21 Conveyor. I just was not sure whether you were able to give a
22 complete answer, and I wondered if you had anything to add to
23 the answer that you gave?

24 A No. Basically, they were familiar with the type of
25 conveyors that are at the Big Bend site, and I said give me an

1 update with this performance spec. So they -- the micro
2 details they took and didn't spell out.

3 Q Did you -- did you ask -- did you specify a belt
4 width for Continental or did Continental specify the belt width
5 as a recommendation to you?

6 A Both Continental and FMC Technologies selected the
7 54-inch conveyor for the 2,500 tons per hour system.

8 Q Thank you. In your testimony in response to
9 Mr. Fons, you mentioned an entity known as CEMA. What is CEMA?

10 A It is the Conveyor Equipment Manufacturers
11 Association that have criteria on speed, idler spacing, belt
12 weight and a number of other conveyor criteria.

13 Q Are these CEMA criteria generally accepted as the
14 industry standard for conveyor design?

15 A Yes, that is correct.

16 Q What are the factors that determine the choice of --
17 I think you said idlers, belt width, and so on?

18 A The first thing is the weight of the material on the
19 belt, the weight of the belt times the spacing, which gives you
20 the live load of the belt and material. So, if you have 4-inch
21 spacing, you have less weight on the idlers. If you have five
22 inch space, you have more weight.

23 Q Excuse me. Just to make a clarification, in your
24 last answer you referred to four-inch and five-inch spacing,
25 did you mean something else?

1 A Feet.

2 Q Thank you. Please continue.

3 A Yes. Then you have an adjusted load factor where you
4 adjust it for aggregate size. And anything up to about 12
5 inches or 50-pound per cubic feet you make no adjustment. Then
6 you make an adjustment for how long you use the belt each day,
7 .8 for six hours or less, which would be the case for Big
8 Bend's conveyors on the unloading system. And if you ran it 24
9 hours a day or, you know, constantly, it would be a 1.2
10 adjustment factor.

11 Then there is an adjustment factor for the
12 maintenance, where it is clean conditions and good maintenance
13 you have one factor. If you go all way to the opposite, you
14 adjust that load factor by 15 percent for a poorly maintained,
15 dirty conveyor system. At Big Bend the conveyors look like
16 they are well maintained and are clean, and may be moderate as
17 far as dirty at the worst.

18 Q Thank you. Without asking you to walk through it,
19 did you make the calculation consistent with the CEMA
20 guidelines as to what the appropriate design specifications in
21 terms of belt width, idler class, and idler spacing would be
22 for the conveyors in your proposal?

23 A Yes.

24 Q And what did those calculations show?

25 A They showed that C idlers were needed and five-foot

1 spacing is also adequate.

2 Q And what would the belt width be associated with
3 those characteristics, what belt width?

4 A 54-inch.

5 Q Thank you. In response to some questions by
6 Mr. Fons, you made reference to a conveyor at Big Bend Station
7 known as WL-50 that is rated at 4,000 tons per hour?

8 A Yes.

9 Q You identified a document or a response by Tampa
10 Electric to CSXT's production request. I didn't catch all of
11 that information. Do you have that document?

12 A Yes.

13 Q May I look at it, please?

14 A Yes.

15 Q If you know, and with the understanding that it was
16 furnished in response to a CSXT production request, what is the
17 original source of that document, Mr. Stamberg?

18 A It is the Big Bend coal yard training and operating
19 manual. That may not be the exact name, but that is the coal
20 yard operating manual.

21 Q Thank you. At what speed -- you measure speed in
22 feet per minute, right? You measure speed and feet per minute
23 for conveyors, is that right?

24 A Yes.

25 Q At what speed does that conveyor operate?

1 A Up to 950 feet per minute.

2 Q Thank you.

3 MR. WRIGHT: Mr. Chairman, this only came out in
4 cross examination, but I would like to ask that this be marked
5 for identification and admitted, either today or as a
6 late-filed. I don't think it is realistically subject to any
7 objections. It's right out of Tampa Electric's own manual.

8 CHAIRMAN BAEZ: It was a request?

9 MR. WRIGHT: It is a response. It's one page from a
10 production request. It is a page describing -- is it one or
11 more conveyors, Mr. Stamberg? Is there one or more conveyors
12 covered on that document? Just one.

13 THE WITNESS: This also identifies Conveyor Number 2.

14 MR. WRIGHT: Okay. It is a conveyor specification
15 sheet from Tampa Electric's coal yard operations manual.

16 CHAIRMAN BAEZ: Mr. Fons, if there is no objection --
17 are you still trying to figure out --

18 MR. FONS: We have no objection. We're not sure that
19 that particular conveyor is still there. That manual has not
20 been updated in years.

21 CHAIRMAN BAEZ: Very well. Without objection, show
22 that marked as Exhibit 106.

23 MR. WRIGHT: I think it would be 107, Mr. Chairman.

24 CHAIRMAN BAEZ: 107. I'm sorry. I misspoke.

25 (Exhibit 107 marked for identification.)

1 MR. WRIGHT: Thank you.

2 BY MR. WRIGHT:

3 Q Mr. Stamberg, you and Mr. Fons had some discussion
4 about what has been marked as Exhibit 106, which is the update
5 to the FMC bid?

6 A Yes.

7 Q My first question for you is what did you understand
8 the initial FMC bid or proposal to include versus what was
9 covered in Exhibit 106 in the update?

10 A The original quote provided was \$1,070 per linear
11 foot or thereabouts. This increased it by 15 percent, mainly
12 by including foundations, clarifying the galvanizing and the
13 electrical, and also taking in spacing the idlers at four feet,
14 even though it is not required, and using D instead of C
15 idlers.

16 Q You just mentioned foundations. In your initial
17 estimate for your proposal, had you included a proposal for
18 foundations, a value for foundation cost?

19 A No, I added the foundation costs because they did not
20 include them.

21 Q Well, I think you answered my question. My question
22 was separate from the initial FMC bid, had you included a
23 foundation cost in your initial proposal?

24 A Yes.

25 Q Okay. And so does the new proposal from FMC, does

1 that eliminate the need for the foundation estimate that was in
2 your previous proposal?

3 A Right. You would subtract off about 130,000.

4 Q Thank you. I want to make sure that the record
5 reflects a clear understanding of what the new proposal is. As
6 I read it, the initial proposal is 5,851,000 with a minus 15
7 percent to plus 20 percent band, is that accurate?

8 A Right, yes.

9 Q Okay. And the new center point single price number
10 is what?

11 A 6.7 million.

12 Q Thank you. Please continue. Oh, I thought you were
13 going to say something else, and I did not want to interrupt
14 you.

15 A The reason we pursued this is in S&L's report they
16 said if the various idler spacing and these various adjustments
17 were made, that the original FMC quote would be more like
18 theirs, which is many fold ours. When you make that
19 adjustment, it is only 15 percent and not X fold of the bid.

20 Q And in that context, the 15 percent increase, is that
21 the increase from the 5,851,000 to the 6,736,000?

22 A Yes.

23 Q Now, I note that the two written -- two lines of
24 words and the numbers immediately below the \$6,736,000 number
25 indicates that it is a range constrict. What does that mean?

1 A That is the accuracy of the budgetary quote, steel
2 prices can change, labor -- you know, indices can change with
3 time.

4 Q So if we wanted to take this back into your total
5 project cost, as you had estimated it previously, what number
6 would you use and what, if any, adjustment would you make for
7 the foundation costs?

8 A I would subtract off about \$130,000.

9 Q In?

10 A The new quote.

11 Q I'm sorry. Subtract \$130,000 from what?

12 A The 6.7 million.

13 Q Okay. Keeping the FMC bid update ready to hand, I
14 would like to ask you to look at Page 21 of your testimony. At
15 that page there appears a table?

16 A Yes.

17 Q And do I have it right that the last dollar number in
18 the bottom right-hand corner there is your estimate for the
19 system, based on your previous information, 8,349,000?

20 A Correct.

21 Q And how many, can you tell us how much that would
22 increase by based on the updated information that you received
23 from FMC?

24 A About a half a million dollar increase.

25 Q Thank you. With regard to the nature of this quote,

1 there was some discussion as to whether it was a budgetary
2 quote or a firm -- I think it was a budgetary quote with a firm
3 price to be nailed down, if you don't mind the term, later?

4 A Yes.

5 Q What would your expectation be regarding what the
6 firm quote would be relative to the range shown on Page 4 of
7 Exhibit 106?

8 MR. FONTS: Mr. Chairman, I will object on the basis
9 it calls for the witness to speculate. There has been no
10 foundation. He is being asked what he thinks FMC's quote will
11 be. And FMC would be the only one that would be able to say
12 that, not this witness.

13 CHAIRMAN BAEZ: Do you want to retry the question,
14 because I think you are reaching a little too far.

15 BY MR. WRIGHT:

16 Q Based on your understanding of such quotes, would you
17 expect the final quote to be inside the range written down by
18 Mr. Baird on Page 4 of the update?

19 A Yes.

20 Q From the information available to you, Mr. Stamberg,
21 could you tell how long it took Sargent and Lundy to prepare
22 its study?

23 MR. FONTS: I will object to the form of this
24 question. There was no cross examination on that point.

25 MR. WRIGHT: Mr. Chairman, Mr. Fons asked him a

number of questions about Sargent and Lundy's study and Sargent
2 and Lundy's work. I m following up.

3 MR. FONZ: I think it is already covered in his
4 testimony. This is not redirect.

5 CHAIRMAN BAEZ: Mr. Fons, I am going to allow the
6 question. It seems you did go on quite a bit about S&L.

7 So go ahead, Mr. Wright.

8 BY MR. WRIGHT:

9 Q The question pending, Mr. Stamberg, is from the
10 information available to you, could you tell how long it took
11 Sargent and Lundy to do its study?

12 A Say that again.

13 Q From the information available to you, could you tell
14 how long it took Sargent and Lundy to do its study or draft and
15 final studies that were included as exhibits to your testimony?

16 A It took them seven days to do the draft study that
17 was done on September 4th, and the final was done on September
18 18th. The big changes were the O&M costs, which was largely
19 information supplied from TECO. And then the doubling of the
20 large conveyor, which is the most expensive equipment in this
21 whole process. And the doubling of the cofferdam and the
22 doubling of the dewatering.

23 MR. WRIGHT: Thank you. One minute.

24 BY MR. WRIGHT

25 Q Just following up one more brief moment on the

1 additional features included in the FMC bid update.

2 A Yes.

3 Q As I understand it, that includes the D idlers and
4 going to six-inch rolls -- and what does four on ten center
5 design mean? I'm sorry, what does four on ten center design
6 mean?

7 A It is four foot on the top of the belt and ten foot
8 on the bottom.

9 Q And the top of the belt is narrower for what -- has
10 closer spacing for what reason?

11 A The four is not needed. Five with C idlers is
12 adequate.

13 Q But as between the four and the ten, why is it four
14 on top and ten on the bottom? Why is it four feet spacing on
15 top and ten feet on the bottom?

16 A Ten feet is a normal spacing on a return bottom belt
17 with no weight on it.

18 Q Thank you. And just to be clear, are these
19 additions needed in your opinion?

20 A No, these are not needed.

21 MR. WRIGHT: Thank you. That is all I have. Thank
22 you, Mr. Chairman.

23 MR. FONS: Mr. Chairman, I hate to do this, but it
24 was my recollection when Exhibit 106 suddenly appeared that
25 when I raised the objection to it based on the blacked out

1 numbers that Mr. Wright was going to handle that through this
2 witness, and that is why I did not ask questions about it. But
3 if he is not going to handle it, I would like the opportunity
4 to ask this witness about the pages that have the blanked out
5 numbers.

6 CHAIRMAN BAEZ: And limited to that.

7 MR. FONS: Absolutely limited to that.

8 CHAIRMAN BAEZ: Okay.

9 RE CROSS EXAMINATION

10 BY MR. FONS:

11 Q Mr. Stamberg, Exhibit 106, the updated bid
12 clarification from FMC, there are two parts to it, is that
13 correct?

14 A Yes.

15 Q And the first part is what we talked about earlier
16 and has a signature or a signature by Randy Baird, is that
17 correct?

18 A Yes.

19 Q Now, there is another attachment to that, it would
20 appear. It is called EVA bid clarifications?

A Yes.

Q And who prepared that?

A Randy Baird of FMC Technologies.

24 Q Now, on the first page of that you have got conveyor
25 specifics. Who provided that information?

1 A This is on the 106?

2 Q Yes, sir, the last part of it --

3 A Yes.

4 Q -- that shows --

5 A That would be Randy Baird.

6 Q Now, there is another line that says pricing, or a
7 block that says pricing, and it's got item descriptions,
8 beginning with engineering structural/mechanical, and the
9 budget prices are not shown. Do you know what those numbers
10 are?

11 A No, those were crossed out before they were sent to
12 us.

13 Q So FMC did not give you the budget price for this bid
14 clarification, is that correct?

15 A They did not provide us with that breakdown.

16 Q And the next page, the page that has the schematic on
17 it, was that prepared by FMC, as well?

18 A Yes.

19 Q And was that prepared pursuant to your directions and
20 specifications?

21 A That was pursuant -- that was a clarification of our
22 original request of them.

23 Q What does it show? What does that show, that
24 schematic? Is that the unloader or is that another conveyor?

25 A This is a generic type of conveyor that would be

1 typical of what we asked for.

2 Q But that is not a specific conveyor with regard to
3 your design?

4 A No, that is a schematic of the type out of a, you
5 know --

6 Q On the Page 3, the one after the schematic, there
7 is a -- under electrical there is cable and conduit to connect
8 all blank. Do you know what was in that?

9 A No.

10 Q That was scratched out by FMC?

11 A Yes.

12 Q And on Page 4, under erection, there is a line that
13 is blanked out or scratched out. Do you know who did that?

14 A Randy Baird, FMC Technologies.

15 Q And you don't know what is contained therein?

16 A No.

17 Q And on Page 6, it says -- Line 20, it says, our bid
18 has included the unloading of trucks for component supplied and
19 something blanked out. Again, that was something blanked out
20 by FMC?

21 A FMC.

22 Q And on Line 22, there is something blanked out and
23 FMCTI in inserted instead, is that correct?

24 A Yes.

25 Q And who did that?

1 A Randy Baird, FMC Technologies.

2 Q And you don't know what was blanked out and replaced
3 by FMCT?

4 A No.

5 Q And on the final page, Page 7, there is a large
6 blocked out letters. Again, that is by FMC?

7 A Yes.

8 Q And you don't know that what contains?

9 A No.

10 Q Do you know why this attachment was provided, the
11 attachment to the original handwritten document?

12 A This is my guess, is he took a clarification for
13 another conveyor, and then crossed out the terms that didn't
14 apply.

15 Q So this whole EVA bid clarification that is dated
16 5/18/04 does not relate to your conveyor, but just a generic
17 conveyor, is that correct, that may have been provided?

18 A What he did is he took a boilerplate or similar
19 criteria on fabrication, erection, bid assumptions and crossed
20 out those things that did not apply or were different.

21 MR. FONS: No further questions. Thank you,
22 Mr. Chairman.

23 CHAIRMAN BAEZ: Mr. Wright, do you need --

24 MR. WRIGHT: One follow-up.

25 CHAIRMAN BAEZ: Okay. Go ahead.

FURTHER REDIRECT EXAMINATION

1
2 BY MR. WRIGHT:

3 Q Mr. Stamberg, I just want to be clear. What you
4 didn't get in that back part was a detailed budget price. Did
5 you get a budget price in the first part of the package?

6 A Yes.

7 MR. WRIGHT: Thank you.

8 CHAIRMAN BAEZ: Thank you, Mr. Stamberg.

9 Exhibits.

10 MR. WRIGHT: 42 through 51, 106 and 107.

11 CHAIRMAN BAEZ: Without objection, show 43 to 51, 106
12 and 107 upon receipt admitted into the record. No, actually,
13 Mr. Fons, 106 was yours, but I am assuming --

14 MR. WRIGHT: I handed it out.

15 CHAIRMAN BAEZ: Did you hand it out?

16 MR. WRIGHT: Yes, sir.

17 CHAIRMAN BAEZ: Okay.

18 MR. FONTS: I asked that it be marked, but we have no
19 objection.

20 CHAIRMAN BAEZ: Then they are admitted all the same.

21 (Exhibits 42 through 51, 106 and 107 admitted into
22 evidence.)

23 CHAIRMAN BAEZ: Who is up? We're up to Mr. Murrell
24 now, right?

25 Commissioners, do you need a short break? Now would

1 be a good breaking point. Okay.

2 MR. BEASLEY: Tampa Electric would call Ms. Paula
3 Guletsky.

4 CHAIRMAN BAEZ: Oh, I'm sorry. You're correct. I am
5 showing here that Witness Guletsky and Murrell had switched.
6 My apologies. It is getting late.

7 PAULA GULETSKY

8 was called as a witness on behalf of Tampa Electric Company,
9 and having been duly sworn, testified as follows:

10 DIRECT EXAMINATION

11 BY MR. BEASLEY:

12 Q Would you please state your name and your business
13 address?

14 A My name is Paula Guletsky. I work for Sargent and
15 Lundy at 55 East Monroe in Chicago, Illinois.

16 Q And in what capacity do you work for Sargent and
17 Lundy, Ms. Guletsky?

18 A I'm a senior project manager.

19 Q And you were in the room and sworn in the earlier
20 part of this proceeding, were you not?

21 A Yes, I was.

22 Q Okay. Ms. Guletsky, did you prepare and cause to be
23 filed in this proceeding a document entitled Prepared Rebuttal
24 Testimony of Paula Guletsky, consisting of 29 pages?

25 A Yes, I did.

1 Q If I were to ask you the questions contained in that
2 prepared testimony, would your answers be the same?

3 A Yes, sir.

4 MR. BEASLEY: I would ask that Ms. Guletsky's
5 prepared rebuttal testimony be inserted into the record as
6 though read.

7 CHAIRMAN BAEZ: Without objection, show Paula
8 Guletsky's rebuttal testimony moved into the record as though
9 read.

10 MR. BEASLEY: Thank you.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2 PREPARED REBUTTAL TESTIMONY

3 OF

4 PAULA GULETSKY

5 ON BEHALF OF

6 TAMPA ELECTRIC COMPANY

7

8 Q. Please state your name and business address.

9

10 A. My name is Paula Guletsky and my business address is 55
11 East Monroe Street, Chicago Illinois.

12

13 Q. By whom are you employed and in what capacity?

14

15 A. I am employed by Sargent & Lundy, L.L.C. ("S&L") as a
16 Senior Project Manager. S&L is an engineering design and
17 consulting firm that has exclusively served the power
18 industry in development, design, construction, and
19 operations of power generation and distribution
20 facilities for over 111 years.

21

22 Q. Please describe your educational background and business
23 experience.

24

25 A. I received a Bachelor of Science degree in Chemical

1 Engineering from the University of Kentucky in 1981. I
2 have served the power industry throughout my entire
3 career. First, I worked for ABB Environmental Systems
4 from 1981 to 1991. During my tenure with ABB I served as
5 a conceptual design engineer, a detail design engineer,
6 and an engineering manager for coal fired utility
7 environmental projects. I joined S&L, my present
8 employer, in 1991 as a project engineer. I have served
9 as a project manager for 10 years. My experience spans
10 from project development studies through conceptual
11 design, detail design, construction, startup, operations,
12 plant betterment and retrofit. I am a registered engineer
13 in the state of Wisconsin.

14
15 **Q.** What is the purpose of your testimony?
16

17 **A.** The purpose of my testimony is to provide a detailed
18 description of the independent cost estimates performed
19 by S&L in August and September 2003 for retrofit at Tampa
20 Electric's Big Bend and Polk plants to allow for rail
21 delivery of coal in addition to the existing barge/truck
22 delivery system. I also address both the numerous
23 inaccuracies and certain outrageous allegations made by
24 CSXT's witnesses, Dr. Robert Sansom and Mr. John
25 Stamberg, regarding the S&L report and their approach to

1 a similar study.

2

3 Q. Have you prepared an exhibit in support of your
4 testimony?

5

6 A. Yes. Exhibit No. ___ (PMG - 1) consists of two documents.
7 Document No. 1 is the engagement letter between Tampa
8 Electric and S&L for the services to be performed.
9 Document No. 2 is a project timeline showing specific
10 tasks and time requirements necessary to retrofit Big
11 Bend Station so that it may receive coal by rail.

12

13 Q. Please summarize your testimony.

14

15 A. S&L was hired to provide an independent technology
16 screening analysis including cost estimates to retrofit
17 the Big Bend and Polk Power stations to allow for rail
18 delivery of coal. S&L prepared its report in accordance
19 with S&L's strict engineering standards. Despite the
20 outlandish allegations by CSXT's witnesses, S&L would
21 never consider taking any short cuts or making reckless
22 proposals that would damage its reputation as an industry
23 leader for professional services. S&L's evaluation of
24 CSXT's proposal was that while the concept appeared
25 reasonable, the cost estimates used by CSXT were grossly

1 understated. Similarly, Mr. Stamberg's review and
2 adjustments to CSXT's proposal omitted and failed to
3 consider basic project requirements that resulted in
4 insufficient cost estimates and flawed conclusions. After
5 reviewing Dr. Sansom's assertions and Mr. Stamberg's
6 proposals, S&L re-affirms its original estimates, and
7 dismisses the conclusions reached by both Dr. Sansom and
8 Mr. Stamberg because they lack the understanding of what
9 the true costs are for the project.

10
11 **S&L ENGAGEMENT AND WORK PERFORMED**

12 **Q.** Why did Tampa Electric hire S&L in August 2003?

13
14 **A.** As described in the direct testimony of Tampa Electric
15 witness Joann Wehle, S&L was commissioned to review the
16 CSXT proposals and to provide an independent technology
17 screening analysis including cost estimates to retrofit
18 the Big Bend and Polk Power stations to allow for rail
19 delivery of coal in addition to the existing barge/truck
20 delivery plan. These cost estimates were to be used by
21 Tampa Electric to evaluate the overall feasibility of the
22 rail delivery approach to other options for coal
23 transportation. S&L was asked to perform a technology
24 screening analysis. Document No. 1 of my exhibit includes
25 the engagement letter signed by Tampa Electric and S&L.

1 Q. What specific professional experience do you have that
2 makes you qualified for this type of engagement?

3

4 A. With the exception of two gas turbine projects, my entire
5 career has been focused on performing screening analysis
6 and cost estimates, conceptual design and cost estimates,
7 detailed design and project management of retrofit
8 capital projects for coal fired utilities and independent
9 power producers. All of these assignments have included
10 material handling systems to some degree.

11

12 I have been a project manager at S&L for ten years. As
13 such, I have demonstrated repeatedly to utility clients
14 my expertise at assessing a retrofit need, assembling the
15 appropriate staff within S&L to support the task, and
16 executing the task on time and to a high standard of
17 care.

18

19 Q. How did you staff this project?

20

21 A. For this project, I assembled the following key experts
22 to perform the work:

23

24

25

Sam Madan - Material Handling Specialist and Process
Owner who has 38 years experience in material
handling industry.

1 George Bowater - Cost Estimating Specialist who has
2 32 years experience in the power industry.

3 Bock Yee - Project Manager and Licensed Engineer in
4 the State of Florida who has 31 years experience in
5 the power industry

6
7 The tasks performed were well within our usual and
8 customary work.

9
10 **PROJECT PLANNING PROCESS**

11 Q. Please describe the process typically used in planning a
12 major capital project such as the one proposed by CSXT
13 for building rail delivery facilities.

14
15 A. Typically, there is a three-step process used in planning
16 a major capital project. Technology screening is the
17 first step. A technology screening, or feasibility study,
18 serves to identify concepts worthy of additional
19 consideration. A concept is proposed, a fatal flaw
20 analysis is performed, a scope of work is identified and
21 an order of magnitude cost estimate is prepared based
22 upon the concept and scope of work. A typical technology
23 screening will take anywhere from one week to three
24 months depending on the number and complexity of the
25 concepts analyzed. An estimate accuracy of 15 to 30

1 percent is provided.

2
3 If a concept is deemed feasible from a technology and
4 cost standpoint, then the next step in planning is the
5 conceptual, or preliminary design. During this phase of
6 project development, engineering studies would be
7 performed to further develop the scope of work and
8 project schedule. Typical engineering studies would
9 include site survey, soil boring, electrical load
10 analysis, inspection of existing structures, tie-in's to
11 existing facilities, and optimization studies. During
12 the conceptual design phase, engineering would begin.
13 Engineering tasks would include: modeling of the system
14 with computer assisted design (CAD) software, preparing
15 the general arrangement drawings, developing heat and
16 mass balances, developing design criteria for the
17 project, developing the engineering and construction
18 schedule, and developing the piping and instrumentation
19 diagrams. Vendor quotations would be solicited for major
20 engineered equipment components during this phase of
21 work. The cost estimate prepared in the conceptual
22 design phase of a project is typically used for
23 establishing capital budgets. An estimate accuracy of 10
24 to 20 percent is provided. The development of a
25 conceptual design typically requires six months to a year

1 depending on the complexity of the system. Tasks
2 indicative of the conceptual design stage are what are
3 alluded to throughout Dr. Sansom and Mr. Stamberg's
4 testimony.

5
6 The final stage of project development is detailed design
7 and the development of a definitive cost estimate. The
8 estimates prepared in conjunction with this stage of
9 project development are based upon having 20 to 50
10 percent of detailed engineering complete and have an
11 accuracy of 10 to 15 percent.

12
13 **S&L WORK PLAN AND ESTIMATING STANDARDS**

14 Q. Please describe the work plan you followed for this
15 engagement.

16
17 A. S&L's approach used for this project consisted of four
18 basic steps: (1) a scope of work was developed based upon
19 the concept as revised to incorporate errors and
20 omissions; (2) line items were developed in the cost
21 estimate for every system, component or commodity needed
22 for the project based upon the scope of work; (3) for
23 each line item, a basis was developed to indicate the
24 quality, size, capacity or materials; and (4) material
25 and erection costs were prepared for each line item.

1 Q. Are the estimating techniques and methods used by S&L
2 described above an appropriate standard of care for the
3 type of work performed?
4

5 A. Yes. S&L is a highly respected worldwide leader in
6 professional services for the electric power industry
7 delivering engineering, construction management, and
8 consulting services. The general engineering guidelines
9 used in our cost estimating process are derived from the
10 AACE International Estimating Committee standards. The
11 cost estimating approach used for the Tampa Electric
12 project is consistent with the methodology used for
13 estimates prepared for hundreds of our utility clients,
14 including Florida Power & Light, Progress Energy of
15 Florida.
16

17 Q. Does S&L have any additional corporate standards of care
18 that are followed?
19

20 A. Yes. S&L has corporate standards that must be followed,
21 which help the company maintain its reputation as one of
22 the global leaders in the field. The work performed by
23 engineers is measured against these standards to ensure
24 the services performed meet not only general engineering
25 guidelines but the higher company standards.

1 S&L'S EVALUATION OF CSXT PROPOSAL

2 Q. Did you consider the retrofit concept proposed by CSXT to
3 be workable from an engineering standpoint?

4
5 A. With the changes described in the S&L report to
6 incorporate errors and omissions by CSXT, the concept
7 proposed by CSXT may be workable. However, major
8 environmental impacts associated with rail transportation
9 - noise, traffic delays, and other inconveniences are not
10 addressed. These social impacts cannot be readily
11 quantified because of the variability of human response.
12 Nevertheless these obstacles are not addressed but could
13 impact the ability to get the concept accepted by the
14 local community and agencies.

15
16 Q. What cost conclusions did you reach as a result of your
17 screening analysis?

18
19 A. The cost estimate prepared and proposed by CSXT is
20 extremely low in all cases. The independent cost
21 estimates prepared by S&L indicate that the installed
22 cost of the concept, including all necessary balance of
23 plant adjustments and modifications, is four to five
24 times that proposed by CSXT. S&L's as well as CSXT's
25 capital cost estimates are summarized in the table below:

S&L Capital

CSXT Capital

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8 Q. How could it be that your costs estimates and CSXT's
- 9 costs estimates are so far apart?
- 10
- 11 A. I do not know how CSXT developed its cost estimates.
- 12 However, S&L followed the same steps and approach,
- 13 described above, that it uses for all of its utility
- 14 screening projects and based on that approach arrived
- 15 at the estimates it believes to be appropriate for the
- 16 level of work performed.
- 17
- 18 Q. Dr. Sansom states that the S&L study was "designed to
- 19 enable TECO to avoid considering CSXT's rail
- 20 transportation bids rather than to provide an objective
- 21 analysis of the feasibility of CSXT's proposals." Is
- 22 this true?
- 23
- 24 A. Absolutely not. Tampa Electric hired S&L to perform an
- 25 independent and objective assessment of the concept

1 proposed by CSXT. That is what we did.

2 Q. Did this engagement require a site visit to Big Bend and
3 Polk Power stations?

4
5 A. After reviewing the concept and plan and after having
6 discussions with Tampa Electric personnel, we felt that a
7 site visit would not be required. We have extensive
8 experience in the design of material handling systems
9 specifically as they fit into a power plant system. We
10 have extensive experience in retrofit of major systems
11 into existing and operating facilities. We understood the
12 concept presented to the level necessary to perform our
13 work task. A visit to the site was neither required nor
14 the best use of the time available to perform the work.

15
16 Q. Do you agree with Mr. Stamberg, the consultant hired by
17 CSXT, that the infrastructure improvements and estimated
18 costs of these modifications were reasonable?

19
20 A No, I do not. The cost breakdown provided with the CSXT
21 proposal did not provide enough detail of the
22 infrastructure assumptions. It did not appear from the
23 costs provided that adequate infrastructure was included
24 in the CSXT estimate.

25

1 Further, the descriptions and calculations provided by
2 Mr. Stamberg in his testimony confirm that inadequate
3 utility grade new equipment and infrastructure costs were
4 used. Although not all of the cost differences are due
5 to infrastructure, some examples of errors and omissions
6 in CSXT's estimate include:

- 7 1. Lack of HVAC to ventilate the unloading pit and
8 transfer houses.
- 9 2. No extension to the fire protection loop for the new
10 system.
- 11 3. Lack of temporary coffer dam and dewatering for pit
12 construction
- 13 4. Non-use of enclosed conveyors when transporting coal
14 over an open water canal.
- 15 5. No inclusion of electrical hardware and commodities
16 required for interface with the existing facility.
- 17 6. Inadequate steel and foundation allowance for design
18 to meet the requirements of Florida's building code.

19
20 **Q.** Did S&L use engineering drawings and design
21 specifications in performing their analysis?
22

23 **A.** Yes. S&L was provided with adequate plant reference
24 drawings and data to perform the work. Additionally,
25 S&L's efforts were supported by an on-site team of

1 engineers at Tampa Electric. Many telephone conferences
2 and individual telephone calls were held to exchange
3 information. Documents were interchanged electronically
4 as evidenced by the correspondence included in the
5 appendix to S&L's report.
6

7 Q. Did this engagement require you to discuss with CSXT the
8 cost estimates in their bid?
9

10 A. No. S&L did not require discussions with CSXT because we
11 understood the concept they proposed. Discussions with
12 them regarding their cost estimates would not have been
13 appropriate since we were hired to provide an independent
14 assessment of costs based upon S&L's knowledge and
15 experience.
16

17 Sansom's and Stamberg's Testimony

18 Q. Please identify any deficiencies you observed in Mr.
19 Stamberg's estimates.
20

21 A. Examples of deficiencies to CSXT's and Mr. Stamberg's
22 estimate include, but are not limited to, the following
23 errors and omissions:

- 24 1. The conveyor prices included are not consistent
25 with utility grade system component costs.

- 1 2. The rapid discharge pit size, method used to
2 determine the cost estimate for the coffer dam
3 needed, and pit erection costs are understated
4 based on design requirements.
- 5 3. Mr. Stamberg states that HVAC included in S&L's
6 report is unnecessary. The HVAC systems listed are
7 ventilation systems for the underground pit and
8 enclosed transfer house. Ventilation of these areas
9 is a National Fire Protection Association (NFPA)
10 guideline.
- 11 4. Upgrades to the plant electrical supply and
12 distribution systems are not addressed. It is
13 unlikely that the existing facility can accommodate
14 the addition of over 60 motors without the purchase
15 of new motor control centers, an additional
16 electrical building and a transformer.
- 17 5. Other required balances of plant upgrades are not
18 addressed. These include upgrades to the plant
19 control system to monitor operations of the new
20 equipment, extension of the fire protection loop,
21 storm water and coal runoff grading upgrades, and
22 relocation and interconnect with plant services.
- 23 6. Project indirect costs such as engineering,
24 procurement, construction management, insurance,
25 and permit fees are not identified.

1 Q. Were errors and omissions caused by Mr. Stamberg's
2 limited access to Big Bend?

3

4 A. No. Mr. Stamberg's errors and omissions are not the
5 result of his not visiting the Big Bend site. Any
6 experienced system design firm would understand and
7 account for these requirements based on the plan drawing
8 provided by Tampa Electric and the known physical
9 location of the plant.

10

11 Q. On page 11 of Mr. Stamberg's testimony he states that
12 only four adjustments are required to CSXT's 2 to 5.5
13 million ton proposal to correct the deficiencies. Do you
14 agree with that assessment?

15

16 A. No. While Mr. Stamberg's adjustments do increase the
17 amount of infrastructure improvements needed from the
18 original CSXT proposal, they do not address a complete
19 design and cost estimate. Additionally, the adjustments
20 that were proposed by Mr. Stamberg have significant flaws
21 and omissions including:

22

- 23 1. The long conveyor installed cost was increased from
24 the CSXT proposed \$3.1 million to \$4.2 million,
25 which represents an increase of over 30 percent.
However, the cost is still too low because the

1 equipment proposed is for light duty service and
2 inappropriate for use in utility service.

3 2. The rapid discharge pit size is too small and
4 shallow for the equipment. Resultantly, the coffer
5 dam size and depth is also lacking.

6 3. The added dust suppression equipment costs are too
7 low. The S&L estimate is based upon actual quotes
8 for similar service on other projects currently in
9 the design and procurement phase. The basis of Mr.
10 Stamberg's estimate is unknown.

11

12 Q. Is S&L familiar with the conveyor manufacturers Mr.
13 Stamberg references on pages 18 and 19 of his testimony?

14

15 A. FMC and Continental Conveyors are well known conveyor
16 suppliers, however, S&L is not familiar with Cubic
17 Storage Systems, Inc. as a system supplier for the
18 utility market. S&L does not consider a quotation from
19 this entity to be a credible data point.

20

21 Q. Mr. Stamberg provides budgetary quotes from two known
22 conveyor manufactures, plus Cubic Storage Systems, Inc.,
23 as the primary basis for his estimates on the long
24 conveyors. Do you consider his quotes to be accurate?

25

1 A. No. None of the budgetary prices developed by the
2 conveyor manufacturers are firm prices based on materials
3 and equipment suitable for the conditions at the site.
4 For the budgetary price obtained from FMC by Mr.
5 Stamberg, the following disclaimer appears in large
6 letters:

7
8 Pricing provided as Budgetary only. Exact
9 pricing will require further scope
10 development, specification review and site
11 analysis. Final pricing to occur prior to
12 order acceptance.

13
14 When asked for budget pricing without the benefit of full
15 specifications, vendors can only respond by quoting
16 unrealistically low prices without regard to actual site
17 conditions and the design standards demanded by the
18 application. The information provided by the vendors with
19 their quotes is very limited. Therefore it is impossible
20 to determine how many other site-specific design
21 requirements are not included in their prices.

22
23 Q. Do you have an example of how the quote provided by FMC
24 could change if more complete design specifications were
25 provided?

- 1 A. Yes. Upon review of the quote provided by FMC to Mr.
2 Stamberg, it appears that the equipment quote is for a
3 light duty conveyor that does not meet the standard of
4 care for a critical utility component. More information
5 on design specifications would reveal:
- 6 1. The conveyor speed of 750 revolutions per minute
7 (rpm) is higher than the industry recommended
8 practice of 600 rpm. The increased speed of the
9 conveyor contributes to higher dusting, coal
10 spillage and undue wear on the component. To obtain
11 the same throughput of the conveyor at a slower
12 speed, a 60 inch conveyor is required rather than
13 the 54 inch conveyor quoted.
 - 14 2. Single coat enamel painting is insufficient due to
15 corrosion. A minimum of two, but usually three,
16 coat painting system should be specified for utility
17 grade service. The Big Bend coal field is bordered
18 on three sides by the salt waters of Tampa Bay which
19 adds to the corrosive effects of the semi-tropical
20 weather that is typical of Central Florida.
 - 21 3. C series idlers are too light duty for this
22 application. D-series idlers are recommended.
 - 23 4. A design based on a dry environment is not
24 appropriate. The conveyors are not housed in a dry
25 environment. They are to be located outside, in

1 close proximity to Tampa Bay. All components of the
2 system must be designed for outdoor service.
3 Additionally, all electrical components must be
4 designed for either waterproof/dustproof or
5 explosion proof service.

- 6 5. The idler spacing of five feet increases the loading
7 on the idlers and the sag between the idlers which
8 contributes to dusting along the conveyer. Industry
9 experts that set conveyor guidelines, Conveyor
10 Equipment Manufacturer Association ("CEMA"),
11 recommend a maximum of four feet idler spacing.

12
13 Besides the incorrect design assumptions, FMC's quote
14 excludes key components including the foundation design
15 and supply, the head discharge boxes, and electrical
16 requirements.

17
18 After all of these errors and omissions are addressed,
19 the quote received from FMC is more reflective of the
20 quote provided by S&L. To further validate the adequacy
21 of the database used in the cost estimate S&L provided,
22 we benchmarked the bid coal conveyor costs provided to us
23 by FMC for a new coal plant service. The bid received
24 from FMC, that was prepared to an S&L specification for
25 standard utility service, was higher than our database

1 estimate but within the error band. Specifically, the
2 FMC quote was 10% higher than the S&L model predicted.

3

4 **Q.** Do you agree with the timeline Dr. Sansom created and
5 states that Tampa Electric should have followed?

6

7 **A.** No. Dr. Sansom's timeline is incredibly unreasonable.
8 S&L has determined that just over 24 months is required
9 from the start of engineering studies and conceptual
10 design through startup of the retrofit design. Further,
11 S&L would recommend that six weeks of float be built into
12 the schedule to account for unforeseen events. That would
13 bring the timeline to a 26 month span. A shorter time
14 span for execution would significantly increase project
15 costs due to premiums paid for expedited delivery and
16 labor overtime.

17

18 Also, it is unrealistic to expect any organization to
19 authorize the start of conceptual engineering immediately
20 upon receipt of a proposal as Dr. Sansom suggests. It is
21 our experience that utility clients would require a
22 minimum of two months to review the proposal and obtain
23 the necessary approvals to move forward with engineering
24 studies and conceptual design work that would cost
25 \$500,000 or more.

1 I have included as Document No. 2 of my exhibit a much
2 more realistic timeline. My timeline, excluding the six
3 weeks of contingency time, shows that the rail delivery
4 retrofit at Big Bend Station starting with project
5 authorization through startup and testing would take a
6 minimum of 24 months, not 17 months as Dr. Sansom
7 suggests.

8
9 S&L's Cost Estimate

10 Q. CSXT criticizes your study and asserts the study was
11 prepared hastily and therefore, inaccurately. Do you
12 agree?

13
14 A. Absolutely not. S&L was able to prepare an analysis and
15 order of magnitude cost estimate within a three week
16 period because of our extensive knowledge on the subject.
17 S&L has a single focus; we perform consulting and design
18 engineering services exclusively to the power industry,
19 and as a result, routinely prepare estimates for these
20 systems. As an example, S&L has recently performed over
21 100 new coal power plant studies, which include estimated
22 costs for similar equipment and which form the capital
23 cost basis for new plant decisions. We are currently in
24 the detailed design and construction phase of 15 utility
25 material handling systems. The project management,

1 material handling and cost estimating specialists used in
2 the performance of the study prepared for Tampa Electric
3 perform this type of analysis exclusively on power plant
4 systems and have over 100 years of collective experience
5 in fossil power plant design. We would not have accepted
6 the assignment had we felt the time constraints were
7 unreasonable.

8
9 Q. Dr. Sansom, in his summary on page 7 of his testimony,
10 alleges S&L "failed to include many obvious steps that
11 such analysis should include, such as evaluating permit
12 conditions." Do you agree?

13
14 A. Not at all. This allegation reflects a lack of
15 understanding of the process. It is not typical or
16 customary to evaluate permitting in detail as part of a
17 technology screening analysis. Permitting issues are
18 performed in the second stage of capital project
19 planning, which is the conceptual or preliminary design
20 phase.

21
22 Q. CSXT criticized S&L for not obtaining vendor quotes. Was
23 that a flaw in your analysis?

24
25 A. No it was not. Because S&L's sphere of work is electric

1 power plants and distribution, we have extensive, current
2 cost databases with power plant components. It is not
3 our practice to solicit budget estimates from suppliers
4 at this phase of work. If, based on the screening phase,
5 the project were to be considered further, we would
6 typically obtain cost estimates from major suppliers,
7 design criteria would be established, and a cost estimate
8 with an accuracy of plus or minus ten percent would be
9 prepared. Vendor quotes were not necessary for purposes
10 of this engagement since our database is comprehensive
11 and appropriate for this analysis.
12

13 Q. CSXT alleges the S&L study is not reliable because you
14 did not consider the possible use of available facilities
15 from Tampa Electric's Gannon site, freed up by the
16 closure of the coal-fired plant. What is your response?
17

18 A. S&L did not evaluate the reuse of existing assets at
19 Tampa Electric's Gannon site and rightfully so; the
20 screening process focused on the Big Bend and Polk
21 stations only. It is customary to perform optimization
22 studies of the type suggested by CSXT in the conceptual
23 design phase, not in the screening phase of project
24 development. It is not usual and customary in a screening
25 evaluation to assume that 20+ year old assets not

1 currently at the facility may be reused. It has been my
2 experience that the reuse of existing assets is typically
3 more costly than using new equipment. In this particular
4 case it would be more pronounced since older assets would
5 have to be disassembled, relocated, and brought up to
6 code.

7
8 However, S&L did consider the reuse of existing
9 facilities at Big Bend Station during the screening
10 phase. Upon review of the limestone pit drawings, we
11 determined that it was unlikely that the pit was long
12 enough to accommodate quick discharge coal unloading
13 space requirements. Further, it would be imprudent to
14 assume that this 25 year-old structure could be modified
15 to the extent necessary without evaluation of the
16 structural integrity of the facility both in its current
17 and modified configuration.

18
19 **Q.** Apparently Dr. Sansom found great humor in the fact that
20 22 of the 38 cost items identified in the S&L report were
21 multiples of \$70,000. Because of this, he suggests your
22 report is "worthless." How do you respond?

23
24 **A.** It is usual and customary for a cost estimate used in the
25 screening process to have line items rounded to the

1 nearest \$10,000. For a \$10 million project, rounding to
2 a \$10,000 level represents one-tenth or .1 percent of the
3 total project cost. To observe this rounding and leap to
4 the conclusion that the study is "worthless" is absurd.

5
6 Q. The foundation costs in the S&L report are much higher
7 than what is reflected in CSXT's and Mr. Stamberg's
8 proposal. What could account for the variance?

9
10 A. S&L's foundation costs are not a function of concrete
11 quantities alone. Foundation costs include excavation,
12 forming of the foundation, rebar detailing, fabrication
13 and delivery, concrete and labor. The S&L estimate
14 provides foundation costs for three transfer houses, the
15 conveyor pedestals, the rapid discharge pit, and conveyor
16 tunnel.

17
18 Q. Doesn't Mr. Stamberg account for these additional
19 foundation costs?

20
21 A. Again, it appears that the estimates used by Mr. Stamberg
22 either omit or grossly understate foundation costs. For
23 example, even if one were to use the rapid discharge pit
24 he recommends, he estimates excavation costs to be
25 \$2,000. That amount would not even cover the costs of

1 bringing in the necessary machinery to perform the
2 excavation.

3

4 Q. What basis did S&L use to design and estimate the cost of
5 the rapid discharge pit?

6

7 A. The basis of estimating the rapid discharge pit costs was
8 consistent with S&L standards and industry practice.
9 Detailed design drawings from an existing S&L project
10 with a similar conveyor width were used to establish
11 quantities. Labor rates used were from the S&L database
12 which is updated yearly by region using the similar
13 industry guidelines as described by Dr. Sansom and Mr.
14 Stamberg in documents I reviewed. Additionally, S&L
15 rates were further benchmarked and validated with actual
16 cost data collected during the execution of the Gannon
17 re-powering project. The cost of the foundations for the
18 transfer houses and conveyor pedestals was benchmarked
19 from data on existing designs of similar size and weight
20 constraints.

21

22 Upon review of the hand calculations (undated and
23 unsigned) provided by Mr. Stamberg, it appears that the
24 pit width and depth used is substantially smaller than a
25 final design would require. Also, there is no indication

1 that the associated underground conveyor tunnel is
2 included in the concrete estimate.

3

4 Specifically I have identified the following errors made
5 by Mr. Stamberg:

- 6 1. Mr. Stamberg's outside dimension for the pit is 12
7 feet compared to S&L's outside dimension of 29 feet.
8 S&L's design estimates four foot wall thickness to
9 overcome hydraulics. This allows 21 feet internal
10 wall to wall space to provide room for the conveyor
11 and maintenance access to both sides.
- 12 2. The pit depth was estimated at 25 feet compared to
13 S&L's pit depth of 40 feet.

14

15 Finally, the S&L pit size estimate is based upon the
16 actual as-built design of an existing structure of
17 similar service and same size conveyor. It includes all
18 required access to and from the pit for normal
19 maintenance and emergency evacuation. Mr. Stamberg's
20 design is 54 percent of the size the pit required for the
21 equipment and maintenance access. It also excludes
22 quantities required for the subsequent conveyor tunnel.

23

24 Q. Does this complete your testimony?

25

1 A. Yes, it does.
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 BY MR. BEASLEY:

2 Q Ms. Guletsky, did you also prepare and submit the
3 exhibit appended to your testimony identified as Exhibit PMG-1
4 and identified for this hearing as Exhibit 61?

5 A I'm not sure I know what Exhibit 61 is. I'm sorry.

6 Q The one attached to your testimony?

7 A I'm sure I did. Is it the schedule?

8 Q Yes.

9 A Yes.

10 Q All right. Thank you. Ms. Guletsky, would you
11 please summarize your rebuttal testimony?

12 A Yes, I will.

13 CHAIRMAN BAEZ: Ms. Guletsky, can you take care to
14 speak into the mike, because we can't hear you over here.

15 THE WITNESS: I'm sorry. Do I have it on?

16 MR. BEASLEY: It should be green. The green button
17 should be lit.

18 THE WITNESS: Is that better?

19 CHAIRMAN BAEZ: It's working now.

20 THE WITNESS: I was going to say good afternoon, but
21 good evening, Commissioners. My name is Paula Guletsky. I'm
22 from Sargent and Lundy. I am testifying on behalf of Tampa
23 Electric Company.

24 Sargent and Lundy was hired by Tampa Electric to
25 assess the feasibility of a rail coal delivery concept proposed

1 by CSXT for the Big Bend and Polk Power Stations, and to
2 develop an independent cost estimate for implementation of that
3 concept.

4 The report prepared by Sargent and Lundy was prepared
5 in accordance with Sargent and Lundy's strict engineering
6 standards and guidelines. The company's staff of professionals
7 who worked on this task are power industry experts with over
8 120 years of collective experience in the planning and design
9 of fossil power projects.

I was selected to manage this project because of my
experience and understanding of the issues unique to fossil
retrofit projects. I drew among my experience, the experience
of the S&L staff selected to perform this task, the vast amount
14 of experience maintained within S&L to complete this effort.
15 The work product was completed under Sargent and Lundy's
16 three-stage quality assurance process to ensure proper
17 engineering methods were followed, as well as a strict standard
18 of care that makes Sargent and Lundy an industry leader in this
19 type of work.

20 My staff and I prepared the report. I reviewed the
concept and the cost estimates contained within the report. It
was then reviewed and approved and stamped by a professional
engineer licensed in the State of Florida.

Sargent and Lundy's evaluation of the CSXT proposal
25 concluded that while the concept of retrofitting the Big Bend

1 and Polk Power Stations to receive coal by rail contained no
2 fatal flaws, the cost estimates for implementation of the
3 concept were grossly understated.

4 Similarly, Mr. Stamberg's review and adjustments to
5 the CSXT proposal are low and reflect an apparent lack of
6 experience in estimating the design requirements for an
7 electric utility's coal-fired power plant retrofit project of
8 this type.

9 Both the CSXT estimate and Mr. Stamberg's adjustments
10 fail to consider the need for basic infrastructure
11 requirements, such as ventilation of enclosed areas, expansion
12 of the fire protection loop, electrical hardware required to
13 bring power to the individual pieces of equipment, control
14 hardware and programming to integrate the system into the plant
15 distributed control, relocation and modification of existing
16 plant systems, project indirect costs.

17 In addition to these omissions, Mr. Stamberg's
18 adjustments failed to consider the need for utility grade
19 equipment. For example, the conveyors were quoted for a dry
20 environment. The conveyors are undersized in width, idler
21 spacing, and idler size.

22 Finally, the actual design of some of the
23 modifications are completely inadequate, such as the rapid
24 discharge pit, which is half the size of what would be required
25 for these specifications, and by volume, larger differentials

1 than that.

2 The bottom line, in the CSXT cost estimate for
3 implementing the two to five and a half million ton build in
4 rail coal delivery systems for Tampa Electric's Big Bend and
5 Polk Power Stations, as adjusted by Mr. Stamberg, is only
6 approximately 21 percent of the amount that would be required
7 to implement this concept based on the engineering standards
8 and guidelines Sargent and Lundy has consistently adhered to in
9 countless similar electric utility retrofit projects. Mr.
10 Stamberg's inexperience and failure to adequately consider
11 essential components of the necessary design resulted in his
12 unreasonably low capital cost estimates and flawed conclusions.

13 Mr. Stamberg criticized numerous aspects of our
14 design study. Commissioners, I can assure you that assisting
15 our clients with the planning, design and implementation of
16 capital projects for power generation and distribution
17 facilities is our sole charter. It is what we do all day,
18 every day. It is what we have done continuously for 113 years

19 Sargent and Lundy has designed over 600 fossil fuel
20 power stations, 1,400 units, as discussed earlier. Each of
21 these includes fuel receiving and distribution systems.
22 Additionally, we have performed countless retrofit projects,
23 including fuel switching for new coal delivery systems.

24 Despite the outlandish allegations by the CSXT
25 witnesses, Sargent and Lundy would never consider shortcutting

1 our process or making reckless proposals that would damage our
2 reputation as an industry leader for professional services in
3 the power market.

4 After careful review of Mr. Sansom's assertions and
5 Mr. Stamberg's revised proposal, Sargent and Lundy has found no
6 basis or justification by which to alter its report or cost
7 conclusions. Sargent and Lundy reaffirms the scope
8 requirements and the cost estimates provided within the report.

9 Thank you.

10 MR. BEASLEY: I tender Ms. Guletsky for cross
11 examination.

12 CHAIRMAN BAEZ: Mr. Vandiver?

13 MR. VANDIVER: No questions.

14 CHAIRMAN BAEZ: Ms. Kaufman?

15 MS. KAUFMAN: No questions.

16 CHAIRMAN BAEZ: Mr. Wright?

17 MR. WRIGHT: Thank you, Mr. Chairman.

18 CROSS EXAMINATION

19 BY MR. WRIGHT:

20 Q Good evening to you, Ms. Guletsky.

21 A Hi. I hope this is going to be shorter than last
22 time.

23 Q I will go so far as to say I fully expect it to be,
24 but part of it is up to you.

25 You visited the Big Bend site sometime after you

1 filed your testimony, did you not?

2 A Yes, I did.

3 Q Having visited the Big Bend plant, do you believe
4 that the conveyor systems are dirty, clean, or moderate?

5 A Moderate.

6 Q Do you believe that they are poorly maintained, well
7 maintained, or somewhere in the middle?

8 A I would say adequately maintained.

9 Q Would you agree that they are definitely not poorly
10 maintained?

11 A Not the conveyors at the Big Bend Station. They are
12 not poorly maintained.

13 Q Thank you. Are you familiar with CEMA?

14 A Yes, I am.

15 Q Are you familiar with the CEMA criteria for idler
16 selection?

17 A Not specifically.

18 Q Do you know what the calculation is to determine
19 idler type and spacing?

20 A I know what the calculation is for determining the
21 belt width. The idler size and spacing, I rely upon the
22 expertise of Mr. Sam Madan, our materials expert at Sargent and
23 Lundy.

24 Q If belt width is a given, can't you calculate what
25 the appropriate idler spacing and idler size or rating is?

You can, but that is not how you go about the design

2 You start with the calculation of the belt width. And Sargent
3 and Lundy typically would use a four-foot on center spacing for
4 idlers for coal conveying. As does Stone and Webster,
5 apparently, because that is the spacing at the Big Bend
6 Station, and they designed that plant.

7 Q Did you perform any calculation of the appropriate
8 idler selection and spacing for your conveyor?

9 A I personally did not, no.

10 Q Do you know the CEMA methodology for doing these
11 calculations?

12 A I told you no. I am familiar with the belt sizing
13 calculation. I would rely upon my materials expert to do the
14 rest of the sizing. But we would start with sizing the belt
15 width and then go from there. And we have certain internal
16 standards on what idler sizing and spacing, in addition to what
17 CEMA might prescribe.

18 Q Do you not agree that the CEMA standards are the
19 industry accepted standards for conveyor specifications?

20 A They are the industry accepted guidelines. We take
21 those guidelines and use them within the context of the
22 equipment that we are supplying. For example, on the belt
23 sizing, which I am familiar with, we said that you used 50
24 pounds per cubic foot density, which is appropriate for the
25 coal that we are using. You said you use 35-degree angler

1 spacing, which is appropriate for the coal that we are using.
2 However, we would, for a new system, restrict the speed to 600
3 RPM for a coal system. CEMA doesn't speak directly to coal on
4 that. That is a guideline that we would use in sizing the
5 belt.

6 When I did my deposition, you asked me if I knew what
7 was out at the Big Bend Station, and at that time I told you,
8 no, I didn't because it wasn't relevant for designing the new
9 system, that we had taken the tonnage and calculated what we
10 needed and went from there. Since then, I figured, well, maybe
11 I should take a look at what you had. And the conveyors for
12 unloading coal at Big Bend are rated at 4,000 tons an hour.
13 They are 72-inch belts. If you do the calculations of CEMA
14 with 50 pounds per cubic foot density and the 35-degree angler
15 spacing, like you suggested, you would come up with a 72-inch
16 belt width, which is appropriate for 4,000 tons an hour. The
17 54-inch belts at Big Bend are rated according to their drawings
18 at 2,000 tons an hour, and that would also come out to be about
19 a 600 speed system as well. So based on my back-check of what
20 was out there after you asked me that, it appears that Stone
21 and Webster's guidelines are the same as Sargent and Lundy's.

22 Q But isn't it true -- have you reviewed the Tampa
23 Electric Company Big Bend coal yard operations manual?

24 A I have not reviewed the operations manual, and I
25 don't know the context from which that page came from. I know

1 that there are two 54-inch conveyors that lead up to the
2 tripper room, and that they are designed for a rated capacity
3 of 2,000 tons an hour apiece. This it is possible that in an
4 operations manual that you may have had a situation where they
5 wanted to know if you could physically get the 4,000 tons up
6 there if one of the conveyors was out. Otherwise, you would
7 have to derate the unit.

8 So it is possible information like that is contained
9 in there, but based on the information that I saw, that is not
10 the design point. And I don't believe CEMA would suggest that
11 you run it over 900 feet per minute, either.

12 MR. WRIGHT: I am going to ask my law partner to pass
13 out a confidential exhibit. It is a late-filed deposition
14 exhibit from Ms. Guletsky's deposition.

15 Mr. Chairman, I believe this will be 108, and we can
16 just call it Guletsky LFDE Number 1, Conveyor Cost Estimates.

17 CHAIRMAN BAEZ: Show it marked as Exhibit 108,
18 confidential.

19 MR. WRIGHT: Thank you.

20 (Exhibit 108 marked for identification.)

21 BY MR. WRIGHT:

22 Q Ms. Guletsky, I assume you have seen this document
23 before?

24 A Yes, I prepared it after my deposition, because I had
25 told you in my deposition that I had -- after I had read

1 Mr. Stamberg's testimony that I had done an informal
2 benchmarking on our database. And you asked me to provide it.
3 I didn't have anything at the time, so I created this as a
4 late-filed per your request.

5 Q Thank you. And so it is your testimony that what is
6 stamped as Bate's Page 2 was prepared after your deposition, is
7 that correct?

8 A Yes, sir.

9 Q Now, the next page has a date on it that is sometime
10 before your deposition, is that accurate?

11 A That is correct.

12 Q And this appears to be a proposal for a coal handling
13 conveyance system, is that correct?

14 A That is correct.

15 Q I am looking at Bate's Page 3, and I note that the
16 capacity and the speed appear to have been redacted, is that
17 accurate?

18 A That is correct, because it wasn't relevant to the
19 benchmarking of the cost. And as I told you when I agreed to
20 do this, that confidentiality for our clients is very important
21 at S&L, and that I was reluctant to share data from other
22 clients, you know, in this. And that the only way I could
23 agree to do it and stay within the confines of our
24 confidentiality agreements with our clients was to only address
25 the information that was pertinent to what you were asking.

1 And what you were asking me was that you wanted to know how our
2 quotes that we got in benchmarked and costs against our model,
3 because you were uncomfortable with the fact that I had not
4 gone out with a specification for quotes, but used an internal
5 S&L model to establish the cost for the cost estimate.

6 Q Okay. Well, I recall our conversation as being
7 somewhat different, and that is -- in which we agreed that we
8 would have no problem with you protecting the confidentiality
9 of your client. Frankly, I have some difficulty understanding
10 why the capacity and speed of a conveyor estimate would be
11 confidential, or would be so confidential that you couldn't
12 submit it to the Florida Public Service Commission under
13 confidential protection.

14 MR. BEASLEY: Is that a question, Mr. Chairman?

15 CHAIRMAN BAEZ: Is that a question, Mr. Wright?

16 BY MR. WRIGHT:

17 Q Well, why did you redact the capacity and the speed?

18 A I didn't think it was pertinent to the cost
19 information, and I felt like leaving it in could lead it to
20 what conveyors they really were and what client it was.

21 Q Do I understand -- can I use like the lengths of the
22 conveyors? Can I say those numbers out loud?

23 A Uh-huh.

24 Q So am I correct that the benchmarking analysis you
25 did was based on two different conveyors, one of which was 267

1 feet in length and one was 204 feet in length?

2 A That is correct.

3 Q Thank you. If you look in the second line of Note 1
4 on your Bate's Page 2, there is a parenthetical statement. Is
5 that statement confidential, the one that begins "i.e."?

6 A On Note 1.

7 Q The second line of Note 1 there is a parenthetical
8 there that includes a statement that begins "i.e."

9 A Well, I was explaining how our cost model was
10 developed. We went to conveyor manufacturers and component
11 manufacturers to obtain pricing, and it included -- I wanted to
12 explain that it is not, you know, three data points; that it is
13 a lot of data points. And that for each conveyor width, we had
14 three different distinct size ranges because there are
15 different costs per linear foot with the different ranges. And
16 that we had, I believe, eight different categories across the
17 top. So I was just trying to explain our model.

18 Q I understand the explanation. The question that I
19 asked you was is the statement that is contained in the
20 parenthesis there confidential or can you read it out loud?

21 A The longer the conveyor, the lower the price per
22 linear foot.

23 Q Thank you.

24 A For that category.

25 Q For the second conveyor there, is the identity of

1 that vendor, that conveyor vendor confidential?

2 A No.

3 Q Okay. FMC, right? We have been talking about FMC
4 for a lot of the afternoon?

5 A Uh-huh.

6 Q If you look at Bate's Page 4, in Section 2.13a?

7 A 2.13a. Uh-huh.

8 Q Does that show the diameter of the drive pulley for
9 this conveyor?

A Yes.

Q Okay.

A As proposed.

Q I am going to come back to this line of questioning.

14 MR. WRIGHT: I apologize for the delay, Mr. Chairman.
15 I know it is late.

16 Mr. Chairman, Mr. Lavia is handing out a package of
17 some representative -- what I aver to you are representative
18 photographs of conveyors. We will ask the witness about them,
19 and I would ask that this be marked as, I believe, Exhibit 109.
20 We will just call it conveyor photographs.

21 (Exhibit 109 marked for identification.)

22 BY MR. WRIGHT:

23 Q Ms. Guletsky, I am guessing you recognize the first
24 two pictures here. I don't know whether you recognize the last
25 one or not. Do you recognize the first two?

1 A I think these are Big Bend Station.

2 Q That is my understanding, and I have been there and
3 they look like the ones I saw.

4 A I think they are.

5 Q Okay. I am really not going to ask you detailed
6 questions about the specific conveyors. I just want to ask you
7 about their types. It is my understanding that there are --
8 and there is a question coming after this -- that there are
9 three types of conveyors, open, hooded or enclosed, and housed.
10 Is that consistent with your understanding of the taxonomy of
11 conveyors?

12 A Open conveyors, hooded conveyors, and totally
13 enclosed, is that what you said?

14 Q Yes, ma'am.

15 A Yes.

16 Q Okay. Those shown in the first page of what has now
17 been marked as Exhibit 109, what kind are they?

18 A I believe they are hooded conveyors, but I can't -- I
19 believe they are.

20 Q Thanks. Those that are shown -- there appear to be
21 two different types shown in the second page. Could you tell
22 us about those in the taxonomic system we are discussing here?

23 A The conveyors with the blue are totally enclosed. I
24 am assuming they are totally enclosed. I don't know for a
25 fact. They look like they are totally enclosed. I would

1 expect them to be, because the first section goes over a
2 roadway and the second section goes over a waterway.

3 Q And the section in the middle is, what do you think?

4 A It appears to be hooded.

5 Q And in the last picture?

6 A That is a gypsum conveyor by the way.

7 Q Thank you. And in the last photograph, what do those
8 appear to be?

9 A What is this last photograph? Can you share with me
10 what plant this is?

11 Q My understanding is that these are coal conveyors at
12 Gulf Power.

13 CHAIRMAN BAEZ: Put it in the form of a question, Mr.
14 Wright.

15 MR. WRIGHT: Yes. Well, she asked me a question.

16 CHAIRMAN BAEZ: I let that one slide, but you should
17 know better.

18 THE WITNESS: I have never seen this before. It
19 looks like an enclosed conveyor, but it is possible it is a
20 hooded conveyor. I don't know. I have never been to that
21 plant. It looks like it is an enclosed conveyor, but I am
22 guessing.

23 BY MR. WRIGHT:

24 Q Well, thank you.

25 A Is that what you needed from me? I don't know what

1 you are asking me.

2 Q Do the conveyors in the third photograph or the
3 conveyor housing in the third photograph appear to be more
4 substantial than those in either of the first two photographs
5 to you?

6 A I don't even begin to want to answer that question.
7 I don't know what is inside these housings. There is no way
8 for me to make a judgment on that. I have never seen these
9 before.

10 Q Okay. Let's go back to Exhibit 108, and I apologize
11 for the confusion. There are two proposals in here, and I got
12 them crossed up. With regard to the Roberts and Schaefer
13 proposal?

14 A Yes, sir.

15 MR. BEASLEY: Page reference?

16 MR. WRIGHT: It begins on Page 10, Jim, and that is
17 Bate's Page 10. I'm going to be asking her a couple of quick
18 questions about information on Bate's Page 11 and Bate's Page
19 13. The drive pulley diameters shown there has a numeric
20 value. Is that numeric value confidential.

21 A I don't -- I mean I gave this information so that we
22 could discuss it.

23 Q Well, the thing is the document itself is regarded as
24 confidential.

25 A Yes.

1 Q And so we are all trying to be real careful not to be
2 abrogate confidentiality. You know, I'm not asking anything
3 about the specific job or anything else. I'm going to ask you
4 to do a calculation that may shed some light on belt widths,
5 and speeds, and things like that. So can you tell us what the
6 drive pulley diameter is?

7 A Twenty-four.

8 Q Is that inches?

9 A Inches.

10 Q Thank you. And the RPM output which is shown around
11 the middle of Bate's Page 13?

12 A I left that in there? Okay.

13 Q What is that?

14 A 1750.

15 Q Actually, I meant to ask you, if I didn't, I meant to
16 ask you about the RPM output?

17 A 121.6.

18 Q Okay. To calculate the speed in feet, wouldn't we
19 simply take the perimeter of the drive pulley and multiply that
20 by the RPM output?

21 A Sam would be doing that calculation. I don't know. I
22 told you I know how to calculate the width of the conveyor.
23 That is the extent of my knowledge. I would go to my expert,
24 Sam Madan, for the rest. And, again, please note that these
25 are as-bid documents. It doesn't mean that is what we

1 accepted, if that's where you are heading, if you think
2 something is amiss.

3 What I was trying to do is that you had a big claim
4 that our costs weren't right, and I was trying to take
5 information we had in-house to benchmark it against our cost
6 database. And that is all I was trying to do is to make sure
7 that our database fell within the right guidelines. So I'm not
8 sure why we are designing the conveyors here. I'm sorry, but I
9 can't answer your question, because I'm not the material
handling person. As I said in my rebuttal testimony, that
would be Sam Madan.

 MR. WRIGHT: And, Mr. Chairman, she has offered this
as her claim to benchmark for what she did, and I'm trying to
14 inquire of her. My proffer is this: I think that if one does
15 what I think is a fairly simply geometric calculation, which
16 even I think I can do, it is going to show a belt speed that is a
17 whole lot faster than what she says Sargent and Lundy is
18 willing to accept. If you multiply 24 inches times five.

19 CHAIRMAN BAEZ: You can --

20 BY MR. WRIGHT:

21 Q Can do you this geometric calculation?

22 A Sir, I just got done saying that I know how to do the
23 calculation for the belt width. I have done the calculation
24 for the belt width based on 600 RPM speed. I have done the
25 calculation for the belt width on the exiting systems of Big

1 Bend at 600 RPM, and guess what, 4,000 tons an hour at 50-pound
2 density at 35 angler at 600 RPM comes out to 72-inch belt
3 width. I don't know how to do these other calculations. I
4 think I said that.

5 Q You don't know how to do a belt speed calculation?

6 A No.

7 Q Okay.

8 A I would go to Sam Madan to do that. And that is not
9 how we back into it. We design it at 600 and determine the
10 belt width from that. And these are as-bid documents, and I
11 was presenting them for cost benchmarking, not to get into all
12 the intricacies of whether they bid. I don't even know that
13 what they bid, you know, what we changed to it before we buy
14 it. But I needed some -- I wanted some method of
15 back-checking.

16 And I offered that I did that as an after, because
17 you -- Mr. Stamberg was so -- I don't know how to say it. He
18 said that our numbers were so far off. I said, we have got
19 this database that we use for every client. It's got 216
20 points on it. We benchmark it with new information every time
21 we get new information in. It is the same database we use for
22 every single utility client. But, gee, maybe I should
23 benchmark it again.

24 And so that is what I did, and I didn't go in and see
25 if, you know, every little widget -- I don't claim to be the

1 person who would do that. But I did do the calculations on the
2 belt width, and I would be glad to share that with you if you
3 would like at 600 RPM.

4 Q No thank you.

5 A Okay.

6 Q You did not get any vendor quotes for the job at Big
7 Bend, did you?

8 A No, I did not, and that is consistent with our
9 guidelines.

10 Q Do you have a copy of Sargent and Lundy's report with
11 you?

12 A Yes, I do.

13 Q I have a few questions for you that I believe will
14 relate to what is marked as Bate's Page 455 on my version. It
15 is also Exhibit 2A2 in your numeration system, Page 1 of 4.

16 A Okay.

17 Q Okay. Just to make sure that we are literally on the
18 same page, if you could look, are there two columns of numbers
19 kind of down the middle there? And if you look at the two
20 numbers at the very bottom of those two columns, are the row
21 titles confidential?

22 A I'm sorry.

23 Q Are the row titles confidential? Where it says belt
24 conveyor, blah, blah, blah, is that confidential?

25 A No.

1 Q Okay. So the last row on that page is a belt
2 conveyor, is that accurate?

3 A Yes.

4 Q Okay. Can we say out loud the percentage that the
5 installation costs for that particular belt conveyor in the
6 bottom row is of the total cost?

7 A For that particular conveyor, which is at the shuttle
8 area, it is 40 percent.

9 Q Thank you. And for the belt conveyor three lines
10 above that, is that also 40 percent?

11 A That looks like more than 40 percent.

12 Q Well, try multiplying .4 times 1.7 million and see
13 what you get?

14 A Yes. You're right, that is 40 percent as well.

15 Q Okay. And if you look at the other numbers down in
16 there, those are also all 40 percent, are they not, the
17 installation cost as a percentage of the equipment cost?

18 A For those particular components, yes.

19 Q Okay. Well, let's look about in the middle, it says,
20 belt conveyor 60-inch wide, 3200 feet long, hooded conveyor.
21 What percentage does installation cost represent of the
22 equipment cost for that item?

23 A It is more than 40 percent, and there is a reason for
24 that.

25 Q First tell us what the percentage is?

1 A Well, let me calculate it. Hold on.

2 Q Thank you.

3 A Eighty percent.

4 Q Okay. Why is that one 80 percent and the other ones
5 are 40 percent?

6 A Well, we sat down with our construction management
7 team when we were putting the layout and the estimate together.
8 We were going into an existing power plant where they are going
9 to continue to operate while we are doing this work. And that
10 conveyor runs along the road that gets 200 trucks a day, and we
11 didn't think the efficiency for installing that work would be
12 the same as in this other area where the shuttle and loading
13 was, which was more clear. So we made a judgment call on that.

14 If it was a greenfield new plant without existing
15 operations, it would have been closer probably to 40 percent,
16 but we had to take into account working around the existing
17 operation.

18 Q Do you know whether EVA's design for the proposal
19 proffered by Mr Stamberg provides dust suppression at the
20 unloading pit?

21 A Let me think. Mr. Stamberg's estimate?

22 Q Yes.

23 A He said that it did.

24 Q Okay.

25 A I don't know that the original estimate did, but

1 Mr. Stamberg said that it did, his did.

2 Q In your deposition I believe you testified that
3 conveyors operating above 700 feet per minute can result in
4 coal spillage and dust problems. Do you recall that?

5 A I said they would be more likely to have coal
6 spillage and be more dusty. That is correct.

7 Q Can you name a specific coal handling system where
8 you have observed such spillage and dust problems where the
9 conveyor was being attempted to operate at above 700 feet per
10 minute?

11 A I don't know the answer to that. It is a guideline
12 used by our materials handling group and, apparently, again,
13 the original designers of the plant.

14 Q You have reviewed Mr. Stamberg's testimony and
15 exhibits, have you not?

16 A Yes, to some extent, the best I could.

17 Q I believe in your testimony, you state that it is
18 your opinion the FMC quote appears to be for a light-duty
19 conveyor. I'm going to hand you a page, and I will give you
20 everything if you want it. Do you have Mr. Stamberg's
21 testimony there?

22 A Yes, I do some place.

23 Q I saw you had a notebook with a lot of stuff.

24 A Well, I tried to be ready here.

25 Q Thank you. If you could look at his Exhibit JBS-4.

1 It is a nonconfidential exhibit.

2 A His original testimony?

3 Q He only had one testimony.

4 A Not his deposition?

5 Q Correct, his testimony. This is an exhibit to his
6 testimony. It is in the white pages. In the bottom right-hand
7 corner, there is a sticky label.

8 A What is the page number?

9 Q The exhibit is JBS-4, and it is Page 5 of 13 of that
10 exhibit?

11 A Okay. And what page?

12 Q Page 5 of 13 of Mr. Stamberg's exhibit, JBS-4?

13 A Okay.

14 Q Toward the bottom under operating conditions how does
15 FMC describe the service rating for that conveyor?

16 A Operating conditions: Continuous; 24/7; outside
17 typically dry, extreme service; power supply, customer to
18 provide.

19 Q Thank you. Now you didn't do the CEMA calculations
20 for either your conveyors or Mr. Stamberg's conveyors, did you?

21 A Mr. Sam Madan did them, but I did back-check them,
22 yes.

23 Q Okay.

24 A For the belt width.

25 Q Well, would Mr. Stamberg's -- using the CEMA

1 guidelines, wouldn't Mr. Stamberg's conveyor specifications
2 satisfy the CEMA criteria?

3 A Well, the CEMA criteria are part of the guideline.
4 He allowed the speeds to go up in excess of what Sargent and
5 Lundy's guidelines would say are appropriate for a new coal
6 conveyor. I believe the CEMA guidelines -- and I am not the
7 expert, Sam is -- but they don't speak specifically to coal.
8 They talk about all different types of things. But our
9 guideline is 600 feet per minute, as is Stone and Webster's,
10 and, apparently, Bechtel, because I looked at the Morgantown
11 ones in there also under 600 feet per minute as well. So we
12 have Bechtel, and Sargent and Lundy, and Stone and Webster all
13 believe that the speed should be 600 feet per minute or less
14 for a new conveyor system.

15 MR. WRIGHT: I'm going to approach the witness and
16 hand her a textbook.

17 THE WITNESS: This isn't a book we use.

18 BY MR. WRIGHT:

19 Q Would you please -- well, would you please identify
20 that book?

21 A Mechanical Conveyor Selection and Operation, Muhammed
22 Fayed.

23 Q Have you ever seen that book?

24 A No.

25 Q Please open to Page 106. Now, I will aver you that

1 appears to be a table regarding maximum belt speeds, courtesy
2 of CEMA. Does that appear to be what I say it is?

3 A Yes, it does appear to be what it says is it, but
4 this isn't the CEMA handbook.

5 Q Isn't it true that in the second block of information
6 there it does, in fact, deal with coal?

7 MR. BEASLEY: I want to object, Mr. Chairman. This
8 is roughly a 500-page textbook, or book that the witness
9 indicates she has not seen before. I think it is highly
10 unusual and unfair to ask her questions about one line in a
11 textbook.

12 MR. WRIGHT: Mr. Chairman.

13 CHAIRMAN BAEZ: Hang on; hang on. Help me understand
14 your question to the witness again.

15 MR. WRIGHT: Well, she said that the CEMA guide -- by
16 way of a proffer, she said that CEMA guidelines don't address
17 coal. I'm showing her a table in what is an engineering
18 materials handling conveyor textbook that shows, it certainly
19 indicates that the CEMA guidelines do address coal. And I
20 think it's completely appropriate to use a textbook to
21 interrogate a witness holding herself out to be an expert.

22 CHAIRMAN BAEZ: Hold on. Let's hold off on that word
23 interrogation. I don't think that is that popular right now.

24 Mr. Beasley.

25 MR. BEASLEY: Yes, sir.

1 CHAIRMAN BAEZ: Your objecting that the witness is
2 being asked to read out of a -- or at least take note of
3 something out of a textbook? Is this essentially what you are
4 objecting to.

5 MR. BEASLEY: That is correct, sir. We don't know
6 who wrote this textbook or what their qualifications were.
7 They are not here. They are not testifying.

8 THE WITNESS: It has coal and five other different
9 types of things here. Our standard is 600 feet per minute for
10 a new coal conveyer.

11 CHAIRMAN BAEZ: Ma'am, and with all due respect, if
12 the question -- if the question is merely to acknowledge what
13 is on the page of a textbook, I think you can pretty well do
14 that.

15 A It says coal, damp clay, soft ores, overburdened
16 earth, fine and crushed stone. It is a subset, which we drill
17 in more specifically.

18 BY MR. WRIGHT:

19 Q And understanding that Sargent and Lundy may not
20 agree with it, isn't it true that the recommended maximum belt
21 speed for a belt width of 42 to 60 inches shown in this table
22 is 800 feet per minute?

23 A Yes, it is, for coal, damp clay, soft ores,
24 overburdened earth, fine and crushed stone in this textbook,
25 yes.

1 Q Thank you. In preparing your rebuttal testimony, did
2 you ever contact anyone at FMC Technologies?

3 A No.

4 Q Did you ever contact anyone at Continental Conveyor?

5 A No.

6 Q Do you know the difference between FMC Energy Systems
7 and FMC Technologies?

8 A No, not personally.

9 Q Your conveyor in your late-filed deposition exhibit,
10 that was prepared by whom, which FMC company? I think it is
11 FMC Energy Systems, if you will just confirm that.

12 A I will need to read it, I don't know off the top of
13 my head.

14 It says FMC Energy Systems, yes.

15 Q Thank you. Do you know the specifications of the
16 hooded conveyors at Big Bend?

17 A Do I know the tonnage rating, is that what you are
18 asking me?

19 Q Actually, I was meaning to ask you about the
20 construction specifications. Do you know about the materials,
21 the metal materials that are used to make those hooded
22 conveyors?

23 COMMISSIONER JABER: Mr. Wright, can I ask you a
24 question?

25 MR. WRIGHT: Yes. Certainly.

1 COMMISSIONER JABER: Did you depose this witness?

2 MR. WRIGHT: Yes, ma'am.

3 THE WITNESS: For eight hours.

4 COMMISSIONER JABER: Excuse me, Ms. Witness, you only
5 get to talk when you have a question posed to you.

6 THE WITNESS: I'm sorry.

7 COMMISSIONER JABER: Did you depose her?

8 MR. WRIGHT: Yes, ma'am.

9 COMMISSIONER JABER: Did you ask her these questions?

10 MR. WRIGHT: I don't think that I did. I'm asking
11 her these questions based on her late-filed deposition exhibit?

12 COMMISSIONER JABER: Do we have her deposition as an
13 exhibit?

14 MR. WRIGHT: It has not been filed as an exhibit in
15 this case.

16 COMMISSIONER JABER: Okay. This just sounds like
17 discovery to me. Go ahead. I think I made my point. Go
18 ahead.

19 MR. WRIGHT: Yes, you have. Thank you.

20 BY MR. WRIGHT:

21 Q If I could, I would like to ask you to go back to
22 Bate's Page 455, which is Page 14 of your Exhibit 2A2 with the
23 cost information on it that we were discussing a little while
24 ago?

25 A 2A2, did you say, sir?

1 Q 2A2, yes. The same page we were on a few minutes
2 ago.

3 A Okay.

4 Q And my question for you, isn't it true that the cost
5 per foot for the 3200-foot conveyor and the cost per foot for
6 the 500-foot conveyor are exactly the same?

7 A Yes, they are.

8 Q Well, how does that square with your statement in
9 your own document that the longer the conveyor the lower the
10 price per linear foot?

11 A We have three cost breaks in our model.

12 Q And they are what?

13 A One hundred, 250, 500 and over.

14 Q In your benchmark, why did you use conveyors of 204
15 and 267 feet, respectively?

16 A I used what we had bids on most recently, and that is
17 what they happened to be.

18 Q And that was in March of this year, right?

19 A They are dated.

20 Q Is that the correct date?

21 A Yes, sir.

22 Q Thank you. Do you know what the soil type is at Big
23 Bend?

24 A No, I do not. That is not something that we would do
25 in a screening study as we discussed before.

1 Q Do you know of any power plant coal pits that are 25
2 feet or less deep?

3 A No.

4 Q Are you a certified cost consultant as certified by
5 the Association for the Advancements of Cost Engineering or
6 AACE?

7 A No, I'm not.

8 Q Are you a certified cost engineer under whatever
9 designation program the AACE maintains?

10 A No, I'm not.

11 Q Are you a member?

12 A No, I'm not.

13 Q Is Mr. Sam Madan, whom you mentioned, any of these
14 things?

15 A I don't know for certain, but I would assume no,
16 because he is a material handling expert within S&L. And we
17 are qualified within our company to standards to do specific
18 tasks.

19 Q The same question with respect to Mr. Yee?

20 A I would imagine no. He is a senior project manager
21 like myself.

22 Q Did you personally review the AACE estimating
23 committee standards in preparing your testimony in this case?

24 A No. We used the Sargent and Lundy method that I
25 explained in my deposition.

1 Q Do you know how, if at all, Sargent and Lundy's
2 standards compare to or differ from the AACE standards with
3 regard to conveyors?

4 A Not specifically, no.

5 Q The same question with regard to discharge pits and
6 other discharge facilities?

7 A Not specifically, no.

8 Q Did you rely on some amount of client-supplied
9 information in preparing your study?

10 A Yes. The client-supplied information that is
11 included as an exhibit to my report, and it is identified as
12 such both in the report and as we discussed in my deposition.

13 It is normal, customary for us to use input from a
14 client, particularly in areas where they would have a better
15 understanding than we would. However, that does not absolve us
16 of the obligation of reviewing the numbers and making sure that
17 they make sense before we use them in a document that has our
18 name on it.

19 Q Isn't it true that the only plot plans or drawings
20 that were furnish to you by Tampa Electric in connection with
21 this project were those relating to the limestone pit?

22 A The limestone pit and the drawings that were included
23 with the CSXT proposal.

24 Q In your deposition we discussed the fact that the
25 number, the cost values for the 3200-foot conveyor doubled from

1 the first estimate on your draft of September 4th to September
2 18th, and I asked you did you know why that was. Do you know
3 now?

4 A Yes, I think I do know now. The number, the total
5 project cost doubled. If you go back to the draft document,
6 you will see that it doubled as a result of the equipment cost
7 being entered incorrectly into the spreadsheet. I didn't have
8 the draft document when you asked me in my deposition, because
9 we don't keep that. But after you pointed it out, and it was
10 attached to Mr. Stamberg's, I went back and took a look when I
11 had more time. And the 3200-foot-long hooded conveyor had been
12 entered into the spreadsheet with the material cost of \$480,000
13 instead of \$4,800,000. There was an order of magnitude error
14 in the data entry. I don't think anyone here would suggest that
15 you could buy 3200 feet of conveyor for \$480,000. And that
16 change resulted in doubling the total cost.

17 The draft was an unchecked document. As I explained
18 in my deposition, we issued the draft to Tampa Electric so that
19 they could take a look at the level of detail that we were
20 providing and let us know if we had any major scope errors in
21 what we were doing. It was unchecked. It was marked as a
22 draft, and we made the corrections in our review process.

23 Q When you went to Big Bend, did you observe the
24 conveyors involved with the loading of the Polk fuel onto
25 trucks?

1 A I don't think they were loading any coal to Polk
2 while I was there.

3 Q The question I asked you is did you observe the
4 conveyors that are used for loading coal into trucks for
5 delivery to Polk?

6 A I don't know that I looked specifically at those. I
7 apologize. I was looking at the conveyors as -- for the Big
8 Bend station primarily.

9 Q Do you know whether those conveyors are hooded, or
10 totally enclosed, or open?

11 A Again, I don't recall. My main focus was to look at
12 the Big Bend conveyors.

13 Q Did you review any permitting documents in connection
14 with your project?

15 A No. We do permitting as part of a screening
16 analysis.

17 Q Did you talk to anybody at the Florida Department of
18 Environmental Protection or the Hillsborough County
19 Environmental Protection Commission about permitting?

20 A Absolutely not. We would never do that in a
21 screening analysis. We would need the permission of the
22 utility to make those contacts.

23 Q In your deposition I understood you to say that there
24 were estimates behind what went into the tables contained in
25 your report, is that accurate?

1 A I'm sorry, can you --

2 Q In your deposition we talked about rounding of the
3 numbers that actually appear in your table.

4 A Yes.

5 Q It was kind of in the context of the fact that many
6 of the numbers appear to be multiples of the exact same number.
7 Do you recall our conversation?

8 A Yes, I do.

9 Q Okay. I asked you whether there were estimates
10 behind those numbers, i.e., pre-rounding, and I believe you
11 said that there has been such estimates, is that true?

12 A That is correct.

13 Q Okay. I also asked you if any document existed to
14 show what those prior estimates might have been to furnish it.
15 You did not furnish it, did you?

16 A No. They do not exist. In our process, once we
17 finish our project and close it out, we archive the report as
18 it is and the documents as they are, and only retain the end
19 result for a six-year period. And the rest -- once the project
20 has been closed out, we don't keep that for a number of
21 reasons. On the estimates, one of which is we don't want
22 someone who wasn't involved in this estimate picking it up and
23 using it incorrectly for something else and getting the wrong
24 conclusion.

25 So our archive is what we call a dumbed-up copy. But

1 prior to issuing it, there is -- I mean -- okay. You don't
2 want to hear it, okay. It was reviewed several times before we
3 issued it, including the backup documents. And so then once it
4 is issued, it is considered a complete document. And when we
5 close the contract out, we keep the end result.

6 Q And destroy or discard the rest?

7 A That is our process.

8 Q The answer is yes?

9 A Yes.

10 Q Isn't it true that you did not compare your dust
11 suppression system assumptions to the existing dust suppression
12 equipment at Big Bend?

13 A That's correct. We used information from new dust
14 suppression systems we had in-house.

15 Q Regarding O&M costs, do you know what the crew size
16 for the unloading of the barge equipment at Big Bend is?

17 A Nope.

18 Q You never talked to the Hillsborough County Tax
19 Assessor's Office regarding the tax rate and the O&M costs
20 furnished by Tampa Electric, did you?

21 A Excuse me. Repeat the question.

22 Q Did you ever speak to anyone, you or anyone else with
23 Sargent and Lundy, ever speak to anyone with the Hillsborough
24 County Tax Assessor's Office in connection with the estimated
25 tax part of the O&M costs furnished to you by Tampa Electric,

1 did you?

2 A No, sir, I did not.

3 Q Thank you. Isn't it true that you didn't do any
4 optimization studies of the rail coal handling system?

5 A That is correct. We took a look at the concept
6 provided by CSXT. We looked at it for fatal flaws. We looked
7 at it for errors and omissions. We finalized a scope. We
8 costed the scope from there. It is not our practice to do
9 optimization studies for a screening. If a project gets past
10 the screening analysis, typically, the utility would request
11 that a certain level of optimization studies be done. That is
12 usually a six-month to a year process, and that is usually in
13 the stage two development of a capital project.

14 Q Will you agree that there are no fatal flaws in
15 Mr. Stamberg's basic design?

16 A I believe I said that already, yes.

17 Q Thank you.

18 Did you do any analysis of CSXT's proposal or
19 Mr. Stamberg proposal with respect to the steel and concrete
20 requirements relative to the Florida Building Code?

21 A No. We were asked to do an independent cost analysis
22 of what we thought it would take to implement the concept.

23 Q Without going into the details of the schedule that
24 you contemplate in your work, will you agree that the schedule
25 that you contemplated can be shortened, i.e., that it is

1 possible?

2 A You mean the schedule that I provided with my
3 rebuttal testimony?

4 Q Yes.

5 A I think the schedule that I provided is an aggressive
6 one. Can it be shortened? Yes. The cost of shortening the
7 schedule would make the cost of the estimate go up, because you
8 would have to then pay premiums to get equipment delivered
9 earlier, and premiums on labor for extra shifting or overtime
10 hours. So I didn't base the schedule on an accelerated plan
11 because that is not how I had costed the job.

12 MR. WRIGHT: Thank you, Mr. Chairman.

13 Thank you, Ms. Guletsky. I don't have any more
14 questions.

15 CHAIRMAN BAEZ: Thank you. Mr. Twomey has stepped
16 out. So I'm assuming -- I'm assuming by his absence he has no
17 questions. No, I don't think that's a joke. You either be
18 here for the questions or not.

19 MR. KEATING: He has indicated to staff that he has
20 no questions for this witness.

21 CHAIRMAN BAEZ: All right. Thank you

22 Staff do you have questions?

23 CROSS EXAMINATION

24 BY MS. RODAN:

25 Q Ms. Guletsky, in your testimony, on Pages 6 through

1 8

2 A In my testimony or the deposition, ma'am?

3 Q Testimony.

4 A Okay. Let me find it.

5 Q On Pages 6 through 8.

6 A Yes, ma'am.

7 Q You discuss various estimate accuracy rates?

8 A Yes, ma'am.

9 Q What is the estimate accuracy rate for the cost
10 estimates shown in the table on Page 11 of your testimony?

11 A It's a screening type estimate, and we have assigned
12 an accuracy of plus 15, minus 30.

13 Q Is it possible that the ultimate costs required to
14 adequately retrofit Big Bend and Polk to allow for rail
15 delivery of coal, in addition to the existing barge and truck
16 delivery system, could fall outside the range of estimates just
17 mentioned?

18 A Is it possible? I suppose so. I wouldn't say it is
19 probable, based on the scope that we have defined.

20 Q Has Sargent and Lundy completed a post hoc cost
21 estimate accuracy analysis of any of the projects for which it
22 has provided screening phase cost estimation services?

23 A We don't have a formal procedure that does that, but
24 on the project closeout, we typically sit down with the clients
25 and review that. That is usually part of our report card is

1 how well we were able to predict for them what their budgets
2 were going to be and what the schedule was going to be to do
3 the work. Some clients we actually have ranging fees,
4 depending on how well they grade us.

5 On the projects that I have specifically worked on,
6 two of the ones, the more recent ones that come to mind, the
7 final installed cost on the Constellation project that I worked
8 on were within -- it was three peaker units, it was within two
9 percent of the estimate that we gave them. And the Kincaid
10 (phonetic) coal conversion project, we had estimated 12 and a
11 half million, and it ended up at 14, a little under 14. So my
12 personal record has been, you know, that we have done pretty
13 well. But we don't keep -- you know, there is not a procedure
14 in place to keep every little thing.

15 Q Thank you. Please refer to your testimony on Page
16 25, Lines 1 through 3?

17 A Lines 1 through 3? Okay.

18 Q Here you state that it has been your experience that
19 the reuse of existing assets is typically more costly than
20 using new equipment, is that correct?

21 A Yes, ma'am. It often comes up on retrofit projects
22 that while we are, you know, getting the scope lined out and
23 doing optimizations that the client has, you know, hardware,
24 either on the plant or at another the plant, or wants to buy
25 used equipment. And by the time we take into account

1 disassembly, bringing up to code, reassembly, transportation,
2 the costs add up, and the risk -- the cost benefit and the risk
3 of the operation of the component, it doesn't usually pan out.

4 Q If rail facilities were installed to match the
5 specifications of the facilities you believe are appropriate
6 for the retrofit of Big Bend and Polk, could such equipment and
7 facilities have a significant value in reuse or in salvage,
8 assuming Tampa Electric stopped using coal at Big Bend in 2007
9 through 2010?

10 A I don't believe so. If Tampa were able to reuse it
11 within their system, and it was designed to begin with to be,
12 what I will call be able to disassemble it in truck-long pieces
13 or railcar-long pieces without having to totally break it down,
14 I suppose we could design it that way. But if they didn't have
15 a use for it -- typically, power plants components, you know,
16 unless we are talking about a turbine which is, you know, a
17 hundred million dollars, it doesn't usually pan out that way.

18 MS. RODAN: That's all the questions I have. Thank
19 you.

20 THE WITNESS: Thank you.

21 CHAIRMAN BAEZ: Commissioners? No questions?

22 Go ahead, Mr. Beasley.

23 MR. BEASLEY: Just one redirect on Ms. Guletsky's
24 qualifications.

25 REDIRECT EXAMINATION

1 BY MR. BEASLEY:

2 Q Could you tell us, if you know, on how many electric
3 utility projects you have served in the capacity of project
4 manager for Sargent and Lundy.

5 MR. WRIGHT: Mr. Chairman, I don't recall her being
6 cross-examined on that subject.

7 CHAIRMAN BAEZ: You cross-examined on whether she was
8 a member of professional associations, and what her
9 qualifications were.

10 MR. WRIGHT: The AACE.

11 CHAIRMAN BAEZ: So I'm going to allow it.

12 MR. WRIGHT: Okay.

13 A Several dozens, maybe three dozen. I'm managing five
14 projects right now.

15 Q How many of those were utility retrofit projects?

16 A All but two.

17 Q I'm sorry?

18 A All but two.

19 MR. BEASLEY: Thank you. That is all the redirect I
20 have.

21 CHAIRMAN BAEZ: Thank you. Exhibits?

22 MR. WRIGHT: 108 and 109 over here.

23 CHAIRMAN BAEZ: Without objection, show 108 and 109
24 admitted.

25 MR. BEASLEY: I would like to object to the third

1 page of 109 -- excuse me. Yes, 109. The grainy photograph,
2 the only testimony about which was offered by Mr. Wright, and
3 it appears to be a -- perhaps an alien object. I'm not sure
4 what it is. It could be a photograph of Mr. Willis' backyard
5 railroad, garden railroad. But I would object to it as being
6 not something the witness was conversing about and did not --

7 MR. WRIGHT: Mr. Chairman, we can rip it off. That
8 will be fine.

9 CHAIRMAN BAEZ: I'm pretty sure it didn't matter one
way or the other.

MR. WRIGHT: You are correct.

CHAIRMAN BAEZ: I don't think anybody could make
sense of it.

14 MR. BEASLEY: And I would like to move Exhibit 61, if
15 I could, sir.

16 CHAIRMAN BAEZ: Show Exhibit 61 as admitted into the
17 record. And just for the record 109 is not objectionable to
18 TECO.

19 MR. BEASLEY: That's right.

20 CHAIRMAN BAEZ: Very well. Show that one admitted as
21 well.

22 (Exhibits 61, 108 and 109 admitted into evidence.)

23 CHAIRMAN BAEZ: Ms. Guletsky, thank you.

24 THE WITNESS: Thank you.

25 CHAIRMAN BAEZ: Okay. Everybody has gotten a break

1 except me. So now I need a five-minute break, and we will be
2 back for our last witness. Thank you.

3 (Brief recess.)

4 (Transcript follow in sequence in Volume 11.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)

:

CERTIFICATE OF REPORTER

COUNTY OF LEON)

I, JANE FAUROT, RPR, Chief, Office of Hearing Reporter Services, FPSC Division of Commission Clerk and Administrative Services, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 16th day of June, 2004.



JANE FAUROT, RPR
Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732