


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 020233-EI

In the Matter of

REVIEW OF GRIDFLORIDA
REGIONAL TRANSMISSION
ORGANIZATION (RTO)
PROPOSAL.



ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY

PROCEEDINGS: WORKSHOP

BEFORE: CHAIRMAN BRAULIO L. BAEZ
 COMMISSIONER J. TERRY DEASON
 COMMISSIONER LILA A. JABER
 COMMISSIONER RUDOLPH "RUDY" BRADLEY
 COMMISSIONER CHARLES M. DAVIDSON

DATE: June 30, 2004

TIME: Commenced at 9:30 a.m.
 Concluded at 1:30 p.m.

PLACE: Betty Easley Conference Center
 Hearing Room 148
 4075 Esplanade Way
 Tallahassee, Florida

REPORTED BY: LINDA BOLES, RPR
 Official FPSC Reporter
 (850) 413-6734

1 N ATTENDANCE:

2 MIKE NAEVE, representing the GridFlorida applicants

3 JUDAH ROSE and KOJO OFORI-ATTA, representing ICF

4 onsulting.

5 BOB CROES, representing Florida Power & Light.

6 ROBERT C. WILLIAMS, representing Florida Municipal

7 ower Agency.

8 TRUDY NOVAK, representing Seminole Electric

9 cooperative.

10 ROBERT L. DAVIS, representing R.W. Beck.

11 PAUL CLARK, representing the City of Tallahassee.

12 P. G. "BUD" PARA, representing the Jacksonville

13 Electric Authority.

14 STEVE REMILLARD, representing Calpine.

15 JOHN MCWHIRTER, ESQUIRE, representing the Florida

16 Industrial Power Users Group and Reliant Energy Power

17 Generation.

18 JENNIFER BRUBAKER, ESQUIRE, and ROBERTA BASS,

19 representing Commission Staff.

20

21

22

23

24

25

P R O C E E D I N G S

1
2 CHAIRMAN BAEZ: I want to call this workshop to
3 order. Good morning, everyone. Ms. Brubaker, do you want to
4 read the notice.

5 MS. BRUBAKER: Certainly. Pursuant to notice, this
6 time and place has been scheduled for the purpose of holding a
7 commission workshop in Docket 020233-EI, the GridFlorida RTO
8 docket, and the purpose of the workshop is set forth more fully
9 in the notice.

10 CHAIRMAN BAEZ: Thanks. Ms. Bass, you want to get us
11 started this morning.

12 MS. BASS: Certainly. Good morning, Commissioners.
13 The purpose of this workshop is to provide the Commission an
14 opportunity to hear information regarding the cost benefit
15 study of GridFlorida that's being conducted by ICF. In
16 addition, the Commission will also hear from the various
17 stakeholders their comments regarding the study.

18 If you will recall, at the time the Commission first
19 began its deliberations regarding the formation of a regional
20 transmission organization in Florida, the benefits that were
21 asserted by the parties participating in the docket were
22 predominantly qualitative in nature. There was reference to
23 potential quantitative benefits.

24 Since that time at least two cost benefit studies
25 have been conducted regarding the economic benefits of

1 establishing RTOs. ICF prepared an economic assessment for the
2 Federal Energy Regulatory Commission in February of 2002. This
3 assessment looked at the formation of RTOs on a nationwide
4 basis.

5 Charles River Associates prepared a cost benefit
6 analysis for the Southeastern Association of Regulatory Utility
7 Commissioners in November 2002. This particular study focused
8 on establishing RTOs in the southeast.

9 While Florida has been included in each of these
10 studies, the current study, which is the subject of today's
11 workshop, will be the first study to quantitatively assess the
12 costs and benefits of implementing GridFlorida. The results of
13 this study may potentially impact this Commission's future
14 considerations of the appropriate structure, design and
15 implementation of GridFlorida. I anticipate that today's
16 discussion of the description and assumptions regarding the ICF
17 cost benefit study will lay the groundwork for the Commission's
18 ultimate understanding of the results of the quantifiable costs
19 and benefits of GridFlorida.

20 I have -- there is an agenda and it's provided on
21 either side of the hearing room this morning, and my suggestion
22 would be that we just follow the order of the presenters.

23 There is one change. I was informed this morning
24 that FMG is going to relinquish their time to the City of
25 Tallahassee. So in place of FMG, the City of Tallahassee will

1 be making their presentation. I think that's all I have
2 preliminarily. If you want to, we can get started. And the
3 first presentation will be an introduction and it will be
4 provided by one of the GridFlorida applicants.

5 CHAIRMAN BAEZ: Thank you, Ms. Bass.

6 COMMISSIONER DAVIDSON: I just had a question before
7 we started after -- just of Ms. Bass, just a question about the
8 study itself. I note it was prepared by ICF Consulting for us.
9 Did we actually sort of manage the project, set the parameters
10 of the study, set the requirements and sort of direct it? Is
11 this a truly Commission-directed study?

12 MS. BASS: No. This is not a Commission-directed
13 study, although we have participated in it, staff has. The
14 study was -- is being prepared for the GridFlorida applicants
15 upon their request.

16 CHAIRMAN BAEZ: And, Commissioner Davidson, this is
17 actually a work in progress. So I think one of the purposes of
18 the workshop is for the Commissioners in particular to ask some
19 questions and share any thoughts leading up to the project. So
20 you'll get an opportunity to hear what they intend on doing and
21 ask whatever questions you might have.

22 MS. BASS: Commissioner Davidson, I expect that when
23 the results of the study are available, that the participants
24 will come back before the Commission and make a formal
25 presentation of the results of that study.

1 In discussions with various parties, it was, it was
2 determined that it would be a good idea to have this Commission
3 understand the very basic assumptions and the project
4 description and all that will be, all that it entails so that
5 when the results are presented, the Commission will have an
6 in-depth understanding of not only where we started, but where
7 we ended up.

8 CHAIRMAN BAEZ: Thank you, Ms. Bass. Mr. Naeve, are
9 you the ringmaster today?

10 MR. NAEVE: I guess I'm the leadoff person. I don't
11 know about the ringmaster.

12 CHAIRMAN BAEZ: Okay. Very well.

13 MR. NAEVE: My comments will be very brief. I would
14 first just emphasize a couple of points that Roberta mentioned,
15 and that is the applicants have retained ICF to do this
16 analysis, recognizing that not all of the cost nor all of the
17 benefits of an RTO or any similar type organization can be
18 quantified. Some of these costs and benefits don't lend
19 themselves to quantification. That doesn't mean they aren't
20 real. It just simply means they are not easily quantified.
21 This was something that we had to deal with from the very
22 beginning, the difficulty of quantifying some of these costs
23 and some of these benefits.

24 Others, however, do lend themselves to
25 quantification, and the cost benefit analysis will focus on

1 those that can be quantified. But we recognize that it will in
2 some ways present an incomplete picture because there will be
3 other benefits and other costs that will not be assigned a
4 dollar value. That doesn't necessarily mean that those aren't
5 important benefits and important costs.

6 We, in retaining ICF, wanted to retain a firm that
7 had the various data sets and skill sets necessary to do a
8 first-class study, and we concluded that ICF was clearly the
9 leading firm in this area. We chose them for the same reasons
10 that the Federal Energy Regulatory Commission chose them to do
11 their analysis, and we also chose them because they did do the
12 Federal Energy Regulatory Commission analysis. So because of
13 that analysis we felt that they had a head start on other firms
14 that might be looking into this. They had thought about how
15 you model these costs and benefits and they had many of the
16 tools already in place to do the analysis. We recognize that
17 when you do a nationwide study as compared to doing a regional
18 study, that it is -- somewhat of a different approach is taken
19 because when you're doing a regional study or a local study,
20 you dig down much more deeply into specific data as opposed to
21 using aggregate data. But, nonetheless, we felt that they
22 would be best suited for this study.

23 We also recognize that there are a lot of trade-offs
24 when you do these studies. You can do them in tremendous
25 detail and perhaps increase the, the, the potential accuracy of

1 the information, but it could take a lot of time and involve a
2 lot of expense. You can do them at a very high level and do
3 them much faster but, and at much less cost, but perhaps not
4 quite with as much refinement as you'd like. And we've tried
5 to reach a happy medium so that we get reliable information
6 that's sufficiently reliable that will help all of us in our
7 planning for the future, but we also have tried to be conscious
8 of cost and of time delays. And in many ways the time delays
9 are as important as the cost because if you attempt to study
10 too much and in too great a detail, you can drag this out for a
11 very long time, which is not our intention.

12 We also recognize that there's a lot of valuable
13 input to be received from all of the stakeholders in Florida.
14 Input -- certainly the most important input or at least an
15 important category of input is data. A lot of the information
16 needed by ICF to do their analysis has to come from the various
17 stakeholders in Florida, and ICF has been working with all of
18 the stakeholders to try to accumulate the data they need to do
19 their analysis. But also there is input with respect to the
20 parameters of the study, the assumptions that underlie the
21 study and that sort of stuff. We have formed a Cost Benefit
22 Working Group to permit an interface between ICF and the
23 various stakeholders. We've had one telephonic meeting and one
24 face-to-face meeting of that, and we'll continue to have more.
25 And today we have an opportunity to lay out the basic approach

1 o you, the Commission, so that we can have the opportunity for
2 ou to provide your input and, and comments as well. I think
3 hat's all we have to say. Did I miss anything? Okay. Well,
4 hat's, that's our introduction.

5 CHAIRMAN BAEZ: Ms. Bass.

6 MS. BASS: Okay. I think now we can go on to the
7 resentation by ICF on the project description and assumptions.

8 MR. ROSE: Good morning, Commissioners. My name is
9 udah Rose from ICF. That's J-U-D-A-H, Judah Rose. It's a
10 leasure to be here again. And I direct the firm's wholesale
11 ower practice. I'm a member of its board of directors. I'm
12 oined here by Kojo, K-O-J-O, Ofori-Atta, who heads up our
13 ransmission effort, and Chris McCarthy, who's heading up our
14 lata collection efforts in this particular project.

15 There are seven parts of our presentation this
16 mornning, and I'm briefly going to just discuss a little bit
17 about who ICF is, and then I'll turn it over to Kojo to cover
18 the objective and scope of this study, the procedural approach
19 and model overview, data inputs, costs and benefits, the
20 difference between the base and the change cases and the
21 project status and schedule.

22 I just thought it would be useful to know a little
23 bit about ICF. We're headquartered in the Washington, D.C.,
24 area, although we have offices in a number of locations; we're
25 1,000 people; we've been doing work in the power and energy

1 area for well over 30 years; and so we believe we have some of
2 the skill sets that will be hopefully helpful to the Commission
3 and to the stakeholders.

4 Some of the skill sets we bring includes knowledge of
5 transmission; includes coverage of a broad range of wholesale
6 power markets, both domestically, internationally; knowledge of
7 generation engineering; knowledge of fuel markets and knowledge
8 of environmental issues. So we do have those skill sets.

9 The type of work we do ranges from, similar to the
10 work we're doing here, regulatory support and strategy,
11 transmission system assessments, and we also cover issues like
12 market analysis and forecasting, we do a lot of due diligence,
13 assessments and valuation of assets, we do work in fuel supply,
14 environmental work and energy efficiency programs.

15 The client base is both public and private. We've
16 done, for example, for the last 25 years all of the major air
17 pollution regulatory studies for the U.S. Environmental
18 Protection Agency as related to the power sector, and we've
19 also worked very extensively with private firms.

20 As mentioned, we did perform FERC's cost benefit
21 study at sort of a nationwide, nation level study. We also
22 have worked on FERC Orders 888 and Order 2000, issues related
23 to analytic support of those, those orders particularly in the
24 environmental area. We have worked with private companies
25 trying to assess the impacts of -- implications of RTOs and the

1 transitions associated with what's called Day 1 and Day 2
2 transitions, companies that are preparing for that in terms of
3 understanding the nodal market analysis and locational marginal
4 prices, and we do regularly model all of the power markets in
5 North America as well as most of Europe and Asia. And with
6 that, I'll turn it over to my colleague, Kojo Ofori-Atta.

7 MR. OFORI-ATTA: Thank you, Judah. We have been
8 looking at the costs, quantifying the costs and benefits of
9 transitioning the Peninsular Florida wholesale power market to
10 a centrally organized market. Our overall objective is to
11 utilize inputs from stakeholders and conduct an independent
12 analysis of the costs and benefits of forming the RTO. And the
13 overall goal is to support the decision with regard to forming
14 the RTO in Peninsular Florida. And we believe that when it's
15 all done, we'll be -- we'll have the opportunity to present the
16 study results to you.

17 So to recap the specific objective of this study, we
18 are going to assess the costs and benefits to Peninsular
19 Florida consumers of restructuring the Peninsular Florida
20 market from what it is today, which is basically a noncentrally
21 organized market, to a centrally organized one. So this is in
22 summary what we have been tasked to do.

23 Now to achieve this goal, we are going to perform a
24 production cost modeling of the market under today's structure,
25 which we refer to as a base case structure, and propose --

1 we'll look at it under proposed alternative market structures.
2 Later on in the presentation I'll get a chance to go -- to
3 provide you specifics as to what cases we're going to look at.
4 But essentially it's looking at the base case as the market has
5 been -- is organized today, try to quantify the production cost
6 of meeting load to Peninsular Florida consumers, then look at
7 the same for change cases based on proposed market designs,
8 proposed market structures given to us by stakeholders.

9 So essentially the difference between the production
10 costs in the base case and the change cases will be quantified
11 as one of the components of potential benefits. There are
12 other components, and certainly some of these components, I
13 believe, Mike addressed initially. There is no doubt that
14 there are several other benefits and costs that do not lend
15 themselves easily to quantification. We do recognize, and I
16 don't think that there's any doubt about that, the fact that
17 these are real benefits and also real costs. But the industry
18 as a whole has not accepted a standard approach to quantifying
19 these particular costs and benefits. So for those costs and
20 benefits, which I will discuss later on, we are planning to
21 treat them qualitatively. Regardless, those benefits that are
22 quantifiable, yes, we are going to do a detailed job of
23 quantifying them. And some of these have been quantified in
24 previous studies that we have performed and also those that
25 have been performed by other institutions.

1 Lastly, we do recognize that the move to a centrally
2 organized market will have increased functions for the
3 transmission provider. Basically there will be control area
4 services and there will be market services. In today's market
5 we don't have market services as part of the control area
6 functions, so we will quantify the startup and ongoing costs of
7 putting together a centrally organized market. And this will
8 be based on the proposed GridFlorida RTO operational structure
9 which is still under discussion right now. And I'll get an
10 opportunity to also give you details as to what we are doing
11 regarding the GridFlorida RTO operational structure.

12 In terms of what we are trying to achieve
13 procedurally, we are currently in the inception phase of the
14 project. So we -- the inception phase basically entails data
15 collection. We already had a takeoff meeting. We had some
16 meetings with the Cost Benefit Working Group. And the data
17 collection phase obviously is taking us a little more time
18 mainly because we are collecting data from many -- from most of
19 the entities represented here today, and coordinating and
20 reconciling data is very important to the study. We want to
21 make sure we are getting it right, and we also want to make
22 sure that we're understanding the unique operations of each of
23 the entities, especially in today's market.

24 After that is completed, we're going to go into a
25 calibration phase where we are going to try to calibrate the

1 model to historical market outcome. So we have chosen the 2003
2 actual market outcome as the year to calibrate the model
3 against. And the reason why we try to calibrate models is that
4 models are in many ways -- models in many ways have a perfect
5 view of the future, but we do know that markets -- although
6 markets are very good, they're sometimes not perfect. So we
7 try to calibrate a model to equilibrate the model outcome with
8 the market outcome in order to make sure that the model is
9 accurately reflecting what we are likely to get from the
10 markets.

11 So in order to do this, the best approach that has
12 been used by ICF in the past and by the industry is to try to
13 calibrate the model and appropriately include hurdle rates
14 wherever applicable to make sure that the model is reflecting
15 what we think is reality or trying to reduce in some sense the
16 efficiency of the model to reflect the market.

17 Then we'll run a base case scenario. Our base case
18 will reflect today's market. We're looking at the period from
19 2004 through 2016 assuming that the market is going to remain
20 the way it is today throughout the period and try to quantify
21 the cost of serving load in Peninsular Florida.

22 After the base case is done, we'll look at the change
23 case -- we'll look at several change cases. Right now we've
24 scoped three change cases. The Change Case 1 is going to
25 reflect a Day 1 only scenario. A Day 1 only scenario basically

1 means that we do not have, we do not have commercial markets or
2 centralized markets. Day 1 will reflect an independent
3 transmission operator -- operating upgrade and performing what
4 we generally refer to as control area services. There will
5 explicitly be no market services under the Day 1 scenario.

6 Then in the Day 2 scenario, we're going to model the
7 Day 1 markets for the very first three years, then follow with
8 ten years of Day 2 scenario where we are going to have explicit
9 markets just like we have in some of the other regions in the
10 United States. So Day 1 for 2004 through 2006, which will
11 basically form the transition period into a Day 2 scenario
12 where we'll be looking at the markets for ten years from 2007
13 through 2016. And Change Case 2 will be based on the
14 GridFlorida market design.

15 We'll do a similar thing for Change Case 3, but based
16 on FERC's standard market design. So this is what we intend to
17 do.

18 Now I wish to state here that --

19 COMMISSIONER JABER: May I, may I jump in and ask a
20 clarifying question? The Change Case 2 that's based on the
21 GridFlorida design, did you use the GridFlorida design filed
22 initially with FERC or does it take into account GridFlorida's
23 initially approved by us? Does that make sense? Mr. Naeve,
24 that might be better for you to address. Is it the original
25 GridFlorida governance model or is it the one we looked at?

1 MR. NAEVE: No. It's the, it's the most recent model
2 pending before this Commission.

3 COMMISSIONER JABER: Thank you.

4 MR. OFORI-ATTA: Thank you. One thing we want to
5 make -- I would like to mention here is that -- and you see a
6 little footnote at the bottom of this slide. We would model
7 the Change Case 3 to the extent that, and, again, this will be
8 discussed at the Cost Benefit Work Group, we all can determine
9 that there's a difference between the GridFlorida design and
10 the FERC's SMD design. Also for now we -- I'll say that we
11 haven't given it a lot of consideration, but we think that
12 there are differences, but as to whether they can be modeled is
13 something that we will bring to the entire stakeholder group at
14 one of our Cost Benefit Working Group meetings to make sure
15 that we all understand what the differences are and what the
16 similarities are.

17 COMMISSIONER JABER: Again, just in an effort to
18 understand what each change case is, the Day 1 only scenario,
19 is that what you would consider as what we have today?

20 MR. OFORI-ATTA: No, Madam Commissioner. That is --
21 today's market is basically an individual control area
22 operation. So in some sense we can refer to it as a balkanized
23 market or a balkanized control area operation.

24 In the Day 1 scenario there's going to be a single
25 control area operation. What I mean by that is a single

1 independent transmission entity responsible for the whole of
2 Peninsular Florida control area services.

3 COMMISSIONER JABER: Okay. Well, I appreciate that
4 clarification. Thank you. That's helpful to me.

5 I guess what I'm trying to understand is don't you
6 need a foundation point for comparison? Again, Mr. Naeve, jump
7 in here. We have -- we don't have, obviously, the independent
8 transmission administrator model today, but what we do have is
9 the excess generation. We encourage companies to sell that on
10 the market because we know that there's a benefit to the
11 ratepayers in doing that. Now, we can debate whether that's a
12 competitive market or not, but somehow that needs to be
13 captured in the analysis, don't you think?

14 MR. NAEVE: It is.

15 COMMISSIONER JABER: Okay.

16 MR. NAEVE: These cases they referred to are called
17 change cases because they assume that there's a change from the
18 status quo. And in each case the change case is compared to
19 the status quo. So they model the market as it exists today,
20 and then they'll do Change Case 1, which is basically turning
21 over the transmission to an independent entity eliminating
22 pancake rates and so forth, and then they'll compare the
23 benefits of that to today. So they have a base -- the base
24 case is today, and then Change Case 1 is compared against the
25 base case, then Change Case 2 would be compared against the

1 base case and so forth.

2 COMMISSIONER JABER: Okay. And the base case does
3 fully incorporate whatever is being sold on the wholesale
4 market?

5 MR. ROSE: Yes. Just to emphasize, in the base case,
6 I don't know if you can see the slides up there, the base case
7 is today's market and there will be transactions modeled as
8 part of that. And as Kojo is going to describe, however, the
9 current transmission tariff regime will be in place as other,
10 as other treatments that will allow us to try to capture what's
11 currently going on, which does involve transactions.

12 COMMISSIONER JABER: Thank you.

13 CHAIRMAN BAEZ: I have a couple of questions before,
14 before you move on along the lines of what Commissioner Jaber
15 was asking.

16 First of all, the change case that involves the
17 FERC's SMD, to what extent, and maybe there is no distinction,
18 but to what extent -- is it the FERC SMD as it originally came
19 out or what, I guess, what exactly are you using? There was a
20 white paper that came out after that may have impacted what the
21 original may ultimately look like in the end. I mean, are
22 those things being captured as part of your use of them or are
23 you using some static model that's, that's -- or some static
24 notion of what the SMD is?

25 MR. NAEVE: The Commission has identified what they

1 view as kind of the basic SMD model. But then in subsequent
2 white papers they said that they're prepared to entertain
3 regional differences. Unfortunately, you don't know what the
4 regional differences might be, so it's hard to model them. So
5 this is based on kind of the original core SMD design.

6 CHAIRMAN BAEZ: All right.

7 MR. NAEVE: Recognizing conceivably it could
8 ultimately be different if we proposed something different and
9 went to the Commission -- to FERC and asked if they would
10 accept that as the RTO proposal for Florida. But it's based on
11 kind of the more standardized PJM type SMD model.

12 CHAIRMAN BAEZ: And a follow-up to, to Commissioner
13 Jaber's question on the GridFlorida market design. And I guess
14 I may have missed it and not been paying attention, but my, my
15 impression was that the actual market design hadn't -- wasn't
16 one of the things that was approved, quote, unquote, as part of
17 the original order. So I need you to clear up for me exactly
18 which, what market design it is, has it been approved by
19 Florida at least for discussion purposes, and what the status
20 of that is.

21 MR. NAEVE: I'll try to remember the status. I hope
22 I get this correct. We filed originally a market design with
23 FERC which was not SMD, and this Commission in effect approved
24 that. You directed some changes and you directed some minor
25 changes in market design, but they weren't particularly

1 significant. You wanted pay as bid and a few other changes to
2 the market design. But it was essentially the market design we
3 had originally proposed to FERC.

4 We were then told to make a compliance filing. In
5 the process of making the compliance filing, FERC began to
6 change its concepts of market design. And we were trying to
7 keep up with FERC, so we filed with you not only the changes
8 that you had instructed us to change, but some additional
9 changes that we thought were designed to try to make our market
10 design more compatible with the direction FERC was going. So
11 it was based on some of the original white papers pertaining to
12 SMD.

13 So the market design, we ended up filing it with you,
14 but which was never approved. It began to look more and more
15 like SMD. And as you'll see from the asterisk here, ICF at
16 this stage is not quite sure how they -- what would be
17 different in the way they model that and the way they model
18 SMD. They're very close. And there may be changes that are
19 significant enough that you'd get different results, but
20 they're not quite sure yet.

21 CHAIRMAN BAEZ: I just wanted to clear up at least in
22 my mind that we're not -- even, even what's being used for
23 modeling isn't, isn't a fixed design at least for, for purposes
24 of the Commission.

25 MR. NAEVE: That's right. We had to put a stake in

1 the ground to know what to study, but it's not something that's
2 been approved by the Commission.

3 CHAIRMAN BAEZ: Fair enough. Okay.

4 COMMISSIONER DAVIDSON: Chairman.

5 CHAIRMAN BAEZ: Go ahead, Commissioner.

6 COMMISSIONER DAVIDSON: A couple of follow-up general
7 questions. Mr. Naeve, you had mentioned early on that there is
8 a working group sort of that is working with assumptions and
9 modeling. Who is on that working group?

10 MR. NAEVE: It's representatives from the various
11 stakeholders in Florida who choose to be on it. Bob, do you
12 have a list? But it's -- we have representatives from the
13 generators, the co-ops, the munis, the investor-owned
14 utilities.

15 COMMISSIONER DAVIDSON: Do we have someone from the
16 PSC on that working group?

17 MR. NAEVE: They've been attending the working group
18 meetings.

19 COMMISSIONER DAVIDSON: Okay. Would that be you, Ms.
20 Bass, or someone from your shop?

21 MS. BASS: Yes. Someone from -- we've had several
22 individuals from the Commission that attended the face-to-face
23 meeting.

24 COMMISSIONER DAVIDSON: And do we have -- is there
25 anyone from FERC on that working group, any of the senior staff

from FERC?

2 MR. NAEVE: They have been invited to attend the
3 meetings, and I think at the last meeting they intended to send
4 somebody but at the last minute they weren't able to make it.
5 And we have someone from FERC here today.

6 COMMISSIONER DAVIDSON: Okay. Perfect. And on the
7 question of, of the modeling, has FERC provided any input into
8 the modeling and procedural approach that is being used or
9 reflected in the study?

10 MR. NAEVE: Not at this stage.

11 COMMISSIONER DAVIDSON: Thank you.

12 CHAIRMAN BAEZ: I'm sorry, Mr. Ofori-Atta.

13 MR. OFORI-ATTA: Okay. I had just run through the
14 changes cases. There will be sensitivity analyses after the
15 change cases. They'll be fully scoped out after we have
16 learned from the results of the modeling of those initial
17 cases.

18 Then in parallel we're performing the RTO cost
19 estimation trying to determine the startup and ongoing costs of
20 these RTOs. I will give you a status report of what we have
21 been able to do so far and what we intend to do in quantifying
22 the costs associated with forming these RTOs. Then we'll
23 provide a draft final report at the end of the study and a
24 presentation as well.

25 The key features of this study will be basically

1 trying to put together something that is specific to
2 GridFlorida with comparatively very high resolution on benefits
3 and costs. We believe -- we performed the FERC study, but that
4 was a nationwide study, and we at this point do not know of a
5 study that has been done to look at modeling all the various
6 transmission facilities, you know, to the level that we are
7 going to be doing here right now.

8 MR. ROSE: With respect to the economic aspects of
9 nodal pricing over the time frame that's being envisioned,
10 clearly there are studies being done by the companies and
11 others related to the, if you will, engineering operations.
12 But we're not aware of a study of this detail in Florida where
13 we're looking at thousands of elements in the context of an
14 economic as well as operational outcome.

15 MR. OFORI-ATTA: We're going to be modeling every
16 single transmission facility from 69 kV and higher, we're going
17 to model all the generation facilities, we are modeling all the
18 loads, and that is why we have actually taken sufficient time
19 to try to gather all the data that we need. Most of the other
20 studies, you know, or studies that we have performed in the
21 past we used our own in-house data. But for this study we did
22 something a little different, and we thought it was time well
23 spent in collecting actual stakeholder data. So we hope
24 that -- we've taken quite a bit of time in doing that, but I
25 think that it's worth our while to do that. So we will

1 forecast detailed Peninsular Florida market conditions under
2 each case.

3 The methodology, like I said, is production cost
4 modeling using GE-MAPS. GE-MAPS is one of the industry
5 standard software. It's been widely used by other companies
6 including ICF. And production costs, it's usually what has
7 been used in performing these analyses in the past.

8 There's going to be a full market study that we
9 integrate all the various aspects of power markets. We're
10 going to be looking at the fuel market simultaneously with
11 environmental, transmission and generation markets. So it's
12 going to be a complete market study. We wouldn't want it to be
13 incorrectly referred to as a transmission study. Though
14 transmission plays a greater role in this study, we want to
15 refer to it as a full market study incorporating all the
16 various important aspects that go into power market
17 assessments.

18 We're going to look at detailed assessment of
19 elements of RTO costs. And, again, the period that we are
20 looking at is 2004 to 2016.

21 Procedurally this is a chart that shows what we are
22 doing right now. We spent a lot of time obviously under Task
23 1, which is basically the project inception. We've had a
24 kickoff meeting. We are gathering data. We've reviewed some
25 literature that has been made available us to. A lot of time

1 is being spent on data validation right now. And we put out a
2 draft assumptions book to all stakeholders to look at it.
3 We've had the Cost Benefit Work Group meeting to review these
4 draft assumptions, we got some feedback from stakeholders, and
5 we are working on putting out a revised set of assumptions.
6 And ultimately at the end of the inception phase we should have
7 a draft set of modeling assumptions that has been agreed to by
8 all stakeholders and applicants which we're going to use to
9 feed the modeling process.

10 The second stage will be the model calibration
11 exercise, and that will be followed by the base case modeling,
12 then we will go on to the change cases, then we'll look at the
13 benefits and costs, then finalize it with the reporting phase.

14 This is just a snapshot view of the MAPS model. It's
15 a very capable model and it's very familiar to many of the
16 practitioners in our industry. It has a lot of unique
17 capabilities that we think will bring a lot of value in this
18 analysis and will support some of the findings.

19 We -- as inputs -- broadly as inputs we feed in load
20 data for various entities, we feed in transmission data for up
21 to 60,000 lines. We believe that in Florida we have a couple
22 of thousand, up to about, say, 5,000 transmission facilities or
23 perhaps a little more or a little less. We also model all the
24 various constraints in the transmission grade: The voltage,
25 the thermal instability (phonetic) constraints. And on the

1 data side -- on the generation unit side it can handle as many
2 as 7,500 units, which I think is sufficient to take care of all
3 the various units that we have in Peninsular Florida.

4 On the output side it gives us various variable
5 outputs that we can at a point (phonetic) aggregate into
6 quantifying benefits in each of the cases.

7 So this is just an overview of the model structure.
8 Again, it's an hour-by-hour production cost model that
9 recognizes the constraints imposed by the transmission network.
10 It provides hourly spot prices at individual nodes and flows on
11 individual transmission facilities for all hours in a year. So
12 it's very detailed and it can handle the complexity of the
13 power flow system.

14 It identifies the unit and even companies responsible
15 for various flows on a given line. So if there's congestion,
16 for instance, we can try to map it to which unit is -- which
17 unit or units are causing congestion on a particular facility
18 and try to map it back to the various entities. So we believe
19 that we can do quite a reasonably good job of desegregating
20 costs and benefits to individual entities.

21 More importantly, it performs what we call security
22 constrained unit commitment and security constrained dispatch.
23 This is very important mainly because usually when you have a
24 model that doesn't do this, it tries to overstate transmission
25 capacity. By performing security constrained unit commitment

1 and security constrained dispatch, what we are trying to
2 capture is the true constraints imposed by the transmission
3 system, and we think that is very helpful for this analysis.

4 So I think I will skip some of these, a lot of
5 detail. I mean, it just goes on to emphasize the capabilities
6 of this model and the detail with which we modeled various
7 important aspects of the power system.

8 On the units --

9 MR. ROSE: Commissioners, trying to be a little bit
10 sympathetic to the Commissioners in terms of the modeling
11 issues, I'd like to try an analogy as to what we're actually
12 trying to do here. Maybe it'll be helpful, maybe it'll be too
13 simplified.

14 If you could imagine sort of labor costs being higher
15 in a city and cheaper out in a rural area and a situation in
16 which you could actually determine when someone got on the
17 highway that they contributed to congestion on the highway,
18 which is the reason why it's difficult to move low cost labor
19 to a high cost labor, so, again, you're being tagged when you
20 get on the highway as contributing to the congestion as opposed
21 to being just a nameless face in which there's no, no tagging
22 of your contribution to the congestion. All this detail is
23 getting to a very -- an attempt to be very refined in the
24 impact that you as an individual by injecting a megawatt into
25 the grid, which is analogous to getting on the highway, causing

1 in terms of the congestion costs of not allowing cheap labor to
2 flow to high labor cost areas, taking into account that there
3 are power plants that have lower costs, variable costs at least
4 versus those that have higher variable costs, which is
5 analogous to this low and high labor cost. And when you get to
6 work, you're feeling a little petered out because you're tired,
7 so there's losses that are occurring to your productivity due
8 to long distance transportation, which many of us have taken in
9 the last 24 hours to get down here. So that's an analogy which
10 I hope is helpful to understand why we're going through the
11 description of this complexity. We're doing things that are
12 normally or often in many, many social activities ignored,
13 which is the effect that you have on, on your neighbors in
14 terms of, of congestion.

15 MR. OFORI-ATTA: Thanks, Judah.

16 CHAIRMAN BAEZ: Thank you, Mr. Rose. And I warn you,
17 you can never be too simplified, at least, at least as far as
18 I'm concerned.

19 MR. ROSE: Don't challenge us. We may be able to be
20 overly simplified.

21 MR. OFORI-ATTA: We're going to look at modeling all
22 the loads of the load-serving entities. We'll look at their
23 peak load shapes, you know, we'll look at their peak and net
24 internal energy. We'll look at maintenance scheduling for each
25 of the units, and we'll look at modeling the incremental heat

1 rates of each of these units. And I just want to mention here
2 that we've had a chance to walk through some of these with
3 stakeholders at their cost benefit work group meeting, the last
4 of which we held on June 22nd. So we'll be modeling the
5 detailed thermal (phonetic) characteristics of these units.

6 On the cost side we are looking at the various
7 components of costs for each of these units. We're looking at
8 fuel costs, variable O&M, emissions costs and other pieces of
9 cost. We are looking at fuel switching for various units that
10 have fuel switching capability. We are looking at startup
11 costs for various units, and also what we refer to as operating
12 reserves and the cost there of having operating reserves on the
13 system.

14 In performing this analysis I have mentioned we are
15 using the GE-MAPS model. And as part of this exercise, ICF is
16 going to use its North American Natural Gas Model to forecast
17 gas prices to support our modeling effort. Preliminarily we
18 have provided a gas price stream which is -- we have duly
19 mentioned that it's being refined right now. Gas prices have
20 recently been very volatile, as you all know, and our gas team
21 is working very hard in providing a new gas price forecast
22 stream for Peninsular Florida. I'll let Judah address that,
23 you know, should there be questions on gas prices later in this
24 presentation. But we are going to be using ICF's NANGAS model
25 to try to forecast gas prices to support the production cost

1 modeling effort.

2 MR. ROSE: If I could again, at the risk -- typically
3 the engineers that are responsible for maintaining the grid are
4 doing what's called AC load flow, and it's a very detailed
5 hourly cut on how the power is flowing. We're going to be
6 taking information from that detailed cut and putting it into
7 this GE-MAPS model, which is a more simplified approach to
8 determining the power flows that allow us, as I described, to
9 get the congestion and also to calculate some of the economics
10 and do it in all of the hours. And as Kojo described, many of
11 these characteristics have a multi-hour dimension to it, the
12 startup costs, et cetera.

13 There are other models which are even more economic
14 and more simplified in the treatment, and so we're trying to
15 capture a right balance to address the issues at the scope here
16 and we think we're doing that. And I'm just saying this to
17 give you some perspective on the complexity of the problem that
18 we're addressing here. I know that the Commission -- and I'm
19 going to assume that the Commission has reviewed many
20 generation-related issues and know how complex that is. The
21 transmission, in my own humble opinion, is significantly more
22 complicated than the generation, having worked in both areas.
23 And so, again, we've picked a tool that we think is appropriate
24 for the problem and also for dealing with, with, excuse me,
25 Florida itself as opposed to sort of an even more aggregated

1 area.

2 MR. OFORI-ATTA: Thank you, Judah. Now looking at --
3 I'll just switch to data inputs and give you a brief about what
4 we've been doing so far in gathering data from stakeholders and
5 applicants.

6 What you see up here is a chart that is basically a
7 data gathering process flow chart. We provided this chart to
8 facilitate the data gathering effort. All nonconfidential data
9 has been submitted through the applicants to ICF and
10 confidential data has been submitted directly to ICF. And ICF
11 has executed confidentiality agreements with many of the
12 stakeholders to that effect, so it's worked very well. And we
13 will still continue to use it to the extent that we still need
14 additional data.

15 So far we have received data from the following
16 entities: FPL, Tampa Electric, Progress, JEA, OUC, FMPA, Reedy
17 Creek, Lakeland, Calpine, Tallahassee Electric Department,
18 Seminole, Constellation and also Gainesville Regional
19 Utilities. We've received data from all these entities and
20 that has been very helpful. I want to say here that we have
21 been very pleased with the responsiveness of stakeholders and
22 applicants to our data requests.

23 The bulk of the data for this whole exercise is being
24 provided by stakeholders and applicants, and this is contrary
25 to other studies that we have performed where we have used --

1 the bulk of the data has come from us. In this particular case
2 this is one of the ways in which this particular project is
3 unique, that we are making sure that we are actually using real
4 data that is available to -- that is real applicant and
5 stakeholder data. So this is just a snapshot of the major data
6 elements and who is providing this data.

7 As you can see, there's only three areas that ICF is
8 supporting with data. All other areas has been provided by
9 applicants and stakeholders, and we just provided a brief
10 status on where we are with the data collection effort.

11 Overall, we believe that we have about 90 percent of
12 the data for the calibration phase, we have about 90 percent
13 for the base case and about 85 percent of the data for the
14 changes cases. A lot of the time -- a lot of time has been
15 spent in validating this, and we are -- I will say that we are
16 getting close to the end of this but we still have a few pieces
17 left to collect in order to complete it.

18 CHAIRMAN BAEZ: Mr. Ofori-Atta, a quick question.
19 I'm looking at the process flow chart in which you have a
20 footnote here that says as to the stakeholders that
21 confidential data is limited to the following. Now I guess my
22 question would be is this everything that, that you would need
23 for your purposes?

24 The reason I ask is one of the, one of the things at
25 least in my mind that's a foundation of a real valid study,

1 which I'm sure you're all wanting to produce, is what the
2 stakeholders, and by that I mean the nonapplicant, quote,
3 unquote, stakeholders are providing to, to the study, what kind
4 of input in a general sense. This, this list of what
5 confidential data is being provided by those stakeholders, is
6 that a, is that a complete list in your, in your estimation?

7 MR. OFORI-ATTA: For confidential data, we do believe
8 it's reasonably complete, but they are also having the
9 opportunity to provide nonconfidential data.

10 CHAIRMAN BAEZ: Okay.

11 MR. OFORI-ATTA: So as you see, there's an arrow that
12 moves from the stakeholders through the applicants. And the
13 reason why we, we designed it this way is that some of the data
14 will have to be aggregated from various entities. And we
15 thought that if we had the applicants aggregate those pieces
16 that are nonconfidential, that will facilitate the process and
17 it will help with the data validation. So all stakeholders are
18 being provided the opportunity to provide a complete set of
19 data, not only confidential but unconfidential as well.

20 MR. ROSE: Just to emphasize, excuse me,
21 Commissioner, is that -- you know, imagine again the nature of
22 the problem, we need to know the size of the highway, you know,
23 what's the speed limit on the highway, other characteristics of
24 the road condition, if you will. So there's a lot of other
25 data that would, say, not fall in the confidential area that's

1 involved here in this process.

2 CHAIRMAN BAEZ: And I understand that. And I guess
3 my, my, my main concern is, and since you all are the ones that
4 are charged with carrying out this very complex study, that you
5 need to feel some comfort that you're getting all the pieces to
6 the puzzle. That at the end of it all, you don't say, well, it
7 is like this possibly because there was something missing or,
8 or that there was some, some of that kind of limitation to the
9 study.

10 Now I realize in light of Mr. Naeve's comments, which
11 I do agree with, you do have to strike a balance as to how far
12 you drill down, you know, in the interest of time and
13 efficiency, and I accept that. But I guess within that context
14 I want to know that you feel comfortable with the amount and
15 the quality of the data that you're getting, that there aren't
16 any missing pieces, so to speak.

17 MR. OFORI-ATTA: I'll say yes. We've had a very
18 positive response from all the stakeholders and we do believe
19 that we will be able to perform a good study given the data
20 that we have received so far. And we have the assurance that
21 we're going to receive the remaining pieces that we are, we are
22 missing.

23 CHAIRMAN BAEZ: Thank you. And I think, Commissioner
24 Jaber, you had a question.

25 COMMISSIONER JABER: Yeah. Not related to --

1 MR. ROSE: I would just add that, just as
2 impressionistically I do think there is a lot of interest in
3 sort of the results because of the amount of detail being
4 pulled together for the first time. From our own perspective,
5 we're both excited about the extent to which we have access to
6 the information, but also humbled a little bit by the fact
7 that, you know, there are complexities in Florida and
8 idiosyncrasies that, you know, that we have to get the right
9 balance on being able to handle.

10 CHAIRMAN BAEZ: Thank you.

11 Commissioner Jaber.

12 COMMISSIONER JABER: It's not related to the flow
13 chart, but since we've stopped, Mr. Chairman, the --
14 conceptually on a cost benefit analysis, I've been thinking
15 through as I listened to your presentation, what impact, if
16 any, might there be on what ends up developing for the rest of
17 the southeast region? You know, obviously we know where
18 SeTrans is or is not. And I don't really know how to ask this
19 question in a more artful fashion, but does this study take
20 into account whatever impact interaction with other RTOs might
21 be? And it's on the cost and on the benefit side. And if the
22 study does, at what point does that take the impact into
23 account?

24 MR. OFORI-ATTA: Maybe I can start with answering
25 that and I can get support from my colleagues. I think it's a

1 genuine concern. Certainly Florida is not -- it's a peninsula
2 but not an island and it's connected to other regions.

3 COMMISSIONER JABER: Unless you're flying into
4 Tallahassee, and that's a different story.

5 MR. OFORI-ATTA: It's -- what happens in other areas
6 certainly affects your region. In the base case we're assuming
7 SeTrans isn't there.

8 COMMISSIONER JABER: Is not there?

9 MR. OFORI-ATTA: Is not there. And one of the ways
10 in which you can address some of these uncertainties going
11 forward is to look at it in the form of sensitivities, you
12 know, so we can say, okay, what if SeTrans comes into
13 operation, what shall we do? So --

14 COMMISSIONER JABER: So the study does -- let me make
15 sure I understand. The base study, of course, does not include
16 SeTrans. Your first change case does not include SeTrans.

17 MR. OFORI-ATTA: Let me put it this way. First of
18 all, we are modeling a larger part of the eastern interconnect.
19 Fundamentally that's what we are doing. We are not only
20 modeling Florida, but we are modeling all the other areas. But
21 how those areas are structured or configured in the model also
22 makes a difference. We model a greater portion of the eastern
23 interconnect assuming the SeTrans. And in a case where there's
24 no SeTrans, it makes a difference as to how much power will be
25 available across the boarder from Georgia into Florida.

1 So the first step, we are modeling all these areas,
2 but we are assuming no SeTrans in the base case and also the
3 change cases that way we have scoped them now. But we're going
4 to have the opportunity to look at sensitivity analysis
5 downstream where we could potentially make the assumption that
6 what if in Change Case 1 or Change Case 2 we have SeTrans as an
7 entity, as an RTO, and what would that have, what impact would
8 that have on the benefits and costs?

9 COMMISSIONER JABER: So when we get the final report,
10 will we have that information in front of us?

11 MR. OFORI-ATTA: It's -- if it's considered as one of
12 the sensitivities, which we'll definitely have the chance to
13 discuss amongst ourselves, then it will be part of the report.
14 Whatever we would do as part of the scope, including
15 sensitivities, will be part of the final report.

16 COMMISSIONER JABER: How do you even know where to
17 start in terms of how much to take into account in a
18 sensitivity analysis? Are you looking at a different model in
19 the northeast or anything to use as a proxy? How do you even
20 know what the impact will be?

21 MR. OFORI-ATTA: I want to make sure I understand the
22 question. Usually there are several parameters that go into
23 modeling, and some of the parameters we can estimate with a
24 reasonable level of confidence, and there are some that we --
25 the level of confidence is a little lower and we try to address

1 that through sensitivity analyses. Obviously, it's usually
2 difficult to -- it's easier to look at one sensitivity at a
3 time.

4 Okay. We modeled the markets assuming SeTrans hasn't
5 been constituted. How does that change if SeTrans is
6 constituted? So we look at that then -- depending on the
7 change in the results that we get, we say that, for instance,
8 the impact of constituting or not constituting SeTrans will
9 have this effect on benefits and costs. And there are other
10 sensitivities, for instance, another common one is gas prices.
11 We have given a gas price projection into the future. Now we
12 know how volatile gas prices are. What if gas prices change by
13 a certain order of magnitude? What -- I mean, what is the
14 impact of that on benefits and costs? So those are some of the
15 sensitivities that we would look at.

16 MR. ROSE: You know, it is difficult to, to square
17 the circle, that is, to pick the right level of analysis and
18 sensitivities subject to the time constraints that we all work
19 under and also, I've been so informed, budget constraints. And
20 in terms of where you start, you know, we have a sense on the
21 economic side and the -- of what are some of the key
22 sensitivities. In the area of this -- in the area of the
23 structure of the RTOs, I mean, I think the logical thing is to
24 go contiguous. What's going on contiguously? That is, is
25 what's happening in Minnesota really that important to Florida?

1 No. Are we going to model it? We might. Are we going to give
2 a lot of detailed attention to it? No. Are we concerned about
3 the status of what's going on in Georgia and Alabama? Yes, it
4 seems like it's a logical concern, particularly on the margin
5 in light of the transfer constraints.

6 So I think where we would start is if we were going
7 to do something related to the structure outside of Florida, we
8 would look closer rather than further. The attenuation of the
9 effects is, you know, roughly proportional to the distance.

10 CHAIRMAN BAEZ: Mr. Naeve, you were going to add
11 something?

12 MR. NAEVE: Well, I guess a couple of things. There
13 are a great many potential changes that could occur in the
14 future that we could model the sensitivity cases. The problem
15 you would run into is that there -- is narrowing down to which
16 ones do you want to look at. And it becomes very difficult
17 making that choice because each sensitivity case that you run
18 adds potentially considerable expense and delay, time delay.
19 Our initial reaction is not to run many, if any, of these
20 sensitivity cases simply because we want to complete the study
21 and get it done. But there is also --

22 COMMISSIONER JABER: Well, Mr. Naeve, am I correct
23 in, in assuming that because of Florida's geographic location
24 that we would be remiss in not considering the impact, positive
25 and negative, on, on this cost benefit analysis? From a

1 southeastern perspective it seems to me that that needs to be
2 taken into consideration.

3 MR. NAEVE: Well, that possibly could be one of the
4 sensitivities we do need to look at. I would just say this:
5 We are probably less affected than most regions because of the
6 limited import capability. That doesn't mean we're not
7 affected, but we're probably less affected. And the other
8 consideration -- two other considerations. One is, and this is
9 just a modeling issue, but I think if you were to look at the
10 sensitivity, in effect what each model looks at, the base case
11 assumes that nothing changes in Florida for the next 13 years.
12 So you would want to rerun your base case also, assuming that
13 nothing changes in Florida but something happens in SeTrans,
14 for example, so that when you run Change Case 1 and you show
15 some additional benefits, those aren't -- we understand that
16 those come from SeTrans and they don't come from Change Case 1,
17 they really are coming from SeTrans, so we can isolate where
18 the benefits are coming from.

19 The other thing is you might have at this stage some
20 difficulty modeling SeTrans because we don't know what SeTrans
21 is going to look like. So you might have to run more than one
22 sensitivity. If SeTrans looked like this, you might have this
23 benefit. If it looked like this, you might have a different
24 benefit. And that, too, could affect whether you decide to do
25 anything with respect to SeTrans, both the limitations on

1 import capability as well as you're not quite sure what you do
2 model or what sensitivities you would run.

3 CHAIRMAN BAEZ: And a quick follow-up is you
4 mentioned import capability. Obviously that's a reality that
5 we deal with. In fact, it's probably one of the driving forces
6 behind whatever efforts we're having here. But is import
7 capability itself a valid sensitivity to -- and I don't know
8 the answer to that. Is it something that could normally be
9 analyzed? Or I guess changes in capability, in import
10 capabilities, is that something that's -- and I realize that
11 you probably -- maybe I should ask, do you already have
12 sensitivities in mind?

13 MR. NAEVE: I don't think there are presently
14 sensitivities in mind relative to changing the import
15 capability. Certainly, and I'm going to turn this over to ICF
16 because they're the experts, but it strikes me, one can always
17 model changes in import capability. If you can properly model
18 the cost and, on both sides of the border and that sort of
19 stuff, then one might be able to do that analysis.

20 CHAIRMAN BAEZ: No. And I know that that becomes a
21 very, that becomes a whole other complex issue in and of
22 itself.

23 MR. NAEVE: But I just don't know if this particular
24 model is well-suited for doing that or if that's another model
25 I don't know. I'd leave that to our experts.

1 MR. ROSE: I guess what I would say is that it can be
2 done. It's, it's a challenging technical problem, however,
3 because in light of the fact that we're being very specific
4 about what roads you take, we actually have to have an origin
5 and a destination defined to the individual node, for example.
6 We would also need the configuration of that. It's not enough
7 to know how many gigawatts of power could be moved. We have to
8 know what they call impedance and some of the technical
9 characteristics on the flow in order to model it because we've
10 taken it down to this medium level but it's fairly detailed.
11 And the economics of that are -- it's a challenging problem.
12 That's not saying that we can't do it, but we certainly
13 wouldn't want to do it first. We'd like to get everything
14 under control first before we go off on that road.

15 CHAIRMAN BAEZ: I understand. I really, I really
16 only asked to kind of get a better idea of when you say
17 sensitivities, what, what use you put them to and how you
18 say -- well, I know that you spoke of what are the realities
19 and whether a sensitivity is attenuated or not. I mean, is it
20 worth, is it worth modeling? Chances are most of them probably
21 are not, given, given today. So I understand that.

22 I guess I'm trying to get my hands around when you do
23 delve into sensitivities, I mean, are they -- two of them, for
24 example, the existence or nonexistence of SeTrans, we discussed
25 that as an example, and the volatility of gas prices. Does

1 your, does your -- do your capabilities include taking them
2 both together and those kinds of combinations as well?

3 MR. OFORI-ATTA: Yes, we can.

4 CHAIRMAN BAEZ: Okay.

5 MR. ROSE: First of all, we appreciate the questions
6 We know this is a very technically challenging area in some
7 respects. We do appreciate the questions. And, again, and I
8 think to echo what Mike is saying is, is that we also need to
9 focus in on what's really driving the change. And some of the
10 issues there get to issues about changes in either tariffs or
11 something else that we can tie down at least to some degree
12 vis-a-vis the configuration of the RTO. That is, it may make a
13 huge difference to Florida what happens to oil and gas prices.
14 It may make a huge difference to Florida whether you're
15 connected or not. But the question is, is will it make a
16 difference also now that you have an RTO given that change?
17 And, again, I don't want to minimize those issues. So it's
18 just, it's sort of a little bit different slant than you might
19 normally take to viewing the problems that Florida faces.

20 CHAIRMAN BAEZ: Thank you.

21 MR. OFORI-ATTA: Thanks. I'd like to mention here,
22 this slide unfortunately you don't have in your package. It
23 made it just this morning. So I apologize for that.

24 But I wanted to let everybody present know that this
25 is basically the outline that we used for our Cost Benefit Work

1 Group meeting on June 22nd. So we had a chance to give,
2 provide a model overview to look at the scope of work and the
3 modeling approach, provided some illustrative examples of some
4 of the complex issues, looked at the various categories of
5 benefits, the RTO functional structure, who does what, and the
6 data collection progress report.

7 I must say that there are a number of follow-up
8 items. It was a good meeting. We at ICF learned a lot about
9 the operation of some of the entities. We noticed that
10 different entities here operate a little differently, and we
11 have a number of follow-up items to work on with some of the
12 entities. So we got some feedback and we'll continue to work
13 with the Cost Benefit Working Group to make sure, first of all,
14 particularly for the base case, that we understand exactly how
15 they operate and make sure we try to capture or reflect the
16 operation of each of the entities in the model.

17 I think the next section I'll be talking about the
18 benefits and costs. And for the tangible benefits what we
19 originally planned to do was to look at benefits to all
20 Peninsular Florida consumers, then divide that into
21 jurisdictional consumers and nonjurisdictional consumers.
22 After the -- sometime during the project there was an interest
23 expressed in desegregating these benefits. So I put together a
24 proposal that reflects the level of effort that will go into
25 desegregating these benefits. And below that you'll see that

1 we've broken that down into consumer benefits, generation owner
2 benefits and transmission owner revenue shifts.

3 This proposal was e-mailed out to all stakeholders.
4 My understanding was that I thought we had e-mailed it out
5 sometime last week. So I was having doubts last night, so
6 around 11:30 p.m. I e-mailed it out to all stakeholders just to
7 make sure that everybody had a copy of the proposal. But we
8 discussed this anyway --

9 COMMISSIONER JABER: Who opened it right away?
10 That's what I want to know.

11 MR. OFORI-ATTA: But we, we, we discussed this anyway
12 at the Cost Benefit -- at our work group meeting June 22nd.
13 So, so these are the issues. And, again, we will be -- I guess
14 we'll be talking more about desegregating these benefits.

15 MS. BASS: If I could interrupt for just a minute.
16 Commissioners, I provided each of you this morning with a copy
17 of the two-page proposal, so you do have that in front of you.

18 MR. OFORI-ATTA: So what are the anticipated sources
19 of tangible benefits? I don't want to minimize the importance
20 of these tangible benefits; it's significant. And there are
21 many areas where we're going to realize tangible benefits. It
22 usually comes from efficiency gains from changes in the market
23 structure. The obvious ones are definitely elimination of
24 pancaked transmission charges that provides a quantifiable
25 benefit and that will be quantified. Another area is

1 production cost savings from centrally coordinated and
2 dispatched markets. That is a quantifiable benefit and it will
3 be quantified. Then scheduling and dispatch efficiency as a
4 result of direct allocation of congestion charges. That is a
5 quantifiable benefit and it will be captured in efficiency
6 gains.

7 What I mean by that is when the Metro system in
8 Washington, D.C., the fare changes by time and usually during
9 the rush hour it's a little more expensive. So when I don't
10 have to be downtown, I want to wait and go during the off-peak
11 periods. So in the same way, the way we're modeling the
12 system, the transmission system, the transmission price will
13 incorporate congestion, in which case during the peak hours
14 when there's a lot of congestion we will see units making good
15 economic decisions as to whether to dispatch during that period
16 or not. Ultimately we believe by doing this that we are
17 efficiently allocating scarce transmission capacity to those
18 who value it the most. So these are all tangible benefits that
19 will be captured in the form of efficiency gains from the
20 changes in market structure.

21 MR. ROSE: Just to add again because the question is
22 it's not that some of these things aren't already being
23 handled. It's just as an example of a change just to drive
24 home this point is, is that the transmission charges today,
25 while having good reasons for where they're coming from from an

1 economist's perspective, they can be different than the
2 variable costs of operating the transmission system. So it
3 might be -- the variable costs might be low and the tariff
4 charge is high associated with the pancake rates. So the
5 depancaking, which is an element of what we're looking at here,
6 is an attempt to align the charges for using the transmission
7 system to its actual variable costs as opposed to the obviously
8 important imperatives of recovering the investment costs. And
9 so that's an example from an economist's perspective of
10 aligning the variable costs and the charges and, therefore,
11 we'll try to track in some detail with all these transmission
12 lines this tangible, potentially tangible benefit.

13 MR. OFORI-ATTA: Then there are various categories of
14 intangible factors which we have proposed to treat
15 qualitatively. And we've tried to capture some of these from
16 improved competition, direct assignment of congestion costs,
17 central coordination and planning of new transmission
18 facilities, improved resource siting due to detailed price
19 signals, administrative burden, transmission owner liability,
20 elimination of contract path scheduling and consistency and
21 independent determination of available transmission capacity.
22 We believe that these factors provide real benefits and costs.
23 But like I mentioned earlier, the challenge to assigning a
24 number to this is subject to an acceptable approach and also
25 reasonable assumptions. And we think to date the industry as a

1 whole hasn't reached agreement/consensus on any one particular
2 way to do this. That is why we are proposing to treat them
3 qualitatively right now.

4 Talking about the cost side, the proposed GridFlorida
5 RTO operational structure that we presented to -- at the
6 stakeholder work group meetings, what I have up here on the
7 charts, we're going to have a main control area and subcontrol
8 area. And this in many ways is similar to what I believe the
9 Midwest Independent ISO is also planning to do. So this is the
10 structure that we are going to use as the basis for quantifying
11 RTO costs. But I guess the most important question right now
12 is who does what given this particular structure.

13 So we will be discussing again at the Cost Benefit
14 Work Group meeting these functions and who does what in Day 1
15 and Day 2. So you see in this table, for instance, what we
16 have tried to capture as various activities, we've tried to
17 segment them. First of all, we segmented activities as
18 controlled into two groups, market services and control area
19 services. So under market services we've broken them down by
20 time, long-term activities, seasonal activities, weekly
21 activities, in that order, and we'll get a chance again to
22 discuss this. So we'll get input from stakeholders as well as
23 to what we believe should be done by each of these entities
24 under a Day 1 scenario and a Day 2 scenario. So we'll look at
25 day ahead activities as well as real-time activities, billing

1 and settlement and data archiving. I'll say that this list is
2 by no means exhaustive, so should there be other functions that
3 we are missing here, when we meet we will have a chance to add
4 or take out as necessary. But we want to make sure that we are
5 involving everybody in this decision.

6 Then these are the control area services. We're
7 looking at grid operations, planning, engineering and
8 maintenance projects and information systems. So some work is
9 going on in this area, and we will definitely need inputs in
10 finalizing that. And that will form the basis for
11 quantifying -- for building up the RTO costs.

12 These are some of the back office systems that go
13 into RTOs, and we've broken this into eight groups. And,
14 again, we are making this available for all to take a look at.
15 If we are missing something or if there are various issues,
16 this is one -- when we meet at our group meetings, you can
17 bring this to our attention. But the eight areas are systems
18 operations, transmission access operations, commercial
19 operations, customer interface, planning management, market
20 oversight, corporate services and IT administration.

21 So I think one big important area that we need to
22 discuss this morning is the difference. What do we think
23 generally -- even before we begin the modeling what are some of
24 the basic differences in these, in the base and the change
25 cases? To try to discuss that, we put this table together that

1 looks at the base case in a Day 1 operation and a Day 2
2 operation. What basically changes when we talk about these
3 things? And we have various categories that we looked at.
4 And, again, this is also not exhaustive, but we think these are
5 the major things that should drive the benefits that will be
6 realized under each of the cases.

7 So unit commitment is the very first one, and we
8 believe that in the base case in the Day 1 operation, because
9 we don't have centralized markets, we believe it will reflect
10 what we are doing today, basically committing units to meet
11 control area load plus reserve requirements. Under Day 2
12 operation this will change obviously, and we will be looking at
13 GridFlorida-wide centralized commitment.

14 When it comes to dispatch, it would be to meet
15 control area load plus economy interchange again in the base
16 case in the Day 1 operation mainly because we don't have
17 centralized markets. And when we have centralized markets,
18 we'll be looking at dispatch over the entire footprint in
19 Peninsular Florida.

20 I'll skip some of them. Transmission tariffs I think
21 is very important. We believe that the transmission tariffs
22 today will be different from the transmission tariffs when we
23 have a Day 1 operation with just one independent transmission
24 owner, and it will be different when we have a Day 2 operation
25 where we have markets. So we are working with the pricing team

1 to develop assumptions on what transmission tariffs will be for
2 each of the years in the base case in the Day 1 only scenario
3 and also in the Day 2 only scenario. When this has been
4 developed to a sufficiently complete level we will make this
5 available to all stakeholders for their input before it goes
6 into the model.

7 Hurdle rates. It's sometimes a little complex but
8 I'll try to simplify it here. I did mention that in the
9 calibration phase we, because models have a perfect view of the
10 future and because markets are good but not perfect, we try to
11 equilibrate model outcome with -- market outcome with the
12 model. So sometimes we introduce what we call hurdle rates
13 into the model to try to accurately or sufficiently accurately
14 represent what the market is like. We will be using hurdle
15 rates in the model to reflect the so-called inefficiencies of
16 today's market, if you'll allow me to use that word.

17 If we assume that today's market is inefficient and
18 we want the model to reflect some of these inefficiencies, then
19 we -- because the model naturally is efficient, we have to
20 introduce these hurdle rates. So in equilibrating the model
21 outcome with historical market outcomes, we introduce these
22 hurdle rates to try to capture some of these inefficiencies.
23 That way when we have these inefficiencies introduced, if we
24 model into the future, then we want to have confidence that
25 these inefficiencies that exist today will exist in the future

1 from 2004 through 2016 and will accurately reflect the market
2 should this structure remain throughout the period. So that's
3 what I call H1, hurdle rate H1. And it's only applicable in
4 the unit comment -- let me see. No. That's what I call,
5 that's what I call H2. Hurdle rates realized from model
6 calibration exercise. I'm sorry. That's H2, that's not H1.
7 So, again, H2 is just to reflect the market inefficiencies
8 today. And we believe that these inefficiencies exist under
9 the base case, today's market.

10 One can argue whether there will be inefficiencies or
11 there would be inefficiencies when we go to a Day 1 only
12 operation. We do not know but we want to believe that the
13 majority of these inefficiencies will go away when we have a
14 single independent transmission operator.

15 Why -- let me give an example, for instance. What do
16 we mean by some of these inefficiencies? Let's say there's --
17 let's assume that there's discriminatory transmission access in
18 today's market. We believe that that is in some form a market
19 inefficiency that may otherwise prevent economic dispatch. So
20 when we have a single transmission operator, we believe that
21 any issues related to discriminatory access to transmission
22 will go away. That's our assumption, that if we have a Day 1
23 scenario with an independent transmission operator handling the
24 transmission system, then all market participants will have
25 equal access to the transmission grid. So we believe that if

1 we capture this inefficiency in today's market, which is a base
2 case, then in a Day 1 only scenario we do not think that we
3 should inject this inefficiency in the model. We're assuming
4 that it will go away. And certainly in a Day 2 scenario we
5 still have an independent transmission operator, and we believe
6 that again this hurdle rate is not applicable over there.

7 Then there is another hurdle rate that we use, and
8 that is what I refer to as H1. And I want to explain that.
9 When you ask a model to commit units, it sees the whole area
10 they are modeling as one big market. So to commit units to
11 meet load in that marketplace. But we know that what we have
12 today in some sense to use the word is a balkanized market. So
13 we have to give the model sufficient intelligence to recognize
14 that you cannot commit load generation to meet load assuming
15 that is one whole big market. So we inject what we call hurdle
16 rates so that the model recognizes that in the Tampa area I can
17 only commit units within this location and in the Florida Power
18 & Light area I can commit units within this location. This is
19 a simplified explanation of it. So we are just giving the
20 model some intelligence for it to recognize that. I cannot
21 commit a unit in, say, Georgia to meet load in the Tampa
22 control area or I cannot commit a unit in Jacksonville to meet.
23 There are some instances where a unit may be committed that
24 way; if that unit is incredibly cheap, I mean, it's very --
25 it's less expensive. But we also believe that it's more likely

1 o be committed -- a unit in the Jacksonville area is more
2 likely to be committed to meet Jacksonville area's load rather
3 than be committed to meet Tampa area load. So that is what I
4 refer to as the hurdle rate H1, and that would apply in the
5 base case and at the same time apply in the Day 1 only
6 operation because they will all reflect a market where we are
7 trying to commit load to meet -- we are trying to commit units
8 to meet control area load. When we get to a Day 2 operation
9 when it's one big market, these hurdle rates will be eliminated
10 within Peninsular Florida but they will exist at the borders of
11 GridFlorida so that we make sure that the SeTrans area is taken
12 care of separately from the GridFlorida area.

13 Okay. So transmission losses, we're going to model
14 average losses for the base case in a Day 1 operation and we'll
15 model marginal losses on a Day 2 operation. And we can go into
16 detail about this, but there's been issues about marginal
17 losses over collecting. Yes, we agree there are issues about
18 trying it up to make sure that we take care of the true losses,
19 we agree, and that will be taken care of in each of these
20 cases.

21 RMR units, reliability must-run units, it's something
22 that is of concern to many people, and we had a lengthy
23 discussion on this at the Cost Benefit Work Group meeting. So
24 we, as I see it, will try to provide information, because this
25 is somewhat confidential information in some sense, we will try

1 to provide feedback to all stakeholders as to the number of
2 megawatts of RMR, of reliability related megawatts that we are
3 modeling so at least everybody will have an idea that, okay, in
4 this analysis we are modeling about 200, let's say
5 200 megawatts of reliability related megawatts, and we will try
6 to provide that information to applicants. Wouldn't be able to
7 provide specifics because of our confidentiality agreements,
8 out --

9 COMMISSIONER JABER: May I interrupt you there with a
10 question?

11 CHAIRMAN BAEZ: Question, Commissioner.

12 COMMISSIONER JABER: Is it industry accepted what
13 constitutes a reliability must-run amount?

14 MR. OFORI-ATTA: Not the amount. But, yes, it's
15 accepted that some areas in the grid need support from
16 generation in order for the transmission system to perform.
17 Some areas are inherently weak, some areas in the transmission
18 grid are inherently weak, so we need some generation to be
19 always on to support a transmission system. So that's
20 industry -- that's accepted and it's something that is done in
21 most of the ISOs. The megawatts --

22 COMMISSIONER JABER: Okay. And specifically to this
23 group have you all agreed on what that amount is?

24 MR. OFORI-ATTA: The amount we haven't agreed, so we
25 will be providing -- because the information has come directly

1 from stakeholders and applicants directly to us, we are
2 reviewing that information, and we'll try to feed back
3 aggregate megawatts that has been provided to us as RMR units.
4 And I believe there will be discussion around that and we will
5 reach some consensus on that.

6 What has been suggested is that all those RMR units
7 must be designated by category. We have various categories of
8 them, and I believe there will be some discussion as to whether
9 certain categories should be eliminated or should stay. So we
10 will treat that.

11 MR. ROSE: I think also that in terms of the
12 expectations of the study, it shouldn't be expected that we're
13 going to be conducting a fit for legal determination as to
14 whether or not a unit should be RMR. And we are accepting, we,
15 and trying to understand what we're getting, but I don't think
16 that it should be constituted as a legal finding or, you know,
17 evidence that would be used in a court to saying, yes, it
18 should be RMR.

19 COMMISSIONER JABER: No. And just so I clarify my
20 question for your benefit, not even there, it's not a legal
21 determination or anything. It's in understanding how efficient
22 this study would be and how informative it might be, I just
23 pose the question, do you have agreement with regard to what
24 that RMR amount should be?

25 MR. ROSE: Yeah. We've asked people to identify the

1 extent to which they related to transmission or voltage support
2 problems, which is a category. And just to amplify a little
3 bit, if it wasn't complicated enough that I alluded to three
4 models, there are other models that would be required to
5 address some of these issues with respect to transient
6 stability in the system and the, to really focus in on what are
7 the conditions under which you'd be concerned about voltage
8 support. So with just those caveats and that sort of fencing
9 of the nature of the problem.

10 MR. OFORI-ATTA: So what we would try to do is make
11 sure that we reach some agreement on the, the Cost Benefit Work
12 Group meeting.

13 Then the last thing I want to talk about, one of the
14 basic differences again is contracts. We know there's a lot of
15 bilateral contracts that go on in today's market; some of it is
16 economic and some of it, you know, based on price information
17 you can, you know, schedule certain units or you may opt not to
18 schedule those units. Those kinds of contracts the model can
19 handle. The model is performing an efficient and economic
20 dispatch, so it will handle.

21 However, there are some contracts that have must take
22 characteristics; irregardless of price this unit must dispatch.
23 Those kinds of contracts the model cannot handle unless you
24 specifically tell the model that this unit must dispatch
25 regardless of price. So that information is something that we

1 have asked for and we've received. I don't know whether we've
2 received everything, but we've received some. However, I want
3 to mention that specifically for the transmission dependent
4 utilities and, furthermore, I think it's Seminole and FMPA,
5 there are some issues that we, as I see it, need to understand
6 about the operation, and we are trying to schedule a meeting
7 with them to make sure that we have a full understanding of how
8 they operate and see how we can accommodate the operation and
9 accurately reflect that in our modeling, especially for the
10 base case.

11 CHAIRMAN BAEZ: Commissioner Deason, you had a
12 question.

13 COMMISSIONER DEASON: I had a couple of questions
14 before we leave this slide. The last item you just mentioned,
15 contracts, does the model take into account the anticipated
16 date at which these contracts would expire?

17 MR. OFORI-ATTA: Yes.

18 COMMISSIONER DEASON: Okay. And then on the
19 operating reserves parameter, the third item, why is there no
20 change between the base case and Day 1 and Day 2 operation?

21 MR. OFORI-ATTA: There will be changes. We haven't
22 been able to finalize the criteria, the differences, so this is
23 information that is being provided to us at ICF, so I believe
24 that there will be changes.

25 COMMISSIONER DEASON: The reason I asked the

1 question, it seems to me that, and correct me if I'm wrong, it
2 seems to me there may be efficiencies that could be obtained by
3 looking at operating reserves as a Peninsular Florida entity as
4 a whole as opposed to looking to each individual company's
5 operating reserves. Do you agree with that or --

6 MR. OFORI-ATTA: I do agree. Mathematically it's
7 true, it's right. If you optimize across a broader area,
8 certainly there are more efficiencies than if you optimize on a
9 piecemeal basis.

10 What will change this is if we go through that
11 exercise of who does what, that exercise that I referred to
12 earlier that we will go through and try to identify who does
13 what, if the control areas are responsible for operating
14 reserves in a Day 2 scenario, if that is the agreement, that is
15 what we will model, and in that case it might probably not
16 change. But if it's a main control area that's going to be
17 responsible for operating reserves for that matter for the
18 whole of Peninsular Florida, then it probably will change. So
19 I'll say at this point that we do not know yet. It's something
20 that we are going to discuss with the general group and reach
21 agreement on that.

22 COMMISSIONER DEASON: Thank you.

23 CHAIRMAN BAEZ: Mr. Ofori-Atta, how much time do you
24 think you have left on your part of the presentation?

25 MR. OFORI-ATTA: I think, I think in the next five

1 minutes. This is the very last section.

2 CHAIRMAN BAEZ: Okay. That's fine. We need to give
3 the court reporter a break, as well as the Commissioners.
4 Thank you.

5 MR. OFORI-ATTA: Thank you. So we wanted to give you
6 a little update on where we are and the schedule going forward,
7 so this is just a brief run-through of what we've done to date.
8 The contract was executed between GridFlorida and us on
9 April 16th. We had a kickoff meeting with the applicants on
10 April 21st. We sent out our initial draft of the
11 confidentiality agreement on April 28th. That should --
12 basically that's what we were going to use for our data
13 collection. And we went through a few iterations on that to
14 make sure that it's satisfied all the in-house counsels of the
15 applicants and stakeholders. So, luckily, we've been able to
16 reach consensus and we've executed many of these
17 confidentiality agreements.

18 The data gathering is ongoing. And the validation is
19 what is taking a lot of our time. And up 'til now we haven't
20 been able to reconcile the peak load, for instance. So it's
21 something that we are working through, but we are making a lot
22 of progress on that.

23 We've had Cost Benefit Work Group meetings. The
24 first was a conference call, and we followed up with a
25 face-to-face meeting at the FRCC offices. We've issued other

1 proposal to disaggregate the benefits by entity. It was
2 discussed at the Cost Benefit Work Group meeting. And we --
3 we've issued a draft assumptions document and we have some
4 feedback and we're going to issue the final assumptions
5 document shortly.

6 While doing this, we've been working on the RTO
7 costing side because that one is not -- is a parallel effort
8 that we are performing. ICF team members have visited two
9 control rooms. We've looked at two of the in-state control
10 centers to ascertain the structure of their current operations
11 and the potential to carry over their functions into the RTO
12 operations. We will be interviewing various vendors. We'll be
13 talking to entities like Areva, ABB and Siemens to try to get
14 cost information for some of the systems that will be needed.
15 And ICF is also planning visits to some of the currently
16 operational RTOs like PGM, New England (phonetic), and also
17 those that are under development like MISO to also try to get
18 some data points for the cost modeling.

19 In terms of schedule, we still will stand by our
20 original estimate of three months, but after all data has been
21 collected. Thank you very much.

22 CHAIRMAN BAEZ: Thank you, Mr. Ofori-Atta.

23 Commissioners, any last questions before we take a
24 break?

25 MS. BASS: If I, if I can make one comment.

1 CHAIRMAN BAEZ: Ms. Bass, go ahead.

2 MS. BASS: I think there needs to be some
3 clarification. When we were discussing the various change
4 cases and talked about the GridFlorida market design proposal,
5 the applicants indicated that the one that would be modeled is
6 the one that was proposed to this Commission but was not
7 reviewed by the Commission, it was still out on the table.
8 It's my understanding though that that proposal is not
9 necessarily the one that will be actually used as a GridFlorida
10 market design. So it is just a proposal and it's not the
11 actual market design that this Commission may ultimately see as
12 part of a GridFlorida package.

13 As a matter of fact, at the last workshop we had it
14 was -- we were all informed that the applicants do not
15 currently agree on a unified market design proposal. So that
16 is somewhat in flux now. And it's my understanding that as of
17 now they still do not agree on a unified market design. I just
18 wanted you to be aware that what may be included as a change
19 case in this particular cost benefit study may not be the one
20 that you ultimately see as part of a GridFlorida proposal.

21 CHAIRMAN BAEZ: Well, and I guess that begs a
22 question, whatever is going to be used has to be some, some
23 level of unification, I would expect, if only just for the use
24 of the model. Now I understand, and I think we clarified, that
25 it wasn't something that was up for review. It might not be

1 something that was up for review at the time, but it -- I mean,
2 just for practicality's sake, y'all have got to come to an
3 agreement on something; right?

4 MR. NAEVE: Right. For, for timing reasons we were
5 confronted with the express desire to study the costs and
6 benefits of a GridFlorida RTO, but not knowing exactly what the
7 applicants were going to agree on with respect to rate design.
8 I know FP&L in particular had concerns about the latest market
9 design which had been proposed by the GridFlorida applicants.
10 A number of things had happened since that, since the
11 applicants proposed that particular rate design, and FPL began
12 to have concerns that the rate design that was proposed by the
13 applicants and indeed the SMD rate design may not be
14 functionally workable in Florida given the market structure in
15 Florida. So we informed the other applicants that we thought
16 we should reconsider the rate design that we had put forward
17 and indicated that we would start working on a proposal that we
18 would submit to the other applicants for their consideration to
19 be hopefully discussed with them and potentially adopted by the
20 applicants as a revised rate design.

21 Now that process is still underway. FPL has devoted
22 considerable resources to focusing on the rate design question
23 and developing an alternative proposal which we hope to put
24 forward to the other applicants in the very near future. But
25 at the time we commenced the market design, I mean, I'm sorry,

1 the cost benefit analysis, we didn't know what that proposal
2 might be, and indeed today we're still working on it. So we
3 are studying at one bookend today's situation. What would be
4 the cost going forward if we do nothing? We're also studying
5 what would be the cost going forward if we made no changes in
6 market design but merely changed control of transmission and
7 transmission rates and so forth? So that's another bookend.
8 And in the extreme bookend we have what would the market look
9 like if we did SMD or if we did the current proposal, which
10 looks an awful lot like SMD? So this study will at least have
11 three stakes in the ground and tell us what the costs and
12 benefits would be of each of those, those base cases.

13 At the time we come forward with a specific market
14 design proposal, it may be close enough to one of those stakes
15 that we don't need to do much in the way of modification to the
16 study to give you a fairly good understanding of what the costs
17 and benefits of that rate design would be. If it's
18 significantly different, we may then have to use this as a --
19 the basis of the study that we've done here as a way of going
20 forward to look at the new design. Certainly having done the
21 study is going to tell us a lot though. It's going to tell us
22 about what drives costs, what drives benefits. We will have
23 collected all the data we need to do studies and we will have
24 built the models. So when we do have a more specific rate
25 design, it may or may not be necessary to refine the study to

1 look at that particular rate design just depending on where,
2 where it comes out.

3 CHAIRMAN BAEZ: Thank you, Mr. Naeve. Commissioners,
4 a 10-minute break okay? We'll break for 10 minutes. Thank
5 you.

6 (Recess taken.)

7 CHAIRMAN BAEZ: Ladies and gentlemen -- I guess,
8 Mr. Rose, we're getting ready to move on to the next part. I
9 think there's a discussion on assumptions; am I right? Are we
10 there or --

11 MS. BASS: No. I think we've already been through
12 that.

13 CHAIRMAN BAEZ: Oh, did we go through the assumptions
14 already?

15 MS. BASS: Yes.

16 CHAIRMAN BAEZ: I'm getting slow in my old age. Now
17 we're on the comments part, aren't we?

18 MS. BASS: I think, yeah, I think we're ready to move
19 on, unless ICF has some final comments they want to make.

20 CHAIRMAN BAEZ: Unless the consultants have any other
21 comments that they might -- any closing comments.

22 MR. CROES: Mr. Chairman.

23 CHAIRMAN BAEZ: Yes.

24 MR. CROES: Yes. I have two comments. My name is
25 Bob Croes. I'm with Florida Power & Light, and I'm

1 coordinating the Cost Benefit Work Group for the applicants and
2 stakeholders, and I'd like to try to clarify two issues.

3 First was a question that Commissioner Deason asked
4 regarding the operating reserves. I just wanted to clarify
5 that today under the FRCC we do have a reserve sharing
6 agreement. It's not like every control area has to carry
7 enough reserves for loss of its largest unit. We aggregate
8 that responsibility and we share the reserves throughout the
9 FRCC region. I just wanted to clarify that.

10 And the second issue I believe Chairman (sic.) Jaber
11 brought up was on the SeTrans issue. And the ICF model will
12 model the generator units in SeTrans and beyond. And to the
13 extent there's a marginal unit in SeTrans that can deliver
14 power to Florida cheaper than a Florida unit, it will displace
15 that.

16 Now the disadvantage to that is they have to pay
17 pancake transmission charges, the losses will be greater. But
18 after all that is said and done, if that unit can deliver to
19 Florida cheaper, it will be dispatched in the model whether or
20 not there's a SeTrans or there isn't a SeTrans. The only
21 savings that SeTrans will bring is it may reduce the number of
22 pancake, pancake rates. So ICF can probably model that with
23 one of their hurdle rates.

24 CHAIRMAN BAEZ: Thank you, Mr. Croes. Question,
25 Commissioner Deason.

1 COMMISSIONER DEASON: Let me add one thing. I'm
2 aware of the existing situation. I guess my question goes to
3 whether there is any possibility of enhanced efficiencies that
4 may be obtained through some type of RTO approach, and that was
5 the basis for the question.

6 MR. CROES: Yes. And I believe Kojo addressed that
7 adequately. In Day 2 we're not sure. Today's operation may
8 not be the most efficient. There may be a cheaper scenario,
9 entities can purchase operating reserves at a lower price
10 perhaps, and that's why that's still to be determined.

11 CHAIRMAN BAEZ: Commissioners, any other questions
12 before we move on? Great.

13 Ms. Bass.

14 MS. BASS: Chairman Baez, I believe we're ready to
15 move on with the comments from the stakeholders. And the first
16 one we'll hear from is Bob Williams with Florida Municipal
17 Power Agency.

18 MR. WILLIAMS: Good afternoon, Commissioners.

19 CHAIRMAN BAEZ: Good afternoon.

20 MR. WILLIAMS: I'm glad to be here with you again
21 today in Tallahassee. I think we've been coming here for -- I
22 asked Roberta. I think we figured out seven years we've been
23 talking about this subject now. It's been a long time.

24 Real briefly. I'll let Trudy and Bob Davis talk for
25 us here in a minute. We've got joint comments with Seminole.

1 And we're very interested in participating in this study and
2 have been, and we want an accurate study, I think as the
3 Commission does. And with that, I'll just turn it over to
4 Trudy to give our joint comments, and Bob Davis from Beck has
5 some technical comments to add on to that. Thank you very
6 much.

7 MS. NOVAK: I was going to say good morning, but I
8 guess it's good afternoon. Good afternoon. I am Trudy Novak,
9 and I am the director of pricing and bulk power contracts at
10 Seminole Electric Cooperative. Today I'm speaking on behalf of
11 Seminole as well as FMPA. Must of you know, if not all of you
12 know, that Seminole and FMPA have been very much involved in
13 this RTO process from the very beginning, and we are very
14 interested in this ICF study and, which is the subject of this
15 workshop.

16 I will present an overview of how Seminole and FMPA
17 perceive the study, and then Bob Davis of R.W. Beck, which
18 Seminole and FMPA have jointly retained, will present a more
19 detailed analysis.

20 Before I discuss the specific issues related to the
21 study, I would like to first reiterate Seminole and FMPA's
22 positions that were provided in our written comments in this
23 proceeding on May 13th. These were the comments that were
24 filed before the May 19th market, May 19th market design
25 workshop.

1 Seminole and FMPA do not believe that Florida is
2 ready for an RTO with a centralized market, and that is due to
3 the extremely serious market power and market entry problems
4 that exist in this state today. This has been abundantly clear
5 in many of our submissions here in this proceeding at the
6 Florida Public Service Commission as well as several filings
7 that we've made at the Federal Energy Regulatory Commission.

8 Florida is ready, more than ready for the
9 implementation of a Day 1 RTO, a basic RTO that would manage
10 congestion on the traditional cost-based methods that are in
11 place today. A basic RTO would provide Florida with efficiency
12 benefits that arise -- arising from nondiscriminatory
13 transmission access, elimination of pancaked rates and
14 independent centralized planning. Florida is not ready for
15 implementation of a full RTO that would manage congestion
16 through a bid-based LMP methodology. Before a full RTO with
17 this LMP approach can provide net benefits to Florida's
18 consumers, the state's significant market power and the market
19 entry problems must first be adequately addressed.

20 This shared vision that FMPA and Seminole have
21 demands consideration of a very serious threshold problem with
22 the ICF study. The ICF study does not adequately quantify the
23 significant benefits of a Day 1 RTO, the benefits that this
24 Commission has already found to exist in your previous orders.
25 For example, the elimination of pancaking will mean that

1 entities like Seminole and FMPA do not have to build redundant
2 transmission facilities to access the Florida Power & Light and
3 Progress Energy control areas. This substantial benefit will
4 not be reflected in the ICF model. The ICF study will also not
5 reflect the substantial benefits that will arise from
6 centralized planning.

7 Seminole and FMPA acknowledge that these benefits are
8 very difficult, maybe impossible to quantify. But at a
9 minimum, we believe that the parties should all acknowledge
10 that the benefits exist and, therefore, a Day 1 basic RTO is
11 deemed prudent and should be implemented with all due speed.
12 And with a Day 1 RTO, we will eliminate pancaked transmission
13 and we will eliminate the decentralized planning that we
14 currently have in the state. And at the same time we should
15 spend our efforts trying to address the structural market power
16 issues and the market entry problems that make markets in this
17 state unworkable.

18 Having said that, I want to emphasize that Seminole
19 and FMPA do not want to undermine the ICF study, and, to the
20 contrary, we have dedicated substantial resources to making
21 sure that ICF gets all of the data that it requires to conduct
22 the study. And Seminole itself has spent considerable time and
23 will continue to spend one-on-one time with the ICF Consulting
24 Group in an effort to get them to better understand the
25 specifics of our system purchased power resources and how

1 Seminole's resources are dispatched to serve our member load
2 requirements in the three control areas: Progress Energy,
3 Florida Power & Light and Seminole's own control area.

4 Seminole and FMPA's goal from the very beginning has
5 been to do what it can to assist ICF in presenting an accurate
6 analysis that would benefit this process. I must caution,
7 however, that based on our review of the ICF assumptions,
8 including our discussions with them at the working group
9 meeting, that we have real concerns about the outcome of the
10 study. I will discuss some of these concerns in a very general
11 fashion, and then Bob Davis from R.W. Beck will provide a more
12 technical report.

13 In addition, given the highly technical nature of
14 this study and our specific issues, Seminole and FMPA seek your
15 permission to submit detailed post workshop comments to further
16 explain our concerns, and but we will, of course, continue to
17 work with ICF and the applicants in an effort to make the ICF
18 study a useful exercise.

19 The key to a cost benefit study being of any value is
20 the base case. And if the base case does not accurately
21 portray the way we do business in Florida today, then the
22 change cases are meaningless. The base case which is being
23 developed currently under the model assumes that generation is
24 scheduled on a decentralized control area basis, and that is
25 the way we do business today. But in the model it assumes that

1 market participants have perfect knowledge and that there is
2 perfect competition. It is my understanding that the, the net
3 assumptions, the net effect of these assumptions in the base
4 case produces the same answer as if you had a centralized
5 dispatch, which is clearly not the situation in Florida today.

6 Now the market today is clearly the market
7 participants don't have perfect knowledge and we clearly do not
8 have perfect competition, which results in the inefficiencies
9 that the ICF Group has discussed earlier.

10 The way they get around this in the model is that ICF
11 intends to use the hurdle, these hurdle rates, which was
12 discussed earlier. It is unclear how these hurdle rates are
13 being developed and whether they can truly reflect the actual
14 marketplace, which is where we have spot purchases based on
15 bilateral transactions where the information is not transparent
16 in terms of pricing.

17 Thus, the threshold question that has to be answered
18 is whether the ICF, ICF can accurately model its base case
19 through 2016. And if it cannot model the way we do business in
20 Florida today, then we question whether there is a basis for
21 going forward on a model based on a long-term forecast.

22 Seminole and FMPA have instead suggested that ICF
23 consider a backcasting approach where they would take actual
24 historical data and then apply and use that as the base case
25 and then apply the LMP Day 2 market using the historical data.

1 We think that this would provide more of a reality to the
2 study.

3 The impact of the GridFlorida transmission pricing
4 structure, that is, the phasing in of TDU credits and the
5 elimination of pancake transmission charges through time, all
6 of that part of the study can be done outside of the energy
7 model and can be quantified separately. The applicants thus
8 far have not responded positively to this suggestion, and Bob
9 Davis from R.W. Beck will get into a little bit more detail
10 about that proposal.

11 Another serious problem with the ICF study is that
12 the -- ICF assuming that the GridFlorida market is, is a
13 perfectly functioning competitive market. And we all know that
14 Florida probably has the most severe market power problems in
15 the country. This study does not model market power or market
16 power mitigation cost, which is a real serious shortcoming.

17 In short, Seminole and FMPA are concerned that not
18 only will the ICF study not be an accurate portrayal of the
19 current Florida market, but it would also camouflage the
20 benefits of a Day 1 basic RTO. And that would be a market that
21 has pancaked transmission eliminated and regional planning
22 implemented.

23 We are going to be continuing working with ICF and
24 the applicants to produce a study that has some value to the
25 Commission, but as of now we are waiving that caution flag that

1 there are significant problems with the study that need to be
2 resolved.

3 Finally, I would like to take strong exception to the
4 applicants' suggestion that each load-serving entity that wants
5 to get its individual impact quantified must enter into a
6 separate agreement with ICF for \$14,000. This would mean that
7 the study results for each of the individual load-serving
8 entities would not be a part of the public record and they
9 would not be available to the Commission and staff. And it's
10 really an option that the individual load-serving entities have
11 to enter into these contracts or not. So you --

12 COMMISSIONER JABER: Ms. Novak, let me -- you got
13 away from me here.

14 MS. NOVAK: I'm sorry.

15 COMMISSIONER JABER: Can you back up and tell me what
16 you would enter into for \$14,000? What is that?

17 MS. NOVAK: Okay. This was in the presentation
18 earlier that showed the original -- the applicant -- excuse me.
19 The ICF Consulting Group's contract with the applicants have an
20 aggregated approach to determining the cost and benefits. They
21 were initially going to just calculate the cost and benefits of
22 the IOUs, the jurisdictional utilities and then the
23 nonjurisdictional as one group.

24 We asked and thought that it was important to see the
25 individual cost and benefits of every company. And the --

1 actually it's up here on the overhead here. They just flashed
2 it up. They've offered this optional disaggregated approach
3 and it's being offered to each individual load-serving entity
4 for a payment of \$14,000, but you have an option to do it or
5 not. And we believe that the Commission would want to see the
6 individual impacts of every load-serving entity. This was
7 something the Commission saw as it related to the elimination
8 or, excuse me, the phase-in of TDU credits. It was very
9 important to see what the cost shifts associated with
10 facilities that are owned by transmission facilities -- by
11 transmission dependent utilities now being, you know, paid by
12 the system and not -- there is cost shifts associated with
13 that. We think it's important, that you need to look at the
14 full picture, and the costs just associated with LMP pricing
15 may be very -- well, we believe will be very significant. So
16 we are recommending that the study be done on a disaggregated
17 basis and that all parties have the ability, the Commission
18 staff and all parties have the ability to see the results by
19 individual company.

20 COMMISSIONER JABER: Mr. Chairman, I do have other
21 questions, but I think I'm going to wait until Ms. Novak is
22 done with her presentation.

23 MS. NOVAK: Actually that concludes my specific
24 remarks.

25 COMMISSIONER JABER: Not that I was trying to rush

1 you or anything.

2 CHAIRMAN BAEZ: Commissioner Jaber, you're up.

3 MS. NOVAK: I was going to now turn it over to Bob
4 Davis, but I'm open for any questions.

5 COMMISSIONER JABER: Okay. And I really wasn't
6 trying to rush you. I apologize.

7 MS. NOVAK: No, I was really done.

8 CHAIRMAN JABER: The concerns you have over the
9 quality of the study, there must be several ways to address
10 that. Are you amenable to some sort of comment period in which
11 you and others can address whatever the concerns you might have
12 with the results of the study is the first question? And the
13 second question, I haven't thought through it myself, but for
14 whatever it's worth the second question is can you have a
15 competing study? I mean, what prevents you and others from
16 doing your own study?

17 MS. NOVAK: The first thing with regard to the
18 comment period, you know, we, we do have this working group.
19 And I believe, you know, we just had one meeting, but it's the
20 intent, as I understand it, is continue to meet with this
21 working group to provide input on the way the studies are being
22 done and to make sure that all the information is as accurate
23 as it can be. But we, we personally believe this attempt to
24 model the future in this particular model is really not a good
25 idea and that you're not going to be able to model the base

1 case the way we actually operate in Florida without putting
2 these hurdle rates in, which we clearly don't understand how
3 they're going to be developed, whether they make any sense. So
4 that's -- so we think instead that we should use this
5 backcasting approach. So, you know, this comment period, we
6 think we're commenting all along, and we're hoping that the
7 applicants and the ICF Consulting Group will take as many
8 suggestions and we're hoping it's kind of a group project to
9 try to make this the best study we can.

10 With regard to doing our own individual study, the
11 big benefit of this group project is that all the entities, the
12 stakeholders are submitting data to this one model. We're not
13 going to have access to confidential data, pricing information
14 on individual companies. So we think it's a wonderful idea to
15 have this one model, and we -- because to go off and everybody
16 do their own, they're going to have all different kinds of
17 assumptions, pricing assumptions on dispatch, and we think it
18 will be better to use one system, one, the one database of
19 information and just try to make it as best as we can. And,
20 you know, we'd have to make up information that we didn't have.
21 Is there anything else, Bob, that you would want to follow up
22 with that? Did that help?

23 COMMISSIONER JABER: Yeah, absolutely.

24 CHAIRMAN BAEZ: Commissioners, any other questions?

25 COMMISSIONER BRADLEY: Yes. Maybe I missed it, but I

1 think one of your questions was why not have competing studies
2 or -- did you answer that question?

3 MS. NOVAK: I think that that was that second -- not
4 having competing studies was a problem in getting data, having
5 data that's not publicly available. We would have to develop
6 our own input assumptions, and we just don't -- we think that
7 this having a one study without having to develop our own
8 database of information, you would have to basically make up
9 data for that, for the confidential data. So we think it's a
10 great idea to have one centralized set of data assumptions,
11 and, but we want to make it as good a study as we can. I mean,
12 if we go off and do our own study, you might get totally
13 different results just because we have different assumptions
14 starting with.

15 COMMISSIONER BRADLEY: But doesn't that problem also
16 arise if you're trying to objectively critique the existing
17 study?

18 MS. NOVAK: I'm sorry. I don't think I understand
19 your question.

20 COMMISSIONER BRADLEY: Well, you said that you can't
21 do an independent study because you would not have access to,
22 have access to confidential information. Well, how can you
23 critique the existing study if you don't have access to that
24 confidential information?

25 MS. NOVAK: Well, I think we can critique the way

1 they're modeling, what they're doing with the data that they
2 have, how they're modeling congestion, how they're modeling the
3 way transactions work today compared to the change cases. And
4 the specifics of exactly what we can evaluate is why we hired
5 R.W. Beck, because Seminole and FMPA do not have actually the
6 internal expertise to do these models. So is there something
7 else you want to add to that?

8 MR. DAVIS: No.

9 COMMISSIONER BRADLEY: What, what confidential
10 information would you need in order to do an independent study?
11 It would seem to me that, that the confidential information
12 would not be as important as the concepts would be.

13 MS. NOVAK: The list of the confidential items were
14 the, were in that overhead earlier, the fuel prices, the
15 specific fuel prices, and I think heat rate information by
16 generating facility, variable operating costs. I don't
17 remember offhand.

18 I'm not saying that we can't do our own individual
19 study and we, you know, we might end up having to do that.
20 Actually Seminole was going to have its own study -- we were in
21 the process of working on hiring a consultant to help us
22 develop a study so that we would understand the impacts on
23 Seminole of having an LMP market in Florida. When we found out
24 that this cost benefit study was being done, we said this is an
25 excellent way for all parties in Florida to get results on a

1 same comparable basis so that all the assumptions are, the
2 starting point is the same, we're all looking at it the same
way, you're getting input about future transmission expansion
4 and future generation plans in one, you know, database that's
5 the same. So that's really why we think this study is very
6 important and we would like to stick with the same study. I
7 think the -- the confidential information, I just went to the
8 overhead, is mainly related to generating unit, specific
9 information on generating unit data.

10 COMMISSIONER BRADLEY: Right. And that's why I
11 couldn't quite follow you because we are dealing strictly here
12 with transmission, and generation is --

13 MS. NOVAK: Actually the way -- what we're looking at
14 --

15 COMMISSIONER BRADLEY: The gentleman is shaking his
16 head.

17 MS. NOVAK: -- is the effect of generation dispatch
18 on congestion on the transmission system.

19 MR. DAVIS: Yeah. I'd say a better way to
20 characterize that is what we're looking at here is the
21 integrated operation of both of these entities simultaneously,
22 generation and transmission. So in reality you need data and
23 accurate data on all generating facilities and all transmission
24 facilities simultaneously in order to perform this modeling
effort. One impacts the other.

1 COMMISSIONER BRADLEY: Okay. Well, you're making an
2 argument then against having an RTO, if one impacts the other.
3 Okay.

4 MR. OFORI-ATTA: Can ICF make a few comments?

5 CHAIRMAN BAEZ: I'm sorry?

6 MR. OFORI-ATTA: Can ICF make a few comments?

7 CHAIRMAN BAEZ: Well, let's -- instead of turning
8 into a he said/she said, because this is a workshop after all,
9 but I will ask a question and I was going to direct it at you
10 anyway, and that way we can keep it a little nicer. Ms. --
11 well, you know.

12 COMMISSIONER BRADLEY: Let's move on.

13 CHAIRMAN BAEZ: Things can spin out of control. If
14 you haven't been watching the last couple of days, I'll tell
15 you a few stories.

16 COMMISSIONER BRADLEY: Let's move on, Mr. Chair.

17 CHAIRMAN BAEZ: There were two things that Ms. Novak
18 mentioned in particular that caught my, caught my attention.
19 The first is she, she alluded to an ability to quantify Day 1
20 benefits. Obviously this is something that, you know, the
21 benefits from elimination of pancake rates and, and centralized
22 operations and planning have been acknowledged by the
23 Commission already in an official manner, although they were
24 never quantified. Obviously there's some difficulty in that.
25 I think you mentioned it in your presentation. So can you

1 comment on the ability to do it in an absolute sense? I mean,
2 can it be done?

3 MR. OFORI-ATTA: Yes.

4 CHAIRMAN BAEZ: Once you leave cost and things out of
5 that, I know you're going to say it's very expensive and that
6 becomes a limitation that we have to deal with, but is it
7 doable even?

8 MR. OFORI-ATTA: It is doable.

9 CHAIRMAN BAEZ: Okay.

10 MR. OFORI-ATTA: And we are quantifying right now --
11 given the scope that we have, we are quantifying differences
12 between the base case and a Day 1 only case.

13 CHAIRMAN BAEZ: And then why -- and I guess back to
14 you, Ms. Novak. I'm going to get dizzy after all of this is
15 done. How is it, how is it that -- and you heard the layout of
16 what the study and the scope of the study. If they're
17 quantifying a Day 1, if, in fact, they're quantifying a Day 1
18 scenario, what, what about that -- what am I missing, I guess,
19 you know?

20 MS. NOVAK: Well, I believe what they're modeling in
21 the Day 1 operation is, as I -- just like in the base case
22 operation is as if we have a centralized market. The way they
23 get around the centralized market is these hurdle rates. Well,
24 these hurdle rates -- well, I don't have a clue how these
25 hurdle rates are going to be developed. You know, there was

1 some discussion that it's based on some empirical data they
2 have from some other studies, but how that data can be used in
3 this Florida market, you know, I don't know.

4 The other point is when -- it's something that we
5 have, that we are actually going to be meeting with them
6 further today to talk about is the way the existing Florida
7 market works related to network customers. We don't pay
8 transmission for point -- we don't pay point-to-point
9 transmission for our, for our bilateral economy transactions.
10 So they're modeling point-to -- they're modeling these pancaked
11 transmission charges that really may not exist in Day 1 -- in
12 the base case and they're going to get rid of them in Day 1.
13 But they're really not -- you know, they're going to define a
14 benefit that I'm not sure is really there.

15 There are some transactions in Florida that incur
16 point-to-point transaction -- point-to-point transmission
17 charges, but for at least the transmission-dependent utilities
18 that are serving loads within various control areas, generally
19 very, very few times do we have to pay these additional
20 transmission charges.

21 CHAIRMAN BAEZ: Let me stop you right there, and I'm
22 going to try and simplify it somewhat.

23 If you start off, if you start off by saying that
24 Florida needs a Day 1 RTO and, but now what I hear you saying
25 is that even in the analysis of a Day 1 RTO the benefits would

1 be overstated, aren't you, aren't sort of arguing against
2 yourself?

3 MS. NOVAK: Well, I'm saying that the benefits are
4 calculated based on -- they're not even truly calculated.
5 They're not calculating the true benefits. They're just -- to
6 me they're false numbers.

7 CHAIRMAN BAEZ: Okay. And I realize that.

8 MS. NOVAK: That's really --

9 CHAIRMAN BAEZ: But I'm saying if it's looking better
10 for a Day 1 RTO, then why, why should you care?

11 MS. NOVAK: Well, we want an accurate study.

12 CHAIRMAN BAEZ: Other than, other than our quest for
13 the truth. I realize that.

14 MS. NOVAK: Well, that is -- Seminole always wants to
15 look for the truth.

16 CHAIRMAN BAEZ: Fair enough. I had to ask. I'm
17 sorry.

18 MS. NOVAK: Okay. Everyone didn't agree with that,
19 but. No. We want an accurate study because we truly want to
20 make sure that the, that the study is modeling what it can
21 model and that it accurately models that.

22 CHAIRMAN BAEZ: All right. And you had another point
23 that you needed to make.

24 MR. OFORI-ATTA: Right. First of all, to make it
25 clear to the Commission that we're going to work with Seminole

1 and all the other entities, all the other entities --

2 CHAIRMAN BAEZ: I'm sure you are. I'm sure you are.

3 MR. OFORI-ATTA: -- first of all, to understand their
4 current operation and to make sure that we are accurately
5 reflecting that. So we're going to do that. And they've been
6 helpful so far.

7 Then on the issue of using hurdle rates, at the
8 beginning of my presentation I made a comment about the fact
9 that the industry has accepted broadly certain approaches to
10 doing some, in quantifying some of the benefits. And there
11 were other benefits that are a little hairy and very difficult
12 to quantify, and we believe that although some attempts have
13 been made on doing, quantifying these, the industry as a whole
14 hasn't come to some consensus. We haven't reached an agreement
15 as to what is the right approach. That's why we are treating
16 those issues or those factors with a cost of benefits as
17 qualitative; not denying the fact that they are true benefits
18 or true costs.

19 Now the use of hurdle rates has been used widely in
20 many of the studies that have been done, similar studies. ICF
21 used it for the FERC study, Charles River Associates used this
22 for a SEARUC study, Tabor Caramanis & Associates used it for
23 the RTO West study. So it's something that is widely accepted.
24 And we want to use the forum of the Cost Benefit Work Group to
25 try to work with all stakeholders. I mean, if -- some of these

1 things are a little complex. We'll try to simplify it. We'll
2 be very forthcoming in providing them the understanding as to
3 how these hurdle rates are developed and how they will be
4 applied. But as to whether it's been used before, for all the
5 studies that have been done hurdle rates has been used and it's
6 something that is accepted industry-wide.

7 CHAIRMAN BAEZ: Well, and just -- I don't want to put
8 words in Ms. Novak's mouth. What I heard her say is that she
9 has -- there's no independent -- you don't have a way of
10 verifying how they were arrived at.

11 MS. NOVAK: Well, we haven't seen anything yet.
12 We're hoping that we're going to get as much information as
13 they're willing to give us.

14 CHAIRMAN BAEZ: Right. But it's not --

15 MS. NOVAK: But even with it I'm not sure what I
16 can -- I mean, I'm going to have to leave it to our other
17 consultant to see if they can evaluate what they mean and if
18 they're prudent.

19 CHAIRMAN BAEZ: Somebody might understand it, but I
20 don't. I don't even want to see that.

21 But, but it's not an objection to the use of hurdle
22 rates in and of themselves. I see that your consultant is -

23 MR. DAVIS: I would say the use of hurdle rates is
24 not necessarily incorrect or correct.

25 CHAIRMAN BAEZ: Okay. So it's just a question of --

1 MR. DAVIS: It's an artifact of them all.

2 CHAIRMAN BAEZ: So it's just a question of
3 understanding, you know, everybody being on the same page as to
4 how they're being derived essentially.

5 MR. DAVIS: That's right.

6 CHAIRMAN BAEZ: Okay. And then the second point that
7 Seminole made was the fact that there is no modeling for either
8 market power or the mitigation costs. And I guess those are,
9 those are two -- we're talking about things in the abstract, at
10 least in my understanding. What would you comment to that?

11 MR. OFORI-ATTA: The simple answer is, yes, we are
12 not modeling market power and market mitigation. The basic
13 reason for that is it's a different kind of modeling framework
14 that you do to test market power, market mitigation. I'm not
15 an expert on market power and market mitigation. But most of
16 the studies that have been done haven't been done, in my
17 opinion, as part of a cost benefit study. But probably as a
18 separate study -- I don't know if somebody can look at that as
19 a separate issue, but.

20 CHAIRMAN BAEZ: But do you accept the notion that the
21 existence of market power or that, or that market power
22 mitigation costs might have a, a degree of, of impact on, on
23 your results?

24 MR. ROSE: Right. A couple of things. One is, is
25 that there are certain numbers out there that are sort of

1 objective facts. Now it's true that the hurdle numbers aren't
2 in that category, but they will be based on some important
3 information which is also related to market power and will also
4 allow us to categorize the situation in Florida vis-a-vis other
5 markets. That is, what are some of the potential
6 manifestations of market power, use of power plants that are
7 not economic in an effort to force out competition? You know,
8 there are some areas in the country people are saying that
9 there's large amounts of inefficient plants being used relative
10 to what economic dispatch would be determining.

11 It's the hurdle rate is the only way that we'd be
12 able to actually model that if that's happening, and we'll be
13 able to see by the extent of the model whether Florida is in
14 Category A or B or C. And so this is very valuable information
15 to test the accusation that's been made here that there is
16 massive or large amounts of operational manifestations of
17 market power. We'll be able to see it and report to the
18 Commission based on the hurdle rates as to whether there are
19 plants that are being operated inappropriately.

20 So, you know, and we'll also be trying to look
21 forward as to see whether that's likely to, to continue. So I
22 think that it's true what Kojo said, that's not the primary
23 purpose, but there is on the operational side, that's the
24 driver for the most extreme uses of the hurdle rate. So we
25 will be addressing that issue.

1 MR. NAEVE: Well, there is one distinction I thought
2 it might be worth making, and that is I think what Ms. Novak
3 meant was not so much a focus on exercise of the market power
4 today as what would happen if you changed the market structure
5 so that you had a bid-based market where there's no cost-based
6 regulation anymore and no limit on what people get paid other
7 than the market price and everyone receives the market clearing
8 price. And in that environment there could be different
9 effects of market power than what one would see today where you
10 do have one form of containment of market power in cost-based
11 regulation.

12 And so that, you know, the ICF model is based on an
13 assumption that market clearing prices are set by the marginal
14 unit and, secondly, that the marginal unit bids its marginal
15 price. And in a, in a competitive market people aren't
16 necessarily obligated to bid their marginal price, but if you
17 have a sufficient number of competitors and sufficiently robust
18 competition, people will be driven towards bidding marginal
19 costs, and the issue would be in this market is there
20 sufficient competition for that to happen? And, and if not,
21 then we think, we agree with Seminole, that probably FERC would
22 conclude that this market is too concentrated for that to
23 happen and, therefore, there has to be an additional layer of
24 market mitigation put on top of, of the competitive model.
25 And, you know, with adequate market mitigation you could force

1 people to run all their units all the time and to bid, tell
2 them what prices to bid, but then that's, you know, an
3 extensive form of, new form of regulation that would have its
4 own cost, so.

5 CHAIRMAN BAEZ: Thank you. I'm sorry. Ms. Novak,
6 you said that -- was Seminole done with its presentation?

7 MS. NOVAK: Actually I was done, and Mike Naeve very
8 adequately and eloquently explained exactly Seminole's position
9 on the Day 2 market and the market power issues.

10 CHAIRMAN BAEZ: See how well you're working together
11 already. This is -- it's amazing.

12 MS. NOVAK: Now Bob Davis from R.W. Beck will present
13 some additional detailed comments.

14 CHAIRMAN BAEZ: Thank you. Mr. Davis.

15 MR. DAVIS: Mr. Chairman and Commissioners, you
16 should have in front of you a presentation that I left at your
17 seats, and other copies are scattered throughout the room. My
18 name is Robert Davis. I'm a Senior Director at R.W. Beck,
19 Incorporated. We were retained by Seminole and FMPA to provide
20 some technical assistance with regard to the review of this
21 assessment. My purpose here for this discussion is just to
22 identify at this juncture of the evaluation, recognizing that
23 we really haven't gotten into the meat of the discussion or the
24 meat of the design of the modeling yet, some of the primary
25 high level concerns that we have with the analysis, request

1 some additional information and request some additional study
2 modifications.

3 One of the main issues, as I think most of us
4 recognize, is how will the actual cost and benefits be
5 calculated under this analysis? As of yet we really don't have
6 a firm understanding of how ICF intends to actually measure or
7 calculate the actual changes in costs between the base and the
8 change casts. They've indicated so far within discussions for
9 the base case and Day 1 cases that they intend to base the cost
10 of the benefits on the cost to serve load based upon modeled
11 clearing prices. We aren't sure that we agree with that.
12 Again, it depends upon the actual methodology that's used.

13 We, instead, would recommend that generation costs or
14 total generation costs for the state be used and the change in
15 those from one case to the next be used as the appropriate
16 measure for costs and benefits between cases.

17 We will recognize though that if we go down the path
18 of calculating costs and benefits for individual companies or
19 load-serving entities, that we will need to take into account
20 both the cost to serve generation and the cost to serve load.
21 And there's several issues related to that primarily with
22 actually assigning the output of generation to load, also with
23 the treatment of purchases and bilateral contracts in today's
24 market, also with the remedy of congestion and the allocation
25 of congestion marginal losses, and FTR revenue under the Day

1 2 market.

2 What we would request is that ICF provide a
3 comprehensive description of the methodology it intends to use
4 to calculate costs and benefits and actually include a
5 formulary description of the inputs and outputs to that cost
6 benefit computation under each one of the cases.

7 A second major issue is does the analysis model the
8 current GridFlorida proposal, and I believe there were some
9 questions directed to this issue earlier.

10 It's our understanding that ICF intends to model
11 marginal losses under the Day 2 market cases; however, we
12 aren't aware that the applicants are currently proposing
13 marginal losses for the GridFlorida design. If marginal losses
14 are to be modeled, then we would recommend that they be modeled
15 as a separate case, an independent case from that prescribed
16 that would model the current configuration as proposed for
17 GridFlorida by the applicants.

18 Also, the single control area configuration or a
19 centralized control area under the Day 2 operation, we aren't
20 aware that the current proposal by the applicants indicates the
21 operation of a single control area for GridFlorida. We would
22 recommend while we -- if a Day 2 market is to be evaluated as
23 part of this analysis, and FMPA -- then FMPA and Seminole would
24 support the evaluation of a centralized market. But it should
25 be performed in addition to a configuration that models the

1 applicants' proposal, which does not consider a single control
2 area for the state.

3 Issue 3 would be -- is there's been numerous
4 discussions already today about the challenge of modeling
5 today's physical market operations. And arguably the most
6 important aspect of this analysis is actually establishing the
7 base case results. There's several issues which need to be
8 considered when looking at the base case or the Day 1 results.
9 One is the decentralized, self-scheduling and control area
10 operations, modeling bilateral transactions and their affect on
11 generation commitment and dispatch, modeling physical
12 transmission rights, and the ability to model congestion
13 management and NERC TLR effects. These -- many of these
14 attributes here are difficult, if not impossible, to model
15 within a production simulation model designed to monitor
16 network configurations.

17 ICF has intended to use and has recommended the use
18 of various hurdle rates, and they also recommend the use of an
19 overload redispatch cost to approximate the operation of
20 physical markets both under the Day 1 and Day 2, and continuing
21 some of these assumptions under the day, excuse me, under the
22 base in Day 1 and continuing some of the assumptions under the
23 Day 2 configuration also. These hurdle rates will play a
24 significant, if not actually the primary, role in my opinion of
25 determining the benefits and costs reported for this analysis.

1 And because these inputs are so critical to the analysis, we
2 would recommend that they be available for review by the
3 stakeholders in detail.

4 Additionally, so that the stakeholders can understand
5 the effects that the hurdle rates have on the study, we would
6 also recommend that ICF perform incrementally the evaluations
7 with each set of hurdle rates so that we can individually see
8 how each set of hurdle rates affects the overall evaluation.

9 Another issue is the modeling of a long-term
10 forecast. For a 13-year forecast many assumptions change over
11 time, many of which will be impossible to capture within this
12 analysis. Some of them have been discussed already at this, in
13 this meeting.

14 Effects of centralized planning and generation and
15 transmission additions. In other words, the market can be
16 expected to have an impact on those, on transmission and
17 generation siting under the different cases and over time.
18 Load growth, the location, the change in load density
19 throughout the marketplace, fuel prices, of course, behavior of
20 market participants, we touched on market power. There are
21 also other issues related to market participant behavior that
22 could change over time and under the different cases. The
23 effect of losses. Reliability must-run units which have been
24 proposed for this analysis can also change with changing in
25 generation and transmission additions, and currently that's not

1 contemplated for the analysis. And, of course, congestion.

2 Many of these assumptions are speculative over the
3 first few years -- beyond the first few years of the study, and
4 ICF is even proposing to treat some of these issues as
5 intangible and unmeasurable.

6 Another issue, too, with one of the challenges of a
7 long-term forecast is that a long-term forecast really --
8 because of the computational requirements, I think it's been
9 reported that the run time for this study is somewhere in the
10 neighborhood of 20 to 30 hours. That computational requirement
11 really cuts back on the ability to model alternative scenarios
12 and really do a more thorough investigation. Because of the
13 challenges with modeling today's operation and with modeling a
14 long-term forecast what we would instead recommend is what
15 would amount to a postcast analysis instead of a forecast.
16 Instead of running a model for 13 years, let's stick with one
17 or two years where we're comparing the operation of a Day 1
18 market as if it had been -- or Day 2 market as if it had been
19 in place under a historical year, say 2002 or 2003.

20 The base case in the actual operation of utility
21 operations in that historical period would form the basis of
22 the base case, and then the model itself could be, could be run
23 to indicate what changes might have occurred if we had a
24 separate market configuration in place.

25 The computational efforts would also be reduced in

1 that we wouldn't need to run a 13-year study, we could limit
2 the study to one or two years, allowing for more sensitivities
3 and evaluations to be performed. That concludes my comments.

4 CHAIRMAN BAEZ: Thank you, Mr. Davis.

5 Ms. Bass.

6 MS. BASS: Okay. Our next presenter will be from the
7 City of Tallahassee, Paul Clark.

8 MR. CLARK: Over here. Good afternoon,
9 Commissioners. My name is Paul Clark. I'm a principal
10 engineer in the Electric Utility System Planning Division of
11 the City of Tallahassee. I appreciate the opportunity to be
12 here and present a few brief comments.

13 The City of Tallahassee has participated in these
14 proceedings and activities relative to the proposed GridFlorida
15 RTO both individually and as a member of the Florida Municipal
16 Group or FMG, which is comprised of the City, Gainesville
17 Regional Utilities, Lakeland Electric and Kissimmee Utility
18 Authority. I want to make clear at this point that the
19 comments that I'm making today are those of the City of
20 Tallahassee and not those of the FMG.

21 My comments today will be brief and, and general in
22 nature; not to be considered an exhaustive list of our concerns
23 regarding the cost benefit study; may, in fact, echo some of
24 the concerns expressed already by other participants in this
25 workshop and those yet to be expressed. And we may, in fact,

1 share and do, in fact, share some of those concerns expressed
2 or yet to be expressed.

3 First, as we brought to the attention of the
4 applicants and ICF during the June 22nd meeting of the
5 GridFlorida Cost Benefit Study Working Group, Tallahassee is
6 concerned about the comprehensiveness of the study assumptions
7 and method relative to their consideration of the transmission
8 system in the Big Bend area of the state. Our concern arises
9 from a review of the list of the transmission flow gates,
10 monitored facilities and contingencies identified in ICF's
11 revised draft assumptions and appendices documents provided to
12 the stakeholders via e-mail on June 18th. Elements of the
13 transmission system in the Big Bend that have appeared as
14 limits to the City's and others' access to bulk power markets
15 in SERC and central and southern FRCC regions are conspicuously
16 absent from the list the draft assumption document presents.
17 We acknowledge that these lists are, and the assumptions
18 documented itself are preliminary. We hope that the final list
19 will include those transmission flow gates, monitored
20 facilities and contingencies, consideration of which the City
21 believes to be critical to capture the impact of the condition
22 of the transmission system in the Big Bend region on
23 interutility and interregional bulk power transfers for
24 reliability and economic purposes whether or not an RTO exists.

25 We hope that the applicants and ICF will see fit to

1 incorporate these elements into the appropriate list such that
2 the study will accurately reflect them in their base and change
3 cases. I was encouraged to note Mr. Ofori-Atta's comments that
4 the inclusion of all facilities 69 kV and above, though not
5 included in the assumptions document, nevertheless we wanted to
6 take this opportunity to alert the Commission and staff to the
7 importance of an accurate depiction of the Big Bend
8 transmission system to the outcomes of the study particularly
9 regarding the estimation of existing and potential costs and
10 benefits to the City of Tallahassee.

11 My second and final comment today relates to the
12 City's perception of the cost benefit study effort in general.
13 Discussions among the applicants, ICF and stakeholders to date
14 have reflected a consensus concern regarding the assumptions
15 and methodology to be employed and the resultant correctness of
16 the study outcomes. The City understands the magnitude of the
17 applicants' and ICF's undertaking, and we fully appreciate the
18 difficulty of developing a model of the bulk power system that
19 produces results consistent with history and expectations of
20 future characteristics under the various change case scenarios.

21 These same concerns were expressed before, during and
22 after the conduct of the RTO cost benefit study performed by
23 Charles River Associates, CRA, for the Southeastern Association
24 of Regulatory Utility Commissioners, SEARUC, in 2002. The
25 applicants and ICF have responded to these concerns relative to

1 the GridFlorida study in part by suggesting that certain
2 simplifying assumptions and methodological adjustments must be
3 made to even attempt an RTO cost benefit study like the one
4 we're talking about today. The City understands this as well.

5 We would note that -- excuse me. We would note that
6 a degree of latitude in developing the assumptions and
7 methodology was also necessarily taken by CRA in performing the
8 SEARUC study. When that study was completed, some entities
9 were quick to debunk the results, again pointing out
10 deficiencies in CRA's assumptions and method. Other entities
11 though so embraced the SEARUC study results, despite the
12 suggestion that it was flawed, that actions were taken that
13 significantly altered their future courses relative to RTOs.
14 Such was the case when Sante Cooper based their decision to
15 discontinue their involvement in the SeTrans RTO development
16 process based in part on the results of the SEARUC study.

17 The City understands and, further, we defend that it
18 is the prerogative of each entity to decide for themselves
19 whether they are sufficiently comfortable with or believe the
20 results of the study that incorporates an admittedly and
21 unavoidably simplified approach.

22 In closing, the City believes that one observation
23 made relative to the SEARUC study is particularly noteworthy in
24 the context of our discussions today and in the coming weeks
25 about the GridFlorida study, that being that the savings that

1 were estimated for the regions and entities modeled in the
2 SEARUC study could easily be negated by the degree of error
3 introduced by making simplified assumptions and methodological
4 adjustments. The City understands this was true of the SEARUC
5 study. We hope that the Commission and staff understand, as we
6 do, that this may, in fact, also prove to be true of this
7 GridFlorida study.

8 Thank you for your patience and understanding and the
9 opportunity to present these comments to you today, and I'll
10 entertain any questions.

11 CHAIRMAN BAEZ: Thank you, Mr. Clark.

12 Commissioners, any questions? Thank you.

13 Ms. Bass, where are we now?

14 MS. BASS: Our next speaker is Bud Para with JEA.

15 MR. PARA: Thank you. I'm Bud Para representing JEA.

16 First I'd like to say that we, too, appreciate ICF's efforts
17 and their willingness to answer questions and their patience
18 with us as we've struggled to get our data to them and try to
19 get it right, and that we're satisfied with ICF's
20 qualifications to do this study. Now that doesn't mean that we
21 agree with all their assumptions and all their methods. But
22 JEA has submitted questions as late as last night. We sent
23 them questions on our May 22nd meeting. However, we weren't as
24 late as they sent out their, their proposal for the
25 disaggregation. We appreciated getting that in writing and

1 that was good and JEA will take some time to look at that. But
2 we will be responding and I'm sure asking more questions. but
3 we appreciate the information that we've had on that.

4 I'd like to make a comment on the hurdle rates.
5 There's been a lot of discussion about that. In Kojo's
6 presentation he stated that the H1 hurdle rates are used to,
7 and I quote, capture nontariff-related market inefficiencies,
8 but only in the base case. Then the model assumes that there
9 are no market inefficiencies in the Case 1/Day 1 and the Case
10 2 cases. And we'd just say that's a, that's a big assumption
11 that there are no market inefficiencies and it'll have real
12 cost impacts on the study. That's one of those things that we
13 think ought to be shown in the sensitivity is what is the
14 effect of the, of the hurdle rates, and several people have
15 commented on that.

16 On a different point, JEA is increasingly
17 uncomfortable with the applicants' refusal to take a position
18 on any proposed market design. We think that's important, and
19 we look forward to eventually learning what they decide to
20 propose as a market design for GridFlorida. And, and I would
21 hope that today they would give us some idea of what their
22 schedule is, how they're doing on that, and if we can expect to
23 see a proposal from them before the, well, for example, before
24 the cost benefit study is done.

25 Also, JEA would encourage the Commission to schedule

1 another workshop like this one to be held a few weeks after the
2 cost benefit study is done, give us all enough time to look at
3 it and give us a chance to comment on it with y'all in a
4 workshop, in the style of a workshop.

5 And then finally, we wonder what the Commission
6 intends to do if this study finds that GridFlorida is not cost
7 effective. Thank you.

8 COMMISSIONER JABER: Ms. Bass, refresh my memory and
9 actually for the benefit of the rest of the Commissioners, when
10 you all came to me with the idea of establishing this workshop
11 or collectively we talked about the best way to get this
12 information to the Commissioners and the notion of this
13 workshop came up, we did discuss, circling back around for the
14 benefit of all of the Commissioners, having a second workshop
15 when the study was complete. Am I, am I remembering correctly,
16 Roberta?

17 MS. BASS: That's correct. And that was one of the
18 reasons why the August 5th workshop was canceled so that we
19 would not have two back to back.

20 COMMISSIONER JABER: That's right.

21 MS. BASS: That as soon as the results of the cost
22 benefit study were available, that we would reconvene as a
23 Commission workshop to present the results and discuss them.

24 CHAIRMAN BAEZ: Commissioners, any questions? Okay.
25 I'm wondering if this is not -- how many --

1 MS. BASS: We have two more speakers.

2 CHAIRMAN BAEZ: That's it?

3 MS. BASS: That's it.

4 CHAIRMAN BAEZ: Commissioners, what's your pleasure?
5 Do you want to break for lunch or plow on through?

6 COMMISSIONER DAVIDSON: Keep going.

7 CHAIRMAN BAEZ: Commissioner Davidson doesn't eat
8 lunch. So are they long presentations? I don't -- who do we
9 have left, Calpine and --

10 MS. BASS: Yes. We have Steve Remillard with
11 Calpine, and then John McWhirter is going to speak for the
12 Florida Industrial Power Users Group.

13 CHAIRMAN BAEZ: Okay.

14 MS. BASS: So you just put pressure on them if we, if
15 we plow on.

16 CHAIRMAN BAEZ: It's always nice to put pressure on
17 Mr. McWhirter.

18 Mr. McWhirter, I'm just trying to take from the two
19 remaining presenters how much -- what your presentations are
20 like.

21 MR. REMILLARD: Calpine only has about five or six
22 comments, and I can keep that pretty brief.

23 CHAIRMAN BAEZ: Okay. Mr. McWhirter, I hate to put
24 you on the spot, my friend, but I'm just taking a poll. It
25 doesn't matter how long it is. I just want to --

1 MR. McWHIRTER: A short while, and I'm sensitive to
2 dietary requirements.

3 CHAIRMAN BAEZ: I hope you have them the same as I
4 do.

5 Commissioners, we can, we can break here. It's your
6 call. We can break here or just take these last two speakers.
7 We have two votes -- all right. We'll go ahead, Mr. Remillard.

8 MR. REMILLARD: Calpine thanks you for the
9 opportunity to present these comments here this afternoon. We
10 appreciate the task in front of ICF and the challenge to do
11 this cost benefit study, and we do appreciate the fact that we
12 have the opportunity to provide the input and review
13 assumptions with them as they go through the development of the
14 study.

15 One key element that ICF touched on in their
16 presentation was some of the qualitative benefits of
17 establishing an RTO, and one that we believe is very important
18 is the efficiencies that are gained by doing coordinated
19 transmission expansion planning and, you know, generation
20 resource additions to the system. And we think that this is
21 something that needs to be quantified to really demonstrate the
22 benefits of the RTO.

23 And as Ms. Novak has suggested, there is a
24 methodology which could actually capture this, this benefit,
25 and that could be through backcasting and looking at historical

1 performance of the system and then compare that to overlaying
2 what an RTO would do in terms of optimizing transmission
3 expansion and generation additions to the system.

4 We also have a concern regarding the cost of
5 operating the fully functioning RTO given that the structure
6 has not been defined. It's going to be very difficult for ICF
7 to try to estimate the operating cost, and this will have a
8 huge impact on the overall outcome of the, of the benefit
9 study. And what we wanted to do is make sure that, you know,
10 we work with ICF and all the applicants in terms of making sure
11 that the assumptions that they use in developing a cost
12 estimate for the operating costs of the RTO is appropriate.
13 And we wanted to be sure that if they're taking representative
14 costs from other RTOs that have built-in inefficiencies or not
15 similar, that we may be using false information or wrong
16 information in the assumptions for operating costs for the RTO.
17 We wouldn't want to mimic those, those inefficiencies. We also
18 think that, you know, there should be other sensitivities
19 looked at in terms of, you know, using an independent system
20 administrator like the SeTrans approach was in terms of
21 competitive procurement for that type of service to run the
22 RTO.

23 In terms of environmental, environmental impacts and
24 compliance that was provided in the assumptions document, we
25 realize that ICF has captured both SO2 and NOX regulations.

1 But we think that given that if this study is going to look out
2 in the future, that since the EPA has prepared and proposed
3 rules on Mercury regulation, that that should be factored into
4 the overall cost benefit analysis. Given that 30 percent of
5 the megawatt hours being consumed in the peninsula of Florida
6 are coming from coal generation sources, we think that this
7 should be reflected in the analysis.

8 We also wanted to talk a little bit about the RMR
9 designation. We think that that's a very important and
10 critical assumption that goes into the overall study. We
11 wanted to be sure that the only facilities that are given RMR
12 status is truly just for voltage support, and we wanted to be
13 sure that there is a way to verify that information.

14 And two, two last items that I wanted to touch on was
15 the, the issue of incremental generation or generation
16 additions to the system. What we, what we understand from ICF
17 is that they will be modeling the generation expansion plans of
18 the various utilities under their ten-year site plans. **We're**
19 trying to understand if whether IPPs and other generation
20 additions would also be modeled in that as well.

21 And the, the last item we wanted to touch on was
22 there seems to be a difference between the, the NERC load
23 forecast for FRCC and what was presented in the ICF documents,
24 and we'd hope that at some point during the workshop, the
25 follow-up workshop that discrepancy can be addressed. Those

1 were the -- that concludes the comments for Calpine. Thank
2 you.

3 CHAIRMAN BAEZ: Commissioners, any questions?

4 Mr. McWhirter.

5 MR. McWHIRTER: Mr. Chairman, my name is John
6 McWhirter, and I represent an industrial consumer group. And
7 at the outset, all these people have been criticizing the ICF
8 approach and I want to compliment ICF. I had the pleasure to
9 attend the preworkshop workshop last week, and when I saw their
10 presentation was trying to identify the benefits, I suggested
11 that they might want to include benefits to consumers in their
12 presentation because I felt like that's something that would be
13 of interest to you because of your duty to protect consumers.
14 And ICF immediately jumped on that and they put in two things.
15 The first underlined item was level of disaggregated benefits
16 contracted, and under that they have three consumer groups.
17 I'm not sure I know what that means, but I appreciate them
18 putting it in there. And the other is they had LSE; that means
19 load-serving entity. And we would presume that the consumers
20 that buy electricity from the load-serving entity would be the
21 ones that would derive the benefits, and so they added the word
22 "consumer" in front of LSE. So they are responsive to
23 requests, and I would suggest to the other presenters that ICF
24 will probably continue to do that.

25 You'll have to forgive me. I'm technologically

1 deprived. And when you deal with a cost benefit study, I have
2 to break things down into a simplistic methodology to
3 understand it. And I thought that there were probably six
4 questions that a reasonable person would address if you were
5 going to look at a cost service benefit study and what it would
6 produce.

7 The first question would be, what are the benefits?
8 The second would be, who are the beneficiaries? The third
9 would be, what is the cost? The fourth would be, who pays that
10 cost? The fifth would be, who provided the cash for the study?
11 And sixth, will that affect the study?

12 Question five is quite simple; we know that Florida
13 Progress and Florida Power & Light contributed \$800,000 to pay
14 the cost of this study.

15 Question six I'm not going to address because you
16 will be able to figure that out when the study is presented.

17 So now we'll go back to, what are the benefits? And
18 I think to understand that you've got to look at the benefits
19 as they were perceived by the Federal Energy Regulatory
20 Commission when it issued its two main orders that deal with
21 the creation of RTOs and ISOs. What had happened before that
22 was when the energy crisis was upon us in the late 1970s, there
23 was a law enacted that encouraged the construction of new
24 utility plants by wholesale exempt generators, and what
25 happened was people came in with new plants and they were able

1 to improve the heat rate of those plants by some 30 percent
2 over the existing heat rate that was being realized by public
3 utilities.

4 Now what that means to my simple mind is that whereas
5 most of the utilities at that time and in Florida today it
6 takes them 10,000 Btus of energy to create one kilowatt hour of
7 electricity, which is worth 3,400 Btus, it saves a lot of cost
8 and a lot of energy if you can improve that heat rate. And
9 what these people have done in the new plants was they have
10 improved the heat rate from that nine or 10,000 Btus per
11 kilowatt hour produced down to a level of less than 7,000. So
12 it's a dramatic increase.

13 In addition to that, the capital costs to build these
14 plants were much less expensive than the money that was
15 currently being spent to build power plants by a token of
16 something like -- they reduced it from something like \$2,500 a
17 kW down to something like \$350 a kW to build a power plant. So
18 FERC said wouldn't it be neat if the people that produced the
19 less expensive electricity can get it to the consumers? And
20 the only way we can get it there, of course, is through the
21 electric wires that are in existence. So they did their first
22 order that opened those electric wires to the access of all
23 producers, including exempt wholesale generators and others,
24 and they required the utilities to buy this electricity if it
25 could be produced for the same price or less than their produce

1 -- their electricity was being produced. That part of the law
2 is now up for repeal.

3 But irrespective of that, what they found was the
4 utilities were not altogether friendly with bringing
5 electricity in from competitors to serve their customers.
6 They'd rather serve them with their own generating facilities,
7 irrespective of the price, the fact that they cost more. So
8 Order 2000 came out, which was a little more insistent on the
9 program they called the OASIS program, which is Open Access and
10 System Information System, so that people know what the price
11 of electricity is. And they -- and the utilities are forced to
12 do it, to transmit it, and they suggested maybe what you ought
13 to do instead of having the generating companies that own the
14 transmission lines turn over control of those transmission
15 lines to an independent operator.

16 So when you first started after the Order 2000 to
17 look into this, you can count me among one of the most
18 energetic supporters of that great idea to get cheap
19 electricity to the consumers. And there were some -- you all
20 suggested some stakeholders, there were 11 stakeholders to
21 study this issue; nine of them were utilities and the other two
22 were the then existing Public Counsel and the group I
23 represent. And the Public Counsel was very effective in
24 postponing this case until he retired so it wouldn't be done on
25 his watch. And my clients have difficulty in seeing why they

1 should pay us to come up here, but I come up anyway to tell you
2 what my prejudices are on the subject.

3 But what we have found is that since this happened in
4 Florida, competition that would enable the el cheapo plants to
5 get their electricity to the end consumer hasn't worked out all
6 that well. Although you endorsed merchant plants in your
7 order, the Supreme Court said merchant plants in Florida, if
8 they're efficient merchant plants, are not -- can't come into
9 our state and can't apply to build their plants under the need
10 processing concept. So the independent power producers that
11 have come into Florida, and most have been discouraged, but the
12 ones that have come have built more expensive, not less
13 expensive, power plants and they can only serve during the peak
14 period. But in the meantime it hasn't all been bad because
15 utilities have waked up to the circumstances and they have now
16 started using the more efficient power plants. The unfortunate
17 part of that is that that fuel which was inexpensive when they
18 started on that process is now the most expensive fuel
19 available and probably offsets the heat rate savings.

20 But in any event, I am of the humble opinion that the
21 number one rationale for open access in Florida, which is to
22 get power from the el cheapo plants to the customers, probably
23 does not exist because there is no competitive wholesale market
24 in Florida. And what you've heard from Seminole and others, I
25 think, is correct.

1 However, ICF has identified the other benefit that
2 comes to customers, and that is lower fuel cost. Lower fuel
3 cost. Now that we're using the most expensive fuel, if we can
4 get the most efficient plant to bring that -- to make
5 electricity, that will be in everyone's benefit. The problem
6 though under the marketing designs, which are still kind of
7 mysterious, we don't know what the marketing design will be.
8 And unlike when this Commission had the enlightened view back
9 in the 1970s to require Florida -- to set up -- you set up the
10 grid originally and you required utilities to transfer power at
11 cost. Well, that is not necessarily going to be what happens
12 in the future. So even though you're getting the least cost
13 electricity to produce, the price to the load-serving entity
14 may not reflect that price because it's going to reflect a
15 market clearing price, which is the highest price available.
16 So the question is if you have the market clearing price, even
17 if you get lower fuel costs from another utility, the consumers
18 may not benefit from that.

19 There's one other potential beneficiary to creating
20 GridFlorida and that's the utilities. I've noticed over the
21 years that the marked effort of utilities, of the
22 investor-owned utilities in Florida is to freeze base rates and
23 move most expensive costs to cost adjustment recovery clauses.
24 In 2004, for the first time the money collected from customers
25 through cost recovery clauses exceeds the amount collected from

1 customers under base rates. It's now -- it was down initially
2 around 20 percent of the total cost. It's now over 50 percent
3 of the total cost. And those costs that are collected by
4 utilities are guaranteed recovery irrespective of whether the
5 utility is making an excessive profit or not.

6 Legislatively there have been two major bills that
7 have been promoted by the utilities to freeze base rates and
8 move generating facilities and other major facilities' cost to
9 cost recovery mechanism. So my second concern is the real
10 beneficiaries of the GridFlorida operation appear to be the
11 utilities who may have the opportunity to shift costs from base
12 rates to cost recovery clauses. And when the ICF study came
13 in, they looked for the benefits, and the benefits flowed to
14 load-serving entities, transmission owners and generating
15 utilities. So no concept was given to consumer issues. And I
16 was -- I would hope that in their future study they will
17 concentrate on how the cost savings that are developed through
18 the RTO are going to flow through to the customers. And I
19 would think that is your primary responsibility as well.

20 The next thing is to determine what these costs are
21 and who pays the cost is question three and four that I have.
22 Well, question four is quite simple. The Florida retail
23 consumers pay 100 percent of the costs, whatever they are. And
24 those costs will come to them in two fashions: Either through
25 base rates to support the transmission system or through

1 transmission and other charges for the power that's purchased
2 from other utilities.

3 What are these costs? Well, we have a budget that
4 Bob Croes sent out in May to ICF, and the GridFlorida is going
5 to employ somewhere between 156 and 200 -- well, 197 employees,
6 and then they're going to employ some consultants. And they
7 conclude that their annual operating cost, and this is just to
8 do the operation to the ISO, will be \$47.8 million. And then
9 they will -- they consider that they will spend, just the
10 startup costs, \$176 million, and that will have to be amortized
11 through the charges that the GridFlorida is going to charge.
12 And so if they amortize that over a three-year period, that
13 will be around \$60 million a year. So the annual cost for the
14 first three years of this operation will be somewhere around
15 \$100 million, and that's going to flow to customers in some
16 fashion.

17 And the question is is it all going to flow through?
18 And I think there will be a logical presentation made that it
19 should all be flowed through the prices that come from the
20 transmission of electricity.

21 But there's more -- there's another source of funds
22 that's available to do that, and that other source of funds is
23 the base rates that customers now pay for transmission
24 services. And there was a -- and I'm going to pick on Florida
25 Progress here a little bit, but the only reason I'm doing it is

1 not because I suggest that Florida Progress is doing anything
2 wrong or anything improper, but because we have access to
3 relatively current information that came about as a result of
4 the rate case you initiated a few years ago. And your staff,
5 in its Interrogatory Number 265, I believe it is, asked Florida
6 Progress to tell what it was collecting in base rates for
7 transmission services. So we have -- now that's, you know,
8 Florida Progress is not the biggest and it's not the smallest
9 but it's in the middle. And it said that it has \$960 million
10 of transmission plant-in-service, and each year it charges
11 customers \$163 million to service that plant. Now that money
12 is paid all by retail customers, 72 percent of it is paid by
13 retail customers of Florida Progress Company or \$117 million,
14 and \$45 million is paid by the retail customers of the people
15 that they sell electricity to such as Seminole's customers and
16 Florida Municipal Power Authority's customers and so forth.
17 But all the retail customers are paying this price. And, of
18 course, that price goes for O&M expenses, which is the cost to
19 maintain this system, and then \$30 million of that \$160 million
20 goes for Florida Progress to recoup its investment. You can
21 see one of the reasons for freezing base rates. If you've
22 totally recouped your investments and base rates are not
23 frozen, you can continue to keep collecting that \$30 million
24 depreciation expense.

25 Another concept would be to take that \$30 million and

1 plow it back into upgrading the system. And so that gives you
2 the next question of cost. There are two kinds of costs.
3 First are the costs to maintain the existing system, and then
4 there are costs to build new transmission facilities and also
5 the cost to cure congestion. Where are those charges going to
6 show up on the residential and the retail customers' bill? And
7 that's the question I think that's the most important question
8 for this Commission to consider, not ICF, but you should
9 consider where does that cost show up? When the existing
10 system is being maintained, should that maintenance come from
11 Florida Progress's \$30 million that it's now charging the
12 customers each year for depreciation expense to plow back into
13 the system to justify the return they're getting on that or
14 should there be a new charge?

15 And one of the most serious concerns that my clients
16 have is we -- I have one client that has been interrupted
17 100 times in the last year by a utility, not as a result of
18 lack of generating facilities, but because of transmission line
19 failure. That -- they've conducted a study, and I'm not going
20 to tell you what the study, go into the details of that study,
21 but the conclusion is that that system is not being
22 well-maintained. So if the RTO is approved and if money has to
23 be spent to cure the lack of maintenance for the last ten years
24 for this utility, is that going to come out of the base rates
25 that the utility is already collecting or is there going to be

1 a new surcharge that's going to flow through the fuel
2 adjustment clause to hit customers with? And I would suggest
3 to you that is another very big and very important thing for
4 you to deal with.

5 Now that's essentially where I am on this. It looks
6 to me like there are minimal benefits at best to the customers
7 for the creation of the ISO, and that's heartbreaking to me
8 because I think the ISO is a wonderful idea and technologically
9 sound and should be implemented. If it can be done so that you
10 pay for it through the existing base rates where you have
11 control of it and it doesn't move to FERC, that would be a very
12 good thing. If it moves to FERC, you lose control over it.
13 And FERC is most interested in promoting the construction of
14 new transmission lines. So if a utility can construct a new
15 transmission line and put it through the ISO to the customers,
16 it's going to get some of the new FERC incentives, which are
17 things like a one-and-a-half percent boost to the return on
18 equity for those utilities that build trans -- or those people
19 who build transmission systems. So you're going to lose
20 control. The old transmission system, as it winds down and is
21 replaced, if you don't require it to be paid for through base
22 rates and it moves into the adjustment clause, we're going to
23 find that customers' bills will go up and utility profits will
24 go up. So you need to carefully monitor this.

25 And I think this is -- in conclusion, I would suggest

1 to you that this is probably why Jack Shreve was so glad to get
2 out from under before this was adopted on his watch. I don't
3 think if there's a scandal because some reporter finally quits
4 glazing over and looks into what's going on or some politician,
5 like Franklin Roosevelt did back in the '20s, uses utility
6 excesses to become the Governor of New York and the president
7 of the United States, what's going to happen is they're going
8 to expose a scandal. Now I don't think this scandal is going
9 to be as big as WorldCom or Enron, but it may well be a
10 problem. And I think utility executives will be protected from
11 that problem because they did it under your watch and careful
12 supervision, so they won't have to go to jail. So the question
13 in my mind is are you watching carefully and is this study
14 going to give you the information that will enable you to
15 protect the consumers? And I know that you are and that you
16 will protect the consumers, and we'll be here to help you do
17 it. Thank you very much.

18 CHAIRMAN BAEZ: Thank you, Mr. McWhirter.

19 Commissioners, any questions of Mr. McWhirter?

20 Ms. Bass.

21 MS. BASS: The only thing that I can think of is,
22 kind of wrapping up, is Ms. Novak brought up the possibility of
23 filing postworkshop comments. That was not something that we
24 originally anticipated occurring. However, I believe that
25 Ms. Novak's comments were going more towards specific concerns

1 relative to the cost benefit study. And so I would encourage,
2 if you do have specific concerns that you want to file in this
3 docket relative to the cost benefit study, that we should allow
4 all the participants to have the opportunity to do that.

5 I know that ICF is, or the applicants and ICF are
6 trying to put together a stakeholders', a work group meeting I
7 think the 21st or 22nd of July, something around in that time
8 frame. So it probably would be helpful, if there are written
9 comments, that those be provided in advance of that meeting so
10 that they will be available for review prior to it. So I would
11 suggest that perhaps two weeks from today, which would be the
12 14th of July, that we set that as a time frame for getting
13 specific comments to, to everyone and specifically to the ICF
14 and the applicants on, on the concerns regarding the cost
15 benefit study.

16 CHAIRMAN BAEZ: Is that something that we need to
17 adopt? I mean, I think, I think the idea is excellent, but --

18 MS. BASS: I think it's just something, yeah, if we
19 just put them on notice.

20 COMMISSIONER JABER: Mr. Chairman, the only reason I
21 think Ms. Bass brought it up, it came up to me as well -- do we
22 issue an order from the prehearing officer's office to
23 establish the schedule going forward? And I very much wanted
24 to hear feedback from the rest of you all. The workshop
25 process was, I use the word "suspended" loosely, suspended just

1 until we had an opportunity to do this and allow the cost study
2 to be complete, and then we're going to pick back up with a
3 workshop schedule. There is no order establishing postcomment
4 workshop cycles or even comments to the study, and that's
5 something -- I think it would be good to establish at least for
6 the next two weeks a schedule of when comments would be due
7 because there is no order.

8 CHAIRMAN BAEZ: And I don't disagree with you. I
9 just want to make sure that what Ms. Bass is saying and what
10 you're talking about are, are both the same things. Ms. Bass,
11 I thought I heard you say the, the postworkshop comments in
12 relation to a working group meeting. And there is a fixed date
13 for that working group meeting?

14 MS. BASS: I think that the dates have been put out.
15 I don't know whether or not that date has been finalized.

16 CHAIRMAN BAEZ: All right. So then your suggestion
17 of July 14th would, I guess, almost by default fall within,
18 within that working group date.

19 MS. BASS: Yes.

20 CHAIRMAN BAEZ: You're establishing some date outside
21 of that or suggesting something --

22 MS. BASS: No. I was, I was trying to facilitate
23 having any comments on the study, specific comments on the
24 study itself, which I believe is what Ms. Novak was referring
25 to, that those be provided in advance of that next working

1 group meeting so that the, that everyone would have the benefit
2 of being able to review those prior to it. So I was thinking
3 with a July 21, 22 work group date, that a week ahead of time
4 or whatever would give everyone an opportunity to look at
5 those.

6 CHAIRMAN BAEZ: All right. And I'm clear on your
7 part. And, Commissioner, I have to go back to a question that
8 you actually asked Ms. Novak is to put a post --

9 CHAIRMAN JABER: That's something completely
10 different.

11 CHAIRMAN BAEZ: That's something, that's something
12 else. But I also, but I also think that that kind of procedure
13 is something that probably more -- probably would fall within a
14 procedural order.

15 COMMISSIONER JABER: I agree.

16 CHAIRMAN BAEZ: But that's -- we're not there yet, I
17 guess.

18 COMMISSIONER JABER: No. No. I'm just putting all
19 of you on notice that there is no order procedurally to govern
20 what happens next, and that's why the July 14th at least date
21 is important to resolve today. I think Roberta's idea of going
22 forward with that date so that it facilitates discussion for
23 the working group, I think that's good. I think no one, no one
24 would object to allowing that comment period. And then in a
25 subsequent order you need to revisit what to do post the study.

1 CHAIRMAN BAEZ: Right. Exactly. And I think we've
2 got good, good guidance there.

3 One thing I do want to mention, the last or certainly
4 the series of presenters, of stakeholder presenters that we had
5 did bring up some questions that probably will get repeated
6 obviously in these, these postworkshop comments. That's
7 obviously going to provide fodder for the work group
8 discussion. I heard a couple of things there that didn't -- it
9 sounds like they might be able to be worked in without too much
10 trouble. I don't profess to tell you your business or to even
11 understand it, but, you know, it just sounded to the naked ear
12 anyway that it might be some things that were thrown out that
13 might be able to be accommodated fairly easily in an effort to
14 be inclusive of everyone's concerns. Obviously some are
15 unreconcilable, and I think those are the realities that we
16 have to work under.

17 If there's nothing else from the Commissioners, I
18 want to thank all the presenters. We really -- I certainly
19 appreciate all of your input and hope that it'll continue as
20 this process goes along. I do want to thank ICF for being
21 here, for simplifying it for us as much as possible. I think
22 you all have got your work cut out for you. I know that you
23 know that. And we really do appreciate all your efforts, and
24 to the applicants as well, for bringing them in. And I want to
25 thank staff for working real hard and kind of herding the cats

1 on this. It's very important and we have a very interesting
2 summer going. And if there's nothing else, the workshop is
3 adjourned. Thank you all.

4 (Workshop adjourned at 1:30 p.m.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF FLORIDA)
2 COUNTY OF LEON)

CERTIFICATE OF REPORTER


3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, LINDA BOLES, RPR, Official Commission Reporter, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorneys or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 16th DAY OF JULY, 2004.


LINDA BOLES, RPR
FPSC Official Commission Reporter
(850) 413-6734