


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 040001-EI

In the Matter of

FUEL AND PURCHASED POWER
COST RECOVERY CLAUSE WITH
GENERATING PERFORMANCE INCENTIVE
FACTOR.



ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 1

Page 1 through 188

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN BRAULIO L. BAEZ
COMMISSIONER J. TERRY DEASON
COMMISSIONER RUDOLPH "RUDY" BRADLEY
COMMISSIONER CHARLES M. DAVIDSON

DATE: Monday, November 8, 2004

TIME: Commenced at 9:30 a.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: LINDA BOLES, RPR
Official FPSC Reporter
(850) 413-6734

DOCUMENT NUMBER DATE
12292 NOV 17 2004
FPSC-COMMISSION CLERK

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 APPEARANCES:

2 LEE L. WILLIS, ESQUIRE, and JAMES D. BEASLEY,
3 ESQUIRE, Ausley & McMullen Law Firm, Post Office Box 391,
4 Tallahassee, 32302, appearing on behalf of Tampa Electric
5 Company.

6 VICKI GORDON KAUFMAN, ESQUIRE, and JOSEPH MCGLOTHLIN,
7 ESQUIRE, McWhirter, Reeves Law Firm, 117 South Gadsden Street,
8 Tallahassee, Florida 32301, appearing on behalf of Florida
9 Industrial Power Users Group.

10 JOHN T. BUTLER, Steel, Hector & Davis Law Firm, 200
11 South Biscayne Boulevard, Suite 4000, Miami, Florida
12 33131-2398, appearing on behalf of Florida Power & Light
13 Company.

14 R. WADE LITCHFIELD, ESQUIRE, and NATALIE FUTCH SMITH,
15 ESQUIRE, Florida Power & Light Company, 700 Universe Boulevard,
16 Juno Beach, Florida 33408-0420, appearing on behalf of Florida
17 Power & Light Company.

18 BONNIE E. DAVIS, ESQUIRE, Progress Energy Florida,
19 Inc., 106 East College Avenue, Suite 800, Tallahassee, Florida
20 32301-7740, appearing on behalf of Progress Energy Florida,
21 Inc.

22 JAMES MCGEE, ESQUIRE, Post Office Box 14042, St.
23 Petersburg, Florida 33733-4042, appearing on behalf of Progress
24 Energy Florida.

25

1 APPEARANCES CONTINUED:

2 JON MOYLE, JR., ESQUIRE, and BILL HOLLIMON, ESQUIRE,
3 Moyle, Flanigan Law Firm, The Perkins House, 118 North Gadsden
4 Street, Tallahassee, Florida 32301, appearing on behalf of Tom
5 Hurbuck.

6 PATRICIA A. CHRISTENSEN, ESQUIRE, Office of Public
7 Counsel, c/o The Florida Legislature, 111 W. Madison Street,
8 812, Tallahassee, Florida 32399-1400, appearing on behalf of
9 the Citizens of the State of Florida.

10 ADRIENNE VINING, ESQUIRE, and COCHRAN KEATING,
11 ESQUIRE, FPSC General Counsel's Office, 2540 Shumard Oak
12 Boulevard, Tallahassee, Florida 32399-0850, appearing on behalf
13 of the Commission Staff.

14

15

16

17

18

19

20

21

22

23

24

25

I N D E X

WITNESSES

		PAGE NO.
1		
2		
3		
4	JAME:	
5	BERARD YUPP	
6	Prefiled Direct Testimony Inserted	40
7	Prefiled Direct Testimony Inserted	44
8	JOHN R. HARTZOG	
9	Prefiled Direct Testimony Inserted	66
10	Prefiled Direct Testimony Inserted	73
11	PAMELA SONNELITTER	
12	Prefiled Direct Testimony Inserted	85
13	Prefiled Direct Testimony Inserted	92
14	GEORGE M. BACHMAN	
15	Prefiled Direct Testimony Inserted	97
16	Prefiled Direct Testimony Inserted	99
17	H. R. BALL	
18	Prefiled Direct Testimony Inserted	103
19	Prefiled Direct Testimony Inserted	110
20	Prefiled Direct Testimony Inserted	116
21	FERRY A. DAVIS	
22	Prefiled Direct Testimony Inserted	121
23	Prefiled Direct Testimony Inserted	127
24	Prefiled Direct Testimony Inserted	131
25	LONZELLE S. NOACK	
	Prefiled Direct Testimony Inserted	141
	Prefiled Direct Testimony Inserted	147

I N D E X

WITNESSES

	NAME:	PAGE NO.
1		
2		
3		
4		
5	H. HOMER BELL, III	
6	Prefiled Direct Testimony Inserted	156
	Prefiled Direct Testimony Inserted	163
7	Prefiled Direct Testimony Inserted	170
8	PAMELA R. MURPHY	
9	Prefiled Direct Testimony Inserted	179
	Prefiled Revised Direct Testimony Inserted	183
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20	CERTIFICATE OF REPORTER	188
21		
22		
23		
24		
25		

EXHIBITS

	NUMBER :	ID.	ADMTD.
1			
2			
3	1	Comprehensive Stipulated Exhibit List	39
4	2	Composite Stip-2	39
5	3	GJY-1	39
6	4	GJY-2	39
7	5	KMD-1	39
8	6	KMD-2	39
9	7	KMD-3	39
10	8	KMD-4	39
11	9	KMD-5	39
12	10	KMD-6	39
13	11	PS-1	39
14	12	PS-2	39
15	13	TLH-1	39
16	14	TLH-2	39
17	15	TLH-3	39
18	16	TLH-4	39
19	17	TLH-5	39
20	18	TLH-6	39
21	19	TLH-7	39
22	20	TLH-8	39
23	21	GMB-1	39
24	22	GMB-2	39
25	23	HRB-1	39

EXHIBITS

	NUMBER :	ID .	ADMTD .
1			
2			
3	4 HRB-2	39	
4	5 TAD-1	39	
5	6 TAD-2	39	
6	7 TAD-3	39	
7	8 LSN-1	39	
8	9 LSN-2	39	
9	10 HHB-1	39	
10	11 JP-1T	39	
11	12 JP-1R	39	
12	13 JP-1P	39	
13	14 JP-1S	39	
14	15 PRM-1T	39	
15	16 PRM-1P	39	
16	17 MFJ-1T	39	
17	18 MFJ-1P	39	
18	19 SSW-1	39	
19	20 SSW-3	39	
20	21 JDJ-1	39	
21	22 JDJ-2	39	
22	23 JDJ-3	39	
23	24 JDJ-4	39	
24	25 WAS-1	39	
25	26 DRK-1	39	

EXHIBITS

	NUMBER :	ID .	ADMTD .
1			
2			
3	47 JTW-1	39	
4	48 JTW-2	39	
5	49 DED-1	39	
6	50 DED-2	39	
7	51 DED-3	39	
8	52 DED-4	39	
9	53 DED-5	39	
10	54 DED-6	39	
11	55 DED-7	39	
12	56 DED-8	39	
13	57 DED-9	39	
14	58 DED-10		
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

P R O C E E D I N G

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN BAEZ: We'll call this hearing to order.

Good morning. And this is the annual fuel clause hearing and
blowdown.

Counsel, will you read the notice or notices.

MS. FLEMING: Pursuant to notice issued by the clerk
of the Commission on September 21st, 2004, this time and place
has been set for the purpose of conducting a hearing in the
following dockets: 040001-EI, 040002-EG, 040003-GU, 040004-GU
and 040007-EI.

CHAIRMAN BAEZ: Thank you.

COMMISSIONER DEASON: Did you have all that
memorized?

MS. FLEMING: No. I had to write those down.

COMMISSIONER DEASON: Oh, okay. You looked like you
were --

CHAIRMAN BAEZ: She looked down once.

COMMISSIONER DEASON: I was going to say, wow.

CHAIRMAN BAEZ: We'll take appearances. And I guess
we should just take appearances on all the dockets together.

MS. FLEMING: Yes, Commissioner.

CHAIRMAN BAEZ: And we'll start on stage left and
just move on down the line. If there's anybody that has to
enter an appearance, they ought to move down quickly, if you're
not -- if you haven't taken a seat already.

1 Go ahead, Mr. Butler.

2 MR. BUTLER: Thank you. Good morning, Commissioners.
3 ohn Butler of the law firm Steel, Hector & Davis appearing on
4 ehalf of FPL in the 01 and 07 dockets. Also appearing on
5 ehalf of FPL in the 01 docket is Wade Litchfield and Natalie
6 utch Smith.

7 CHAIRMAN BAEZ: Thank you. Mr. Beasley.

8 MR. BEASLEY: Thank you, Mr. Chairman. James D.
9 beasley and Lee L. Willis with the law firm of Ausley &
10 McMullen in Tallahassee. We're representing Tampa Electric
11 Company in the 01, 02 and 07 dockets.

12 MR. MCGEE: James McGee on behalf of Progress Energy
13 Florida in the 01 and 02 dockets. Appearing with me is Bonnie
14 Davis in the 01 docket.

15 MR. MOYLE: Jon Moyle, Jr., with the Moyle, Flanigan
16 Law Firm on behalf of Mr. Tom Churbuck, and we are in the
17 040001 docket. I'd also like to enter an appearance, I'd like
18 to do it on behalf of my law partner Bill Hollimon.

19 MR. PERKO: Gary Perko of the Hopping, Green & Sams
20 Law Firm on behalf of City Gas Company of Florida in the 03 and
21 04 dockets, and Progress Energy Florida in the 07 docket.

22 MS. CHRISTENSEN: Patty Christensen on behalf of the
23 Office of Public Counsel appearing in the 01, 02, 03 and 07
24 dockets.

25 MS. KAUFMAN: Good morning. Vicki Gordon Kaufman of

1 the McWhirter, Reeves Law Firm. I'm appearing on behalf of the
2 Florida Industrial Power Users Group in the 01, 02 and 07
3 dockets, and appearing with me in the 01 docket is Joseph
4 McGlothlin of our firm.

5 CHAIRMAN BAEZ: Thank you, Ms. Kaufman. Is there
6 anyone else that needs to enter an appearance at this time?

7 MR. BUTLER: Chairman Baez, I'm sorry, but I need to
8 add that Ms. Smith also is appearing on behalf of FPL in the
9 02 docket.

10 CHAIRMAN BAEZ: Very well. Let the record reflect.
11 Now we can move on to some preliminary matters.

12 MS. BROWN: Mr. Chairman, if we might enter an
13 appearance on behalf of the Commission.

14 CHAIRMAN BAEZ: Of course, and I'm sorry.

15 MS. BROWN: That's all right. I'm Martha Carter
16 Brown appearing for the Commission in the 02 and 04 dockets.

17 MS. STERN: Marlene Stern appearing on behalf of the
18 Commission in the 07 docket.

19 MS. FLEMING: Katherine Fleming appearing on behalf
20 of the Commission in the 03 docket.

21 MS. VINING: Adrienne Vining and Cochran Keating
22 appearing on behalf of the Commission in the 01 docket.

23 CHAIRMAN BAEZ: Thank you, staff.

24 Now we can move on to some preliminary matters. And
25 although I know that some of these dockets have stipulations, I

1 think we need to change it up a little bit. We need to try and
2 take up some things that don't need Commission votes right now.
3 If there are rulings and things -- I guess I'm speaking on the
4 01 docket, which my understanding is the only one that has,
5 that has rulings just from the presiding officer at this point,
6 we can probably take those up now. I'm just trying to buy some
7 time here. So we can take up whatever there's outstanding that
8 we can take up on the 01 docket, if that's all right.

9 MS. VINING: Well, actually I would think it would
10 make more sense perhaps to go through the stipulated dockets
11 first to get, to get those taken care of, but it's up to you.

12 CHAIRMAN BAEZ: Well, yeah, it would be better,
13 except that we only got -- we have a math problem. Okay? So
14 if we can go ahead --

15 MS. VINING: At your pleasure then we can go to the
16 preliminary matters for the fuel docket.

17 CHAIRMAN BAEZ: All right. So then please tee, tee
18 up, tee up the 01 preliminary matters for me.

19 MS. VINING: We do have one pending confidentiality
20 request that was filed by Gulf on the 3rd, but I don't think a
21 ruling needs to be made at this time because none of the
22 information that's the subject of the request should be entered
23 into the record and all of Gulf's issues were stipulated.

24 There's also a motion for protective order that
25 Progress Energy Florida filed late last week that I believe a

ruling needs to be made on.

2 CHAIRMAN BAEZ: All right. And just, just for
3 clarity's sake, that's a ruling from the presiding officer at
4 this point?

5 MS. VINING: Yes.

6 CHAIRMAN BAEZ: Okay. We don't need to hear argument
7 on that, or do you know if the motion is unopposed?

8 MS. VINING: I don't believe there's any opposition
9 to the motion, but you could ask the parties if they do.

10 CHAIRMAN BAEZ: Ms. Kaufman and Ms. Christensen? And
11 I think --

12 MS. KAUFMAN: I just wanted to inquire, this is the
13 motion that was filed on Friday by Progress Energy related to
14 the deposition exhibits?

15 MS. VINING: That's correct.

16 MS. KAUFMAN: We have no objection.

17 CHAIRMAN BAEZ: Okay. Ms. Christensen?

18 MS. CHRISTENSEN: No objection at this time.

19 CHAIRMAN BAEZ: All right. We'll go ahead and grant
20 the motion for protective order. And then I have another,
21 another outstanding motion for Progress as well.

22 MS. VINING: Yeah. On Friday they filed a motion for
23 leave to file revised supplemental testimony for Javier
24 Portuondo.

25 CHAIRMAN BAEZ: And this is opposed?

1 MS. VINING: Yes, it is.

2 CHAIRMAN BAEZ: Can, can we hear from the parties?
3 Mr. McGee.

4 MR. MCGEE: Progress Energy filed the motion for
5 leave to revise the supplemental testimony that Mr. Portuondo
6 had originally filed on October 25th. The purpose of the
7 revision was to provide further updates based on actual data to
8 what was referred to as hurricane-related fuel costs. The, the
9 effect of the update is to lower the estimate of the costs from
10 approximately \$25 million to approximately \$17.5 million, and
11 that's based on data that was not available when he filed his
12 original supplemental testimony.

13 I'm advised that the parties are currently discussing
14 that motion, and if it would be possible to, to defer ruling
15 for right now --

16 CHAIRMAN BAEZ: We'll defer ruling for right now and
17 move on. Ms. Vining, is there anything else that needs -- any
18 other pending motions at this point since we're, we're in for a
19 penny, we're in for a pound now, we're on 01. So I see that we
20 do have -- we may have some other outstanding motions. I think
21 we can take them up at this point just to clear the field.

22 MS. VINING: Right. There's also a joint motion for
23 reconsideration of the prehearing officer's decision not to
24 spin off Florida Power & Light's purchased power agreements,
25 and that was a joint motion by FIPUG and Churbuck. And they

1 also have a request for oral argument on the motion.

2 CHAIRMAN BAEZ: All right. And just for -- just to
3 kick this off, what's your -- do you have a recommendation on
4 oral argument, and we'll take that one up first?

5 MS. VINING: My recommendation would be that oral
6 argument be granted.

7 CHAIRMAN BAEZ: Very well. Commissioners, any
8 objection to granting oral argument on the motion? Seeing
9 none, we'll fix the time at a -- before we begin.

10 I do have one preliminary matter. How do you spell
11 that on the record? You can leave that out then.

12 (Laughter.)

13 There is a preliminary matter concerning the motion
14 for reconsideration. Commissioners, I'm assuming that you
15 haven't seen it, but I will acknowledge at this point that I
16 received a letter from Senator Mike Bennett, and I have been in
17 contact with or had discussions with staff counsel and the
18 general counsel as to what the best way to treat this is. And
19 I don't know what you all have come up with, but if you can
20 enlighten us as to how we should be treating it in its most
21 expeditious manner.

22 MS. VINING: We reviewed the letter and it appears as
23 though it might meet the definition of an ex parte
24 communication, and as such our recommendation would be that it
25 be marked as an exhibit for the hearing and, and moved into the

1 record.

2 CHAIRMAN BAEZ: Very well.

3 MS. VINING: That way to avoid all problems with the
4 document.

5 CHAIRMAN BAEZ: Nonetheless, that requires some
6 distribution. I mean, have we -- have the parties received
7 copies of the letter?

8 MS. VINING: Yes, the parties have received a copy
9 this morning.

10 CHAIRMAN BAEZ: Have the Commissioners received
11 copies of --

12 MS. VINING: They have not, but I can distribute a
13 copy at this time.

14 CHAIRMAN BAEZ: All right. Would you please do that.

15 Ms. Vining, is, is it -- would it be appropriate to
16 mark it as an exhibit now? And the reason I ask is staff has
17 gone through great pains to simplify the exhibit process, and I
18 fear this will, this will be the, the, the death knell of the
19 numbering system.

20 MS. VINING: Right. It will screw up the order of
21 numbers; right?

22 CHAIRMAN BAEZ: I'm sorry?

23 MS. VINING: Right. Because we have a discrete
24 numbered list.

25 CHAIRMAN BAEZ: Yes, exactly. You know, I don't, I

1 don't know if we need to mark it now or mark it later.

2 MS. VINING: We can wait and mark it once you mark
3 the stipulated list for entrance into the record.

4 CHAIRMAN BAEZ: Very well. And at this point I think
5 we can, we've got everything that we need before the
6 Commissioners in order to hear oral argument on the motion for
7 reconsideration; correct?

8 MS. VINING: I believe so.

9 CHAIRMAN BAEZ: Okay. And the motion is by Mr. -- is
10 on the part of Mr. Moyle's client?

11 MR. MOYLE: It's a joint motion --

12 CHAIRMAN BAEZ: It's a joint motion.

13 MR. MOYLE: -- by Mr. Churbuck and FIPUG.

14 CHAIRMAN BAEZ: And Ms. Kaufman. Okay. Well, did
15 you all decide who --

16 MR. MOYLE: I was going to take the lead on it.

17 CHAIRMAN BAEZ: You were going to take the lead on
18 it?

19 MR. MOYLE: And if Ms. Kaufman had anything to add, I
20 was hoping you'd let her do that at the end.

21 MS. KAUFMAN: That's right, Mr. Chairman.

22 CHAIRMAN BAEZ: Very well. Let's do five minutes a
23 side, please.

24 MR. MOYLE: And I'll try to be brief. Again for the
25 record, Jon Moyle on behalf of Mr. Churbuck.

1 This matter resulted from the Office of Public
2 Counsel and FIPUG filing a motion to remove dockets related to
3 the approval of the UPS agreement, a 955-megawatt deal, from
4 the fuel docket. And in addition to, I think, arguing that
5 this was not appropriate in the fuel docket, it was for a
6 contract that didn't come into being until 2010, OPC and FIPUG
7 argued that the issues were very complex and required a
8 significant amount of time, energy, effort to review them and
9 that the existing schedule did not provide sufficient time.
10 They, in their pleadings, showed how discovery could not be
11 conducted thoroughly and completely with the compressed time
12 frame that this Commission was being asked to make a decision
13 upon.

14 I would also note, and we will get into this, I
15 think, at the hearing, that the contract itself allowed for the
16 latter of a six-month time frame or when transmission rights
17 were secured by Florida Power & Light, whichever is, is later.
18 You're being asked today to in essence approve this very
19 complex, significant agreement in a two-month time frame.
20 FPL's first pleading that was filed that said, hey, we're
21 asking the Commission to, to approve these contracts was filed,
22 I think, on September 11th or thereabouts. So you really,
23 really don't have much time. It would be about two months as
24 of today that you would have to review this very complex issue.

25 The original pleading was filed by Office of Public

1 Counsel and FIPUG. Mr. Churbuck, who I represent, subsequently
2 joined in the motion.

I would like to point out one thing in the order, and
4 I'll quote, if I could, the order made the finding, "Upon
5 review of the pleadings and consideration of the arguments, I
6 find that the issues related to the UPS purchased power
7 agreements submitted for approval for cost recovery purposes by
8 both FPL and PEF," that's not relevant for the purposes of this
9 motion because that's already been taken care of and is not
10 actively being considered in this docket, "that that should not
11 be removed from this proceeding."

12 "FPL maintains that if it does not obtain Commission
13 approval for its proposed UPS agreements by early 2005, that
14 could be tantamount to a denial of the contracts. I find this
15 fact to be persuasive."

16 Mr. Churbuck would suggest that this order was really
17 not based on, on any facts. There were no affidavits
18 submitted. A lot of the testimony that you're going to hear
19 today goes to the issue of timing and whether there is a need
20 to approve this, this contract now or whether you can have
21 additional time to consider the complex issues raised by the
22 contract.

23 So what we would suggest that the Commission do is to
24 defer ruling on the motion for reconsideration to allow for the
25 introduction of, of factual evidence to this very point that is

1 n dispute. And we think it was inappropriate for a factual
2 finding to be made while there is disputed evidence and a
3 disputed issue that the Commission has not yet received
4 evidence on, there's been no cross-examination of witnesses and
5 what not. So for that reason, we would either request that the
6 motion for reconsideration be granted and the matter be spun
7 out into a separate proceeding where you would have additional
8 time to consider the matter, or that the ruling be deferred and
9 you consider and weigh the evidence that will be provided to
10 you on this disputed issue of fact. Thank you.

11 CHAIRMAN BAEZ: Ms. Kaufman, anything to add?

12 MS. KAUFMAN: Yes, Mr. Chairman, just briefly. Vicki
13 Kaufman on behalf of FIPUG. And we originally moved, as Mr.
14 Moyle said, with Public Counsel to remove these issues because,
15 number one, there's been very limited time for the parties, and
16 I would suggest perhaps for the Commission as well, to look at
17 such a large purchase in terms of megawatts and in terms of
18 dollars.

19 In addition, I would suggest to you that the
20 Commission has in other cases, for example, the TECO Transport
21 case, removed issues that required additional analysis from
22 what's thought of as the perhaps traditional fuel adjustment
23 hearings. And I would also point out to you that just at the
24 last fuel adjustment hearing in 2003, the Commission explicitly
25 commented on the fact that, in regard to another issue, you

1 might recall the Gannon shutdown issue, that it was somewhat
2 uncomfortable with considering some of these complex and
3 difficult issues in the context of what's a very truncated time
4 frame.

5 We agree with Mr. Moyle's comments that the question
6 of whether this -- if this deal isn't approved right now, it's
7 going to evaporate is certainly a question of fact, and that
8 fact can't be found prior to the hearing.

9 We would suggest to you that, with all due respect,
10 that the prehearing officer's ruling that these matters be
11 considered today be, be reconsidered and that this item be spun
12 out for a more thorough consideration in a separate docket.

13 Thank you.

14 CHAIRMAN BAEZ: Mr. Butler or Ms. Futch.

15 MS. SMITH: Natalie Smith for FPL. Commissioners,
16 you have heard nothing that was not already argued in the
17 motions to remove. Further, the motion to remove -- the motion
18 for reconsideration did not ask for deferral of this matter.

19 FPL respectfully requests that you deny Mr. Churbuck,
20 who is the president of the Calpine Corporation subsidiary
21 company, and FIPUG's joint motion for reconsideration of the
22 order that rejected their request to remove issues related to
23 the UPS agreements into a separate docket.

24 The joint motion does not meet the standard for
25 reconsideration under Florida law because the joint motion

1 fails to point to any issue of fact or law that the prehearing
2 officer overlooked or failed to consider in rendering the
3 order.

4 The joint motion is an improper attempt by FIPUG and
5 Mr. Churbuck to reargue matters that have already been
6 considered by the prehearing officer in denying the motions to
7 remove. Mr. Churbuck and FIPUG argued that their joint motion
8 for reconsideration should be granted for two reasons. First,
9 they make a hypertechnical and legally incorrect argument that
10 the joint motion should be granted because the prehearing
11 officer made a finding of fact that was not based on sworn
12 testimony or other evidence. Second, they incorrectly assert
13 the prehearing officer overlooked one of the arguments made in
14 their motions to remove.

15 With respect to the first argument, the order denying
16 the spinoff request was not an evidentiary ruling subject to
17 Section 120.57(1). While joint movants correctly quote Section
18 120.57(1) and the requirements for findings of facts and the
19 issuance of a final order, joint movants ignore that Section
20 120.57(1) only applies to hearings involving disputed issues of
21 material fact.

22 The prehearing officer did not make a finding of fact
23 within the meaning of 120.57(1) when he determined as a
24 preliminary procedural matter based on the pleadings and
25 arguments of the parties that the motions to remove should be

1 denied. FIPUG and Mr. Churbuck cannot argue that a violation
2 of Section 120.57(1) has occurred before the 120.57(1) hearing
3 even takes place.

4 The prehearing officer's order denying the spinoff
5 motions are not based and need not be based on record evidence.
6 Pursuant to Section 120.569(1)(e) of the Florida Administrative
7 Procedure Act, the signatures of the parties on the pleadings
8 certified to the prehearing officer that the arguments and the
9 pleadings are based upon reasonable inquiry and can support the
10 requested ruling. Nothing more is required to support the
11 prehearing officer's decision on a pretrial motion to remove
12 issues to a separate docket.

13 The second reason the joint movants argue that the
14 order rejecting the spinoff request should be denied is
15 because they say the prehearing officer did not address one of
16 their arguments in the motions to remove, that the proposed
17 purchased power agreements are too complex to be considered in
18 the fuel and purchased power cost recovery clause docket. This
19 is merely an attempt by joint movants to reargue their motions
20 to remove.

21 The prehearing officer's order clearly states that
22 this complexity argument was made and considered. The
23 prehearing officer, on Page 1 of the order, summarizes the
24 argument that the PPAs are too complex for this docket.

25 On Page 2 of the order, the prehearing officer

1 summarizes FPL's response to this argument. On Page 3 of the
2 order, the prehearing officer expressly states that he reviewed
3 the pleadings and considered the enumerated arguments. Based
4 on that review, he determined that the UPS purchased power
5 agreement should not be removed from this proceeding. There is
6 no requirement that the prehearing officer state with
7 particularity the weight that he assigned to each of the
8 arguments, and the joint movants cited no authority for their
9 argument.

10 The joint movants are simply attempting to reargue
11 matters that have already been considered by the prehearing
12 officer, which is prescribed by the case law related to motions
13 for reconsideration. The joint motion for reconsideration thus
14 fails to meet the standard for reconsideration under Florida
15 law. The joint movants did not identify a point of fact or law
16 that the prehearing officer overlooked or failed to consider in
17 denying the motions to remove.

18 The interests that they assert are those of the
19 merchant power companies who favor any delay in these
20 proceedings. Again, Mr. Churbuck is the president of a Calpine
21 Corporation subsidiary company, and the two witnesses who have
22 submitted testimony sponsored by FIPUG are both employees of
23 merchant power companies. They seek any delay in these
24 proceedings.

25 FPL respectfully requests that the joint motion for

1 reconsideration be denied. John Butler may have something to
2 add.

3 MR. BUTLER: Very briefly let me just add,
4 Commissioners, that it was the movants who raised this as a
5 prehearing matter. They wanted it resolved as a prehearing
6 matter. It was resolved as a prehearing matter; they lost.
7 Now what they're wanting to do is to get it postponed and have
8 it considered something at the end of the hearing. I think
9 that would be very inappropriate and very inefficient. You
10 know, there was an issue in this docket, 14A, that was going to
11 cover the subject of whether to remove. It was taken out based
12 on the decision by the prehearing officer that removal was not
13 going to be granted as a prehearing matter. And I think it
14 would be very confusing to the proceeding to sort of insert it
15 provisionally or, you know, make its status in question by
16 deferring ruling 'til the end of the hearing.

17 The only other thing I'd like to point out is that,
18 you know, the order denying the motion to remove, you know,
19 says that FPL maintains it does not -- if it does not obtain
20 Commission approval for its proposed UPS agreements by early
21 2005, that could be tantamount to a denial of the contracts. I
22 find this fact to be persuasive. That is the case -- it's a
23 real problem, a fatal problem with spinning this matter off to
24 a separate hearing. The staff and the Commission has had
25 evidence from Mr. Hartman and the exhibits attached to

1 Mr. Hartman's testimony available to it throughout the period
2 it was considering the motion to remove. That evidence shows
3 that -- you know, what the prehearing officer found is, in
4 fact, the case, and I just fail to see how anything is going to
5 be gained from leaving this thing open until the end of the
6 hearing. Thank you.

7 CHAIRMAN BAEZ: Commissioners, questions of the
8 parties?

9 COMMISSIONER DEASON: I have a question for
10 Ms. Smith.

11 CHAIRMAN BAEZ: Go ahead, Commissioner.

12 COMMISSIONER DEASON: If we deny the motion for
13 reconsideration and we take evidence on the issue and the
14 Commission is uncomfortable making a decision, can the
15 Commission on its own motion defer ruling on the question even
16 though it may jeopardize the contract approval?

17 MS. SMITH: Would you like to address that, John?

18 MR. BUTLER: I'm sorry. I'm not quite sure --

19 COMMISSIONER DEASON: The question is are we --

20 MR. BUTLER: -- of the factual pattern of what you
21 are describing. Could you -- the procedure that you had in
22 mind, I'm sorry, Commissioner Deason.

23 COMMISSIONER DEASON: If the Commission denies the
24 motion for reconsideration, takes evidence on the contract and
25 is uncomfortable making a decision based upon the evidence that

1 s going to be taken at this hearing, can the Commission on its
2 own motion decide to defer the issue and take it at a later
3 time, even though it could jeopardize the approval contract
4 late?

5 MR. BUTLER: Absolutely.

6 COMMISSIONER DEASON: Okay.

7 CHAIRMAN BAEZ: Commissioner Davidson?

8 COMMISSIONER DAVIDSON: No question. I had a motion.

9 CHAIRMAN BAEZ: Any other questions? Let me -- no
10 other questions. Go ahead with your motion, sir.

11 COMMISSIONER DAVIDSON: Commissioners, it doesn't
12 appear to me that FIPUG and Calpine have met the standard for
13 reconsideration here. It does appear to be an attempt to
14 argue, reargue matters that were before the prehearing officer
15 and decided by the prehearing officer. I completely understand
16 that the parties submitting the motion may not like the
17 outcome, but such disagreement for me does not a basis for
18 reversal make.

19 We individually may or may not have reached the same
20 result, but that's not the standard for reconsideration. As
21 such, in view of the standard, the facts before us and the
22 arguments heard today, I move that we deny the motion for
23 reconsideration.

24 COMMISSIONER DEASON: Second.

25 CHAIRMAN BAEZ: Motion and a second. All those in

1 avor, say aye.

2 (Unanimous affirmative vote.)

3 CHAIRMAN BAEZ: Okay. That takes care of the motion
4 for reconsideration.

5 Mr. McGee, we're going to -- we can -- I recognize
6 that we have an outstanding motion on the supplemental that you
7 asked to, to defer. We're going to probably move back to -- I
8 think we can take care of the other dockets that might have
9 stipulations to be offered at this point. Would that fit with
10 your need for time?

11 MR. MCGEE: Yes, that would be fine. Thank you.

12 CHAIRMAN BAEZ: Okay. Very well.

13 * * * * *

14 CHAIRMAN BAEZ: And we are back on Docket 01.

15 Mr. McGee, you've had, by my count, approximately 45
16 extra seconds to --

17 MR. MCGEE: Mr. Chairman, we've had the opportunity
18 to discuss the subject matter of the motion with the Office of
19 Public Counsel. We have not had that opportunity to discuss
20 what we have concluded with Public Counsel with the other
21 parties, FIPUG and staff, and so we would like to ask if we
22 could continue the deferral until we have our next break.

23 CHAIRMAN BAEZ: And I just want to -- and I -- well,
24 we're coming up on a break in about half an hour or so. I just
25 want to make sure that by holding, holding off on this motion,

1 Ms. Vining, we're not impeding the progress on the docket that
2 we have to make at this point.

3 MS. VINING: I suppose that would depend on the order
4 of witnesses you would like to take, Chairman Baez.

5 CHAIRMAN BAEZ: Is there -- does -- okay. Then let's
6 discuss that. Is there some change in the order of witnesses
7 that, that we need to make in order to accommodate holding
8 this, this motion off?

9 MS. VINING: Well --

10 CHAIRMAN BAEZ: I'm assuming there is because it's,
11 it's --

12 MS. VINING: Well, did you still want to take up
13 Mr. Hartman's testimony first? He's one of the first witnesses
14 that wasn't excused. He would be the first witness.

15 CHAIRMAN BAEZ: Yeah. We had, we had discussed, we
16 had discussed that. And I think, I think the idea was to hold
17 Mr. Hartman off 'til just before the rebuttal witness
18 corresponding to his testimony; is that, is that correct?

19 MS. VINING: Yes. You had indicated to me that you
20 wanted to take up the witnesses on the other issues before we
21 get to the FPL purchased power agreement issues.

22 CHAIRMAN BAEZ: Very well.

23 MS. VINING: So that would be Mr. Portuondo first.

24 CHAIRMAN BAEZ: So that would -- say that again. I'm
25 sorry.

1 MS. VINING: In the prehearing order --

2 CHAIRMAN BAEZ: I'm only dealing with Mr. -- with
3 witness Hartman at this point.

4 MS. VINING: He would be the first live witness --

5 CHAIRMAN BAEZ: Right.

6 MS. VINING: -- as the order stands in the prehearing
7 order currently.

8 CHAIRMAN BAEZ: Right. Uh-huh.

9 MS. VINING: But as I recall, you had indicated
10 earlier that you would prefer to hear from the other utility
11 witnesses on other outstanding issues before we got to
12 Mr. Hartman.

13 CHAIRMAN BAEZ: Very well. And that would leave
14 Mr. Portuondo up first. And, Mr. McGee, how does that comport
15 with your needs to --

16 MR. MCGEE: It might complicate it to some extent.
17 He has his direct testimony as well as the supplemental
18 testimony. It's the revision to the supplemental testimony
19 that we're discussing right now.

20 CHAIRMAN BAEZ: How much time do you need?

21 MR. MCGEE: Very little.

22 CHAIRMAN BAEZ: Okay. Then why don't we --
23 Commissioners, if it's all right with you, why don't we take a
24 15-minute break and come back at 10:30 and we can start, we can
25 hopefully start taking witnesses.

1 (Recess taken.)

2 CHAIRMAN BAEZ: Go back on the record.

3 Ms. Vining, have you had a chance to speak with
4 Progress concerning what changes we need to make to the order
5 of witnesses or, or not?

6 MS. VINING: Yes. We discussed their motion for
7 leave to file supplemental or to revise their supplemental
8 testimony. And I believe that they're going to withdraw the
9 notion at this time, but Ms. Davis can speak to that.

10 CHAIRMAN BAEZ: Ms. Davis, I'm sorry. I didn't see
11 you. Can you go ahead and update us?

12 MS. DAVIS: Commissioners, Bonnie Davis, Progress
13 Energy. The parties have reached agreement that's going to
14 include withdrawing the motion to file revised supplemental
15 testimony and at the same time revising the direct testimony
16 that was filed in August and September. So I believe we can
17 wrap the whole thing up when we put Mr. Portuondo on the stand
18 and go through the revisions to his direct testimony. But the
19 net impact is that we would withdraw the supplemental testimony
20 and the motion related to it.

21 CHAIRMAN BAEZ: Very well. And we can look forward
22 to taking up Mr. Portuondo in whatever order we wind up
23 establishing at this point. I think there's really only one
24 change. That's going to put him in the leadoff spot.

25 MS. DAVIS: Yes, sir.

1 CHAIRMAN BAEZ: Okay. Very well.

2 MS. KAUFMAN: Chairman Baez.

3 CHAIRMAN BAEZ: Oh, Ms. Kaufman.

4 MS. KAUFMAN: Just so it's clear, Mr. Portuondo had
5 two sets of revised testimony, and it's my understanding that
6 both of those sets are going to be withdrawn and the
7 corrections made to his direct.

8 MS. DAVIS: That's correct. Yes.

9 CHAIRMAN BAEZ: Ms Davis? Okay. So we're -- all
10 right. Very well.

11 Now, Ms. Vining, let's go back and revisit the order
12 of witnesses at this point. We had discussed taking Witness
13 Hartman and placing that testimony just prior to Witness
14 Dismukes; is that correct?

15 MS. VINING: That would be correct.

16 CHAIRMAN BAEZ: Now I am showing, as you had
17 suggested, then it would be Mr. Portuondo, then Witness Knapp,
18 Witness Smith and Witness Jordan; is that correct?

19 MS. VINING: Yes, that's correct.

20 MR. BEASLEY: Mr. Chairman, Witness Jordan's direct
21 and rebuttal testimony, I think all of the issues addressed in
22 those testimonies have been stipulated, and we would ask that
23 her testimony, you consider that for stipulating into the
24 record subject to her remaining here for the duration of the
25 hearing.

1 CHAIRMAN BAEZ: Very well. And I know that I have
2 been --

3 MS. VINING: Let me just say, Ms. Jordan's testimony
4 relates to fallout issues for TECO.

5 CHAIRMAN BAEZ: Correct.

6 MS. VINING: And there is one remaining
7 company-specific issue for TECO that's open. So as a result
8 that's why Ms. Jordan wasn't excused, because there might be an
9 effect on the fallout on the numbers related to TECO's one
10 remaining company-specific issue.

11 CHAIRMAN BAEZ: But her testimony is pretty much on
12 standby, nevertheless, according to what Mr. Beasley said.

13 MS. VINING: Yes.

14 CHAIRMAN BAEZ: Ms. Christensen, you had something to
15 add?

16 MS. CHRISTENSEN: I had a different issue. Ms. Donna
17 Davis for Progress Energy filed supplemental testimony. We
18 also have cross-examination questions for her. I guess I would
19 recommend that she follow Mr. Portuondo, and then Mr. Knapp.

20 MS. DAVIS: Mr. Chairman, the testimony of Ms. Davis
21 was allowed by order of the prehearing officer, but she does
22 not appear in the list of witnesses.

23 CHAIRMAN BAEZ: You saw me drawing a blank, did you?

24 MS. DAVIS: Yes.

25 CHAIRMAN BAEZ: Aha.

1 MS. DAVIS: So we would concur that it would be
2 logical for her to testify after Mr. Portuondo.

3 CHAIRMAN BAEZ: Very well. Then we will insert
4 Witness Davis right after Witness Portuondo.

5 MS. KAUFMAN: Mr. Chairman?

6 CHAIRMAN BAEZ: Yes.

7 MS. KAUFMAN: In regard to -- I know we're kind of
8 jumping around. In regard to Mr. Beasley's comments about
9 Ms. Jordan's testimony being stipulated, we do not have a
10 problem with that. But I just wanted to mention, and I
11 discussed this with Mr. Beasley last week, Ms. Jordan addresses
12 Issue 17C, which is an issue related to the flow back of the
13 money from your decision on the TECO Transport case. We've
14 stipulated to that issue, and Ms. Jordan did a recalculation
15 late in the game and filed some revised testimony to show how
16 that money was going to flow back.

17 We've reviewed that calculation. At this point we're
18 not sure that it was done in the most appropriate way, given
19 that this adjustment relates to coal transportation. But
20 having said all that, we don't intend to challenge it here. I
21 just raise it because we intend to look at it in the upcoming
22 period, and I didn't want there to be any suggestion that since
23 we've stipulated to 17C, we have waived our ability to take a
24 closer look at the, at the calculation.

25 CHAIRMAN BAEZ: Mr. Beasley, that's your

1 understanding as well?

2 MR. BEASLEY: That's my understanding, yes, sir.

3 CHAIRMAN BAEZ: Very well.

4 MR. BEASLEY: And with that I would ask that
5 Ms. Jordan's testimony be stipulated in, with the understanding
6 that she will remain at the hearing until, until any fallout
7 issues are resolved.

8 CHAIRMAN BAEZ: We'll let the record reflect that Ms.
9 Jordan is on standby and is not expected to take the stand.

10 MR. BEASLEY: Thank you, sir.

11 MR. BUTLER: Chairman Baez.

12 CHAIRMAN BAEZ: Mr. Butler.

13 MR. BUTLER: Somebody I think might be in sort of the
14 same category is Korel Dubin. K. M. Dubin is not listed on
15 here with an asterisk for excusal, but that, I understand, is
16 because of the fact that when this was generated, there was not
17 yet an understanding on Issue 31A, but I believe there is now.
18 And if that's correct, then I think she would be excused as
19 well.

20 CHAIRMAN BAEZ: There is no -- well, although, yes,
21 you're correct, I don't think we've taken up stipulations on
22 this docket yet. But subject, subject to that, that's my
23 understanding as well, and we'll let the record reflect that
24 Ms. Dubin's excusal is contingent on something.

25 MR. BUTLER: Okay.

1 CHAIRMAN BAEZ: And we'll, we'll take that up.
2 Thanks for reminding me.

3 Are there any other witness issues that we need to
4 take up at this point, or we can move along?

5 MS. DAVIS: Mr. Chairman.

6 CHAIRMAN BAEZ: Ms. Davis, you started this.

7 MS. DAVIS: One other housekeeping issue.

8 CHAIRMAN BAEZ: Yes.

9 MS. DAVIS: Mr. Sam Waters is a witness for our
10 company, and he testified on two issues, the contract relating
11 to Shady Hills and the Southern letter of intent contract. And
12 because the prehearing officer ruled that the issue would be
13 dropped for us on the Southern contract, we would like to
14 withdraw that portion of Mr. Waters' testimony that related to
15 the Southern contract. And we have an errata sheet to
16 distribute to the Commission, the parties and the court
17 reporter, if now would be the appropriate time to do it.

18 CHAIRMAN BAEZ: Well, since he wasn't slated to --
19 I'm showing him as one of the witnesses that were excused. We
20 might, we might as well do that at this, at this time, if
21 there's something that you need to circulate.

22 MS. KAUFMAN: Mr. Chairman, could I inquire of
23 Ms. Davis about that comment? I just want to be clear that --

24 CHAIRMAN BAEZ: You can ask it to me and I'll defer
25 to her, you know.

1 MS. KAUFMAN: Okay. Whatever the right process is.
2 'hat Mr Waters' entire rebuttal is withdrawn; is that correct?

3 CHAIRMAN BAEZ: Well, is it, Ms. Davis?

4 MS. DAVIS: Yes, I think so. Yes.

5 MS. KAUFMAN: Thank you, Mr. Chairman.

6 CHAIRMAN BAEZ: Okay. And we'll make the appropriate
7 notations to the record.

8 Ms. Vining, I think we can move on to the witnesses
9 or to the testimony and --

10 MS. VINING: Did you say exhibits or testimony?

11 CHAIRMAN BAEZ: Just the testimony at this point,
12 because we're going to need to make some, some notations as to
13 witness Waters' testimony, whatever it is that we're entering
14 into the record.

15 MS. VINING: Yes. I would also note that in the
16 prehearing order we've already reflected the removal of
17 Exhibits SSW-2 and SSW-4 from the record, and that's also
18 reflected in the composite stipulated exhibit list too.

19 CHAIRMAN BAEZ: Very well. We can go ahead and admit
20 the prefiled testimony.

21 MS. VINING: Yes.

22 CHAIRMAN BAEZ: All right. And, and at this moment,
23 without objection, we will admit the prefiled testimony as
24 reflected in the prehearing order into the record as though
25 read, noting also the errata sheet that modifies or corrects

1 the direct testimony exhibits of Sam Waters on behalf of
2 Progress.

3 MS. VINING: And these are all the witnesses that
4 have an asterisk that have been excused?

5 CHAIRMAN BAEZ: Correct. And then the comprehensive
6 exhibit only deals with the excused witnesses as well; correct?

7 MS. VINING: Actually it covers exhibits for all
8 witnesses.

9 CHAIRMAN BAEZ: Then we're probably going to have to
10 hold off on, on taking this up or --

11 MS. VINING: I think we could go ahead and have it
12 entered into the record, unless there's an objection from any
13 of the parties.

14 CHAIRMAN BAEZ: All right. Is there objection to
15 entering the exhibits as set forth in the comprehensive
16 stipulated exhibits list? I'm assuming the parties have had
17 this for some, for some time.

18 MS. VINING: Yes. It was provided to the parties
19 last week, and I gave each of them a copy of it this morning as
20 well.

21 CHAIRMAN BAEZ: Very well. Ms. Kaufman.

22 MS. KAUFMAN: Mr. Chairman, I have no objection.

23 CHAIRMAN BAEZ: Ms. Christensen?

24 MS. CHRISTENSEN: No objection.

25 CHAIRMAN BAEZ: Very well. Then let's -- I still, I

1 -

2 MS. VINING: I was going to say what we would do is
3 e would ask that the comprehensive stipulated exhibit list be
4 arked as Exhibit 1.

5 CHAIRMAN BAEZ: We'll mark it as Exhibit 1.

6 (Exhibit 1 marked for identification.)

7 MS. VINING: And the rest of the exhibits be marked
8 ccording to what's listed in the comprehensive stipulated
9 xhibit list.

10 CHAIRMAN BAEZ: And the succeeding exhibits contained
11 herein marked in sequential order as reflected in Exhibit 1.
12 Okay.

13 (Exhibits 2 through 58 marked for identification.)

14 MS. VINING: Did you move it into the record?

15 CHAIRMAN BAEZ: I don't think we can move it into the
16 record until we've, we've had the outstanding witnesses, the
17 witnesses supporting actually --

18 MS. VINING: Okay.

19 CHAIRMAN BAEZ: I mean, they haven't been before us
20 yet, you see. We're still holding out witnesses.

21 MS. VINING: Okay.

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**
2 **FLORIDA POWER & LIGHT COMPANY**
3 **TESTIMONY OF GERARD YUPP**
4 **DOCKET NO. 040001-EI**
5 **APRIL 1, 2004**

6 **Q. Please state your name and address.**

7 A. My name is Gerard Yupp. My business address is 700 Universe
8 Boulevard, North Palm Beach, Florida, 33408.

9

10 **Q. By whom are you employed and what is your position?**

11 A. I am employed by Florida Power & Light Company (FPL) as
12 Manager of Regulated Wholesale Power Trading in the Energy
13 Marketing and Trading Division.

14

15 **Q. Have you testified in the prior Fuel and Purchased Power Cost
16 Recovery docket?**

17 A. Yes.

18

19 **Q. What is the purpose of your testimony?**

20 A. The purpose of my testimony is to provide a review of FPL's 2003
21 hedging activity, including the detail required by Item 5 of the
22 Resolution of Issues in Docket 011605-EI approved by the Florida

1 Public Service Commission per Order No. PSC-02-1484-FOF-EI,
2 which states:

3 "5. Each investor-owned utility shall provide, as part of its
4 final true-up filing in the fuel and purchased power cost
5 recovery docket, the following information: (1) the volumes of
6 each fuel the utility actually hedged using a fixed price
7 contract or instrument; (2) the types of hedging instruments
8 the utility used, and the volume and type of fuel associated
9 with each type of instrument; (3) the average period of each
10 hedge; and (4) the actual total cost (e.g. fees, commissions,
11 options premiums, futures gains and losses, swaps
12 settlements) associated with using each type of hedging
13 instrument".

14
15 **Q. Are you sponsoring an exhibit for this proceeding?**

16 A. Yes. It consists of the following document:

17 GJY-1: 2003 Hedging Activity
18

19 **Q. Please describe FPL's hedging objectives.**

20 A. FPL's fuel procurement strategy aims to benefit FPL's customers by
21 reducing fuel price volatility and, to the extent possible, mitigating
22 fuel price increases, while maintaining the opportunity to take
23 advantage of price decreases in the marketplace.

1

2 **Q. Please summarize FPL's 2003 hedging activity.**

3 A. Throughout the first half of 2003, FPL continued to develop a more
4 robust hedging program by acquiring new systems and personnel to
5 expand and enhance its hedging capabilities. Consistent with the
6 hedging strategy that was described in FPL's presentation to the
7 Staff and the parties on June 30, 2003, FPL implemented its
8 expanded hedging program in the summer of 2003.

9

10 The results of FPL's 2003 hedging activity are presented in Exhibit
11 GJY-1. FPL's 2003 hedging activities helped to reduce fuel price
12 volatility and deliver greater price certainty for FPL's customers.
13 FPL will continue to constantly monitor the fundamentals of the
14 energy markets and as conditions change, FPL will make further
15 adjustments to its hedging program to meet FPL's objective of
16 reduced fuel price volatility. FPL also will continue to utilize the
17 additional resources (systems and personnel) it acquired as a result
18 of Order PSC-02-1484-FOF-EI issued on October 30, 2002, to meet
19 its goals and the goals of its customers.

20

21 **Q. Does your Exhibit GJY-1 provide the detail on FPL's 2003**
22 **hedging activities required by Item 5 of the Resolution of**
23 **Issues?**

1 A. Yes.

2

3 **Q. Does this conclude your testimony?**

4 A. Yes, it does.

1
2
3
4
5

6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

FLORIDA POWER & LIGHT COMPANY

TESTIMONY OF GERARD J. YUPP

DOCKET NO. 040001-EI

SEPTEMBER 9, 2004

Q. Please state your name and address.

A. My name is Gerard J. Yupp. My business address is 700 Universe Boulevard, Juno Beach, Florida, 33408.

Q. By whom are you employed and what is your position?

A. I am employed by Florida Power & Light Company (FPL) as Manager of Regulated Wholesale Power Trading in the Energy Marketing and Trading Division.

Q. Have you previously testified in this docket?

A. Yes.

Q. What is the purpose of your testimony?

A. The purpose of my testimony is to present and explain FPL's projections for (1) the dispatch costs of heavy fuel oil, light fuel oil, coal, petroleum coke, and natural gas, (2) the availability of natural gas to FPL, (3) generating unit heat rates and availabilities, (4) the

1 quantities and costs of wholesale (off-system) power and purchased
2 power transactions, and (5) FPL's Risk Management Plan for fuel
3 procurement in 2005. Additionally, my testimony will briefly discuss
4 the year-to-date results of FPL's hedging program for 2004 and
5 FPL's hedging strategy beyond the 2005 projected period. The
6 projected values for (1) through (4) were used as input data to the
7 POWRSYM model that FPL uses to calculate the fuel costs to be
8 included in the proposed fuel cost recovery factors for the period of
9 January through December 2005.

10

11 **Q. How is your testimony organized?**

12 A. My testimony first describes the basis for the fuel price forecast for
13 oil, coal and petroleum coke, and natural gas, as well as, the
14 projection for natural gas availability. A description of FPL's forecast
15 methodology change for 2005 is also included in this part of the
16 testimony. The second part of the testimony addresses plant heat
17 rates, outage factors, planned outages, and changes in generation
18 capacity. This is followed by a description of projected wholesale
19 (off-system) power and purchased power transactions. Next, the
20 testimony describes FPL's 2005 Risk Management Plan for fuel
21 procurement, as outlined in Order PSC- 02-1484-FOF-EI issued on
22 October 30, 2002. This section includes an overview of FPL's fuel
23 hedging objectives and an itemization of projected, prudently-

1 incurred incremental operating and maintenance expenses for
2 maintaining FPL's expanded, non-speculative financial and physical
3 hedging program for the projected period. Lastly, the testimony
4 provides a discussion of FPL's 2004 hedging activities and a
5 description of FPL's hedging plans beyond the 2005 recovery
6 period.

7

8 **Q. Have you prepared or caused to be prepared under your**
9 **supervision, direction and control an Exhibit in this**
10 **proceeding?**

11 A. Yes, I have. It consists of the entire Appendix I and Schedules E2,
12 E3, E4, E5, E6, E7, E8 and E9 of Appendix II of this filing.

13

14 **FUEL PRICE FORECAST**

15 **Q. Has FPL's forecast methodology changed for the 2005-**
16 **recovery period?**

17 Yes. For natural gas commodity prices, the forecast methodology
18 has changed to the NYMEX Natural Gas Futures contract (forward
19 curve). For light and heavy fuel oil prices, FPL will utilize Over-The-
20 Counter (OTC) forward market prices. FPL is implementing this
21 change in an effort to align its price projections with its expanded
22 hedging program. The forward curves for both natural gas and fuel
23 oil represent expected future prices at a given point in time. The

1 basic assumption made with respect to the forward curves is that all
2 available data that could impact the price of natural gas and fuel oil
3 in the future is incorporated into the curve at all times. The forward
4 curves represent real prices that FPL can transact at for its hedging
5 program. The methodology allows FPL to better react to changing
6 market conditions.

7 For the projected price of coal and petroleum coke, and the
8 availability of natural gas, FPL's forecast methodology has not
9 changed.

10

11 **Q. What are the key factors that could affect FPL's price for heavy**
12 **fuel oil during the January through December 2005 period?**

13 A. The key factors that could affect FPL's price for heavy oil are (1)
14 worldwide demand for crude oil and petroleum products (including
15 domestic heavy fuel oil), (2) non-OPEC crude oil production, (3) the
16 extent to which OPEC production matches actual demand for OPEC
17 crude oil, (4) the price relationship between heavy fuel oil and crude
18 oil, (5) the price relationship between heavy oil and natural gas and
19 (6) the terms of FPL's heavy fuel oil supply and transportation
20 contracts.

21

22 World demand for crude oil and petroleum products is projected to
23 increase slightly in 2005 over 2004 average levels primarily due to

1 increases in demand in the U.S. (primarily for gasoline and
2 distillates, including light fuel oil) and in the Pacific Rim countries.
3 Although crude oil production and worldwide refining capacity will be
4 adequate to meet the projected increase in crude oil and petroleum
5 product demand, general adherence by OPEC members to its most
6 recent production accord, and limited spare OPEC productive
7 capacity, should prevent significant overproduction of crude oil.
8 When coupled with the continuation of historically low domestic
9 crude oil and petroleum product inventory levels, the supply of crude
10 oil and petroleum products will remain somewhat tight during most
11 of 2005.

12

13 **Q. What is the projected relationship between heavy fuel oil and**
14 **crude oil prices during the January through December 2005**
15 **period?**

16 A. The price of heavy fuel oil on the U. S. Gulf Coast (1.0% sulfur) is
17 projected to be approximately 85% of the price of West Texas
18 Intermediate (WTI) crude oil during this period. Please note,
19 however, that in order to meet the growth in U.S. demand for
20 gasoline and distillates, including light fuel oil, refineries will be
21 operating at record levels during most of 2005. Because heavy
22 fuel oil is essentially a residual product of the distillation process,
23 this high level of refinery operation has resulted in a high level of

1 heavy fuel oil supply. Without a corresponding increase in
2 projected heavy fuel oil demand, the increase in heavy fuel oil
3 supply should result in a further widening of the price differential
4 between worldwide crude oil and domestic heavy fuel oil prices.
5

6 **Q. Please provide FPL's projection for the dispatch cost of heavy
7 fuel oil for the January through December 2005 period.**

8 A. FPL's projection for the system average dispatch cost of heavy fuel
9 oil, by sulfur grade and by month, is provided on page 3 of Appendix
10 I.
11

12 **Q. What are the key factors that could affect the price of light fuel
13 oil?**

14 A. The key factors that could affect the price of light fuel oil are similar
15 to those described above for heavy fuel oil except that, because
16 light fuel oil is a distillate product and not a residual of the refining
17 process, there is no reason to expect an over-supply of light fuel oil
18 comparable to that described above for heavy fuel oil. Therefore,
19 FPL anticipates that light fuel oil prices will track increases in
20 worldwide crude oil prices more closely than will be the case for
21 heavy fuel oil prices.
22

23 **Q. Please provide FPL's projection for the dispatch cost of light**

1 **fuel oil for the January through December 2005 period.**

2 A. FPL's projection for the system average dispatch cost of light oil, by
3 month, is provided on page 3 of Appendix I.

4

5 **Q. What is the basis for FPL's projections of the dispatch cost for**
6 **St. Johns' River Power Park (SJRPP) and Scherer Plant?**

7 A. FPL's projected dispatch cost for SJRPP is based on FPL's price
8 projection for spot coal and petroleum coke delivered to SJRPP.
9 The dispatch cost for Scherer is based on FPL's price projection for
10 spot coal delivered to Scherer Plant.

11

12 For SJRPP, annual coal volumes delivered under long-term
13 contracts are fixed on October 1st of the previous year. For Scherer
14 Plant, the annual volume of coal delivered under long-term contracts
15 is set by the terms of the contracts. Therefore, in each case the
16 price of coal delivered under long-term contracts does not affect the
17 daily dispatch decision.

18

19 In the case of SJRPP, FPL will continue to blend petroleum coke
20 with coal in order to reduce fuel costs. It is anticipated that
21 petroleum coke will represent 17% of the fuel blend at SJRPP
22 during 2005. The lower price of petroleum coke is reflected in the
23 projected dispatch cost for SJRPP, which is based on this projected

1 fuel blend.

2

3 **Q. Please provide FPL's projection for the dispatch cost of SJRPP**
4 **and Scherer Plant for the January through December 2005**
5 **period.**

6 A. FPL's projection for the system average dispatch cost of "solid fuel"
7 for this period, by plant and by month, is shown on page 3 of
8 Appendix I.

9

10 **Q. What are the factors that can affect FPL's natural gas prices**
11 **during the January through December 2005 period?**

12 A. In general, the key factors are (1) North American natural gas
13 demand and domestic production, (2) LNG and Canadian natural
14 gas imports, (3) heavy fuel oil and light fuel oil prices, and (4) the
15 terms of FPL's natural gas supply and transportation contracts. The
16 dominant factors influencing the projected price of natural gas in
17 2005 are: (1) projected natural gas demand in North America will
18 continue to grow moderately in 2005, primarily in the electric
19 generation sector; and (2) domestic natural gas production in 2005
20 is projected to be slightly above average 2004 levels. The balance
21 of the supply to meet demand will come from increased Canadian
22 and LNG imports.

23

1 **Q. What are the factors that affect the availability of natural gas to**
2 **FPL during the January through December 2005 period?**

3 A. The key factors are (1) the existing capacity of the Florida Gas
4 Transmission (FGT) pipeline system into Florida, (2) the existing
5 capacity of the Gulfstream natural gas pipeline system into Florida,
6 (3) the limited number of receipt points into the Gulfstream natural
7 gas pipeline system, (4) the portion of FGT capacity that is
8 contractually allocated to FPL on a firm basis each month, (5) the
9 assumed volume of natural gas which can move from the
10 Gulfstream pipeline into FGT at the Hardee and Osceola
11 interconnects, and (6) the natural gas demand in the State of
12 Florida.

13
14 The current capacity of FGT into the State of Florida is about
15 2,030,000 million BTU per day and the current capacity of
16 Gulfstream is about 1,100,000 million BTU per day. FPL currently
17 has firm natural gas transportation capacity on FGT ranging from
18 750,000 to 874,000 million BTU per day, depending on the month.
19 Additionally, FPL has acquired 350,000 million BTU per day of firm
20 natural gas transportation on Gulfstream to fuel the new Manatee
21 Unit 3 and Martin Unit 8 projects. This firm transport contract on
22 Gulfstream begins on June 1, 2005 and runs through June 1, 2028.
23 Total demand for natural gas in the state of Florida during the

1 January through December 2005 period (including FPL's firm
2 allocation) is projected to be between 550,000 and 700,000 million
3 BTU per day below the total pipeline capacity into the state. FPL
4 projects that it could acquire, if economic, an additional 463,000 to
5 613,000 million BTU per day of natural gas transportation beyond its
6 current 750,000 to 874,000 million BTU per day of firm allocation on
7 FGT and 350,000 million BTU per day of firm allocation on
8 Gulfstream. This projection is based on the current capability of the
9 two interconnections between Gulfstream and FGT pipeline systems
10 and the availability of capacity on each pipeline.

11

12 **Q. Please provide FPL's projections for the dispatch cost and**
13 **availability of natural gas for the January through December**
14 **2005 period.**

15 A. FPL's projections of the system average dispatch cost and
16 availability of natural gas, by transport type, by pipeline and by
17 month, are provided on page 3 of Appendix I.

18

19

20 **PLANT HEAT RATES, OUTAGE FACTORS, PLANNED**
21 **OUTAGES, and CHANGES IN GENERATING CAPACITY**

22 **Q. Please describe how FPL developed the projected Average Net**
23 **Operating Heat Rates shown on Schedule E4 of Appendix II.**

1 A. The projected Average Net Operating Heat Rates were calculated
2 by the POWRSYM model. The current heat rate equations and
3 efficiency factors for FPL's generating units, which present heat rate
4 as a function of unit power level, were used as inputs to POWRSYM
5 for this calculation. The heat rate equations and efficiency factors
6 are updated as appropriate based on historical unit performance
7 and projected changes due to plant upgrades, fuel grade changes,
8 and/or from the results of performance tests.

9

10 **Q. Are you providing the outage factors projected for the period**
11 **January through December 2005?**

12 A. Yes. This data is shown on page 4 of Appendix I.

13

14 **Q. How were the outage factors for this period developed?**

15 A. The unplanned outage factors were developed using the actual
16 historical full and partial outage event data for each of the units. The
17 historical unplanned outage factor of each generating unit was
18 adjusted, as necessary, to eliminate non-recurring events and
19 recognize the effect of planned outages to arrive at the projected
20 factor for the January through December 2005 period.

21

22 **Q. Please describe the significant planned outages for the**
23 **January through December 2005 period.**

1 A. Planned outages at our nuclear units are the most significant in
2 relation to Fuel Cost Recovery. Turkey Point Unit No. 4 is
3 scheduled to be out of service for refueling and replacement of the
4 reactor vessel head from April 9, 2005 until June 13, 2005 or 65
5 days during the projected period. St. Lucie Unit No. 1 will be out of
6 service for refueling and replacement of the reactor vessel head
7 from October 3, 2005 until December 2, 2005 or 60 days during the
8 projected period.

9

10 **Q. Please list any changes to FPL's generation capacity projected**
11 **to take place during the January through December 2005**
12 **period.**

13 A. The conversion of Martin Unit 8 to combined cycle will increase
14 FPL's net summer peak capability (NSPC) by 793 MW. Also, the
15 addition of combined cycle Manatee Unit 3 will increase FPL's
16 NSPC by 1,107 MW.

17

18

19 **WHOLESALE (OFF-SYSTEM) POWER AND PURCHASED**
20 **POWER TRANSACTIONS**

21 **Q. Are you providing the projected wholesale (off-system) power**
22 **and purchased power transactions forecasted for January**
23 **through December 2005?**

1 A. Yes. This data is shown on Schedules E6, E7, E8, and E9 of
2 Appendix II of this filing.

3

4 **Q. In what types of wholesale (off-system) power transactions**
5 **does FPL engage?**

6 A. FPL purchases power from the wholesale market when it can
7 displace higher cost generation with lower cost power from the
8 market. FPL will also sell excess power into the market when its
9 cost of generation is lower than the market. Purchasing and selling
10 power in the wholesale market allows FPL to lower fuel costs for its
11 customers as all savings and gains are credited to the customer
12 through the Fuel Cost Recovery Clause. Power purchases and
13 sales are executed under specific tariffs that allow FPL to transact
14 with a given entity. Although FPL primarily transacts on a short-term
15 basis, hourly and daily transactions, FPL continuously searches for
16 all opportunities to lower fuel costs through purchasing and selling
17 wholesale power, regardless of the duration of the transaction. FPL
18 can also purchase and sell power during emergency conditions
19 under several types of Emergency Interchange agreements that are
20 in place with other utilities within Florida.

21

22 **Q. Does FPL have additional agreements for the purchase of**
23 **electric power and energy that are included in your**

1 **projections?**

2 A. Yes. FPL purchases coal-by-wire electrical energy under the 1988
3 Unit Power Sales Agreement (UPS) with the Southern Companies.
4 FPL has contracts to purchase nuclear energy under the St. Lucie
5 Plant Nuclear Reliability Exchange Agreements with Orlando
6 Utilities Commission (OUC) and Florida Municipal Power Agency
7 (FMPA). FPL also purchases energy from JEA's portion of the
8 SJRPP Units. Additionally, FPL has purchased exclusive dispatch
9 rights for the output of 6 combustion turbines totaling approximately
10 950 MW (the output varies depending on the season). The
11 agreements for the combustion turbines are with Progress Energy
12 Ventures, Reliant Energy Services, and Oleander Power Project
13 L.P. FPL provides natural gas for the operation of each of these
14 three facilities as well as light fuel oil for two of the facilities. FPL
15 has also purchased 150 MW of capacity and energy from Calpine
16 Energy Services out of the Osprey Energy Center. This agreement
17 runs through April 30, 2005. Lastly, FPL purchases energy and
18 capacity from Qualifying Facilities under existing tariffs and
19 contracts.

20

21 **Q. Please provide the projected energy costs to be recovered**
22 **through the Fuel Cost Recovery Clause for the power**
23 **purchases referred to above during the January through**

1 **December 2005 period.**

2 A. Under the UPS agreement, FPL's capacity entitlement during the
3 projected period is 931 MW from January through December 2005.
4 Based upon the alternate and supplemental energy provisions of
5 UPS, an availability factor of 100% is applied to these capacity
6 entitlements to project energy purchases. The projected UPS
7 energy (unit) cost for this period, used as an input to POWRSYM, is
8 based on data provided by the Southern Companies. For the
9 period, FPL projects the purchase of 8,049,486 MWh of UPS
10 Energy at a cost of \$136,358,000. The total UPS Energy
11 projections are presented on Schedule E7 of Appendix II.

12

13 Energy purchases from the JEA-owned portion of the St. Johns
14 River Power Park generation are projected to be 2,757,125 MWh for
15 the period at an energy cost of \$41,267,000. FPL's cost for energy
16 purchases under the St. Lucie Plant Reliability Exchange
17 Agreements is a function of the operation of St. Lucie Unit 2 and the
18 fuel costs to the owners. For the period, FPL projects purchases of
19 537,383 MWh at a cost of \$1,710,800. These projections are
20 shown on Schedule E7 of Appendix II.

21

22 FPL projects to dispatch 633,479 MWh from its combustion turbine
23 agreements at a cost of \$50,923,113. These projections are shown

1 on Schedule E7 of Appendix II.

2

3 In addition, as shown on Schedule E8 of Appendix II, FPL projects
4 that purchases from Qualifying Facilities for the period will provide
5 7,227,963 MWh at a cost to FPL of \$160,556,000.

6

7 **Q. How were the projected energy costs related to purchases**
8 **from Qualifying Facilities developed?**

9 A. For those contracts that entitle FPL to purchase "as-available"
10 energy, FPL used its fuel price forecasts as inputs to the
11 POWRSYM model to project FPL's avoided energy cost that is used
12 to set the price of these energy purchases each month. For those
13 contracts that enable FPL to purchase firm capacity and energy, the
14 applicable Unit Energy Cost mechanism prescribed in the contract is
15 used to project monthly energy costs.

16

17 **Q. Please describe the method used to forecast wholesale (off-**
18 **system) power purchases and sales.**

19 A. The quantity of wholesale (off-system) power purchases and sales
20 are projected based upon estimated generation costs, generation
21 availability and expected market conditions.

22

23 **Q. What are the forecasted amounts and costs of wholesale (off-**

1 **system) power sales?**

2 A. FPL has projected 2,460,000 MWh of wholesale (off-system) power
3 sales for the period of January through December 2005. The
4 projected fuel cost related to these sales is \$115,254,050. The
5 projected transaction revenue from these sales is \$133,365,000.
6 The projected gain for these sales is \$11,084,350 and is credited to
7 our customers.

8

9 **Q. In what document are the fuel costs for wholesale (off-system)**
10 **power sales transactions reported?**

11 A. Schedule E6 of Appendix II provides the total MWh of energy; total
12 dollars for fuel adjustment, total cost and total gain for wholesale
13 (off-system) power sales.

14

15 **Q. What are the forecasted amounts and cost of energy being**
16 **sold under the St. Lucie Plant Reliability Exchange Agreement?**

17 A. FPL projects the sale of 448,894 MWh of energy at a cost of
18 \$1,408,227. These projections are shown on Schedule E6 of
19 Appendix II.

20

21 **Q. What are the forecasted amounts and costs of wholesale (off-**
22 **system) power purchases for the January to December 2005**
23 **period?**

1 A. The costs of these purchases are shown on Schedule E9 of
2 Appendix II. For the period, FPL projects it will purchase a total of
3 1,219,396 MWh at a cost of \$51,185,840. If generated, FPL
4 estimates that this energy would cost \$61,951,692. Therefore,
5 these purchases are projected to result in savings to FPL's
6 customers of \$10,765,852.

7

8

9 **2005 RISK MANAGEMENT PLAN**

10 **Q. Has FPL completed its risk management plan as outlined in**
11 **Order PSC- 02-1484-FOF-EI issued on October 30, 2002?**

12 A. Yes. FPL's 2005 Risk Management Plan is provided on pages 5
13 and 6 of Appendix I.

14

15 **Q. Please describe FPL's hedging objectives.**

16 A. FPL's fuel hedging objectives are to effectively execute a well-
17 disciplined and independently controlled fuel procurement strategy
18 to manage fuel price stability (volatility minimization), to potentially
19 achieve fuel cost minimization and to achieve asset optimization.
20 FPL's fuel procurement strategy aims to mitigate fuel price
21 increases and reduce fuel price volatility, while maintaining the
22 opportunity to benefit from price decreases in the marketplace for
23 FPL's customers.

1

2 **Q. Does FPL's hedging plan for 2005 include strategies to mitigate**
3 **the replacement fuel costs associated with the extended**
4 **outages of Turkey Point Unit No. 4 and St. Lucie Unit No. 1 due**
5 **to the reactor vessel head replacements?**

6 A. Yes. FPL's fuel hedging strategies incorporate all of FPL's planned
7 unit outages for a given time period. FPL takes mitigation steps to
8 lower the impact of all plant outages, through the procurement of
9 fuel and purchased power.

10

11 **Q. Does FPL project to incur incremental operating and**
12 **maintenance expenses with respect to maintaining an**
13 **expanded, non-speculative financial and/or physical hedging**
14 **program for which it is seeking recovery in the January**
15 **through December 2005 period?**

16 A. Yes. FPL projects to incur incremental expenses of \$466,745 for its
17 Trading and Operations group and \$86,400 for its Systems Group.
18 The expenses projected for the Trading and Operations Group are
19 for salaries of the three personnel that were added to support FPL's
20 enhanced hedging program. The expenses projected for the
21 Systems Group are composed of incremental annual license fees
22 and automation upgrades for FPL's volume forecasting software.
23 Volume forecasting is done on a continuous basis to help FPL

1 manage its hedge positions by adjusting those positions according
2 to updated fuel volume forecasts on an ongoing basis. The
3 incremental expenses for annual license fees and automation
4 upgrades are necessary to fully support FPL's expanded hedging
5 program.

6

7 **Q. Are these projected hedging expenses prudent?**

8 **A.** Yes, for the reasons just described.

9

10

11 **2004 HEDGING SUMMARY**

12 **Q. Has FPL's 2004 hedging strategies been successful in**
13 **reducing fuel price volatility and delivering greater price**
14 **certainty to its customers?**

15 Yes. FPL's hedging strategies during 2004 have been successful in
16 reducing fuel price volatility and delivering greater price certainty to
17 its customers. Additionally, FPL's customers have realized, through
18 September 2004, approximately \$134.5 million in savings versus the
19 market on natural gas hedges that have settled. FPL's customers
20 have also realized, through July 2004, approximately \$25.5 million in
21 savings versus the market on fuel oil hedges that have settled. In
22 other words, had FPL not had hedged during 2004; its customers
23 would have incurred an additional \$160 million in fuel expenses on a

1 year-to-date basis. FPL also has hedges in place for both natural
2 gas and fuel oil for the remainder of 2004 that have not come to
3 settlement.

4
5 Although the savings described above have been very beneficial to
6 FPL's customers, it is important to realize that the main goal of
7 hedging is to reduce fuel price volatility and deliver greater price
8 certainty. Savings from hedging will be realized in a rising market;
9 however the opposite holds true in a falling market. Either way, if
10 the hedging program achieves its goal of reducing fuel price
11 volatility, then it should be judged a success.

12
13 FPL constantly monitors the fundamentals of the energy markets
14 and as conditions change, FPL will make further adjustments to its
15 hedging program to meet FPL's objective of reduced volatility to its
16 customers. FPL will continue to utilize the additional resources
17 (both systems and personnel) it acquired as a result of Order PSC-
18 02-1484-FOF-EI issued on October 30, 2002, to meet its goals and
19 the goals of its customers.

20
21 **Q. Does FPL have plans to extend its hedging program farther
22 into future periods?**

23 **A. Yes. FPL believes that it is appropriate to begin extending its**

1 hedging program farther into the future. FPL has historically hedged
2 its portfolio only through the end of the next recovery period. FPL
3 believes that additional benefits can be attained by hedging up to
4 two years past the next recovery period. As with the initial
5 expansion of the hedging program FPL will approach this extension
6 of its hedging program into the future gradually and cautiously.

7

8 **Q. Does this conclude your testimony?**

9 A. Yes, it does.

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**FLORIDA POWER & LIGHT COMPANY****TESTIMONY OF J. R. HARTZOG****DOCKET NO. 040001-EI****August 10, 2004**

1 **Q. Please state your name and address.**

2 A. My name is John R. Hartzog. My business address is 700 Universe
3 Boulevard, Juno Beach, Florida 33408.

4

5 **Q. By whom are you employed and what is your position?**

6 A. I am employed by Florida Power & Light Company (FPL) as
7 Manager, Nuclear Financial & Information Services in the Nuclear
8 Business Unit.

9

10 **Q. Have you previously testified in predecessors to this docket?**

11 A. Yes, I have.

12

13 **Q. What is the purpose of your testimony?**

14 A. The purpose of my testimony is to present and explain FPL's
15 increased incremental nuclear power plant security costs

1 ("Incremental security costs") for the period January 2004 through
2 December 2004.

3

4 **Q. What was FPL's projection of 2004 incremental nuclear security**
5 **costs that was filed in Docket No. 030001-EI?**

6 A. In its September 13, 2003 filing, FPL projected 2004 incremental
7 nuclear security costs to be \$12 million.

8

9 **Q. What is FPL's current projection of those costs?**

10 A. FPL's current projection of 2004 incremental nuclear security costs is
11 \$50.2 million.

12

13 **Q. Please explain the reason for this increase.**

14 A. These additional costs are necessary to ensure that FPL is in
15 compliance with Nuclear Regulatory Commission (NRC) Design
16 Basis Threat (DBT) Order EA-03-086 dated April 29, 2003 (the "DBT
17 Order"). In its September 13, 2003 filing, FPL projected \$2.05 million
18 for compliance with the DBT Order. FPL's current projection for
19 complying with that order is \$40.36 million.

20

1 **Q. What has changed since FPL's filing in Docket No. 030001- EI**
2 **that requires additional expenditures to comply with the DBT**
3 **Order?**

4 A. The original DBT Order only stated in broad outline the levels of
5 personnel, equipment and armament against which plants must
6 defend. It provided no details about how those resources might be
7 deployed against a particular plant, much less about the type of
8 facilities and actions that the plant should use to defend itself. When
9 FPL projected its costs of complying with the DBT Order in
10 September 2003, very little information was available as to what
11 meeting the DBT would actually entail.

12
13 Subsequent to that original projection, a series of frequent meetings
14 has been conducted among the NRC, nuclear industry and the
15 Nuclear Energy Institute (NEI). The meetings resulted in several
16 revisions to the original DBT Order with the latest revision being
17 issued as recently as May 2004. Even as refined by those revisions,
18 there are still outstanding issues about the DBT Order that require
19 further clarification. Meetings are continuing to resolve those issues.
20 Finally, the NRC is currently in the process of developing and
21 implementing Force on Force exercises (FOF) to test the defenses
22 of licensed plants. A pilot FOF exercise was held at Turkey Point in

1 April 2004. Based on current requirements, the exercise was a
2 success, but it led to the NRC's identifying additional requirements
3 for FPL to satisfy in complying with the DBT Order.

4

5 As a result of the NRC's revisions to the DBT Order and
6 interpretations of how it is to applied, FPL is now aware of
7 substantial commitments of personnel and facilities that it must make
8 in order to comply with the DBT Order.

9

10 **Q. Please provide an explanation of FOF Exercises.**

11 A. FOF exercises are a method the NRC utilizes to test a nuclear site's
12 ability to defend against the criteria for DBT requirements. The
13 exercises also test to ensure adequate protection of public health,
14 safety and common defense security is maintained.

15

16 **Q. To the extent permitted by NRC safeguards requirements,**
17 **please provide a brief description of the additional**
18 **commitments of personnel and facilities that FPL must make in**
19 **order to comply with the DBT Order.**

20

21 A. The commitments include additional security personnel, bullet
22 resistant enclosures, additional fencing, lighting and gates, additional

1 communication systems and equipment, remote surveillance
2 equipment and software modifications, vehicle barrier system and
3 terrain modifications. I should note that complying with the DBT
4 Order is especially complicated at Turkey Point due to the fossil units
5 that are located immediately adjacent to the nuclear units.

6

7 **Q. Are there other factors that impact the costs of complying with**
8 **the DBT Order?**

9 A. Yes. There are a limited number of vendors that are qualified to
10 perform the new requirements imposed by the NRC. FPL is
11 competing with the rest of the nuclear industry for the services of
12 those vendors to meet the DBT Order's tight compliance deadline. In
13 addition, a large portion of the increased compliance costs is for the
14 construction or modification of buildings and other structures at the
15 plants. The price of gasoline has directly affected the cost of steel,
16 and cement prices have increased dramatically due to China's
17 purchasing the majority of all cement that would otherwise be
18 imported.

19

20 **Q. Do the increased incremental nuclear security costs you have**
21 **described meet the Commission's criteria for recovery through**
22 **the Capacity Costs Recovery Clause?**

1 A. Yes, they do. All of the increased incremental costs are necessary
2 to respond to additional, post-9/11 security requirements, and none
3 of the increased costs were included in FPL's most recent MFRs.

4

5 **Q. Can FPL now be certain what will be required to comply with**
6 **the DBT Order?**

7 A. While the compliance picture is much clearer now than it was when
8 FPL projected 2004 incremental nuclear security costs in Docket No.
9 030001-EI, unfortunately there still remains a measure of
10 uncertainty. The process of defining what is required to comply with
11 the DBT Order is still not finished, so it is possible that the NRC
12 could impose further requirements that FPL would have to satisfy.
13 Moreover, the current deadline for complying with the DBT Order is
14 October 29, 2004. It will be a race against time for FPL to implement
15 by that deadline all the plant changes that FPL now knows are
16 needed. If FPL is not able to complete all those changes by the
17 deadline, it may need to implement temporary compensatory
18 measures (primarily, additional personnel). Implementing
19 compensatory measures would likely have the effect of deferring
20 some of the projected construction costs into 2005, but increasing
21 personnel costs for 2004.

22

1 Q. Does this conclude your testimony?

2 A. Yes, it does.

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**FLORIDA POWER & LIGHT COMPANY****TESTIMONY OF J. R. HARTZOG****DOCKET NO. 040001-EI****September 9, 2004**

1 **Q. Please state your name and address.**

2 A. My name is John R. Hartzog. My business address is 700 Universe
3 Boulevard, Juno Beach, Florida 33408.

4

5 **Q. By whom are you employed and what is your position?**

6 A. I am employed by Florida Power & Light Company (FPL) as
7 Manager, Nuclear Financial & Information Services in the Nuclear
8 Business Unit.

9

10 **Q. Have you previously testified in this docket?**

11 A. Yes, I have.

12

13 **Q. What is the purpose of your testimony?**

14 A. The purpose of my testimony is to present and explain FPL's
15 projections of nuclear fuel costs for the thermal energy (MMBTU) to
16 be produced by our nuclear units, the costs of disposal of spent

1 nuclear fuel, the costs of decontamination and decommissioning
2 (D&D), and additional plant security costs; to update the inspections
3 and repairs to the reactor pressure vessel heads since the issuance
4 of NRC Bulletin (IEB) 2002-02; and to update the status of certain
5 litigation that affects FPL's nuclear fuel costs. Both nuclear fuel and
6 disposal of spent nuclear fuel costs were input values to
7 POWERSYM used to calculate the costs to be included in the
8 proposed fuel cost recovery factors for the period January 2005
9 through December 2005.

10

11 **Nuclear Fuel Costs**

12 **Q. What is the basis for FPL's projections of nuclear fuel costs?**

13 A. FPL's nuclear fuel cost projections are developed using projected
14 energy production at our nuclear units and their operating schedules,
15 for the period January 2005 through December 2005.

16

17 **Spent Nuclear Fuel Disposal Costs**

18 **Q. Please provide FPL's projection for nuclear fuel unit costs and**
19 **energy for the period January 2005 through December 2005.**

20 A. FPL projects the nuclear units will produce 257,760,861 MMBTU of
21 energy at a cost of \$0.3072 per MMBTU, excluding spent fuel
22 disposal costs, for the period January 2005 through December 2005.

1 Projections by nuclear unit and by month are in Appendix II, on
2 Schedule E-3, starting on page 12.

3

4 **Q. Please provide FPL's projections for spent nuclear fuel disposal**
5 **costs for the period January 2005 through December 2005 and**
6 **explain the basis for FPL's projections.**

7 A. FPL's projections for spent nuclear fuel disposal costs of
8 approximately \$21.5 million are provided in Appendix II, on Schedule
9 E-2, starting on page 10. These projections are based on FPL's
10 contract with the U.S. Department of Energy (DOE), which sets the
11 spent fuel disposal fee at 0.9303 mills per net kWh generated, which
12 includes transmission and distribution line losses.

13

14 **Decontamination and Decommissioning Costs**

15 **Q. Please provide FPL's projection for Decontamination and**
16 **Decommissioning (D&D) costs to be paid in the period January**
17 **2005 through December 2005 and explain the basis for FPL's**
18 **projection.**

19 A. FPL's projection of \$6.87 million for D&D costs is based on the
20 amount to be paid during the period January 2005 through
21 December 2005 and is included in Appendix II, on Schedule E-2
22 starting on page 10.

1

2 **Nuclear Plant Security Costs**

3 **Q. Please provide FPL's projection for incremental security costs**
4 **to be paid in the period January 2005 through December 2005**
5 **and explain the basis for FPL's projection.**

6 **A.** FPL has projected that it will incur \$12.5 million in incremental
7 security costs during the period January 2005 through December
8 2005. These costs relate to ongoing activities associated with NRC
9 requirements for heightened security measures. In addition, for
10 reasons I will explain, FPL currently anticipates deferring to 2005
11 approximately \$10 million of the \$40.36 million that we estimated in
12 August would be spent during 2004 on complying with the NRC's
13 Design Basis Threat (DBT) Order.

14

15 In my August testimony on the 2004 estimated/actual true-up, I
16 noted that FPL might need an extension of time to complete all the
17 changes necessary to comply with the DBT Order. FPL has now
18 decided that an extension is needed and has filed a request for an
19 extension with the NRC. If granted, the extension will result in
20 deferring some of the DBT changes past the October 29, 2004
21 deadline and into 2005. The projected cost of the DBT changes to
22 be deferred is approximately \$10 million. The extension request

1 contemplates that FPL will take compensatory measures (primarily
2 the posting of additional security personnel) until all required DBT
3 changes are completed.

4
5 The cost impact of the compensatory measures on FPL's estimate of
6 \$40.36 million in overall DBT compliance costs will be minimal. Since
7 that estimate was prepared, there have been modifications to the
8 scope of various DBT projects that will reduce the cost of those
9 projects. This reduction will substantially offset the cost of the
10 compensatory measures. Of course, the NRC has continued to inject
11 changes into the DBT compliance process, so the estimated costs of
12 compliance may change yet again.

13

14 **Reactor Pressure Vessel Head Inspection Status**

15 **Q. What is the status of the reactor head inspections for the St.**
16 **Lucie and Turkey Point Units that are being conducted**
17 **pursuant to NRC Bulletin IEB 2002-02?**

18 **A. The NRC issued IEB 2002-02 on August 9, 2002 to address**
19 **concerns related to visual inspections of the reactor head. This**
20 **bulletin resulted in all four FPL units being categorized as high**
21 **susceptibility, requiring ultrasonic testing in addition to visual**
22 **inspections until the reactor heads are replaced.**

1

2 St. Lucie Unit 1 performed ultrasonic inspections of the reactor head
3 during the refueling outage beginning on March 22, 2004. The total
4 duration for the refueling outage was approximately 30 days. The
5 inspections detected no indications and no repairs to the reactor
6 head were necessary. The total cost of the inspections was
7 approximately \$6.6 million.

8

9 St. Lucie Unit 2 is scheduled to perform ultrasonic inspections during
10 the refueling outage beginning on November 28, 2004.

11

12 Turkey Point Unit 3 is scheduled to replace the reactor vessel head
13 during the refueling outage beginning on September 25, 2004. The
14 estimated duration of this outage is 65 days.

15

16 Turkey Point Unit 4 performed ultrasonic inspections of the reactor
17 head during the refueling outage beginning on October 6, 2003. The
18 total duration for the refueling outage was approximately 30 days.
19 The inspections detected no indications and no repairs to the reactor
20 head were necessary. The total cost of the inspection was
21 approximately \$5.3 million. Unit 4 is scheduled to replace the reactor

1 vessel head during the refueling outage beginning on April 9, 2005.
2 The estimated duration of that outage is 65 days.

3

4 **Litigation Status Update**

5 **Q. Are there currently any unresolved disputes under FPL's**
6 **nuclear fuel contracts?**

7 **A. Yes.**

8

9 1. **Spent Fuel Disposal Dispute.** The first dispute is under FPL's
10 contract with the Department of Energy (DOE) for final disposal of
11 spent nuclear fuel. In 1995, FPL along with a number of electric
12 utilities, states, and state regulatory agencies filed suit against DOE
13 over DOE's denial of its obligation to accept spent nuclear fuel
14 beginning in 1998. On July 23, 1996, the U.S. Court of Appeals for
15 the District of Columbia Circuit (D.C. Circuit) held that DOE is
16 required by the Nuclear Waste Policy Act (NWPA) to take title and
17 dispose of spent nuclear fuel from nuclear power plants beginning on
18 January 31, 1998.

19

20 On January 11, 2002, based on the Federal Circuit's ruling, the Court
21 of Federal Claims granted FPL's motion for partial summary
22 judgement in favor of FPL on contract liability.

1

2

While there is no trial date scheduled at this time for the FPL damages claim, on May 21, 2004, the Court of Federal Claims ruled following a trial that another nuclear plant owner, Indiana Michigan Power Company, was not entitled to any damages arising out of the Government's failure to begin disposal of spent nuclear fuel by January 31, 1998. Indiana Michigan can appeal the Court's decision to the U.S. Court of Appeals for the Federal Circuit.

9

10

2(a). Uranium Enrichment Pricing Disputes – FY 1993 Overcharges. FPL is currently seeking to resolve a pricing dispute concerning uranium enrichment services purchased from the United States (U.S.) Government, prior to July 1, 1993.

14

15

16

17

18

19

20

21

22

On August 20, 2001, the Court entered judgment for FPL for \$6.075 million. DOE appealed the judgement to the Federal Circuit. On October 4, 2002, the Federal Circuit reversed the judgment and remanded the case back to the Court of Federal Claims for further consideration. The Federal Circuit directed the Court of Federal Claims to determine whether DOE had other appropriate, but unrecovered, costs sufficient to justify its FY 1993 SWU price. On May 28, 2003, the Court of Federal Claims granted the

1 Government's motion for judgment on the record and dismissed
2 FPL's claims, finding that DOE had other costs sufficient to justify its
3 FY 1993 SWU price. On June 15, 2004, the Federal Circuit again
4 reversed the May 28, 2003 judgment and remanded the case back
5 to the Court of Federal Claims for further consideration. At this time,
6 it is unknown whether the Government will seek rehearing by the
7 Federal Circuit, seek review by the U.S. Supreme Court, or do
8 nothing and proceed on remand to the Court of Claims.

9
10 2(b). Uranium Enrichment Services Contract. DOE was required
11 under FPL's uranium enrichment services contract with DOE to
12 establish a price for enrichment services pursuant to DOE's
13 established pricing policy, based on recovery of DOE's appropriate
14 costs over a reasonable period of time. In the course of discovery in
15 the FY1993 overcharge case discussed above, FPL and the other
16 utility plaintiffs uncovered two other cost components that DOE
17 improperly included in its cost recovery calculation. At trial in the
18 FY1993 case, FPL and the other plaintiffs asserted that these
19 additional costs had been improperly included in DOE's cost
20 recovery calculation for its FY1993 SWU price. The Court denied
21 recovery on these issues, concluding that ruling on the merits of

1 these issues would prejudice DOE in the particular chronology of the
2 FY1993 litigation.

3
4 On October 10, 2001, FPL and 21 other U.S. and foreign utility
5 plaintiffs filed new lawsuits in the U.S. Court of Federal Claims
6 alleging that DOE breached the uranium enrichment services
7 contract by inappropriately including two amounts in its cost recovery
8 calculation in violation of the pricing provisions of the contracts:
9 Imputed interest on the Gas Centrifuge Enrichment Project (GCEP)
10 for FY1986 through FY1993, and costs relating to the production of
11 high assay uranium (i.e., uranium produced primarily for military
12 customers) (High Assay Costs) for FY1992 through FY1993. The
13 GCEP and High Assay Costs claims are described in greater detail
14 below. FPL's lawsuit has been stayed by the Court of Federal
15 Claims pending the outcome of the appeal of the judgment
16 concerning the FY 1993 uranium enrichment claims, discussed in
17 item 2(a) above.

18
19 GCEP Claim. In 1976, Congress first authorized the construction of
20 GCEP as additional Government uranium enrichment capacity to
21 meet the then-projected future demand. This future demand never
22 materialized and, by 1985, DOE found itself in a plant over capacity

1 position and the highest cost worldwide producer of enrichment
2 services. In 1985, DOE cancelled the GCEP and wrote-off the entire
3 \$3.6 billion from the DOE Uranium Enrichment Activity's 1986
4 financial statements relating to accumulated costs of plant
5 construction, termination costs, and imputed interest associated with
6 GCEP. DOE failed to exclude the entire \$3.6 billion from its
7 calculation in setting the uranium enrichment services price.
8 Beginning in FY1986, DOE improperly left approximately \$773
9 million of imputed interest in its cost recovery calculations and price
10 determination. This amount is reflected in the calculation of the
11 Contract's SWU price for FY1986 through FY1993. DOE
12 determined that none of the capital costs of GCEP were used to
13 provide enrichment services to customers. Additionally, under well-
14 recognized economic and accounting principles, imputed interest
15 should have been treated as inseparable from the underlying GCEP
16 costs. Therefore, none of the capital investment in GCEP – neither
17 the underlying principal nor the imputed interest - should have been
18 included in the cost recovery calculation for the contract prices.

19
20 High Assay Costs. In 1991, DOE adjusted the financial statements
21 of the Uranium Enrichment Activity by removing approximately \$1.14
22 billion in accumulated losses and other costs relating to the

1 production of High Assay uranium. DOE made this adjustment
2 based on its conclusion that the Uranium Enrichment Activity no
3 longer had any responsibility for the High Assay program, which
4 produced uranium for military purposes. Despite removing such
5 costs from the financial statements, DOE improperly included
6 approximately \$394 million of High Assay costs in calculating the
7 price for uranium enrichment services for FY1992 through FY1993.

8

9 FPL's lawsuit alleges that DOE breached the contract by including
10 these costs in the uranium enrichment services price charged to
11 FPL. FPL is claiming that it is owed a refund of \$16,086,328.91 plus
12 interest.

13

14 **Q. Does this conclude your testimony?**

15 **A.** Yes, it does.

16

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE PUBLIC SERVICE COMMISSION
FLORIDA POWER & LIGHT COMPANY
TESTIMONY OF PAMELA SONNELITTER
DOCKET NO. 040001-EI
APRIL 1, 2004

Q. Please state your name and business address.

A. My name is Pamela Sonnelitter and my business address is 700 Universe Boulevard, Juno Beach, Florida 33408.

Q. Ms. Sonnelitter, would you please briefly describe your educational background and your experience with Florida Power and Light Company (FPL).

A. I am the General Manager of Business Services in the Power Generation Division of FPL. I received a Bachelor of Science degree in Electrical Engineering from Boston University in 1981. I also received Master of Engineering and Master of Business Administration degrees in 1985 from Widener University in Chester, Pennsylvania. I have been employed by FPL Group since 1995. In that time, I have held various positions within FPL Energy's Business Management Department from March 1995 through October 2003 and have been in my current position in FPL Power Generation Division since November 2003. Prior to my employment with FPL, I worked for Niagara Mohawk Power Corporation for nine years; 2

1 years in fossil generation engineering and 7 years in project
2 engineering and asset management positions in their unregulated
3 independent power subsidiary. Prior to my employment with NMPC,
4 I worked for E.I. duPont de Nemours and Co., Inc. for 5 years as an
5 instrument and electrical design engineer.

6
7 **Q. What is the purpose of your testimony?**

8 A. The purpose of my testimony is to report the actual performance for
9 the Equivalent Availability Factor (EAF) and Average Net Operating
10 Heat Rate (ANOHR) for the fifteen (15) generating units used to
11 determine the Generating Performance Incentive Factor (GPIF). I
12 have compared the actual performance of each unit to the targets
13 that were approved in Commission Order No. PSC-02-1761-FOF-EI
14 issued December 13, 2002, for the period January through
15 December 2003, and I have performed the calculations prescribed by
16 the GPIF Rule based on this comparison. My testimony presents the
17 result of my calculations, which is an incentive reward for the period.

18
19 **Q. Have you prepared, or caused to have prepared under your
20 direction, supervision or control, an exhibit in this proceeding?**

21 A. Yes, I have. It consists of one document:

22 PS -1: Document No. 1

23 Page 1 of the document is an index to the contents of the document.

24

1 **Q. What is the incentive amount you have calculated for the period**
2 **January through December, 2003?**

3 A. I have calculated a GPIF incentive reward of \$6,615,282.

4
5 **Q. Please explain how the reward amount is calculated.**

6 A. The steps involved in making this calculation are provided in
7 Document No. 1. Page 2 of Document No. 1 provides the GPIF
8 Reward/Penalty Table (Actual), which shows an overall GPIF
9 performance point value of +2.89 corresponding to a GPIF reward of
10 \$6,615,282. Page 3 provides the calculation of the maximum
11 allowed incentive dollars. The calculation of the system actual GPIF
12 performance points is shown on page 4. This page lists each GPIF
13 unit, the unit's performance indicators (ANOHR and EAF), the
14 weighting factors and the associated GPIF points.

15
16 Page 5 is the actual EAF and adjustments summary. This page lists
17 each of the fifteen (15) units, the actual outage factors and the actual
18 EAF, in columns 1 through 5. Column 6 is the adjustment for planned
19 outage variation. Column 7 is the adjusted actual EAF, which is
20 calculated on page 6. Column 8 is the target EAF. Column 9
21 contains the Generating Performance Incentive Points for availability
22 as determined from the tables submitted to, and approved by, the
23 Commission prior to the start of the period. These tables are shown
24 on pages 8 through 29.

25

1 Page 7 shows the adjustments to ANOHR. For each of the fifteen
2 (15) units, it shows, in columns 2 through 4, the target heat rate
3 formula, the actual Net Output Factor (NOF) and the actual ANOHR.
4 Since heat rate varies with NOF, it is necessary to determine both
5 the target and actual heat rates at the same NOF. This adjustment
6 is to provide a common basis for comparison purposes and is shown
7 numerically for each GPIF unit in columns 5 through 8. Column 9
8 contains the Generating Performance Incentive Points that have
9 been determined from the table submitted for each unit and
10 approved by the Commission prior to the beginning of the period.
11 These tables are also shown on pages 8 through 29.

12
13 **Q. Are there any changes to the targets approved through**
14 **Commission Order No. PSC-02-1761-FOF-EI?**

15 **A.** No, the approved targets have not changed.

16
17 **Q. Please explain the primary reason or reasons why FPL will be**
18 **rewarded under the GPIF for the January through December,**
19 **2003 period.**

20 **A.** The primary reason that FPL will receive a reward for the period was
21 that Turkey Point Nuclear Units 3 and 4 and St. Lucie Nuclear Unit 1
22 achieved better availability than was targeted.

23
24 **Q. Please summarize the effect of FPL's nuclear unit availability on**
25 **the GPIF reward.**

1 A. Turkey Point Unit 3 operated at an adjusted actual EAF of 88%
2 compared to its target of 85.4%. This results in a +8.67 point
3 reward, which corresponds to a GPIF reward of \$1,861,452.

4
5 Turkey Point Unit 4 operated at an adjusted actual EAF of 91.8%
6 compared to its target of 85.4%. This results in a +10.00 point
7 reward, which corresponds to a GPIF reward of \$2,154,057.

8
9 St. Lucie Unit 1 operated at an adjusted actual EAF of 100.0%
10 compared to its target of 93.6%. This results in a +10.00 point
11 reward, which corresponds to a GPIF reward of \$2,801,160.

12
13 St. Lucie Unit 2 operated at an adjusted actual EAF of 85.6%
14 compared to its target of 85.4%. This results in a +0.67 point
15 reward, which corresponds to a GPIF reward of \$147,332.

16
17 The total GPIF reward due to the nuclear units' actual availability
18 performance is \$6,964,002.

19
20 **Q. Please summarize each nuclear unit's performance as it relates**
21 **to the ANOHR of the units.**

22 A. Turkey Point Unit 3 operated with an adjusted actual ANOHR of
23 11,084 Btu/kWh. This ANOHR is within the ± 75 Btu/kWh deadband
24 around the projected target; therefore, there is no GPIF reward or
25 penalty.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

Turkey Point Unit 4 operated with an adjusted actual ANOHR of 11,132 Btu/kWh. This ANOHR is within the ± 75 Btu/kWh deadband around the projected target; therefore, there is no GPIF reward or penalty.

St. Lucie Unit 1 operated with an adjusted actual ANOHR of 10,824 Btu/kWh. This ANOHR is within the ± 75 Btu/kWh deadband around the projected target; therefore, there is no GPIF reward or penalty.

St. Lucie Unit 2 operated with an adjusted actual ANOHR of 10,878 Btu/kWh. This ANOHR is within the ± 75 Btu/kWh deadband around the projected target; therefore, there is no GPIF reward or penalty.

In total, the nuclear units' heat rate performance results in no GPIF reward or penalty.

Q. What is the total GPIF incentive reward for FPL's nuclear units?

A. \$6,964,002

Q. Ms. Sonnelitter, would you summarize the performance of FPL's fossil units?

A. Yes, eight (8) of the eleven (11) fossil generating units performed better than or equal to their availability targets, while the remaining

1 units performed worse than their targets. The combined fossil unit
2 availability performance results in a GPIF reward of \$152,504.

3
4 Two (2) of the eleven (11) fossil units operated with ANOHR that was
5 better than their projected target and two (2) units operated with
6 ANOHRs that were worse than their projected targets. The remaining
7 seven (7) units operated with ANOHRs that were within the ± 75
8 Btu/kWh deadband around the projected targets, and they will
9 receive no incentive reward or penalty. In total, the combined fossil
10 units heat rate performance results in a GPIF penalty of \$501,224. In
11 total, FPL's fossil units received a penalty of \$348,720 for the period
12 of January through December 2003.

13

14 **Q. Does this conclude your testimony?**

15 **A.** Yes, it does.

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
FLORIDA POWER & LIGHT COMPANY
TESTIMONY OF P. SONNELITTER
DOCKET NO. 040001-EI
SEPTEMBER 17, 2004

1 **Q. Please state your name and business address.**

2 A. My name is Pamela Sonnelitter and my business address is 700 Universe
3 Boulevard, Juno Beach, Florida 33408.

4

5 **Q. Would you please state your present position with Florida Power and**
6 **Light Company (FPL).**

7 A. I am the Manager of Business Services in the Power Generation Division
8 of FPL.

9

10 **Q. Have you previously had testimony presented in this docket?**

11 A. Yes, I have.

12

13 **Q. What is the purpose of your testimony?**

14 A. The purpose of my testimony is to present the target unit equivalent
15 availability factors (EAF) and the target unit average net operating heat
16 rates (ANOHR) for the period of January through December, 2005, for use
17 in determining the Generating Performance Incentive Factor (GPIF).

18

19 **Q. Please summarize the 2005 system targets for EAF and ANOHR for**
20 **the units to be considered in establishing the GPIF for FPL.**

1 A. For the period of January through December, 2005, FPL projects a
2 weighted system equivalent planned outage factor of 7.3% and a
3 weighted system equivalent unplanned outage factor of 6.2%, which yield
4 a weighted system equivalent availability target of 86.5%. The targets for
5 this period reflect planned refueling outages for two nuclear units. FPL
6 also projects a weighted system average net operating heat rate target of
7 9,399 Btu/kWh for the period January through December, 2005. As
8 discussed later in this testimony, these targets represent fair and
9 reasonable values when compared to historical data. Therefore, FPL
10 requests that the targets for these performance indicators be approved by
11 the Commission.

12
13 **Q. Have you prepared, or caused to have prepared under your direction,
14 supervision or control, an exhibit in this proceeding?**

15 A. Yes, I have. It consists of one document. The first page of this document
16 is an index to the contents of the document. All other pages are
17 numbered according to the latest revisions of the GPIF Manual as
18 approved by the Commission.

19
20 **Q. Have you established target levels of performance for the units to be
21 considered in establishing the GPIF for FPL?**

22 A. Yes, I have. Document No.1, pages 6 and 7, contains the information
23 summarizing the targets and ranges for EAF and ANOHR for the 13
24 generating units which FPL proposes to be considered as GPIF units for
25 the period of January through December, 2005. These pages were
26 prepared in accordance with the latest revisions of the GPIF Manual. All

1 of these targets have been derived utilizing the methodologies adopted in
2 the GPIF Manual.

3
4 **Q. Please summarize FPL's methodology for determining equivalent
5 availability targets.**

6 A. The GPIF Manual requires that the EAF target for each unit be
7 determined as the difference between 100% and the sum of the planned
8 outage factor (POF) and the unplanned outage factor (UOF). The POF
9 for each unit is determined by the length of the planned outage, if any,
10 scheduled for the projected period. The UOF is determined by the sum of
11 the historical average forced outage factor (FOF) and maintenance
12 outage factor (MOF). The UOF is then adjusted to reflect recent unit
13 performance and known unit modifications or equipment changes.

14
15 **Q. Please summarize FPL's methodology for determining ANOHR
16 targets.**

17 A. To develop the ANOHR targets, historic ANOHR vs. unit net output factor
18 curves are developed for each GPIF unit. The historic data is analyzed
19 for any unusual operating conditions and changes in equipment that will
20 materially affect the predicted heat rate. A regression equation that best
21 fits the data is calculated and a statistical analysis of the historic ANOHR
22 variance with respect to the best fit curve is also performed to identify
23 unusual observations. The resulting equation is used to project ANOHR
24 for the unit using the net output factor from the POWERSYM model. This
25 projected ANOHR value is then used in the GPIF tables and in the
26 calculations to determine the possible fuel savings or losses due to

1 improvements or degradations in heat rate performance. This process is
2 consistent with the GPIF Manual.

3
4 **Q. How did you select the units to be considered when establishing the
5 GPIF for FPL?**

6 **A.** The GPIF units were selected in accordance with the GPIF Manual using
7 the estimated net generation for each unit taken from the production
8 costing simulation program, POWRSYM, which forms the basis for the
9 projected levelized fuel cost recovery factor for the period. The 13 units
10 which FPL proposes to use for the period of January through December
11 2005 represent the top 81.2% of the total forecasted system net
12 generation for this period excluding five units: the Ft. Myers repowered
13 unit, the Sanford repowered units 4 and 5, the Martin unit 8 conversion to
14 combined cycle and the Manatee combined cycle unit 3. The repowering
15 of the Ft. Myers and Sanford units and the conversion of Martin unit 8 to
16 combined cycle constitute a major design change affecting both their
17 generation capacity and the performance of these units. As a result, the
18 future performance of these units will not be comparable to their historical
19 performance. Manatee unit 3 will be a new unit for 2005 and so it does
20 not yet have any historical performance from which to project future
21 performance. Therefore, consistent with the GPIF Manual, the above
22 mentioned units will be excluded from the GPIF calculations until we have
23 enough operating history to use in projecting future performance.

24
25 **Q. Do FPL's EAF and ANOHR performance targets represent a
26 reasonable level of generation efficiency?**

27 **A.** Yes, they do.

1

2 **Q. Does this conclude your testimony?**

3 A. Yes, it does.

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

Docket No. 040001-EI
Fuel and Purchased Power Cost Recovery Clause

Direct Testimony of
George M. Bachman
on behalf of
Florida Public Utilities Company

- 1 Q. Please state your name and business address.
- 2 A. George M. Bachman, 401 South Dixie Highway, West Palm Beach, Florida 33401.
- 3 Q. By whom are you employed?
- 4 A. I am employed by Florida Public Utilities Company.
- 5 Q. Could you give a brief description of your background and business experience?
- 6 A. I have a Bachelor of Science Degree in Business Administration from Indiana
- 7 University in 1981, with a concentration in Accounting. I subsequently joined
- 8 Southeastern Public Service Company, and served as the Assistant controller at the
- 9 time of my departure in January 1985, when I joined Florida Public Utilities
- 10 Company. My positions through 1998 included General Accounting Office Manager,
- 11 Accounting Manager, and Controller. In 1999 I was appointed to my current position,
- 12 Chief Financial Officer and Treasurer of Florida Public Utilities Company. As the
- 13 senior financial and accounting official of the Company I have overall fiduciary
- 14 responsibility and oversee the accounting and finance department with all related
- 15 functions.
- 16 Q. What is the purpose of your testimony?

1 A. The purpose of my testimony is to present the calculation of the Jan. 2003 through
2 Dec. 2003 purchased power costs for recovery in the Jan. - Dec. 2005 period. These
3 calculations are based on twelve months of actual data.

4 Q. Have you prepared any exhibits to support your testimony?

5 A. Yes. Exhibit _____ (GMB-2) consists of Schedules M1 and F1 for the Marianna
6 and Fernandina Beach Divisions. These schedules were prepared from the records of
7 the company.

8 Q. What has FPUC calculated as the net true-up amount to be applied in the Jan. - Dec.
9 2005?

10 A. For Marianna the net true-up amount to be recovered is an under recovery of
11 \$280,576. For Fernandina Beach the calculation is an overrecovery of \$535,273.

12 Q. How were these amounts calculated?

13 A. They are the difference between the final true-up amount for the Jan. - Dec. 2003
14 period and the actual/estimated amount for the Jan. - Dec. 2003 period.

15 Q. What was the final true-up amount for Jan. - Dec. 2003?

16 A. For Marianna it was \$624,353 underrecovery and for Fernandina Beach it was
17 \$1,837,973 overrecovery.

18 Q. What have you calculated to be the true-up amount for the Jan. - Dec. 2003 period?

19 A. Using six months actual and six months estimated amounts, we calculated an
20 underrecovery for Marianna of \$343,777 and an overrecovery of \$1,302,700 for
21 Fernandina Beach. (Ref. GMB-1, schedule EI-B of 1st true-up filing and testimony)

22 Q. Does this conclude your direct testimony?

23 A. Yes, it does.

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION
DOCKET NO. 040001-EI
CONTINUING SURVEILLANCE AND REVIEW OF
FUEL COST RECOVERY CLAUSES OF ELECTRIC UTILITIES

Direct Testimony of
George M. Bachman
On Behalf of
Florida Public Utilities Company

- 1 Q. Please state your name and business address.
- 2 A. George M. Bachman, 401 South Dixie Highway, West Palm Beach, FL
3 33401.
- 4 Q. By whom are you employed?
- 5 A. I am employed by Florida Public Utilities Company.
- 6 Q. Have you previously testified in this Docket?
- 7 A. Yes.
- 8 Q. What is the purpose of your testimony at this time?
- 9 A. I will briefly describe the basis for the computations that were
10 made in the preparation of the various Schedules that we have
11 submitted in support of the January 2005 - December 2005 fuel cost
12 recovery adjustments for our two electric divisions. In addition,
13 I will advise the Commission of the projected differences between
14 the revenues collected under the levelized fuel adjustment and the
15 purchased power costs allowed in developing the levelized fuel
16 adjustment for the period January 2004 - December 2004 and to
17 establish a "true-up" amount to be collected or refunded during
18 January 2005 - December 2005.
- 19 Q. Were the schedules filed by your Company completed under your
20 direction?
- 21 A. Yes.
- 22 Q. Which of the Staff's set of schedules has your company completed
23 and filed?
- 24 A. We have filed Schedules E1, E1A, E2, E7, and E10 for Marianna and

1 E1, E1A, E2, E7, E8, and E10 for Fernandina Beach. They are
2 included in Composite Prehearing Identification Number GMB-2.
3 Schedule E1-B and E1-B1 for both Marianna and Fernandina Beach were
4 filed last month in Composite Prehearing Identification Number GMB-
5 1.

6 These schedules support the calculation of the levelized fuel
7 adjustment factor for January 2005 - December 2005. Schedule E1-B
8 shows the Calculation of Purchased Power Costs and Calculation of
9 True-Up and Interest Provision for the period January 2004 -
10 December 2004 based on 6 Months Actual and 6 Months Estimated data.

11 Q. In derivation of the projected cost factor for the January 2005 -
12 December 2005, period, did you follow the same procedures that were
13 used in the prior period filings?

14 A. Yes.

15 Q Why has the GSLD1 rate class for Fernandina Beach been excluded
16 from these computations?

17 A. Demand and other purchased power costs are assigned to the GSLD1
18 rate class directly based on their actual CP KW and their actual
19 KWH consumption. That procedure for the GSLD1 class has been in
20 use for several years and has not been changed herein. Costs to be
21 recovered from all other classes are determined after deducting
22 from total purchased power costs those costs directly assigned to
23 GSLD1.

24 Q. How will the demand cost recovery factors for the other rate
25 classes be used?

26 A. The demand cost recovery factors for each of the RS, GS, GSD, GSLD,
27 GSLD1 and OL-SL rate classes will become one element of the total
28 cost recovery factor for those classes. All other costs of
29 purchased power will be recovered by the use of the levelized

1 factor that is the same for all those rate classes. Thus the total
2 factor for each class will be the sum of the respective demand cost
3 factor and the levelized factor for all other costs.

4 Q. Please address the calculation of the total true-up amount to be
5 collected or refunded during the January 2005 - December 2005.

6 A. We have determined that at the end of December 2004 based on six
7 months actual and six months estimated, we will have under-
8 recovered \$854,985 in purchased power costs in our Marianna
9 division. Based on estimated sales for the period January 2005 -
10 December 2005, it will be necessary to add .27146¢ per KWH to
11 collect this under-recovery.

12 In Fernandina Beach we will have under-recovered \$69,844 in
13 purchased power costs. This amount will be refunded at .01973¢ per
14 KWH during the January 2005 - December 2005 period (excludes GSID1
15 customers). Page 3 and 10 of Composite Prehearing Identification
16 Number GMB-2 provides a detail of the calculation of the true-up
17 amounts.

18 Q. What are the final remaining true-up amounts for the period January
19 2003 - December 2003 for both divisions?

20 A. In Marianna the final remaining true-up amount was an under-
21 recovery of \$624,352. The final remaining true-up amount for
22 Fernandina Beach was over-recovery of \$1,837,973.

23 Q. What are the estimated true-up amounts for the period of January
24 2004 - December 2004?

25 A. In Marianna, there is an estimated under-recovery of \$230,633.
26 Fernandina Beach has an estimated under-recovery of \$1,907,817.

27 Q. What will the total fuel adjustment factor, excluding demand cost
28 recovery, be for both divisions for the period?

29 A. In Marianna the total fuel adjustment factor as shown on Line 33,

1 Schedule E1, is 2.790¢ per KWH. In Fernandina Beach the total fuel
2 adjustment factor for "other classes", as shown on Line 43,
3 Schedule E1, amounts to 1.950¢ per KWH.

4 Q. Please advise what a residential customer using 1,000 KWH will pay
5 for the period January 2005 - December 2005 including base rates,
6 conservation cost recovery factors, and fuel adjustment factor and
7 after application of a line loss multiplier.

8 A. In Marianna a residential customer using 1,000 KWH will pay \$70.67,
9 an increase of 7.31 from the previous period. In Fernandina Beach
10 a customer will pay \$57.47, an increase of \$7.59 from the previous
11 period.

12 Q. Does this conclude your testimony?

13 A. Yes.

1 GULF POWER COMPANY

2 Before the Florida Public Service Commission

3 Prepared Direct Testimony and Exhibit of

4 H. R. Ball

5 Docket No. 040001-EI

6 Date of Filing: April 1, 2004

7 Q. Please state your name, business address and occupation.

8 A. My name is H. R. Ball. My business address is One Energy Place,
9 Pensacola, Florida 32520-0780. I am the Fuel Manager for Gulf Power
10 Company.11 Q. Please briefly describe your educational background and business
12 experience.13 A. I graduated from the University of Southern Mississippi in Hattiesburg,
14 Mississippi in 1978 with a Bachelor of Science Degree in Chemistry and
15 graduated from the University of Southern Mississippi in Long Beach,
16 Mississippi in 1988 with a Masters of Business Administration. In 1978, I
17 began my employment with the Southern Company at Mississippi Power's
18 (MPC) Plant Daniel as a Plant Chemist. In 1982, I transferred to MPC's
19 Fuel Department as a Fuel Business Analyst. I was promoted in 1987 to
20 Supervisor of Chemistry and Regulatory Compliance at Plant Daniel. In
21 1998, I was promoted to Supervisor of Coal Logistics with Southern
22 Company Fuel Services in Birmingham, Alabama. My responsibilities
23 included administering coal supply and transportation agreements and
24 managing the coal inventory program for the Southern Electric System. In
25 March, 2003, I transferred to my current position as Fuel Manager for
Gulf Power Company.

1 Q. What are your duties as Fuel Manager for Gulf Power Company?

2 A. I manage the Company's fuel procurement, inventory, transportation,
3 budgeting, contract administration, and quality assurance programs to
4 ensure that the generating plants operated by Gulf Power are supplied
5 with an adequate quantity of fuel in a timely manner and at the lowest
6 practical cost.

7

8 Q. What is the purpose of your testimony in this docket?

9 A. The purpose of my testimony is to summarize Gulf Power Company's fuel
10 expenses and to certify that these expenses were properly incurred during
11 the period January, 2003 through December, 2003. Also, it is my intent to
12 be available to answer questions that may arise among the parties to this
13 docket concerning Gulf Power Company's fuel expenses.

14

15 Q. Have you prepared an exhibit that contains information to which you will
16 refer in your testimony?

17 A. Yes, I have.

18 Counsel: We ask that Mr. Ball's Exhibit consisting of two schedules be
19 marked as Exhibit No. _____(HRB-1).

20

21 Q. During the period January, 2003 through December, 2003 how did Gulf
22 Power Company's recoverable fuel expenses compare with the projected
23 expenses?

24 A. Gulf's recoverable fuel cost of net generation was \$316,735,243 or 1.27%
25 above the projected amount of \$312,764,596. Actual generation was

1 14,987,878 MWH compared to the projected generation of 15,926,090 or
2 5.89% below projections. The resulting actual average fuel cost was
3 2.1133 cents per KWH or 7.6% above the projected amount of 1.9639
4 cents per KWH. The higher total fuel expense is attributed to the higher
5 market fuel prices on all fuel types for the period. Fuel costs for coal on a
6 \$/ton basis were 3.65% higher than forecasted. Fuel cost for gas on a
7 \$/MCF basis was 47.53% higher than forecasted. The higher average per
8 KWH fuel cost is attributed to a much higher cost of generation from
9 natural gas fired units than projected. This information is from Schedule
10 A-3 of the Monthly Fuel Filing for the month of December, 2003.

11

12 Q. How much spot coal did Gulf Power Company purchase during the
13 period?

14 A. Excluding Plant Scherer Unit 3, Gulf purchased 1,704,849 tons of coal or
15 34% of its total coal purchased on the spot market. Schedule 1 of my
16 exhibit consists of a list of contract and spot coal purchases for the period.

17

18 Q. How did the total projected cost of coal purchased compare with the
19 actual cost?

20 A. The total actual cost of coal purchased was \$222,283,781 (sum of lines
21 17 & 30 period to date on Schedule A5) compared to the projected cost of
22 \$204,343,933 or 8.78% greater than projected. The higher cost was
23 primarily due to greater than expected spot coal prices in 2003.

24

25

1 Q How did the total projected cost of coal burned compared to the actual
2 cost?

3 A. The total cost of coal burned was \$218,539,794 which is the sum of lines
4 2 and 2A on Schedule A-3. This is 2.79% higher than our projection of
5 \$212,603,342. On a fuel cost per MMBTU basis, the actual cost of coal
6 plus boiler lighter. fuel was \$1.65 per MMBTU which is 4.43% greater than
7 the projected cost of \$1.58 per MMBTU. The higher per unit cost of coal
8 is attributed to higher than anticipated coal prices for spot coal purchases.

9
10 Q. How did the total projected cost of natural gas burned compare to the
11 actual cost?

12 A. The total cost of natural gas burned for generation was \$95,419,659
13 which is from line 47 on Schedule A-5. This is 4.27% lower than our
14 projection of \$99,672,719. The decrease can be attributed to lower than
15 forecasted generation on gas fired units as a direct result of higher prices
16 for natural gas. On a natural gas cost per unit basis, the actual burn cost
17 was \$6.88 per MMBTU which is 41.56% higher than the projected cost of
18 \$4.86 per MMBTU.

19
20 Q. For the period in question, what volume of natural gas was actual hedged
21 using a fixed price contract or instrument?

22 A. Gulf Power's hedged 7,400,000 MMBTU of natural gas in 2003 using
23 fixed price financial swaps.

24
25

1 Q. What types of hedging instruments were used by Gulf Power Company
2 and what type and volume of fuel was hedged by each type of
3 instrument?

4 A. Natural gas was hedged using financial swaps that fixed the price of gas
5 to a certain price. These swaps settled against either a NYMEX Last Day
6 price or Gas Daily price. The entire amount (7,400,000 MMBTU) of gas
7 hedged was hedged using these financial instruments as reflected on
8 Schedule 2 of my exhibit.

9
10 Q. What was the actual total cost (e.g., fees, commissions, option premiums,
11 futures gains and losses, swap settlements) associated with each type of
12 hedging instrument?

13 A. Schedule 2 of my exhibit consists of a table of all natural gas hedge
14 transactions and associated costs. No fees, commissions, or option
15 premiums were paid. Gulf's 2003 hedging program resulted in a net
16 financial gain of \$4,847,268 (settlement gains less support costs from
17 lines 2 and 3 of Schedule A-1 period-to-date).

18
19 Q. Did fuel procurement activity during the period in question follow Gulf
20 Power's Risk Management Plan for Fuel Procurement filed with the
21 Florida Public Service Commission on September 20, 2002?

22 A. Yes, Gulf Power's fuel strategy in 2003 complied with the Risk
23 Management Plan and the actual results achieved compared favorably
24 with the projected results in the plan. Supply of all fuel types and
25 associated transportation to Gulf's generating plants are secured through

1 a combination of long term contracts and spot purchase orders as
2 specified in the plan. The result was that Gulf's generating plants had an
3 adequate supply of fuel available at all times to meet the electric
4 generation demands of its customers. Fuel cost volatility was mitigated by
5 compliance with the Risk Management Plan. In 2003 Gulf's average cost
6 of fuel consumed was \$2.16 per MMBTU which was 8% higher than the
7 original projection of \$2.00 per MMBTU. However, the actual cost of fuel
8 was reduced to \$2.12 per MMBTU once adjustments to fuel costs were
9 made to account for gas hedging and other fuel cost credits. Gulf was
10 able to hold per unit fuel costs to very reasonable levels for its customers
11 during a period of volatile market fuel prices by implementation of its Fuel
12 Risk Management Plan.

13

14 Q. Were there any other significant developments in Gulf's fuel procurement
15 program during the period?

16 A. No.

17

18 Q. Should Gulf's fuel purchases for the period be accepted as reasonable
19 and prudent?

20 A Yes, Gulf's coal supply program is based on a mixture of long term
21 contracts and spot purchases at market prices. Coal suppliers are
22 selected using procedures that assure reliable coal supply, consistent
23 quality, and competitive delivered pricing. The terms and conditions of
24 coal supply agreements have been administered appropriately. Natural
25 gas is purchased using agreements that tie price to published market

1 index schedules and is transported using a combination of firm and
2 interruptible gas transportation agreements. Natural gas storage is
3 utilized to assure that supply is available during times when gas supply is
4 curtailed or unavailable. Gulf's fuel oil purchases were made from
5 qualified vendors using an open bid process to assure competitive pricing
6 and reliable supply.

7

8 Q. Mr. Ball, does this complete your testimony?

9 A. Yes.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 GULF POWER COMPANY

2 Before the Florida Public Service Commission

3 Prepared Direct Testimony of

4 H. R. Ball

5 Docket No. 040001-EI

6 Date of Filing: August 10, 2004

7 Q. Please state your name and business address.

8 A. My name is H. R. Ball. My business address is One Energy Place,
9 Pensacola, Florida 32520-0335. I am the Fuel Manager for Gulf Power
10 Company.11 Q. Please briefly describe your educational background and business
12 experience.13 A. I graduated from the University of Southern Mississippi in Hattiesburg,
14 Mississippi in 1978 with a Bachelor of Science Degree in Chemistry and
15 graduated from the University of Southern Mississippi in Long Beach,
16 Mississippi in 1988 with a Masters of Business Administration. In 1978, I
17 began my employment with the Southern Company at Mississippi Power
18 Company (MPC) as a Plant Chemist at Plant Daniel. In 1982, I
19 transferred to MPC's Fuel Services Department as a Fuel Business
20 Analyst. In 1987, I was promoted to Supervisor of Chemistry and
21 Regulatory Compliance at Plant Daniel. In 1998, I was promoted to
22 Supervisor of Coal Logistics with Southern Company Services Fuel
23 Services Department located in Birmingham, Alabama. My
24 responsibilities in this position included administering coal supply and
25 transportation agreements and managing the coal inventory program for
the Southern Electric System. In March, 2003, I was promoted to my

1 current position as Fuel Manager for Gulf Power Company.

2
3 Q. What are your duties as Fuel Manager for Gulf Power Company?

4 A. I manage the Company's fuel procurement, inventory, transportation,
5 budgeting, contract administration, and quality assurance programs to
6 ensure that the generating plants operated by Gulf Power are supplied
7 with an adequate quantity of fuel in a timely manner and at the lowest
8 practical cost.

9
10 Q. What is the purpose of your testimony in this docket?

11 A. The purpose of my testimony is to compare Gulf Power Company's
12 projected fuel expenses with estimated/actual costs for the period
13 January, 2004 through December, 2004 and to summarize any
14 noteworthy developments in Gulf's fuel program. Also, it is my intent to be
15 available to answer questions that may arise among the parties to this
16 docket concerning Gulf Power Company's fuel expenses.

17
18 Q. During the period January, 2004 through December, 2004 how will Gulf
19 Power Company's recoverable fuel cost of System Net Generation compare
20 with the original projection of fuel cost?

21 A. Gulf's projected recoverable fuel cost of System Net Generation for the
22 period is currently \$372,845,690 or 9.59% above the original projected
23 amount of \$340,226,335. Total net system generation is expected to be
24 15,605,983 MWH compared to the original projected generation of
25 16,251,250 MWH or 3.97% below projections. The resulting average fuel

1 cost is expected to be \$2.389 per KWH or 14.12% above the original
2 projected amount of \$2.094 per KWH. The higher total fuel expense and
3 average per unit fuel cost is attributed to higher than projected coal and
4 natural gas prices for the period and a higher percentage of generation from
5 natural gas fired units than was originally projected. This current projection
6 of fuel cost of system net generation is captured in the exhibit to Witness
7 Davis's testimony, Line A1.
8

9 Q. How did the total projected cost of coal burned compare to the actual cost
10 for the first six months of 2004?

11 A. The total cost of coal burned was \$109,980,769 which is 2.77% greater
12 than our projection of \$107,013,117. On a fuel cost per KWH basis, the
13 actual cost was 1.75 cents per KWH which is 4.79% greater than the
14 projected cost of 1.67 cents per KWH.
15

16 Q. How did the total projected cost of natural gas burned compare to the actual
17 cost during the first six months of 2004?

18 A. The total cost of natural gas burned for generation was \$58,794,448 which
19 is 9.50% higher than our projection of \$53,691,768. On a natural gas cost
20 per unit basis, the actual cost was 5.13 cents per KWH which is 2.19%
21 greater than the projected cost of 5.02 cents per KWH. The total cost of
22 natural gas burned for generation is higher than projected due to higher
23 than projected natural gas prices and a greater actual amount gas fired
24 generation than projected.
25

1 Q. For the period in question, what volume of natural gas was actually hedged
2 using a fixed price contract or instrument?

3 A. Gulf Power hedged 4,200,000 MMBTU of natural gas, for the period
4 January through June of 2004 using fixed price financial swaps.
5

6 Q. What types of hedging instruments were used by Gulf Power Company
7 and what type and volume of fuel was hedged by each type of
8 instrument?

9 A. Natural gas was hedged using financial swaps that fixed the price of gas
10 to a certain price. These swaps settled against either a NYMEX Last Day
11 price or Gas Daily price. The entire amount (4,200,000 MMBTU) of gas
12 hedged was hedged using these financial instruments.
13

14 Q. What was the actual total cost (e.g., fees, commission, option premiums,
15 futures gains and losses, swap settlements) associated with each type of
16 hedging instrument?

17 A. No fees, commission, or option premiums were paid. Gulf's gas hedging
18 program has resulted in a net financial gain of \$3,539,578 for the period
19 January through June, 2004.
20

21 Q. Were Gulf Power's actions through June 30, 2004 to mitigate fuel and
22 purchased power price volatility through implementation of its non-
23 speculative financial and/or physical hedging programs prudent?

24 A. Yes, Gulf's physical and financial fuel hedging programs have resulted in
25 more stable fuel prices and lower fuel costs than would have otherwise

1 occurred if these programs had not been utilized.

2

3 Q. Are Gulf Power's actual and projected operation and maintenance
4 expenses for 2004 for its non-speculative financial hedging programs to
5 mitigate fuel and purchased power price volatility reasonable for cost
6 recovery purposes?

7 A. Yes, the O&M costs associated with managing the fuel hedging programs
8 are a small percentage of the total benefit received from these programs.
9 As an example, the budgeted recoverable O&M cost of managing the gas
10 hedging program for the period January through December, 2004 is
11 \$32,866 while the total financial gain credited to fuel expense from the
12 gas hedging program through June 2004 was \$3,550,710.

13

14 Q. Were there any other significant developments in Gulf's fuel procurement
15 program during the period?

16 A. No.

17

18 Q. Should Gulf's fuel purchases for the period be accepted as reasonable
19 and prudent?

20 A. Yes, Gulf's coal supply program is based on a mixture of long term
21 contracts and spot purchases at market prices. Coal suppliers are
22 selected using procedures that assure reliable coal supply, consistent
23 quality, and competitive delivered pricing. The terms and conditions of
24 coal supply agreements have been administered appropriately. Natural
25 gas is purchased using agreements that tie price to published market

1 index schedules and is transported using a combination of firm and
2 interruptible gas transportation agreements. Natural gas storage is
3 utilized to assure that supply is available during times when gas supply is
4 curtailed or unavailable. Gulf's fuel oil purchases were made from
5 qualified vendors using an open bid process to assure competitive pricing
6 and reliable supply.

7
8 Q. Mr. Ball, does this complete your testimony?

9 A. Yes, it does.
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 GULF POWER COMPANY

2 Before the Public Service Commission

3 Prepared Direct Testimony of

4 H. R. Ball

5 Docket No. 040001-EI

6 Date of Filing: September 9, 2004

7

8 Q. Please state your name and business address.

9 A. My name is H. R. Ball. My business address is One Energy Place,
10 Pensacola, Florida 32520-0335. I am the Fuel Manager for Gulf Power
11 Company.

12

13 Q. Have you previously filed testimony with this Commission in this docket?

14 A. Yes, I have.

15

16 Q. Please briefly describe your educational background and business
17 experience.

18 A. I graduated from the University of Southern Mississippi in Hattiesburg,
19 Mississippi in 1978 with a Bachelor of Science Degree in Chemistry and
20 graduated from the University of Southern Mississippi in Long Beach,
21 Mississippi in 1988 with a Masters of Business Administration. In 1978, I
22 began my employment with the Southern Company at Mississippi Power
23 Company (MPC) as a Plant Chemist at Plant Daniel. Since that time I have
24 held positions of increasing responsibility at MPC in the Fuel Services
25 Department as a Fuel Business Analyst and as Supervisor of Chemistry

1 and Regulatory Compliance at Plant Daniel, and at Southern Company
2 Services Fuel Services as Supervisor of Coal Logistics located in
3 Birmingham, Alabama. My responsibilities at SCS Fuel Services included
4 administering coal supply and transportation agreements and managing the
5 coal logistics and inventory program for the Southern Electric System. In
6 March 2003, I was promoted to my current position, Fuel Manager for Gulf
7 Power Company.

8
9 Q. What are your duties as Fuel Manager for Gulf Power Company?

10 A. I manage the Company's fuel procurement, inventory, transportation,
11 budgeting, contract administration, and quality assurance programs to
12 ensure that the generating plants operated by Gulf Power are supplied with
13 an adequate quantity of fuel in a timely manner and at the lowest practical
14 cost.

15
16 Q. What is the purpose of your testimony in this docket?

17 A. The purpose of my testimony is to support Gulf Power Company's
18 projection of fuel expenses for the period January 1, 2005 through
19 December 31, 2005. Also, it is my intent to be available to answer
20 questions that may arise among the parties to this docket concerning Gulf
21 Power Company's fuel expense projections.

22
23 Q. Have you prepared an exhibit that contains information to which you will
24 refer in your testimony?

1 A. Yes, I have prepared an exhibit that compares actual and projected fuel
2 costs for the past ten years. The purpose of this exhibit is to indicate the
3 accuracy of Gulf's short term fuel expense projections.
4

5 Counsel: We ask that Mr. Ball's Exhibit , consisting of one schedule,
6 be marked as Exhibit No. _____ (HRB-1).
7

8 Q. Has Gulf Power Company made any changes to its methods for projecting
9 fuel expenses for this period?

10 A. No.
11

12 Q. Does the 2005 projection of fuel expenses reflect any major changes in
13 Gulf's fuel procurement program for this period?

14 A. No. Gulf will receive 1.9 million tons of coal under an existing coal supply
15 agreement with Peabody Coal Sales, 0.6 million tons of coal under an
16 existing coal supply agreement with Peabody COALTRADE, Inc., and 1.2
17 million tons of coal under an existing coal supply agreement with
18 Interocean Coal Sales, LDC. Gulf's remaining coal requirements, if any,
19 will be purchased in the market through the Request for Proposal (RFP)
20 process that has been used by Southern Company Services - Fuel
21 Services as agent for Gulf for many years. Coal will be delivered under
22 existing coal transportation contracts. Natural gas requirements will be
23 purchased from various suppliers using firm quantity agreements with
24 market pricing for base needs and on the daily spot market when

1 necessary. Natural gas transportation will be secured using a combination
2 of firm and spot transportation agreements.

3
4 Q. What fuel price hedging programs will be utilized by Gulf to protect the
5 customer from fuel price spikes?

6 A. Natural gas prices will be hedged financially using instruments that conform
7 to Gulf's established guidelines for hedging activity. Coal supply and
8 transportation prices will be hedged physically using term agreements with
9 either fixed pricing or term pricing with escalation terms tied to various
10 published market price indexes.

11
12 Q. How does the total projected fuel cost for the 2005 period compare to the
13 projected fuel cost for the same period in 2004?

14 A. The total updated cost of fuel to meet 2004 system net generation needs,
15 filed in testimony under this docket on August 10, 2004, is projected to be
16 \$372,845,690. The projected total cost of fuel to meet system net
17 generation needs in 2005 is \$393,442,768. This is an increase of
18 \$20,597,078 or 5.52%. Total system net generation in 2005 is projected to
19 be 15,728,660 MWH which is 122,677 MWH or .8% higher than is currently
20 projected for 2004. On a fuel cost per KWH basis, the 2004 projected cost
21 is 2.389 cents per KWH and the 2005 projected fuel cost is 2.5014 cents
22 per KWH. This is an increase of 0.1124 cents per KWH or 4.7%. This
23 higher projected total fuel expense and average per unit fuel cost reflects a
24 continued trend of increases in the forecasted price of coal and natural gas
25 to fuel Gulf's generating units. The projection of fuel cost of system net

1 of system net generation for 2005 is captured in the exhibit to Witness
2 Davis's testimony, Line A1.

3

4 Q. Mr. Ball, does this complete your testimony?

5 A. Yes. it does.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 GULF POWER COMPANY

2 Before the Florida Public Service Commission
3 Prepared Direct Testimony and Exhibit of
4 Terry A. Davis
5 Docket No. 040001-EI
6 Fuel and Purchased Power Capacity Cost Recovery
7 Date of Filing: April 1, 2004

8 Q. Please state your name, business address and occupation.

9 A. My name is Terry Davis. My business address is One
10 Energy Place, Pensacola, Florida 32520-0780. I am the
11 Regulatory Team Leader in the Rates and Regulatory
12 Matters Department of Gulf Power Company.

13 Q. Please briefly describe your educational background and
14 business experience.

15 A. I graduated in 1979 from Mississippi College in Clinton,
16 Mississippi with a Bachelor of Science Degree in
17 Business Administration and a major in Accounting.
18 Prior to joining Gulf Power, I was an accountant for a
19 seismic survey firm, Geophysical Field Surveys in
20 Jackson, Mississippi. In that capacity, I was
21 responsible for accounts receivable, accounts payable,
22 sales, use, and fuel tax returns, and various other
23 accounting activities. In 1986, I joined Gulf Power as
24 an Associate Accountant in the Plant Accounting
25 Department. Since then, I have held various positions

1 of increasing responsibility with Gulf Power in Accounts
2 Payable, Financial Reporting, and Cost Accounting. In
3 1993, I joined the Rates and Regulatory Matters area,
4 where I have participated with increasing responsibility
5 in activities related to the cost recovery clauses, the
6 rate case, budgeting, and other regulatory functions.
7 In 2003, I was promoted to my current position, which
8 includes supervision of the Company's Fuel, Capacity and
9 Environmental Cost Recovery Clause filings,
10 administration of Gulf's retail electric tariff, and
11 review of other regulatory filings submitted by the
12 Company.

13

14 Q. Have you prepared an exhibit that contains information
15 to which you will refer in your testimony?

16 A. Yes, I have.

17 Counsel: We ask that Ms. Davis' Exhibit
18 consisting of four schedules be
19 marked as Exhibit No. _____ (TAD-1).

20

21 Q. Are you familiar with the Fuel and Purchased Power
22 (Energy) true-up calculations for the period of January
23 2003 through December 2003 and the Purchased Power
24 Capacity Cost true-up calculations for the period of

25

1 January 2003 through December 2003 set forth in your
2 exhibit?

3 A. Yes. These documents were prepared under my direction.
4

5 Q. Have you verified that to the best of your knowledge and
6 belief, the information contained in these documents is
7 correct?

8 A. Yes, I have.
9

10 Q. What is the amount to be refunded or collected through
11 the fuel cost recovery factors in the period January
12 2005 through December 2005?

13 A. A net amount to be refunded of \$2,535,018 was calculated
14 as shown on Schedule 1 of my exhibit.
15

16 Q. How was this amount calculated?

17 A. The \$2,535,018 was calculated by taking the difference
18 in the estimated January 2003 through December 2003
19 under-recovery of \$23,923,505 and the actual under-
20 recovery of \$21,388,487, which is the sum of the Period-
21 to-Date amounts on lines 7 and 8 shown on Schedule A-2,
22 page 2, of the monthly filing for December 2003. The
23 estimated true-up amount for this period was approved in
24 Order No. PSC-03-1461-FOF-EI dated December 22, 2003.
25 Additional details supporting the approved estimated

1 true-up amount are included on Schedule E1-A filed
2 August 12, 2003.

3

4 Q. Ms. Davis has the estimated benchmark level for gains on
5 non-separated wholesale energy sales eligible for a
6 shareholder incentive been updated for 2004?

7 A. Yes, it has.

8

9 Q. What is the actual threshold for 2004?

10 A. Based on actual data for 2001, 2002, and now 2003, the
11 threshold is calculated to be \$2,415,211.

12

13 Q. The Commission approved Gulf's hedging program in
14 October 2002. What incremental hedging support costs
15 related to administering Gulf's approved hedging program
16 is Gulf seeking to recover for 2003?

17 A. Gulf has included \$14,809 as shown on the December 2003
18 Period-to-Date Schedule A-1 for incremental hedging
19 support costs related to administering the approved
20 hedging program during the 2003 recovery period.

21

22 Q. Is Gulf seeking to recover any gains or losses from
23 hedging settlements in the 2003 recovery period?

24 A. Yes. On the December 2003 Fuel Schedule A-1, Period to
25 Date, Gulf has recorded a net gain of \$4,862,077 related

1 to hedging activities in 2003. Mr. Ball will address
2 the details of those hedging activities in his
3 testimony.

4

5 Q. Ms. Davis, you stated earlier that you are responsible
6 for the Purchased Power Capacity Cost true-up
7 calculation. Which schedules of your exhibit relate to
8 the calculation of these factors?

9 A. Schedules CCA-1, CCA-2, and CCA-3 of my exhibit relate
10 to the Purchased Power Capacity Cost true-up calculation
11 for the period January 2003 through December 2003.

12

13 Q. What is the amount to be refunded or collected in the
14 period January 2005 through December 2005?

15 A. An amount to be refunded of \$1,053,779 was calculated as
16 shown in Schedule CCA-1, of my exhibit.

17

18 Q. How was this amount calculated?

19 A. The \$1,053,779 was calculated by taking the difference
20 in the estimated January 2003 through December 2003
21 over-recovery of \$1,058,876 and the actual over-recovery
22 of \$2,112,655, which is the sum of lines 10 and 11 under
23 the total column of Schedule CCA-2. The estimated true-
24 up amount for this period was approved in Order No. PSC-
25 03-1461-FOF-EI dated December 22, 2003. Additional

1 details supporting the approved estimated true-up amount
2 are included on Schedule CCE-1A filed August 12, 2003.

3

4 Q Please describe Schedules CCA-2 and CCA-3 of your
5 exhibit.

6 A. Schedule CCA-2 shows the calculation of the actual over-
7 recovery of purchased power capacity costs for the
8 period January 2003 through December 2003. Schedule
9 CCA-3 of my exhibit is the calculation of the interest
10 provision on the over-recovery for the period January
11 2003 through December 2003. This is the same method of
12 calculating interest that is used in the Fuel and
13 Purchased Power (Energy) Cost Recovery Clause and the
14 Environmental Cost Recovery Clause.

15

16 Q. Ms. Davis, does this complete your testimony?

17 A. Yes, it does.

18

19

20

21

22

23

24

25

1 GULF POWER COMPANY

2 Before the Florida Public Service Commission
3 Prepared Direct Testimony and Exhibit of
4 Terry A. Davis
5 Docket No. 040001-EI
6 Fuel and Purchased Power Capacity Cost Recovery
7 Date of Filing: August 10, 2004

8 Q. Please state your name, business address and occupation.

9 A. My name is Terry Davis. My business address is One
10 Energy Place, Pensacola, Florida 32520-0780. I am the
11 Supervisor of Treasury and Regulatory Matters at Gulf
12 Power Company.

13 Q. Please briefly describe your educational background and
14 business experience.

15 A. I graduated in 1979 from Mississippi College in Clinton,
16 Mississippi with a Bachelor of Science Degree in
17 Business Administration and a major in Accounting.
18 Prior to joining Gulf Power, I was an accountant for a
19 seismic survey firm, Geophysical Field Surveys in
20 Jackson, Mississippi. In that capacity, I was
21 responsible for accounts receivable, accounts payable,
22 sales, use, and fuel tax returns, and various other
23 accounting activities. In 1986, I joined Gulf Power as
24 an Associate Accountant in the Plant Accounting
25 Department. Since then, I have held various positions
of increasing responsibility with Gulf Power in Accounts

1 Payable, Financial Reporting, and Cost Accounting. In
2 1993, I joined the Rates and Regulatory Matters area,
3 where I have participated with increasing responsibility
4 in activities related to the cost recovery clauses, the
5 rate case, budgeting, and other regulatory functions.
6 In 2004, I was promoted to my current position.

7 My responsibilities now include supervision of:
8 tariff administration, cost of service activities,
9 calculation of cost recovery factors, the regulatory
10 filing function of the Rates and Regulatory Matters
11 Department, and various treasury activities.

12
13 Q. Have you prepared an exhibit that contains information
14 to which you will refer in your testimony?

15 A. Yes, I have.

16 Counsel: We ask that Ms. Davis' Exhibit
17 consisting of five schedules be marked as
18 Exhibit No. _____ (TAD-2).

19
20 Q. Are you familiar with the Fuel and Purchased Power
21 (Energy) estimated true-up calculations for the period
22 of January 2004 through December 2004 and the Purchased
23 Power Capacity Cost estimated true-up calculations for
24 the period of January 2004 through December 2004 set
25 forth in your exhibit?

1 A. Yes, these documents were prepared under my supervision.

2

3 Q. Have you verified that to the best of your knowledge and
4 belief, the information contained in these documents is
5 correct?

6 A. Yes, I have.

7

8 Q. How were the estimated true-ups for the current period
9 calculated for both fuel and purchased power capacity?

10 A. In each case the estimated true-up calculations include
11 six months of actual data and six months of estimated
12 data.

13

14 Q. Ms. Davis, what has Gulf calculated as the fuel cost
15 recovery true-up to be applied in the period January
16 2005 through December 2005?

17 A. The fuel cost recovery true-up for this period is an
18 increase of .2409¢/kwh. As shown on Schedule E-1A, this
19 includes an estimated under-recovery for the January
20 through December 2004 period of \$29,107,969, plus a
21 final over-recovery for the January through December
22 2003 period of \$2,535,018 (see Schedule 1 of Exhibit
23 TAD-1 in this docket filed on April 1, 2004). The
24 resulting net under-recovery of \$26,572,951 and will be
25 recovered during 2005.

1 Q. Ms. Davis, you stated earlier that you are responsible
2 for the Purchased Power Capacity Cost true-up
3 calculation. Which schedules of your exhibit relate to
4 the calculation of these factors?

5 A. Schedules CCE-1a and CCE-1b of my exhibit relate to the
6 Purchased Power Capacity Cost true-up calculation to be
7 applied in the January 2005 through December 2005
8 period.

9

10 Q. What has Gulf calculated as the purchased power capacity
11 factor true-up to be applied in the period January 2005
12 through December 2005?

13 A. The true-up for this period is a decrease of .0170¢ as
14 shown on Schedule CCE-1a. This includes an estimated
15 over-recovery of \$817,151 for January 2004 through
16 December 2004. It also includes a final true-up over-
17 recovery of \$1,053,779 for the period of January 2003
18 through December 2003 (see Schedule CCA-1 filed April 1,
19 2004). The resulting over-recovery is \$1,870,930.

20

21 Q. Ms. Davis, does this complete your testimony?

22 A. Yes, it does.

23

24

25

GULF POWER COMPANY

Before the Florida Public Service Commission
Prepared Direct Testimony and Exhibit of
Terry A. Davis
Docket No. 040001-EI
Fuel and Purchased Power Cost Recovery
Date of Filing: September 9, 2004

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. Please state your name, business address and occupation.

A. My name is Terry Davis. My business address is One Energy Place, Pensacola, Florida 32520-0780. I am the Supervisor of Treasury and Regulatory Matters at Gulf Power Company.

Q. Please briefly describe your educational background and business experience.

A. I graduated in 1979 from Mississippi College in Clinton, Mississippi with a Bachelor of Science Degree in Business Administration and a major in Accounting. Prior to joining Gulf Power, I was an accountant for a seismic survey firm, Geophysical Field Surveys in Jackson, Mississippi. In that capacity, I was responsible for accounts receivable, accounts payable, sales, use, and fuel tax returns, and various other accounting activities. In 1986, I joined Gulf Power as an Associate Accountant in the Plant Accounting Department. Since then, I have held various positions of increasing responsibility with Gulf Power in Accounts

1 Payable, Financial Reporting, and Cost Accounting. In
2 1993, I joined the Rates and Regulatory Matters area,
3 where I have participated with increasing responsibility
4 in activities related to the cost recovery clauses, the
5 rate case, budgeting, and other regulatory functions.
6 In 2004, I was promoted to my current position.

7 My responsibilities now include supervision of:
8 tariff administration, cost of service activities,
9 calculation of cost recovery factors, the regulatory
10 filing function of the Rates and Regulatory Matters
11 Department, and various treasury activities.

12

13 Q. Have you previously filed testimony before this
14 Commission in this on-going docket?

15 A. Yes, I have.

16

17 Q. What is the purpose of your testimony?

18 A. The purpose of my testimony is to discuss the
19 calculation of Gulf Power's fuel cost recovery factors
20 for the period January 2005 through December 2005. I
21 will also discuss the calculation of the purchased power
22 capacity cost recovery factors for the period January
23 2005 through December 2005.

24

25

1 Q. Are you familiar with the Fuel and Purchased Power Cost
2 Recovery Clause Calculation for the period of January
3 2005 through December 2005?

4 A. Yes, these documents were prepared under my supervision.

5

6 Q. Have you verified that to the best of your knowledge and
7 belief, the information contained in these documents is
8 correct?

9 A. Yes, I have.

10 Counsel: We ask that Ms. Davis's Exhibit
11 consisting of fourteen schedules,
12 be marked as Exhibit No. _____(TAD-3).

13

14 Q. What has been included in this filing to reflect the
15 GPIF reward/penalty for the period of January 2003
16 through December 2003?

17 A. The GPIF result is shown on Line 33 of Schedule E-1 as
18 an increase of .0057¢/kwh, thereby rewarding Gulf
19 \$625,280.

20

21 Q. What is the appropriate revenue tax factor to be applied
22 in calculating the levelized fuel factor?

23 A. A revenue tax factor of 1.00072 has been applied to all
24 jurisdictional fuel costs as shown on Line 31 of
25 Schedule E-1.

1 Q. Ms. Davis, what is the levelized projected fuel factor
2 for the period January 2004 through December 2004?

3 A. Gulf has proposed a levelized fuel factor of 2.822¢/kwh.
4 It includes projected fuel and purchased power energy
5 expenses for January 2005 through December 2005 and
6 projected kwh sales for the same period, as well as the
7 true-up and GPIF amount. The levelized fuel factor has
8 not been adjusted for line losses.

9

10 Q. How does the levelized fuel factor for the projection
11 period compare with the levelized fuel factor for the
12 current period?

13 A. The projected levelized fuel factor for 2005 is .363
14 cents/kwh more or 14.8 percent higher than the levelized
15 fuel factor for 2004 upon which current fuel factors are
16 based.

17

18 Q. Ms. Davis, how were the line loss multipliers used on
19 Schedule E-1E calculated?

20 A. They were calculated in accordance with procedures
21 approved in prior filings and were based on Gulf's
22 latest mwh Load Flow Allocators.

23

1 Q. Ms. Davis, what fuel factor does Gulf propose for its
2 largest group of customers (Group A), those on Rate
3 Schedules RS, GS, GSD, and OSIII?

4 A. Gulf proposes a standard fuel factor, adjusted for line
5 losses, of 2.837¢/kwh for Group A. Fuel factors for
6 Groups A, B, C, and D are shown on Schedule E-1E. These
7 factors have all been adjusted for line losses.

8
9 Q. Ms. Davis, how were the time-of-use fuel factors
10 calculated?

11 A. These were calculated based on projected loads and
12 system lambdas for the period January 2005 through
13 December 2005. These factors included the GPIF and
14 true-up, and were adjusted for line losses. These time-
15 of-use fuel factors are also shown on Schedule E-1E.

16
17 Q. How does the proposed fuel factor for Rate Schedule RS
18 compare with the factor applicable to December 2004 and
19 how would the change affect the cost of 1000 kwh on
20 Gulf's residential rate RS?

21 A. The current fuel factor for Rate Schedule RS applicable
22 through December 2004 is 2.472¢/kwh compared with the
23 proposed factor of 2.837¢/kwh. For a residential
24 customer who uses 1000 kwh in January 2005, the fuel

1 portion of the bill would increase from \$24.72 to
2 \$28.37.

3

4 Q. Has Gulf updated its estimates of the as-available
5 avoided energy costs to be shown on COG1 as required by
6 Order No. 13247 issued May 1, 1984, in Docket
7 No. 830377-EI and Order No. 19548 issued June 21, 1988,
8 in Docket No. 880001-EI?

9 A. Yes. A tabulation of these costs is set forth in
10 Schedule E-11 of my Exhibit TAD-3. These costs
11 represent the estimated averages for the period from
12 January 2005 through December 2006.

13

14 Q. What amount have you calculated to be the appropriate
15 benchmark level for calendar year 2005 gains on non-
16 separated wholesale energy sales eligible for a
17 shareholder incentive?

18 A. In accordance with Order No. PSC-00-1744-AAA-EI, a
19 benchmark level of \$2,524,525 has been calculated for
20 2005. The actual gains for 2002, 2003, and the
21 estimated gains for 2004 on all non-separated sales have
22 been averaged to determine the minimum projected
23 threshold for 2005 that must be achieved before
24 shareholders may receive any incentive. As demonstrated
25 on Schedule E-6, page 2 of 2, Gulf's projection reflects

1 a credit to customers of 100 percent of the gains on
2 non-separated sales for 2005. The estimated gains on
3 all non-separated sales are projected to be only
4 slightly higher than the benchmark. Any sharing above
5 the benchmark would not occur until December.

6
7 Q. You stated earlier that you are responsible for the
8 calculation of the purchased power capacity cost (PPCC)
9 recovery factors. Which schedules of your exhibit
10 relate to the calculation of these factors?

11 A. Schedule CCE-1, including CCE-1a and CCE-1b, and
12 Schedule CCE-2 of my exhibit relate to the calculation
13 of the PPCC recovery factors for the period January 2005
14 through December 2005.

15
16 Q. Please describe Schedule CCE-1 of your exhibit.

17 A. Schedule CCE-1 shows the calculation of the amount of
18 capacity payments to be recovered through the PPCC
19 Recovery Clause. Mr. Bell has provided me with Gulf's
20 projected purchased power capacity transactions. Gulf's
21 total projected net capacity expense which includes a
22 credit for transmission revenue for the period January
23 2004 through December 2004 is \$24,009,955. The
24 jurisdictional amount is \$23,205,313. This amount is
25 added to the total true-up amount to determine the total

1 purchased power capacity transactions that would be
2 recovered in the period.

3

4 Q. Has there been any change that would affect the capacity
5 clause estimated true-up for 2004 filed by Gulf on
6 August 10, 2004?

7

8 A. Yes. The actual capacity over/under recovery
9 calculation for July 2004 resulted in an under-recovery
10 of \$3,165,061 as shown on revised Schedule CCE-1b of my
11 exhibit. This amount is \$973,270 less than the amount
12 projected on the original version of this schedule filed
13 on August 10, 2004. I have revised this schedule and
14 included the new estimated true-up amount for capacity
15 on Schedule CCE-1b and in the resulting calculations on
16 Schedule CCE-1 and CCE-2.

17

18 Q. What methodology was used to allocate the capacity
19 payments to rate class?

20 A. As required by Commission Order No. 25773 in Docket
21 No. 910794-EQ, the revenue requirements have been
22 allocated using the cost of service methodology used in
23 Gulf's last full requirements rate case and approved by
24 the Commission in Order No. PSC-02-0787-FOF-EI issued
25 June 10, 2002, in Docket No. 010949-EI. For purposes of

1 the PPCC Recovery Clause, Gulf has allocated the net
2 purchased power capacity costs to rate class with
3 12/13th on demand and 1/13th on energy. This allocation
4 is consistent with the treatment accorded to production
5 plant in the cost of service study used in Gulf's last
6 rate case.

7
8 Q. How were the allocation factors calculated for use in
9 the PPCC Recovery Clause?

10 A. The allocation factors used in the PPCC Recovery Clause
11 have been calculated using the 2003 load data filed with
12 the Commission in accordance with FPSC Rule 25-6.0437.
13 The calculations of the allocation factors are shown in
14 columns A through I on Page 1 of Schedule CCE-2.

15
16 Q. Please describe the calculation of the cents/kwh factors
17 by rate class used to recover purchased power capacity
18 costs.

19 A. As shown in columns A through D on page 2 of Schedule
20 CCE-2, the 12/13th of the jurisdictional capacity cost
21 to be recovered is allocated to rate class based on the
22 demand allocator, with the remaining 1/13th allocated
23 based on energy. The total revenue requirement assigned
24 to each rate class shown in column E is then divided by
25 that class's projected kwh sales for the twelve-month

1 period to calculate the PPCC recovery factor. This
2 factor would be applied to each customer's total kwh to
3 calculate the amount to be billed each month.
4

5 Q. What is the amount related to purchased power capacity
6 costs recovered through this factor that will be
7 included on a residential customer's bill for 1000 kwh?

8 A. The purchased power capacity costs recovered through the
9 clause for a residential customer who uses 1000 kwh will
10 be \$2.10.
11

12 Q. When does Gulf propose to collect these new fuel charges
13 and purchased power capacity charges?

14 A. The fuel and capacity factors will be effective
15 beginning with the first Bill Group for January 2005 and
16 continuing through the last Bill Group for December
17 2005.
18

19 Q. Ms. Davis, does this complete your testimony?

20 A. Yes, it does.
21
22
23
24
25

1 GULF POWER COMPANY
2 Before the Florida Public Service Commission
3 Direct Testimony and Exhibit of
4 L. S. Noack
5 Docket No. 040001-EI
6 Date of Filing April 1, 2004

7 Q. Please state your name, address, and occupation.

8 A. My name is Lonzelle S. Noack. My business address is
9 One Energy Place, Pensacola, Florida 32520-0335. My
10 current job position is Power Generation Specialist,
11 Senior for Gulf Power Company.

12 Q. Please describe your educational and business
13 background.

14 A. I received my Bachelor of Science degree in
15 Environmental Engineering from the University of
16 Florida in 1995 and received my Master of Business
17 Administration degree from the University of West
18 Florida in 2000. I joined Gulf Power in 1995 as an
19 Environmental Engineer and served in that role with
20 increasing levels of responsibility for over six years.
21 Major responsibilities included coordination of federal
22 and state air-related compliance testing for all Gulf
23 Power generating units, management of the Continuous
24 Emission Monitoring (CEM) System program at each of the
25 Company's generating facilities, and coordination of

1 the Company's air compliance reporting to state and
2 federal regulatory agencies. I was also responsible
3 for serving as Gulf's Environmental Subject Matter
4 Expert on Company and system-wide compliance teams. As
5 previously mentioned in my testimony, my current job
6 position is Power Generation Specialist, Senior at Gulf
7 Power Company. In this position, I am responsible for
8 preparing all GPIF filings as well as other generating
9 plant reliability and heat rate performance reporting.
10

11 Q. Ms. Noack, what is the purpose of your testimony in
12 this proceeding?

13 A. The purpose of my testimony is to present GPIF results
14 for Gulf Power Company for the period of January 1,
15 2003, through December 31, 2003.
16

17 Q. Ms. Noack, have you prepared an exhibit that contains
18 information to which you will refer in your testimony?

19 A. Yes. I have prepared an exhibit consisting of five
20 schedules.
21

22 Q. Ms. Noack, was this exhibit prepared by you or under
23 your direction and supervision?

24 A. Yes. It was.
25

1 Counsel: We ask that Ms. Noack's exhibit,
2 consisting of five schedules, be marked for
3 identification as Exhibit___ (LSN-1).

4
5 Q. Ms. Noack, is there any other information which has
6 been supplied to the Commission pertaining to this GPIF
7 period which requires amendment?

8 A. Yes. Some corrections have been made to the actual
9 unit performance data, which was submitted monthly to
10 the Commission during this time period. These
11 corrections are based on discoveries made during the
12 final data review to ensure the accuracy of the
13 information reported in this filing. The actual unit
14 performance data tables on pages 16 through 31 of
15 Schedule 5 of Exhibit_(LSN-1) incorporate these
16 changes. The data contained in these tables is the
17 data upon which the GPIF calculations were made.

18
19 Q. Ms. Noack, would you now review the Company's
20 equivalent availability results for the period?

21 A. Actual equivalent availability and adjusted actual
22 equivalent availability figures for each of the
23 Company's GPIF units are shown on page 15 of
24 Schedule 5. Pages 3 through 10 of Schedule 2 contain
25 the calculations for the adjusted actual equivalent

1 availabilities.

2
3 A calculation of GPIF availability points based on
4 these availabilities and the targets established by
5 Commission Order PSC-02-1761-FOF-EI is on page 11 of
6 Schedule 2. The results are: Crist 4, +10.00; Crist
7 5, +10.00; Crist 6, +10.00 points; Crist 7, +10.00
8 points; Smith 1, -10.00 points; Smith 2, +10.00 points;
9 Daniel 1, +10.00 points; and Daniel 2, +10.00 points.
10

11 Q. Ms. Noack, what were the heat rate results for the
12 period?

13 A. The detailed calculations of the actual average net
14 operating heat rates for the Company's GPIF units are
15 on pages 2 through 9 of Schedule 3.
16

17 As was done for the prior GPIF periods, and as
18 indicated on pages 10 through 17 of Schedule 3, the
19 target equations were used to adjust actual results to
20 the target bases. These equations, submitted in
21 September 2002, are shown on page 20 of Schedule 3.
22

23 As calculated on page 21 of Schedule 3, the adjusted
24 actual average net operating heat rates correspond to
25 the following GPIF unit heat rate points: -4.69 for

1 Crist 4, -1.51 for Crist 5, +1.08 for Crist 6, 0.00 for
2 Crist 7; -8.67 for Smith 1, 0.00 for Smith 2; +6.46 for
3 Daniel 1; and +3.65 for Daniel 2.

4
5 Q. Ms. Noack, what number of Company points was achieved
6 during the period, and what reward or penalty is
7 indicated by these points according to the GPIF
8 procedure?

9 A. Using the unit equivalent availability and heat rate
10 points previously mentioned, along with the appropriate
11 weighting factors, the number of Company points
12 achieved is +2.82, as indicated on page 2 of Schedule
13 4. This calculated to a reward in the amount of
14 \$625,280.

15
16 Q. Ms. Noack, would you please summarize your testimony?

17 A. Yes. In view of the adjusted actual equivalent
18 availabilities, as shown on page 11 of Schedule 2, and
19 the adjusted actual average net operating heat rates
20 achieved, as shown on page 21 of Schedule 3, evidencing
21 the Company's performance for the period, Gulf
22 calculates a reward in the amount of \$625,280 as
23 provided for by the GPIF plan.

24
25

1 Q. Ms. Noack, does this conclude your testimony?

2 A. Yes.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 GULF POWER COMPANY
2 Before the Florida Public Service Commission
3 Direct Testimony of
4 L. S. Noack
5 Docket No. 040001-EI
6 Date of Filing September 9, 2004

7 Q. Please state your name, address, and occupation.

8 A. My name is Lonzele S. Noack. My business address is
9 One Energy Place, Pensacola, Florida 32520-0335. My
10 current job position is Power Generation Specialist,
11 Senior for Gulf Power Company.

12 Q. Please describe your educational and business
13 background.

14 A. I received my Bachelor of Science degree in
15 Environmental Engineering from the University of
16 Florida in 1995 and received my Master of Business
17 Administration degree from the University of West
18 Florida in 2000. I joined Gulf Power in 1995 as an
19 Environmental Engineer and served in that role with
20 increasing levels of responsibility for over six years.
21 Major responsibilities included coordination of federal
22 and state air-related compliance testing for all Gulf
23 Power generating units, management of the Continuous
24 Emission Monitoring (CEM) System program at each of the
25 Company's generating facilities, and coordination of

1 the Company's air compliance reporting to state and
2 federal regulatory agencies. I was also responsible
3 for serving as Gulf's Environmental Subject Matter
4 Expert on Company and system-wide compliance teams. As
5 previously mentioned in my testimony, my current job
6 position is Power Generation Specialist, Senior at Gulf
7 Power Company. In this position, I am responsible for
8 preparing all GPIF filings as well as other generating
9 plant reliability and heat rate performance reporting.

10

11 Q. What is the purpose of your testimony in this
12 proceeding?

13 A. The purpose of my testimony is to present GPIF targets for
14 Gulf Power Company for the period of January 1, 2005 through
15 December 31, 2005.

16

17 Q. Have you prepared an exhibit that contains information
18 to which you will refer in your testimony?

19 A. Yes. I have prepared one exhibit consisting of three
20 schedules.

21

22 Q. Was this exhibit prepared by you or under your
23 direction and supervision?

24 A. Yes, it was.

25

1 Counsel: We ask that Ms. Noack's exhibit be
2 marked for identification as Exhibit_(LSN-2).

3
4 Q. Which units does Gulf propose to include under the GPIF
5 for the subject period?

6 A. We propose that Crist Units 4, 5, 6, and 7, Smith Units
7 1 and 2, and Daniel Units 1 and 2, continue to be the
8 Company's GPIF units. The projected net generation
9 from these units, which represent all of Gulf's
10 qualifying base and intermediate load units for GPIF,
11 is approximately 79% of Gulf's projected net generation
12 for 2005.

13
14 Q. What are the target heat rates Gulf proposes to use in
15 the GPIF for these units for the performance period
16 January 1, 2005 through December 31, 2005?

17 A. I would like to refer you to Page 43 of Schedule 1 of
18 my Exhibit_(LSN-2) where these targets are listed.

19
20 Q. How were these proposed target heat rates determined?

21 A. They were determined according to the GPIF
22 implementation manual procedures for Gulf.

23
24 Q. Describe how the targets were determined for Gulf's
25 proposed GPIF units.

1 A. Page 2 of Schedule 1 of Exhibit_(LSN-2) shows the
2 target average net operating heat rate equations for
3 the proposed GPIF units, and Pages 4 through 39 of
4 Schedule 1 contain the weekly historical data used for
5 the statistical development of these equations.
6 Pages 40 through 42 of Schedule 1 present the
7 calculations that provide the unit target heat rates
8 from the target equations.

9

10 Q. Were the maximum and minimum attainable heat rates for
11 each proposed GPIF unit, indicated on Page 43 of
12 Schedule 1 of Exhibit_(LSN-2), calculated according to
13 the appropriate GPIF implementation manual procedures?

14 A. Yes.

15

16 Q. Are there any current or projected changes in the fuel
17 mix for any of the proposed GPIF units that that may
18 affect the applicability of these heat rate targets?

19 A. Yes. Plant Daniel Units 1 and 2, which for the past few
20 years have been burning a high-Btu bituminous coal,
21 have recently switched to a blend of approximately 60%
22 high-Btu bituminous coal and 40% low-Btu sub-bituminous
23 coal. This change in fuel is due to current economics
24 and results in lower costs to customers than if the
25 units continued to burn the high-Btu coal only.

1 However, this change in fuel is also expected to
2 increase the heat rates of these units above the
3 targets set in this filing. This expected increase is
4 not an indication of a change in unit efficiency but is
5 more a reflection of the change in heat content and
6 properties of the fuel being burned.

7 Because the heat rate targets in this filing were
8 set according to the GPIF implementation manual, which
9 required the targets to be set based on the recent
10 historical high-Btu coal burn for Daniel Units 1 and 2,
11 the heat rate targets in this filing are only
12 applicable to these units when burning high-Btu coal.
13 Consequently, there is no reasonable way to determine
14 what portion of the projected heat rates will be due to
15 actual unit performance and what portion will be due to
16 the lower-Btu fuel mix. The GPIF process was not
17 established to reward or penalize units for fuel
18 switching. Therefore, the heat rate targets set in
19 this filing for Daniel Units 1 and 2 will not be
20 applicable for 2005 if the units continue to burn this
21 new projected fuel mix.

22
23 Q Please describe how the company proposes to address
24 this change in fuel in future GPIF filings.

25 A. Since there is no historical data on which to set

1 reasonable targets for the projected change in fuel for
2 Daniel Units 1 and 2, Gulf proposes to exclude Plant
3 Daniel Units 1 and 2 from the GPIF heat rate
4 calculations for the year 2005 time period and for the
5 months in 2004 when these units burn this same fuel
6 mix. In accordance with past commission orders, this
7 exclusion will be accomplished by setting the units'
8 ANOHRs (Average Net Operating Heat Rates) equal to
9 their respective target ANOHRs at Actual Conditions.
10 This will be indicated in the 2005 GPIF Results Filing
11 submitted in the spring of 2006 and in the 2004 GPIF
12 Results Filing that will be submitted in the spring of
13 2005. This procedure results in producing neither a
14 reward nor a penalty for ANOHR for these two units.

15 If adequate data is available, the Btu/lb
16 independent variable that was stipulated and approved
17 in Commission Order PSC-99-2512-FOF-EI will be added to
18 the target heat rate equations for Daniel Units 1 and 2
19 beginning with the 2006 GPIF Target Filing submitted in
20 the fall of 2005. This process should account for the
21 change in fuel for these units at that time. This
22 Btu/lb variable could not be added to this year's
23 target filing because there was not adequate data
24 representing the lower-Btu fuel burn. Without adequate
25 data, the Btu/lb variable is not significant or

1 meaningful in the heat rate target equations.

2

3 Q. What are the proposed target, maximum, and minimum
4 equivalent availabilities for Gulf's units?

5 A. The target, maximum, and minimum equivalent
6 availabilities are listed on Page 4 of Schedule 2 of
7 Exhibit_(LSN-2).

8

9 Q. How were the target equivalent availabilities
10 determined?

11 A. The target equivalent availabilities were determined
12 according to the standard GPIF implementation manual
13 **procedures for Gulf and are presented on Page 2 of**
14 **Schedule 2 of Exhibit_(LSN-2).**

15

16 Q. How were the maximum and minimum attainable equivalent
17 availabilities determined for each unit?

18 A. The maximum and minimum attainable equivalent
19 availabilities, which are presented along with their
20 respective target availabilities on Page 4 of Schedule
21 2 of Exhibit_(LSN-2), were determined per GPIF manual
22 procedures for Gulf.

23

24 Q. Ms. Noack, has Gulf completed the GPIF minimum filing
25 requirements data package?

1 A. Yes, we have completed the minimum filing requirements
2 data package. Schedule 3 of my Exhibit_(LSN-2)
3 contains this information.

4
5 Q. Ms. Noack, would you please summarize your testimony?

6 A. Yes. Gulf asks that the Commission accept:

7 1. Crist Units 4, 5, 6 and 7, Smith Units 1 and 2, and
8 Daniel Units 1 and 2 for inclusion under the GPIF for
9 the period of January 1, 2005 through December 31,
10 2005.

11
12 2. The target, maximum attainable, and minimum
13 attainable average net operating heat rates, as
14 proposed by the Company and as shown on Page 43 of
15 Schedule 1 and also on Page 5 of Schedule 3 of my
16 Exhibit_(LSN-2).

17
18 3. The proposal to exclude Daniel Units 1 and 2 from
19 the GPIF heat rate calculations for the year 2005
20 time period and for the affected months in 2004
21 when these units burn a significantly lower-Btu
22 coal mix than they have historically. If adequate
23 data is available, this change in fuel mix will be
24 accounted for by adding a Btu/lb independent
25 variable to the target heat rate equations

1 beginning with the 2006 Target Filing that will be
2 submitted in the fall of 2005.

3
4 4. The target, maximum attainable, and minimum
5 attainable equivalent availabilities, as proposed
6 by the Company and as shown on Page 4 of Schedule
7 2 and also on Page 5 of Schedule 3 of my
8 Exhibit_(LSN-2).

9
10 5. The weekly average net operating heat rate least
11 squares regression equations, shown on Page 2 of
12 Schedule 1 and also on Pages 20 through 35 of
13 Schedule 3 of my Exhibit_(LSN-2), for use in
14 adjusting the annual actual unit heat rates to
15 target conditions.

16
17 Q. Ms. Noack, does this conclude your testimony?

18 A. Yes.

GULF POWER COMPANY

Before the Florida Public Service Commission
Direct Testimony of
H. Homer Bell
Docket No. 040001-EI
Date of Filing: April 1, 2004

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. Please state your name, business address and occupation.

A. My name is H. Homer Bell, and my business address is One Energy Place, Pensacola, Florida 32520. I am a Senior Engineer in the Generation Services Department of Gulf Power Company.

Q. Have you previously filed testimony with this Commission?

A. Yes. I have filed testimony in support of Gulf Power Company's projection and true-up of capacity and energy costs in previous fuel cost recovery dockets.

Q. Please summarize your educational and professional background.

A. I received my Bachelor of Science Degree in Electrical Engineering from Mississippi State University in 1980 and I received my Master of Business Administration Degree from the University of Southern Mississippi in 1982. That year I joined Gulf Power Company (Gulf) as an associate engineer in Gulf's Pensacola District Engineering Department, and have since held engineering positions in the Rates and Regulatory Matters Department and the Transmission and System Control Department. I was promoted to my current position as Senior Engineer in the Generation Services Department in 2002. I am primarily responsible for the

1 administration of Gulf's Intercompany Interchange Contract (IIC) and
2 coordination of Gulf's generation planning activities.

3 During my years of service with the Company, I have gained
4 experience in the areas of distribution operation, maintenance, and
5 construction; retail and wholesale electric service tariff administration;
6 wholesale transmission service tariff administration; IIC and bulk power
7 sales contract administration; and transmission and control center
8 operations.

9

10 Q. What is the purpose of your testimony in this proceeding?

11 A. The purpose of my testimony is to summarize Gulf's purchased power
12 recoverable costs for energy purchases and sales that were incurred
13 during the January 2003 through December 2003 recovery period. I will
14 compare these actual costs to the amounts projected in Gulf's September
15 2002 fuel filing for the 2003 recovery period and discuss the reasons for
16 the differences.

17 I will also summarize the Company's purchased power capacity
18 cost that resulted during the January 2003 through December 2003
19 recovery period. I will compare this actual figure to the amount projected
20 in Gulf's October 24, 2002 amended filing and discuss the reasons for the
21 difference.

22

23

24

25

- 1 Q. During the period January 2003 through December 2003, what was Gulf's
2 actual purchased power recoverable cost for energy purchases and how
3 did it compare with the projected amount?
- 4 A. Gulf's actual total purchased power recoverable cost for energy
5 purchases, as shown on line 13 of the December 2003 Period-to-Date
6 Schedule A-1 was \$31,174,907 for 1,441,205,751 KWH as compared to
7 the projected amount of \$6,912,775 for 285,605,000 KWH filed on
8 September 20, 2002. The actual cost per KWH purchased was
9 2.1631 ¢/KWH as compared to the projected amount of 2.4204 ¢/KWH, or
10 11% under the projection.
- 11
- 12 Q. What were the events that influenced Gulf's purchase of energy?
- 13 A. During the January 2003 through December 2003 recovery period, milder
14 regional weather that followed January's cold conditions resulted in lower
15 than forecasted loads for the year across most of the Southern electric
16 system (SES). In addition, SES nuclear and hydro generation was higher
17 than expected. Because the SES companies that own nuclear and hydro
18 facilities retain this low cost generation to serve their loads, this additional
19 generation and the lower SES loads increased the amount of energy from
20 other SES resources that was available to meet Gulf and system load
21 requirements. At many times during the year, this newly available energy
22 was a lower cost resource than Gulf's own generation, particularly its gas-
23 fired unit. While the total SES territorial load was 4% lower than
24 projected, Gulf's territorial load was actually 5% over budget due primarily
25 to the addition of new customers. Therefore, in order to meet its higher

1 load obligations, Gulf purchased significantly more energy at a lower unit
2 cost than was forecasted for the 2003 recovery period without having to
3 generate as much energy as expected from its gas-fired unit.

4
5 Q. During the 2003 recovery period, what was the fuel cost effect of Gulf's
6 increased purchases?

7 A. Although Gulf purchased energy at a lower unit cost, the significant
8 increase in the volume of purchases that were made to serve Gulf's
9 higher actual load requirements resulted in an increased purchased power
10 cost that contributed to Gulf's higher 2003 recoverable fuel and purchased
11 power cost.

12
13 Q. During the period January 2003 through December 2003, what was Gulf's
14 actual purchased power fuel cost for energy sales and how did it compare
15 with the projected amount?

16 A. Gulf's actual total purchased power fuel cost for energy sales, as shown
17 on line 19 of the December 2003 Period-to-Date Schedule A-1 was
18 \$87,397,406 for 4,495,596,626 KWH as compared to the projected
19 amount of \$98,584,000 for 4,822,911,000 KWH. The actual fuel cost per
20 KWH sold was 1.9441 ¢/KWH, or 5% under the projected amount of
21 2.0441 ¢/KWH.

22
23 Q. What were the events that influenced Gulf's sale of energy?

24 A. The milder regional weather pattern that significantly reduced the
25 territorial loads experienced by other SES operating companies and the

1 increase in SES nuclear and hydro generation that served owning
2 companies' loads reduced the need for Gulf's higher cost generating
3 resources to serve SES load requirements. Therefore, during the January
4 2003 through December 2003 recovery period, Gulf sold less energy to
5 the pool at a lower than projected unit price.

6
7 Q. During the 2003 recovery period, what was the fuel cost effect of Gulf's
8 lower sales?

9 A. The lower than budgeted volume of sales that were made at lower unit
10 prices resulted in lower than anticipated recoverable sales revenue that is
11 a credit, or reduction to Gulf's fuel cost of generation and purchased
12 power costs. Therefore, the lower revenue from sales contributed to
13 Gulf's higher 2003 recoverable fuel and purchased power cost.

14
15 Q. During the period January 2003 through December 2003, how did Gulf's
16 actual net purchased power capacity cost compare with the net projected
17 cost?

18 A. The actual net capacity cost for the January 2003 through December
19 2003 recovery period, shown on line 4 of Schedule CCA-2, was
20 \$6,918,446. Gulf's projected net purchased power capacity cost for the
21 same period was \$8,210,882, as indicated on Line 4 of Schedule CCE-1
22 that was filed October 24, 2002 in Docket No. 020001-EI. The difference
23 between the actual net capacity cost and the projected net capacity cost
24 for the recovery period is \$1,292,436, or a decrease of 16%.

25

1 Q. Please explain the reason for the decrease in Gulf's capacity cost.

2 A. The capacity cost decrease for the January 2003 through December 2003
3 recovery period is primarily due to Gulf's lower IIC reserve sharing cost
4 produced by changes in SES operating companies' owned capacity
5 amounts. Gulf's owned capacity that is used in the IIC reserve sharing
6 calculation remained near the projected level, while the actual megawatts
7 of owned capacity for other SES companies were lower than projected.
8 Therefore, other SES companies were responsible for sharing a greater
9 percentage of system reserves, and Gulf's capacity reserve purchases
10 were reduced.

11 Also, Gulf's transmission revenues associated with energy sales
12 were \$275,187 above the October 2002 projection. Therefore, these
13 increased revenues and Gulf's lower IIC reserve sharing cost produced
14 the overall lower capacity cost for the January 2003 through December
15 2003 cost recovery period.

16

17 Q. Was Gulf's actual 2003 IIC capacity cost prudently incurred and properly
18 allocated to Gulf?

19 A. Yes. Gulf's capacity costs were incurred in accordance with the reserve
20 sharing provisions of the IIC, a Federal Energy Regulatory Commission
21 approved contract in which Gulf has been a participant for many years.
22 These years of Gulf's participation in the integrated SES that is governed
23 by the IIC have produced substantial benefits for Gulf's territorial
24 customers, and have been recognized as being prudent by the Florida
25 Public Service Commission in previous proceedings and reviews.

1 Per contractual agreement, Gulf and the other SES operating
2 companies are obligated to provide for the continued operation of its
3 electric facilities in the most economical manner that achieves the highest
4 possible service reliability. The coordinated planning of future SES
5 generation resource additions that produce adequate reserve margins for
6 the benefit of all SES operating companies' customers facilitates this
7 "continued operation" in the most economical manner.

8 Furthermore, the IIC provides for mechanisms to facilitate the
9 equitable sharing of the costs associated with the operation of facilities
10 that exist for the mutual benefit of all the operating companies. In 2003,
11 Gulf's reserve sharing cost represents the equitable sharing of the costs
12 that the SES operating companies incurred to ensure that adequate
13 generation reserve levels are available to provide reliable electric service
14 to territorial customers. This cost has been properly allocated to Gulf per
15 the terms of the IIC.

16
17 Q. Does this conclude your testimony?

18 A. Yes.

19
20
21
22
23
24
25

1 During my years of service with the company, I have gained
2 experience in the areas of distribution operation, maintenance, and
3 construction; retail and wholesale electric service tariff administration;
4 wholesale transmission service tariff administration; IIC and bulk power
5 sales contract administration; and transmission and control center
6 operations.

7

8 Q. What is the purpose of your testimony in this proceeding?

9 A. The purpose of my testimony is to summarize Gulf 's actual / estimated
10 true-up projections of purchased power recoverable energy purchases
11 and sales for the January 2004 through December 2004 recovery period.
12 I will compare these January 2004 through December 2004 estimated
13 true-up amounts to the amounts originally projected in Gulf's September
14 2003 fuel filing for the period and discuss the reasons for the differences.

15 I will also summarize the actual / estimated true-up projection of net
16 capacity expenses for the January 2004 through December 2004 recovery
17 period. I will compare this figure to the amount projected in Gulf's
18 September 2003 capacity filing for the period and discuss the reasons for
19 the difference.

20

21 Q. During the period January 2004 through December 2004, what is Gulf's
22 actual / estimated purchased power recoverable cost for energy
23 purchases and how does it compare with the September 2003 projected
24 amount?

25 A. Using actual data for January through June 2004 and a revised projection

1 for July through December 2004, Gulf's total estimated purchased power
2 recoverable cost for energy purchases, shown on line 12 of the January
3 2004 - December 2004 Schedule E-1B-1 is \$37,730,135. The estimated
4 amount of purchased energy is 1,038,928,144 KWH. The September
5 2003 projected cost of energy purchases was \$12,776,000 for
6 477,038,000 KWH. The estimated true-up cost per KWH purchased is
7 3.6316 ¢/KWH as compared to the originally projected cost of
8 2.6782 ¢/KWH, or 36% higher than the projection made last fall.

9
10 Q. What are the primary reasons for the difference between Gulf's original
11 projection and the current projection of Gulf's energy purchases?

12 A. During the period January through June 2004, the Southern electric
13 system (SES) experienced higher costs for coal and natural gas, a higher
14 than projected load, and a reduced amount of low cost energy from its
15 hydro generation facilities due to weather conditions. These factors were
16 primarily responsible for rising energy production costs on the SES. In
17 order to lower total system energy production costs, the SES purchased
18 increased amounts of off-system energy from market resources when this
19 proved to be more economical than the commitment and utilization of
20 SES generation resources for load service.

21 Because this energy was purchased at the prevailing market price
22 driven by higher natural gas and coal prices, Gulf's overall energy
23 purchases on a cents per KWH basis were higher than originally projected
24 for the January through June 2004 period.

25 Gulf's fuel and purchased power cost projection for July through

1 December 2004 has been updated to reflect the latest marginal fuel prices
2 for SES generating units, the reduced utilization of SES hydro resources,
3 and the anticipated level of off-system market purchases to complement
4 SES generation resources. This updated projection indicates that Gulf is
5 expected to continue to purchase more energy at a higher cost per KWH
6 than originally projected for the remainder of this year. Therefore, Gulf's
7 current projection reflects additional energy purchases at a higher cost per
8 KWH for the January 2004 through December 2004 recovery period, and
9 the resulting energy purchase cost is reflected on line A-3 of Witness
10 Davis' testimony exhibit.

11
12 Q. During the period January 2004 through December 2004, what is Gulf's
13 actual / estimated purchased power fuel cost for energy sales and how
14 does it compare with the amount approved by the FPSC in the November
15 2003 hearing?

16 A. Using actual data for January through June 2004 and a revised projection
17 for July through December 2004, Gulf's total estimated purchased power
18 fuel cost for energy sales for January through December 2004, shown on
19 line 18 of the January 2004 - December 2004 Schedule E-1B-1, is
20 \$127,871,199. The estimated amount of energy sales is
21 4,795,059,850 KWH. The amount originally projected was \$108,525,000
22 for 5,077,002,000 KWH. The estimated / actual true-up cost per KWH
23 sold is 2.6667 ¢/KWH as compared to 2.1376 ¢/KWH, or 25% higher than
24 originally projected.

25

1 Q. What are the primary reasons for the difference between Gulf's original
2 projection and the current projection of Gulf's energy sales?

3 A. During January through June of the current recovery period, Gulf sold
4 more energy than projected due to higher loads experienced by other
5 SES operating companies for most of the months through June 2004.
6 These higher SES loads, caused by weather conditions and increased
7 regional economic activity, enabled Gulf to deliver more energy from its
8 resources to meet SES companies' needs.

9 Gulf sold this energy at a higher cost per KWH due to higher
10 marginal SES fuel costs that produced higher pool interchange rates for
11 energy supplied to the SES pool. Therefore, during the first six months of
12 2004, Gulf sold more energy to the pool at a higher than projected cost
13 per KWH.

14 Gulf's revised fuel and purchased power cost projection for July
15 through December 2004 indicates that Gulf is expected to sell a lower
16 volume of energy, but at a higher cost per KWH. This will result in higher
17 than originally projected sales revenue. Therefore, Gulf's current
18 projection reflects a lower volume of energy sales at a higher cost per
19 KWH for the January through December 2004 recovery period, and the
20 resulting energy sales revenue is reflected on line A-2 of Witness Davis'
21 testimony exhibit.

22
23
24
25

1 Q. During the period January 2004 through December 2004, what is Gulf's
2 projection of actual / estimated net purchased power capacity transactions
3 and how does it compare with the company's projection of net capacity
4 transactions made last fall?

5 A. As shown on Line 4 of Schedule CCE-1b, Gulf's total estimated net
6 capacity cost for the January 2004 through December 2004 recovery
7 period, consisting of January through June actual amounts and the
8 originally projected amount for July through December 2004, is
9 \$19,233,875. Gulf's originally projected net capacity cost of \$19,542,907
10 for the recovery period is shown on Line 4 of Schedule CCE-1 that was
11 filed in September 2003. The difference between these projections is a
12 cost decrease of \$309,032, or 2% lower than the cost that was approved
13 in the November 2003 hearing.

14
15 Q. Please explain the reasons for the decrease in capacity cost.

16 A. The slight overall capacity cost decrease currently projected for the
17 January 2004 through December 2004 period is due to Gulf's lower actual
18 Intercompany Interchange Contract (IIC) reserve sharing cost and higher
19 actual transmission service revenues that were experienced through June
20 2004. As I have previously mentioned, the SES experienced higher loads
21 during the first six months of 2004. This reduced the amount of system
22 reserves to be shared through the IIC reserve equalization process.
23 Because Gulf was responsible for its percentage of these lower system
24 reserves, it was therefore a lower net purchaser of capacity reserves
25 through the IIC during the January through June 2004 period.

1 In addition to lower IIC capacity costs, Gulf's transmission revenues
2 were higher than expected for the first six months of this recovery period
3 due to Gulf's higher energy sales. These increased revenues had the
4 affect of reducing Gulf total capacity costs for the period.

5 Gulf's IIC reserve sharing cost in July through December 2004 is
6 not expected to differ significantly from those included in the September
7 2003 projection for these months. Therefore, Gulf's lower reserve
8 purchases and higher transmission revenues during January through June
9 2004 are the primary reasons for Gulf's \$309,032 capacity cost decrease
10 for the entire 2004 cost recovery period.

11

12 Q. Does this conclude your testimony?

13 A. Yes.

14

15

16

17

18

19

20

21

22

23

24

25

GULF POWER COMPANY

Before the Florida Public Service Commission

Direct Testimony of

H. Homer Bell

Docket No. 040001-EI

Date of Filing: September 9, 2004

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. Please state your name, business address and occupation.

A. My name is H. Homer Bell, and my business address is One Energy Place, Pensacola, Florida 32520. I am a Senior Engineer in the Generation Services Department of Gulf Power Company.

Q. Have you previously filed testimony with this Commission?

A. Yes. I have filed testimony in support of Gulf Power Company's projection and true-up of capacity and energy costs in this docket.

Q. Please summarize your educational and professional background.

A. I received my Bachelor of Science Degree in Electrical Engineering from Mississippi State University in 1980 and I received my Master of Business Administration Degree from the University of Southern Mississippi in 1982. That year I joined Gulf Power Company (Gulf) as an associate engineer in Gulf's Pensacola District Engineering Department, and have since held engineering positions in the Rates and Regulatory Matters Department and the Transmission and System Control Department. I was promoted to my current position as Senior Engineer in the Generation Services Department in 2002. I am primarily responsible for the administration of Gulf's Intercompany Interchange Contract (IIC) and

1 coordination of Gulf's generation planning activities.

2 During my years of service with the company, I have gained
3 experience in the areas of distribution operation, maintenance, and
4 construction; retail and wholesale electric service tariff administration;
5 wholesale transmission service tariff administration; IIC and bulk power
6 sales contract administration; and transmission and control center
7 operations.

8

9 Q. What is the purpose of your testimony in this proceeding?

10 A. The purpose of my testimony is to support Gulf Power Company's (Gulf)
11 projection of purchased power recoverable costs for energy purchases
12 and sales for the period January 2005 - December 2005. I will also
13 support Gulf's projection of purchased power capacity costs for the
14 January 2005 - December 2005 recovery period.

15

16 Q. Have you prepared an exhibit that contains information to which you will
17 refer in your testimony?

18 A. Yes. I have one exhibit to which I will refer.

19

20 Counsel: We ask that Mr. Bell's Exhibit HHB-1 be
21 marked for identification as
22 Exhibit_____(HHB-1).

23

24

25

1 Q. What is Gulf's projected purchased power recoverable cost for energy
2 purchases for the January 2005 - December 2005 recovery period?

3 A. Gulf's projected recoverable cost for energy purchases, shown on line 13
4 of Schedule E-1 of the projection filing, is \$18,804,000. The purchases
5 associated with this amount result from Gulf's participation in the
6 coordinated operation of the Southern electric system (SES) power pool.
7 This projected amount is used by Gulf's witness Ms. Davis as an input in
8 the calculation of the fuel and purchased power cost adjustment factor.

9

10 Q. What is Gulf's projected purchased power fuel cost for energy sales for
11 the January 2005 - December 2005 recovery period?

12 A. The projected fuel cost for energy sales, shown on line 19 of Schedule
13 E-1, is \$121,543,000. The sales associated with this amount result from
14 Gulf's participation in the coordinated operation of the SES power pool.
15 This projected amount is used by Gulf's witness Ms. Davis as an input in
16 the calculation of the fuel and purchased power cost adjustment factor.

17

18 Q. Please compare Gulf's projected purchased power recoverable costs for
19 energy purchases and sales for the January 2005 - December 2005
20 recovery period to the company's most recent projected costs for January
21 2004 - December 2004 recovery period and explain the reasons for the
22 differences.

23 A. Gulf's projected purchased power recoverable cost for energy purchases
24 for the 2005 recovery period is \$18,926,135 lower than the \$37,730,135
25 cost that was included in Gulf's August 2004 estimated/actual true-up

1 filing for the 2004 recovery period. In 2005, Gulf is expected to generate
2 more energy from its units to serve its territorial load. This will result in the
3 company purchasing less energy from the SES power pool at a slightly
4 lower cost per kWh than was estimated for the 2004 recovery period in
5 Gulf's August 2004 true-up filing.

6 Gulf's projected purchased power fuel cost for energy sales in 2005
7 is \$6,328,199 lower than the \$127,871,199 amount that was included in
8 Gulf's August 2004 estimated/actual true-up filing for the 2004 recovery
9 period. Although Gulf is projected to sell less energy in 2005 due to
10 higher generation retained for its territorial customers' needs, the cost per
11 kWh for Gulf's pool energy sales is projected to be higher due to the
12 continuing trend of increased fuel costs for SES generating units.
13 Because the cost related to these sales is fully paid by the purchasing
14 utility, Gulf's customers will receive credit for the cost of the related energy
15 generation.

16
17 Q. What information is contained in your exhibit?

18 A. My exhibit lists the long-term power contracts that are included for
19 capacity cost recovery, their associated megawatt amounts, and the
20 resulting capacity dollar amounts. Also listed on my exhibit are the
21 revenues produced by several market-based service agreements between
22 the SES operating companies and entities outside the system that were
23 included in Gulf's 2004 projection.

24
25

1 Q. Which power contracts produce capacity transactions that are recovered
2 through Gulf's purchased power capacity cost adjustment factor?

3 A. Two power contracts that produce recoverable capacity transactions are
4 the SES Intercompany Interchange Contract (IIC), under which Gulf
5 participates in the SES reserve equalization process, and Gulf's
6 cogeneration purchased power contract with Solutia. The Commission
7 has authorized the Company to include capacity transactions under the
8 IIC for recovery through the purchased power capacity cost adjustment
9 factor. Gulf will continue to have IIC capacity transactions during the
10 January 2005 - December 2005 recovery period. The energy transactions
11 under this contract are recovered through the fuel cost adjustment factor.

12 The Gulf/Solutia cogeneration purchased power contract enables
13 Gulf to purchase 19 megawatts of firm capacity until June 1, 2005. Gulf
14 has included the contract's cost for the months of January through May
15 2005 in this projection. The energy transactions under this contract have
16 also been approved by the Commission for recovery, and these costs are
17 included for cost recovery purposes through the fuel cost adjustment
18 factor.

19
20 Q. **Are there** any other arrangements that produce capacity transactions that
21 **are recovered** through Gulf's purchased power capacity cost adjustment
22 factor?

23 A. **Yes.** Gulf, as a member of the SES, will continue to participate in several
24 **market-based** service agreements with non-associated entities that were
25 **included** in Gulf's capacity cost projections for the January 2004 -

1 December 2004 recovery period. During the 2005 recovery period, the
2 fixed revenues received from the generator and load balancing services
3 provided under these agreements will produce credits that will lower Gulf's
4 overall 2005 projected capacity costs. Any energy transactions
5 associated with these agreements are handled for cost recovery purposes
6 through the fuel cost adjustment factor.
7

8 Q. What are Gulf's IIC capacity transactions that are projected for the
9 January 2005 - December 2005 recovery period?

10 A. As shown on my Exhibit HHB-1, IIC capacity purchases in the amount of
11 \$23,865,725 are projected for the 2005 recovery period.
12

13 Q. What is the cost of Gulf's capacity purchase from Solutia that is projected
14 for the January 2005 - December 2005 recovery period?

15 A. As shown on my Exhibit HHB-1, Gulf is projected to pay \$311,010, or
16 \$62,202 per month through May 2005, to Solutia for the firm capacity
17 purchase made pursuant to the Commission approved contract. This
18 monthly amount has not changed from the amount that was projected for
19 recovery in 2004. The contract will expire June 1, 2005 and there will be
20 no monthly payments for the months June through December of the 2005
21 recovery period.
22
23
24
25

1 Q. What amount of revenues associated with Gulf's market-based service
2 agreements is projected for the January 2005 - December 2005 recovery
3 period?

4 A. As shown on my Exhibit HHB-1, Gulf is projected to receive a total of
5 \$66,780 for services provided under market-based agreements with non-
6 associated entities.

7
8 Q. Are there other projected revenues that Gulf has included in its capacity
9 cost recovery clause for the 2005 recovery period?

10 A. Yes. In accordance with Florida Public Service Commission Order No.
11 PSC-99-2512-FOF-EI, issued December 22, 1999, Gulf will continue to
12 include an estimate of transmission revenues in its capacity cost recovery
13 clause projection. For the 2005 recovery period, Gulf expects to receive
14 transmission revenues in the amount of \$100,000. This amount is shown
15 on Schedule CCE-1 of Gulf's witness Ms. Davis' testimony.

16
17 Q. What are Gulf's total projected net capacity transactions for the January
18 2005 - December 2005 recovery period?

19 A. As shown on my Exhibit HHB-1, the IIC capacity purchases, the Solutia
20 contract purchases, and the revenues from market-based service
21 agreements will result in a projected net capacity cost of \$24,109,955.
22 Including the estimated transmission revenues that are shown on
23 Schedule CCE-1, Gulf's total projected net capacity cost for the 2005
24 recovery period is \$24,009,955. This figure is used by Gulf's witness Ms.
25 Davis as an input into the calculation of the total capacity transactions to

1 be recovered through the purchased power capacity cost adjustment
2 factor for this annual recovery period.

3
4 Q. Please compare Gulf's January 2005 - December 2005 total projected net
5 capacity cost to those projected costs for January 2004 - December 2004
6 recovery period and explain the reason for the difference.

7 A. Gulf's 2005 net capacity cost is projected to be \$4,467,048 higher than
8 the September 2003 estimate of \$19,542,907 due primarily to Gulf's
9 higher IIC capacity reserve sharing cost produced by Gulf's increased
10 purchases of capacity reserves under the provisions of the IIC.

11
12 Q. What factors contribute to Gulf's increased purchases of SES capacity
13 reserves during the January 2005 – December 2005 recovery period?

14 A. In 2005, SES capacity additions that have been planned and committed to
15 serve system load growth will produce a higher level of temporary system
16 capacity reserves to be shared, or equalized, by all SES operating
17 companies. These higher system reserves insure that capacity is
18 available to serve projected system load which increases the bulk power
19 reliability of the grid.

20 Because Gulf's 2005 load is projected to increase, Gulf will
21 purchase more system capacity reserves in order to provide the level of
22 reserves needed to reliably serve its growing customer requirements.
23 Therefore, Gulf's IIC capacity cost will be correspondingly higher during
24 the January 2005 - December 2005 recovery period.

25

1 Q. Does this conclude your testimony?

2 A. Yes.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

PROGRESS ENERGY FLORIDA

DOCKET NO. 040001-EI

**Fuel and Capacity Cost Recovery
Final True-Up for the Period
January through December, 2003**

**DIRECT TESTIMONY OF
PAMELA R. MURPHY**

1 **Q. Please state your name and business address.**

2 A. My name is Pamela R. Murphy. My business address is P.O. Box 1551,
3 Raleigh, North Carolina 27602.

4

5 **Q. By whom are you employed and in what capacity?**

6 A. I am employed by Progress Energy Carolinas in the capacity of Director,
7 Gas & Oil Procurement & Logistics.

8

9 **Q. Have your duties and responsibilities remained the same since you**
10 **last testified in this proceeding?**

11 A. Yes, my responsibilities for the procurement and trading of natural gas and
12 oil on behalf of Progress Energy Florida (Progress Energy or the Company)
13 have remained the same.

14

15 **Q. What is the purpose of your testimony?**

16 A. The purpose of my testimony is to summarize the results of Progress
17 Energy's Risk Management Plan for 2003, and to provide the information
18 required by Order No. PSC-02-1484-FOF-EI, which approved the resolution

1 of the hedging-related issues pending before the Commission in Docket
2 No. 011605-EI.

3
4 **Q. Have you prepared exhibits to your testimony?**

5 A. Yes, I have prepared Exhibit No. ____ (PRM-1T), a three-page summary of
6 the results of the Company's Risk Management Plan for the true-up period,
7 and Exhibit No. ____ (PRM-2T), a one-page listing of the hedging
8 information required by the Commission-approved resolution of issues in
9 Docket No. 011605-EI, both of which are attached to my prefiled testimony.

10
11 **Q. Did Progress Energy encounter any force majeure events in 2003?**

12 A. Yes, Progress Energy encountered two force majeure events. One
13 occurred on Florida Gas Transmission pipeline system as a result of a
14 pipeline leak downstream of compressor #4. The other was a result of
15 Tropical Storm Claudette in the Gulf of Mexico that disrupted a portion of
16 our contracted natural gas supplies.

17
18 **Q. What measures did Progress Energy take during these force majeure
19 events to maintain the load of its customers?**

20 A. Progress Energy continued to serve customer load through the increased
21 use of residual (No. 6) and distillate (No. 2) oil to the extent necessary
22 during the force majeure event that occurred on Florida Gas Transmission
23 pipeline system. During the tropical storm force majeure event, the
24 Company again used No. 2 fuel oil to the extent necessary and worked with

1 Gulfstream Natural Gas and Florida Gas Transmission to use a portion of
2 the excess gas in their pipelines until production resumed.

3
4 **Q. What measures did Progress Energy undertake to minimize other**
5 **risks identified in its Risk Management Plan?**

6 A. Progress Energy continued to perform its daily management activities
7 outlined in the Plan to monitor and, to the extent possible, mitigate risks to
8 customers.

9
10 **Q. Did Progress Energy follow the processes and guidelines outlined in**
11 **the Plan?**

12 A. Yes, all processes and guidelines were followed and no trading or credit
13 violations occurred.

14
15 **Q. What hedging activities did Progress Energy undertake for fuel and**
16 **wholesale power?**

17 A. Progress Energy did not hedge wholesale power and coal prices for 2003.
18 However, the Company did make economic purchases as well as short-
19 term wholesale power sales that resulted in overall savings to its customers
20 of approximately \$15.4 million. With respect to natural gas, Progress
21 Energy met all of its hedging strategy objectives to 1) mitigate price risk and
22 volatility, 2) provide gas price certainty, 3) maintain a diverse portfolio, and
23 4) enhance potential for ratepayer's savings. To that end, the following
24 transactions were entered into by Progress Energy:

- 1 1.) A zero-cost collar for a 20,000 MMBtu per day supply of gas for the
2 three-month period of December 2002 through February 2003. The
3 contract was exercised in February 2003, resulting in savings to
4 customers of \$190,400.
- 5 2) For March 2003, Progress Energy elected to exercise a contractual
6 option to convert a term purchase from index to daily pricing. This
7 price conversion resulted in customer savings of \$875,300.
- 8 3) Progress Energy had several fixed price contracts that resulted in
9 savings to customers of \$18,706,426. As of December 31, 2003, the
10 fixed priced contracts had a favorable mark-to-market value through
11 2010 of approximately \$61 million.
- 12 4) The Company exercised a contractual option to fix the price on various
13 shipments of residual oil in 2003, which resulted in a net additional
14 cost to customers of \$1,229,174.

15 To summarize, the Company met its 2003 hedging objectives and provided
16 total net savings to customers of \$18,542,952, in addition to savings of
17 approximately \$15.4 million from economic power purchases and short-
18 term off-system power sales.

19
20 **Q. Does this conclude your testimony?**

21 **A. Yes, it does.**

1 address the Company's actions to mitigate price volatility through its
2 hedging strategies.

3
4 **Q. Has Progress Energy developed its Risk Management Plan for fuel**
5 **procurement in 2005 in accordance with the Resolution of Issues**
6 **proposed by Staff and approved by the Commission in Docket No.**
7 **011605-EI?**

8 A. Yes. Progress Energy's Risk Management Plan was prepared in
9 accordance with the Resolution of Issues approved by the Commission in
10 Docket No. 011605 – EI and is attached to my prepared testimony as
11 Exhibit No. ___ (PRM-1). Certain information in the exhibit has been
12 redacted, consistent with the Company's request for confidential
13 classification of this information.

14
15 **Q. What are the objectives of Progress Energy's hedging plans for 2005?**

16 A. The objectives of Progress Energy's natural gas and No. 6 (heavy oil) fuel
17 oil hedging plans are as follows:

18 1) Mitigate price risk and volatility, 2) provide gas price certainty to smooth
19 out natural gas prices over time, 3) maintain a diverse portfolio of volumes
20 and prices over time, and 4) where the potential exists and is consistent
21 with our first three objectives to provide ratepayer savings through lower
22 natural gas and No. 6 heavy oil costs.

23
24 **Q. Please describe the hedging activities Progress Energy plans for 2005**
25 **for its natural gas requirements.**

26 A. Progress Energy has been conducting and will continue to conduct gas
27 physical hedging in accordance with the Company's approved natural gas
28 hedging strategy. As reflected in the August 2004 generation fuel forecast

1 for 2005, the Company hedged approximately 39% of its projected natural
2 gas usage at a fixed price of \$4.79/MMBtu.

3
4 **Q. Please describe the hedging activities Progress Energy's plans for**
5 **No. 6 heavy oil in 2005?**

6 A. The Company's No. 6 heavy oil hedging strategy was implemented in June
7 2004. The Company will be using financial over-the-counter swaps to
8 hedge its projected No. 6 heavy oil requirements. To date for 2005, the
9 Company has hedged approximately 42% of its projected No. 6 heavy oil
10 usage at a fixed price of \$4.43/MMBtu. Due to the small amount of hedges
11 executed prior to the August 2004 generation fuel forecast, they were not
12 included in that forecast.

13
14 **Q. What is Progress Energy's time frame for hedging forward prices of**
15 **natural gas and residual oil?**

16 A. The Company's current hedging strategy extends for a two-year rolling
17 seasonal period. For example, in the summer of 2004, Progress Energy
18 will consider hedges forward through the summer of 2006.

19
20 **Q. What were the results of Progress Energy's hedging activities during**
21 **the January through July 2004 period?**

22 A. In addition, the Company's hedging activities produced customer savings of
23 approximately \$26 million. For the seven-month period from January
24 through July 2004, Progress Energy hedged approximately 53% of its
25 natural gas consumption. For No. 6 heavy oil, the hedging program was
26 implemented in June 2004. Approximately 16% of the June-July 2004 No.6

1 residual oil consumption was hedged. The Company's hedging activities
2 for natural gas for the period resulted in reducing price volatility 23 percent,
3 providing customer savings of approximately \$26 million.

4

5 **Q. Does this conclude your testimony?**

6 A. Yes, it does.

(Transcript continues in sequence with Volume 2.)

- 1
- 2
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

1 STATE OF FLORIDA)
2 COUNTY OF LEON)

CERTIFICATE OF REPORTER


3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, LINDA BOLES, RPR, Official Commission Reporter, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorneys or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 16th day of November, 2004.


LINDA BOLES, RPR
FPSC Official Commission Reporter
(850) 413-6734