

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 041393-EI

In the Matter of

PETITION FOR APPROVAL OF TWO UNIT
POWER SALES AGREEMENTS WITH SOUTHERN
COMPANY SERVICES, INC. FOR PURPOSES
OF COST RECOVERY THROUGH CAPACITY
AND FUEL COST RECOVERY CLAUSES, BY
PROGRESS ENERGY FLORIDA, INC.



ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 3

Page 138 through 243

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN BRAULIO L. BAEZ
COMMISSIONER J. TERRY DEASON
COMMISSIONER RUDOLPH "RUDY" BRADLEY

DATE: Thursday, June 2, 2005

TIME: Commenced at 9:30 a.m.

PLACE: Betty Easley Conference Center
Hearing Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR
Official Commission Reporter
(850) 413-6732

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER-DA

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

NAME:	PAGE NO.
SAMUEL S. WATERS	
Continued Cross Examination by Mr. Bushee	141
Cross Examination by Ms. Vining	148
Redirect Examination by Mr. Perko	160
MAURICE E. BRUBAKER	
Direct Examination by Mr. Bushee	166
Prefiled Direct Testimony Inserted	168
Cross Examination by Mr. Perko	211
Redirect Examination by Mr. Bushee	215
Recross Examination by Mr. Perko	216
SAMUEL S. WATERS (rebuttal)	
Direct Examination by Mr. Perko	217

EXHIBITS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NUMBER:

ID.

ADMTD.

4-8

165

17-25

165

9-14

217

P R O C E E D I N G S

(Transcript follows in sequence from Volume 2.

SAMUEL S. WATERS

continues his testimony under oath from Volume 2:

CONTINUED CROSS EXAMINATION

BY MR. BUSHEE:

Q Would you please turn to Page 13 of your direct testimony?

A Okay.

Q And specifically Lines 12 through 15?

A Yes.

Q And you discuss rollover rights. Isn't it true that the rollover rights under the existing UPS agreement don't expire until 60 days before the contract termination date?

A Yes, I believe that's correct.

Q And those rollover rights are not created under the existing UPS agreement, are they?

A They are not created under the agreement, they are really created by the fact that the agreement predates the FERC orders establishing unbundling of the service, and the fact that we had an existing contract at that time which, in a sense, is grandfathered in and provides rollover rights as long as we continue those purchases.

MR. BUSHEE: Mr. Chairman, if I could just take a minute, I think I can significantly shorten the time I will

1 need.

2 CHAIRMAN BAEZ: Go ahead.

3 Commissioner Deason, you had a question?

4 COMMISSIONER DEASON: Yes. I'm trying to understand
5 what you mean by the term rollover transmission rights. Could
6 you explain that further?

7 THE WITNESS: The rollover rights applies to certain
8 contracts that predated the FERC orders that established it,
9 basically our new scheme of things. What it says is that if
10 you were purchasing through a certain transmission path prior
11 to those orders, provided that you continue those purchases,
12 you have rollover rights to unbundled transmission. In other
13 words, you are first in line. It has to do with the queuing
14 process.

15 COMMISSIONER DEASON: Let me interrupt you. The
16 contracts that are the question in this docket, do they qualify
17 as rollover?

18 THE WITNESS: Yes. In fact, Southern has already
19 affirmed our rollover. We asked for rollover. They have
20 already affirmed the paths from Miller to Progress and from
21 Scherer to Progress.

22 COMMISSIONER DEASON: Okay. Now, you have to clarify
23 for me then. If they qualify as rollover, why then does there
24 have to be a system impact study? And the question arises
25 about availability of transmission, cost of potential upgrades

1 to facilitate a transaction; can you explain that?

2 THE WITNESS: That's a good question. If we were
3 continuing to buy from Miller and purchase, I don't think we
4 would have any of those questions, because the FERC rulings I
5 have seen says that Southern has an obligation to continue
6 planning as if we will continue purchasing from those sites.

7 However, since we are buying from Franklin, the next
8 step after rollover is we need to ask for redirection of the
9 point-to-point transmission from Miller to Franklin. So we are
10 asking for a new path from Franklin to Progress Energy, in
11 effect. So we are still holding our same place in the
12 transmission queue, but now a system impact study has to be
13 done because it is a new source delivering to Progress Energy.
14 If we were still buying from Miller, it wouldn't be a question.
15 But because we are buying from Franklin, we need to go through
16 the system impact study.

17 COMMISSIONER DEASON: Okay.

18 CHAIRMAN BAEZ: And just to understand a little bit,
19 and I may have missed the answer, so what you just described
20 there is technically a rollover, or is there some further
21 concession that has taken place in order to classify a
22 redirection or a request for a new path as a rollover?

23 THE WITNESS: It is a rollover. There are a
24 complicated set of rules here. But when we have a firm
25 transmission path, such as from Miller to Progress Energy, we

1 ave the right then to ask for a redirection of the service.
2 e have that path, but now we can ask for a redirection of the
3 ath from Franklin to Progress Energy. But any redirections
4 re always subject to availability and, in the case of a
5 ong-term firm contract, subject to a system exact study. So
6 y moving it, that's what triggers the system impact study.
7 ut it is related to the rollover, because that is how the
8 rocess started.

9 CHAIRMAN BAEZ: Okay. Thank you.

10 I'm sorry, Mr. Bushee, go ahead.

11 BY MR. BUSHEE:

12 Q And just to follow up on that question. The concern
13 with the system impact study is that there could be congestion
14 between where you had the transmission path to where you want
15 to move it?

16 A Well, that's right. The purpose is to see if there
17 is any impact to the system.

18 Q And if there is congestion or the system simply can't
19 accommodate that, then one option may be to build new
20 facilities?

21 A That's correct.

22 Q Or it may not be possible to solve that problem by
23 building new facilities economically?

24 A Right, that's possible.

25 Q Would you please turn -- I believe you have Mr.

1 Brubaker's confidential testimony with you?

2 A Yes.

3 Q And I'm just corrected and told that the questions
4 I'm going to ask are not on a confidential matter. I would
5 like you to look at Mr. Brubaker's Exhibit MEB-3, and I would
6 say that is about three-quarters of the way towards the back.

7 A Okay. I have it.

8 Q And the chart you have before you shows the
9 percentage of energy for Progress from oil and natural gas,
10 does it not?

11 A That is what it purports to show, yes.

12 Q And at the bottom of that chart it says that the
13 source is the ten-year Progress site plans for April 2001 and
14 April 2005, do you see that?

15 A Yes.

16 Q I'll ask you to look at the percentages here and see
17 if they strike you as correct?

18 A Yes. I'll say subject to check, I think they are
19 correct, if they were transcribed from the site plans
20 correctly. And they look to be correct.

21 Q So in the year 2000, according to this chart, the
22 percentage of Progress' energy from natural gas is what?

23 A In 2000?

24 Q Yes.

25 A Roughly 15 percent for gas.

1 Q And by 2010 it raises to 30 percent?

2 A Yes.

3 Q And by 2014 it raises to roughly 45 percent?

4 A Roughly, that's correct.

5 Q And in the year 2000 the total oil and natural gas
6 energy is what percentage?

7 A In 2000, I'm sorry?

8 Q 2000, yes.

9 A The total from oil and gas is probably around 28
10 percent or so.

11 Q And in 2010 the figure raises to about 42 percent?

12 A Roughly, yes.

13 Q And 2014 raises --

14 A It looks like maybe 53, 54, somewhere in that
15 vicinity.

16 Q Now, Progress is a member of FRCC, is it not?

17 A Yes.

18 Q And what is FRCC?

19 A The Florida Regional Coordinating Council or
20 Reliability Council. Florida Reliability Coordinating Council.
21 I'll get the acronym right eventually.

22 CHAIRMAN BAEZ: I can never get it right, either.

23 THE WITNESS: I forget.

24 MR. BUSHEE: We don't deduct points for spelling.

25 BY MR. BUSHEE:

1 Q Would you agree with me that fuel diversity is an
2 issue in FRCC?

3 A Yes.

4 Q And would you also agree with me that there are
5 concerns that increased reliance on natural gas-fired
6 generation could cause reliability problems?

7 A Yes. Hypothetically speaking, I think that has been
8 addressed by the number of pipelines coming into the state. We
9 have just taken actions to add a third pipeline in the state.
10 So I think reliability concerns is probably not the main
11 concern over diversity. I suspect it is more of a pricing
12 concern.

13 Q Would you turn back to your direct testimony at Page
14 11?

15 A Yes.

16 Q And if you look at Page 11, Line 4, you talk about
17 contributions to economy energy availability?

18 A Yes.

19 Q Now, the proposed UPS agreements themselves don't
20 provide access to economy energy, do they?

21 A No.

22 Q That would be done through the rollover transmission
23 rights, correct?

24 A Ultimately it is a function of transmission, yes.

25 Q And isn't it true that Progress gets to keep 20

1 percent of the benefit of its economy energy transactions?

2 A That has historically been the case, yes.

3 Q And that benefit would go to the Progress
4 shareholders?

5 A Yes, with 80 percent going to the customers.

6 COMMISSIONER DEASON: Let me ask a question about
7 that. Isn't there a threshold that has to be exceeded before
8 there is a sharing?

9 THE WITNESS: Yes. And I'm not sure what the
10 threshold is, but under the current terms there is a threshold.

11 COMMISSIONER DEASON: And it is based upon some type
12 a moving average, is it not?

13 THE WITNESS: Yes.

14 MR. BUSHEE: I have no further questions at this
15 time. I understand that Mr. Waters will take the stand again
16 for his rebuttal testimony, is that correct?

17 CHAIRMAN BAEZ: Since we didn't -- I had assumed that
18 that was correct. Okay.

19 Ms. Vining.

20 CROSS EXAMINATION

21 BY MS. VINING:

22 Q Good afternoon, Mr. Waters.

23 A Good afternoon.

24 Q I just have a few questions. Progress' expansion
25 plan with these proposed UPS agreements show a potential coal

1 unit in 2015, is that correct?

2 A That's correct.

3 Q And at what point would Progress have to make the
4 decision to move forward with the coal unit in order to meet
5 that 2015 in-service date?

6 A It's difficult to point to one decision point. We
7 are in the process of siting now as if we will proceed with
8 that, and that is part of the overall process. So in a sense
9 you could say we are on a course now to do that. There are
10 subsequent decision points after design is done, after the
11 final siting is done, and so on, that will -- I'll call them
12 checkpoints along the way. But right now I would say we are on
13 course.

14 I will add, though, that one of the concerns with
15 coal has always been environmental. And now we have to think
16 about how this plays off of the recently enacted clean air
17 interstate rule, and how that might impact the plant. I don't
18 have an answer for that today, but it will be a factor in what
19 we do in the coal unit. So that is another checkpoint we will
20 have to go through.

21 Q So will that potentially delay the 2015 in-service
22 date?

23 A Well, I can't address anything specific right now.
24 We don't have an answer. I can tell you that if you look at
25 the clean air interstate rule, there is a 2009/2010 set of

1 limits, and then it drops in 2015. And if you think about how
2 that plays off the timing we are talking about here, in the
3 extreme it could potentially eliminate coal as an option,
4 depending on how your system matches up to the overall limits.
5 I think at the very least it will make coal a more limited
6 option. It may not be that we can add a whole series of coal
7 units, you know, year after year. That will have to be given
8 some consideration.

9 Q To meet this 2015 in-service date, when do you
10 anticipate you would issue an RFP for the unit?

11 A For the purposes here, I will take a rough guess. I
12 would say it would have to be within the next year and a half
13 or so that we would have to issue an RFP, keeping that in
14 sequence with the licensing activities and so on.

15 Q Will Progress have the scheduling flexibility under
16 the proposed UPS agreements to make economy sales from
17 Southern's generating units?

18 A From the ones that we are buying from, yes, we will.
19 As long as we schedule under the normal provisions of the
20 contract, we could either take the energy into our system or
21 sell it.

22 Q So this would only be from Scherer and Franklin?

23 A Right. Just the units we are buying from.

24 Q And how do the transmission rights work with the UPS
25 agreements to get that benefit of making economy sales?

1 A I don't way to imply that they are part of the
2 agreements. I want to be very clear it is a separate
3 agreement. But just as we are asking for redirect at the
4 long-term firm service, what we can do is ask for a redirect of
5 transmission service which is provided on an as-available
6 basis. So let's say we want to sell from one of these units,
7 you know, back into North Carolina, for example. We can
8 request a redirect of the transmission to accommodate that, and
9 then Southern will tell us, Southern Transmission would tell us
10 whether or not they have the transmission to accommodate it.
11 So it would -- basically it's a flexible system.

12 Q Now, can Progress and its ratepayers benefit from
13 these transmission rights in the cases when Progress is not
14 receiving energy from the generating units that are covered by
15 the UPS agreements?

16 A Yes, if I understand your question. If we don't
17 schedule it for our own use because it is not economic in our
18 system, we could go ahead and look at the market and say we
19 will schedule it, and then sell to, you know, whomever might
20 have higher energy costs at that point, and there would be a
21 benefit from that, I think.

22 Q I'm wondering with these transmission rights, can you
23 purchase from someone else other than Southern and use that
24 transmission to bring it into Progress' system?

25 A Yes. I'm sorry, I thought we were still on the

1 selling side. If we are purchasing, yes, we can do that. We
2 can also redirect transmission to buy. And that is one of the
3 benefits we have quantified in the analysis was to quantify
4 buying economy from Southern itself. But the flexibility in
5 this agreement would allow us to buy economy energy from
6 outside the Southern system. We basically have an access to a
7 much broader market, and we haven't tried to quantify that.

8 Q From a reliability perspective, how would Progress
9 and its customers be impacted if Progress is not able to
10 maintain these transmission rights on Southern's system?

11 A My opinion is that if we are not able to maintain the
12 rights, and basically we have to forgo our rollover rights, I
13 believe at that point the interface becomes fair game, and that
14 there will be other players in the market to purchase across
15 the interface. If that interface gets tied up, then I think we
16 are harmed by the overall loss of the transaction. Because at
17 that point we no longer have access into the Southern system if
18 someone else has got it tied up.

19 Q If Progress --

20 COMMISSIONER DEASON: I'm sorry, I have a question.
21 I thought in answer to a previous question you indicated that
22 the Florida/Georgia interface, that you have a contractual
23 right to a certain portion of that interface regardless of
24 whether you continue purchasing from Southern or not.

25 THE WITNESS: Right. If we are purchasing, I think

1 that is correct. The situation I'm talking about, and I think
2 it is unclear as to what would happen, but I'm speculating a
3 little here. If that interface was sitting idle, if we have
4 not made purchases across that interface and it is sitting
5 there idle, others will make a claim to it.

6 COMMISSIONER DEASON: Do you get compensation for
7 that, or is it just a right if you use it; if you don't use it,
8 you lose it?

9 THE WITNESS: I don't think there is compensation
10 other than whatever wheeling charges might be associated with
11 transactions through our system. The interface itself, there
12 is not an interface charge, per se. But if they use our
13 transmission lines, there would be charges associated with
14 that. But I think others would demand and probably, in my
15 opinion, given FERC's mind-set, would probably get access to
16 that. We can't just sit on it. We have to be doing something
17 with it and making purchases. So I think the interface by
18 itself is not an asset that you can just hold.

19 BY MS. VINING:

20 Q Now, if Progress were to opt out of the Franklin
21 contract for whatever reason, would Progress be able to
22 maintain the contract for the capacity from the Scherer unit?

23 A I haven't really thought about that combination, but
24 I think the way the contracts are written we could, because
25 each of them has this same language about transmission

1 availability and so on. So assume for the moment that the
2 Franklin capacity was not deliverable and that Scherer was, I
3 think we have the option of taking Scherer, but I'm not
4 certain. I would have to go back and look at how the
5 agreements interplay. But that is sort of my cursory review.
6 I think that's the way it works.

7 Q Is it true that one of the benefits of the UPS
8 agreements is deferring two combined cycle plants during the
9 contract term?

10 A Yes.

11 Q And one of those would be deferred from 2010 to 2011,
12 and the other from 2012 to 2018, is that correct?

13 A That's correct.

14 Q Now, is that deferral reflected in the 2005 ten-year
15 site plan that was filed by Progress?

16 A Well, of course, one -- it's difficult to answer.
17 The site plan is updated with a more current forecast. So if I
18 were to go back and use the more current forecast and repeat
19 the analysis, I would see deferrals of combined cycles. But I
20 can't match the analysis we are discussing here with the site
21 plan because it is a different load forecast. So you won't be
22 able to see it, I guess, is the bottom line in the site plan
23 because the load forecast has changed. It would be difficult
24 to pick up. But by buying 400 megawatts of capacity, you are
25 obviously displacing a need for 400 megawatts in your system,

1 so there would be unit movement.

2 Q Okay. So even though in your 2005 ten-year site plan
3 you indicate that takes into account the UPS purchases, it is
4 not clearly reflected in what you filed?

5 A What it defers is not clearly reflected. In the site
6 plan we basically give you the end result, the final plan.
7 What we don't show is what we were calling before the base plan
8 would be without the Southern purchases, that is not reflected
9 in the site plan itself.

10 Q I'm also curious because in the 2004 ten-year site
11 plan, it appears to not include UPS purchases?

12 A It does not.

13 Q But yet they appear to be the same in terms of what
14 you're predicting your combined cycle units would be?

15 A Yes.

16 Q Can you explain why there appears to be a similarity
17 in what combined cycle units would be there?

18 A I guess you could say it is somewhat coincidental.
19 If you were to check the difference in load forecasts and the
20 peak demands, there is about a three to 400 megawatt increase
21 in load, which basically says you take Southern -- I mean, one
22 way to look at it is I take Southern to meet that load increase
23 and everything else stays the same. So if you were to look at
24 the combined cycle schedule between the two plans, they would
25 look very similar. But we have additional load we are meeting,

1 and Southern is taking the place of that. It is basically
2 offsetting that.

3 MS. VINING: Those are all the questions we have.

4 CHAIRMAN BAEZ: Commissioners, do you have questions?

5 COMMISSIONER DEASON: I have a question.

6 CHAIRMAN BAEZ: Commissioner Deason.

7 COMMISSIONER DEASON: I think you briefly addressed
8 in your testimony the fact that -- well, you acknowledged that
9 there was not an RFP issued and that there were some reasons
10 for that.

11 THE WITNESS: Yes.

12 COMMISSIONER DEASON: I assume one of those was
13 the -- I guess time was of the essence when you were
14 negotiating the contracts with Southern. But can you explain
15 further why Progress decided to not avail itself of an RFP
16 process?

17 THE WITNESS: I think there are a number of reasons.
18 Part of it may come to mind-set on existing contracts. It is
19 not uncommon to look at extending existing contracts. And I
20 think the rationale for not looking at an RFP and potentially
21 building new units to displace something you have already got
22 is part of that. But I think one of the main drivers is we are
23 under the distinct impression from dealing with Southern that
24 if we don't take advantage of this, that they will just sell it
25 elsewhere, and there is a market there.

1 If we go out with an RFP, they're certainly not
2 obligated to hold it, they might, and bid into the RFP. But I
3 think given the nature of their business, they would be looking
4 to sell it as quickly as possible, get a commitment and not
5 have any uncovered capacity in that time frame. I think it's
6 just in their best interest.

7 COMMISSIONER DEASON: Let me interrupt for just a
8 second. But we are talking about contracts that don't expire
9 for some period of time. What, 2010 time frame, as I recall?

10 THE WITNESS: Yes, sir. But the potential buyers
11 would be looking at displacing something they had to build. So
12 from Southern's point of view you could say, well, they may not
13 be rushed, they don't have to deal with it until 2010 when it
14 becomes uncovered. But the market that they are selling into,
15 they are going to be looking for people who have capacity needs
16 in that time frame and are looking to build and have to take
17 action today.

18 COMMISSIONER DEASON: And the people that would be
19 buying it don't have to go through an RFP, either?

20 THE WITNESS: I don't think every -- well, I don't
21 know that they would. Or if they sign a contract, the RFP
22 requirement is tied to the Power Plant Siting Act, assuming
23 Florida, for the moment. If I were to go and buy this and the
24 only issue is cost-recovery, if I don't need approval of
25 cost-recovery, and I'm not looking to license a new unit, there

1 is no RFP requirement. So I could do this, if I'm one of those
2 utilities that is not building a new unit, doesn't need
3 approval for cost-recovery, I could do this without, basically,
4 any review. I don't see the tie, necessarily, to an RFP
5 because nobody is looking to license or build a unit here, it
6 is just a contract.

7 COMMISSIONER DEASON: But you do agree that an RFP
8 process gives greater assurance to you, your management, this
9 Commission, and customers that whatever is the result is the
10 lowest cost option?

11 THE WITNESS: Yes, I do. The only counter I would
12 have to that is I think we don't want to be handcuffed by an
13 RFP process if opportunities present themselves and we feel
14 those are appropriate to pursue.

15 COMMISSIONER DEASON: And how should we judge that as
16 regulators?

17 THE WITNESS: I think that the way the process is set
18 up is the proper approach. It's tied tightly to the
19 environmental licensing to make sure that whatever gets built
20 in this state is absolutely necessary and is the best
21 alternative. When it comes to contracts, I think you are in a
22 whole different area. As I said, we are talking about
23 extending -- not extending, I don't want to use that term,
24 because contractually we are not extending, we are replacing
25 the contract, but we are continuing a purchase of a resource.

1 There will be no impact here as far as building new resources,
2 adding new resources in our system.

3 I think that is a situation where there ought to be
4 the flexibility to be able to proceed with that. And we have a
5 number of contracts where that is true, it is not just
6 Southern. You could extend this on down to any of the
7 contracts that we have. And, yes, the burden is on us to make
8 the case that it is a good deal, but I don't think an RFP
9 should be required in that case.

10 COMMISSIONER DEASON: Are these contracts contingent
11 upon Public Service Commission approval?

12 THE WITNESS: Yes, they are.

13 COMMISSIONER DEASON: And when is the deadline for
14 that approval?

15 THE WITNESS: I would have to refer to the contracts.

16 COMMISSIONER DEASON: Just generally, if you can say.
17 And here, again, that is not confidential, I hope.

18 THE WITNESS: Well, I don't think so. I think it was
19 180 days from the November contract date, roughly. That is my
20 recollection. That would us in -- not too far from now.

21 COMMISSIONER DEASON: If this Commission chooses not
22 to grant approval, are you still free to go forward with the
23 contract?

24 THE WITNESS: I think we would proceed at our own
25 risk at that point. We can, but I think there is an obvious

1 risk there if we proceed on that basis.

2 CHAIRMAN BAEZ: Mr. Perko, redirect.

3 REDIRECT EXAMINATION

4 BY MR. PERKO:

5 Q Mr. Waters, I believe you answered some questions
6 from Mr. Bushee about the Burns and McDonnell report. Could
7 you explain what role the Burns and McDonnell report played in
8 Progress Energy's evaluation of solid fuel options?

9 A Yes. The Burns and McDonnell report was really
10 commissioned to develop the cost parameters for solid fuel
11 options, specifically the pulverized coal and fluidized bed
12 options, and so on. It was not commissioned to be an economic
13 analysis of the alternatives to PEF. In other words, while
14 they did some graphs in the back and did some comparisons, that
15 was never intended to be indicative of what the economics would
16 look like on the PEF system.

17 We took the inputs from the Burns and McDonnell study
18 as a source, ran detailed analyses, and used the models with
19 our own assumptions, our own forecasts, and our own comparisons
20 to develop what we thought was the most economic option. So it
21 was really, I would say comparable, to what we used the EPRI
22 Technology Assessment Guide for, and that is to provide inputs
23 to the process.

24 Q I would like to refer you back to what has been
25 marked as Exhibit Number 19, which Mr. Bushee also questioned

1 you about.

2 A Yes.

3 Q And I believe it is an e-mail from Mr. Roger Kramer
4 to Dan Roeder.

5 A Yes.

6 Q I believe you testified that Mr. Kramer works in the
7 treasury department at Progress Energy, is that correct?

8 A That's correct.

9 Q What is treasury's role with respect to agreements of
10 this nature?

11 A They have a limited role. In fact, if you were to
12 look at all the names on this e-mail, each person has a narrow
13 role to, in a sense, represent their department's or their
14 group's interests in the overall analysis. So each person has
15 a limited perspective. Treasury is going to take a strict net
16 present value approach to everything. I mean, that is sort of
17 their role in things. So they are going to look at a bottom
18 line number and not look at any of the other factors associated
19 with the deal.

20 Mr. Roeder, as the analyst, is going to look at the
21 analysis and the system impacts and so on and do an analysis
22 and only look at that piece. Everyone is looking at just their
23 piece. Looked at from that perspective, any individual might
24 say, well, I don't like this deal, but collectively the deal
25 still represents a good deal for the customers. And I would

1 also point out that the vice-president of treasury, the
2 vice-president over planning, all the vice-presidents approved
3 this transaction with these comments notwithstanding.

4 All this shows to me is there was a good healthy
5 debate as we were going through the process, and it was
6 certainly animated at times. But all the issues got laid out
7 all the way up the chain, and this was approved through all the
8 levels that I mentioned earlier of the approval process.

9 Q What, if any, additional analyses were performed
10 after July 1st when this e-mail was sent out?

11 A Well, one additional analysis which was done was the
12 transmission. It is referred to by several names in the
13 process, transmission utilization, in other words, the economy
14 energy transactions. That was not part of this analysis. This
15 was just straight resource plan changes. And we did look at
16 economy energy and all the -- what I have listed as the
17 strategic concerns after this time.

18 Q Mr. Waters, I wanted to refer your attention back to
19 some questions that Ms. Vining asked you about, and I believe
20 it was in the event that there were transmission problems with
21 Franklin, you could -- or perhaps it was the other way around,
22 you could opt out of the Franklin contract. I would like to
23 refer you specifically to Page 31, Section 7.4.7 of the --
24 excuse me, I've got the exhibits mixed up here. That would be
25 the Scherer contract.

1 A Okay. That's what I thought.

2 Q Does that refresh your recollection?

3 A Could you refer me to the section again?

4 Q 7.4.7.

5 A Okay. This says that both are subject to termination
6 in the event that one is not, or one has to be terminated due
7 to the transmission provisions. So at that point it would
8 probably be a matter of no transactions taking place in your
9 example of Franklin not being available.

10 Q I would also like to refer you to the Franklin
11 contract on Page 37, also Section 7.4.7.

12 A Yes. It's the same language, same provision.

13 Q Thank you. Now, Mr. Waters, if a municipality or a
14 cooperative were interested in buying the Southern Power,
15 assuming Southern put it back on the market, would they be
16 required to conduct an RFP?

17 A I don't believe so. Since there is no tie to the
18 Power Plant Siting Act, no requirement exists as far as I know
19 to do an RFP.

20 Q And would they have to get Commission approval for
21 any cost-recovery?

22 A I don't believe so, no.

23 MR. PERKO: If I could have one second, Your Honor,
24 look over my notes. (Pause.)

25 Nothing further.

1 CHAIRMAN BAEZ: Exhibits.

2 MR. PERKO: Yes, Your Honor. If Progress Energy
3 could move its Exhibits SSW-1, SSW-2, SSW-3, SSW-4R, SSW-5, and
4 SSW-6 into the record. I believe they are marked as
5 Exhibits 4 --

6 CHAIRMAN BAEZ: Well, let me -- hold off on it a
7 second. I'll give you the numbers. I have 4, 5, 6, 7 and 8.
8 Mr. Waters is still set to appear on rebuttal, so we are going
9 to hold off 15 and 16 until we are finished with his rebuttal.
10 Does that sound all right to you?

11 MR. PERKO: You have properly corrected me. Thank
12 you.

13 CHAIRMAN BAEZ: I finally got one in.

14 Mr. Bushee, for you I have 17, 18, 19, 20, 21, 22,
15 23, 24, and 25.

16 MR. BUSHEE: That is correct, although I would note
17 that Exhibit 18 will be a late-filed.

18 CHAIRMAN BAEZ: And I do have Late-filed Exhibit 18,
19 as well. If there are no objections, 17 through 25 will also
20 be admitted into the record and the late-filed exhibit would
21 be -- I want to say subject to check, but I don't know if Mr.
22 Perko even needs to reserve his right to object to the
23 late-filed.

24 MR. PERKO: I would ask Mr. Waters if he expects any
25 confidential information to be in it.

1 THE WITNESS: Obviously -- well, to do the numbers,
2 there will be confidential information in the exhibit as it is
3 laid out, because I will have to do the formulas per the
4 contract.

5 CHAIRMAN BAEZ: All right. So then what we can do is
6 we can label it as Confidential 18. You had mentioned that you
7 could turn it around in a day or two?

8 THE WITNESS: I'm going to try and do that.

9 CHAIRMAN BAEZ: Would Monday be all right?

10 THE WITNESS: Monday is fine.

11 CHAIRMAN BAEZ: Okay. Monday okay with you, Mr
12 Bushee?

13 MR. BUSHEE: Yes.

14 CHAIRMAN BAEZ: Very well. Without objection, show
15 17 through 25 admitted into the record.

16 (Exhibits 4 through 8 and 17 through 25 admitted into
17 the record.)

18 MR. PERKO: Mr. Chairman, one final matter. We had
19 discussed substituting the full copy of, I believe it is
20 Exhibit 21, and my assistant has copies for everyone.

21 CHAIRMAN BAEZ: For the record, show that we are,
22 with the agreement of all parties, substituting the Burns and
23 McDonnell report in Confidential Exhibit 21 to reflect the
24 complete report.

25 MR. PERKO: And, Mr. Chairman, unfortunately the

1 copies are not stamped confidential, but they are confidential.

2 CHAIRMAN BAEZ: We'll make sure that that is
3 reflected. And if at some point when we break, and I suspect
4 we'll break after we get done excusing Mr. Waters, if you can
5 make sure and collect the Burns and McDonnell reports that are
6 incomplete, because they still remain confidential, you all can
7 dispose of them as you need to. Is there anything else at this
8 point?

9 We are going to break for ten minutes, and then we
10 will take up Mr. Brubaker. We're in recess.

11 (Recess.)

12 CHAIRMAN BAEZ: Let's go back on the record.

13 Go ahead, Mr. Bushee.

14 MAURICE E. BRUBAKER

15 was called as a witness on behalf of White Springs Agricultural
16 Chemicals, Inc., and having been previously duly sworn,
17 testified as follows:

18 DIRECT EXAMINATION

19 BY MR. BUSHEE:

20 Q Mr. Brubaker, you have already been sworn?

21 A Yes, I have.

22 Q And you have before you Exhibits 9 through 14?

23 A Yes.

24 Q And those consist of your testimony and the attached
25 exhibits?

1 A That is correct.

2 Q Do you have any changes to your testimony?

3 A I do not.

4 MR. BUSHEE: With that, the witness is available for
5 cross-examination.

6 CHAIRMAN BAEZ: In the meantime, we will show the
7 direct testimony of Witness Brubaker entered into the record as
8 though read, and also let the record show that his exhibits,
9 including the confidential version of his direct testimony are
10 numbered Exhibits 9 through 14.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

BEFORE THE
PUBLIC SERVICE COMMISSION OF FLORIDA

In re: Petition for approval of two unit power sales agreements with Southern Company Services, Inc. for purposes of cost recovery through capacity and fuel cost recovery clauses, by Progress Energy Florida, Inc.

Docket No. 041393-EI

Direct Testimony of Maurice Brubaker

1 Q PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.

2 A Maurice Brubaker. My business address is 1215 Fern Ridge Parkway, Suite 208,
3 St. Louis, Missouri 63141-2000.

4 Q WHAT IS YOUR OCCUPATION?

5 A I am a consultant in the field of public utility regulation and president of Brubaker
6 & Associates, Inc., energy, economic and regulatory consultants.

7 Q PLEASE DESCRIBE YOUR EDUCATIONAL BACKGROUND AND EXPER-
8 IENCE.

9 A I have been involved in the regulation of electric utilities, competitive issues and
10 related matters over the last three decades. Additional information is provided in
11 Appendix A, attached to this testimony.

1 **INTRODUCTION AND SUMMARY**

2 **Q ON WHOSE BEHALF ARE YOU APPEARING IN THIS PROCEEDING?**

3 A I am appearing on behalf of White Springs Agricultural Chemicals, Inc. d/b/a PCS
4 Phosphate – White Springs (White Springs). White Springs is a manufacturer of
5 fertilizer products with plants and operations located within Progress Energy
6 Florida Inc.'s (PEF) service territory at White Springs, and receives service under
7 numerous rate schedules. During calendar year 2004, White Springs purchased
8 approximately \$20 million of power from PEF.

9 **Q WHAT IS THE PURPOSE OF THE TESTIMONY YOU ARE SUBMITTING?**

10 A This testimony will address the request of PEF that the Commission approve as
11 reasonable and prudent for cost recovery purposes two Unit Power Sales
12 agreements (UPS) with one or more subsidiaries of the Southern Company
13 (Southern). The proposed agreements provide for the sale to PEF of 74
14 megawatts of coal-fired power from Scherer Unit 3 in Georgia, which is owned by
15 Georgia Power Company and Gulf Power Company, and 350 megawatts from a
16 gas-fired combined cycle facility known as Franklin Unit No. 1, which is owned by
17 an unregulated affiliate of Southern, known as Southern Power.

18 **Q PLEASE SUMMARIZE YOUR FINDINGS AND RECOMMENDATIONS?**

19 A My findings and recommendations may be summarized as follows:

- 20 1. The short-term cost effectiveness analysis submitted by PEF was grossly
21 overstated, and should not be relied upon.
- 22 2. PEF has significantly overstated the claimed economic benefits
23 associated with proposed UPS transactions. By PEF's own numbers,

- 1 they are uneconomic over the long-term evaluation period, and any "front
2 end" savings are marginal, at best.
- 3 3. PEF should have given serious consideration to replacement of the UPS
4 agreements with constructed or purchased solid fuel capacity well in
5 advance of the expiration of those agreements, but apparently did not do
6 so.
- 7 4. PEF has not demonstrated that the "base" plan which it uses to measure
8 the impacts of the two proposed new UPS agreements is a least cost
9 plan. It therefore cannot be claimed as an appropriate benchmark for this
10 purpose.
- 11 5. Given the significant amount of capacity at issue with the expiration of the
12 UPS agreements, PEF should have solicited the market in a
13 comprehensive manner, such as through an RFP, for alternative products
14 to compare to the UPS proposal.
- 15 6. PEF's projections indicate a sharply increasing reliance upon natural gas-
16 fired generation, and a significantly reduced degree of diversity in its
17 resource portfolio.
- 18 7. PEF has indicated that construction of a new coal-fired facility in the 2013
19 timeframe may be doable. Rather than pursue the proposed UPS
20 agreements at this time, PEF should actively consider installation of a
21 solid fuel facility as early as possible.
- 22 8. The existing UPS agreements do not expire until May of 2010, fully five
23 years from now. There is no rush to enter into new agreements for the
24 2010-2015 time period.
- 25 9. There are many uncertainties with respect to the transmission service
26 required to implement the proposed UPS contracts.
- 27 10. Various "non-price" factors that PEF cites in support of the UPS
28 agreements are not sufficiently important or quantified to be given any
29 significant weight by the Commission.
- 30 11. The Commission should not approve the proposed UPS agreements.
31 Rather, PEF should be required to more fully analyze alternatives prior to
32 any decision being made.
- 33 12. Because of the problems with how PEF has approached the capacity
34 expansion issue, and evaluation of the proposed UPS agreements, the
35 Commission should reserve for the pending rate case the question of
36 whether a downward adjustment should be applied to PEF's return on
37 equity.

1 13. Should the Commission decide to allow PEF to enter into the UPS
2 agreements in this case, it should make them subject to a prudency
3 challenge whenever PEF would seek cost recovery.

4 **PEF'S ECONOMIC ANALYSIS**

5 **Q WHAT ECONOMIC JUSTIFICATION HAS PEF SUBMITTED IN SUPPORT OF**
6 **ITS PROPOSAL THAT THE COMMISSION APPROVE THE UPS**
7 **AGREEMENTS?**

8 **A**PEF provided a summary of its economics justification on Exhibit SSW-3 and also
9 on Exhibit SSW-4.

10 Exhibit SSW-3 shows that over a 45-year period, consisting of the
11 approximately five-year term of the proposed UPS agreements, followed by a 40-
12 year term to capture end effects, the proposed transaction is not beneficial to
13 consumers, relative to what PEF describes as its alternative base plan. On a net
14 present value basis, Exhibit SSW-3 shows that PEF expects the result of entering
15 into the UPS agreements, as compared to pursuing its base plan, would be a net
16 detriment to consumers in the range of \$5 million to \$11 million. Thus, on its
17 face, and by PEF's own admission, the proposed transactions are not as
18 favorable to consumers as what PEF describes as its base plan.

19 **Q WHAT DOES EXHIBIT SSW-4 PURPORT TO SHOW?**

20 **A**It purports to show savings under the UPS contracts on an annual and a
21 cumulative present value revenue requirement basis over the same time horizon.
22 PEF's original exhibit claimed cumulative present value savings of \$133 million
23 during the five-year term of the proposed UPS contracts. PEF just recently

1 requested permission to file supplemental testimony which acknowledges that it
2 overstated the savings by \$89 million, such that it now claims benefits of \$44
3 million.

4 **Q HAVE YOU EXAMINED PEF'S ORIGINAL AND REVISED CLAIMS?**

5 A Yes. We have made an alternate analysis, using the costs associated with
6 deferring or advanced generation units. However, since we had no way to check
7 the claimed production cost differentials, we have used PEF's claimed production
8 cost savings and other costs. The calculations are summarized on Exhibit MEB-
9 1 (). This exhibit has been marked confidential. It shows the annual revenue
10 requirements associated with the comparison of the UPS units to the Company's
11 base case, and calculates the difference each year in revenue requirements.
12 The results are significantly different than what PEF initially calculated. They
13 show smaller front-end benefits than PEF's proposed revised calculations. They
14 are graphed and presented on Exhibit MEB-2 (), which is in a format similar to
15 Exhibit SSW-4, and therefore has not been marked confidential.

16 **Q WHAT IF PEF'S CLAIMS FOR SAVINGS DURING THIS INITIAL PERIOD**
17 **WERE ACCEPTED AT FACE VALUE?**

18 A With respect to the claim that the front-end benefits are substantial, amounting to
19 \$133 million (revised to \$44 million) over the five-year term of the contracts, even
20 if we accept all of PEF's calculations as appropriate and relevant, extending the
21 time horizon one more year (i.e., to one year beyond the end of the contact term)
22 the same information and calculations demonstrate that these claimed benefits

1 contains some of the units that were included in the Ten-Year Site Plan as of
2 December 31, 2004, it also includes several units (namely four coal units) which
3 were not included in the previous Ten-Year Site Plan.

4 Furthermore, no information has been provided in connection either with
5 this base plan or with what was provided in the Ten-Year Site Plans to
6 demonstrate that any of these expansion plans are the least cost expansion
7 plans and appropriate for meeting PEF's expected load obligations in an
8 economical and reliable manner.

9 **Q YOU SAY THAT PEF STARTED WITH THIS BASE PLAN. HOW DID IT THEN**
10 **VIEW OR TEST THE IMPACT OF THE UPS AGREEMENTS?**

11 **A** It simply introduced the UPS agreements into the resource portfolio for the period
12 June 2010 through December 2015, and then adjusted the resources in the base
13 plan in a manner that it says it would do were it to enter into these UPS
14 agreements. The net effect, according to PEF, was to defer the installation of two
15 generic combined cycle units, and to advance the installation date of one
16 combustion turbine unit and one pulverized coal unit.

17 Having adjusted the resource expansion plan in this manner, PEF then
18 ran an economic analysis of the fixed and variable costs, including purchased
19 power and generation variable costs, and compared the revenue requirements
20 under the two plans. This was the source for the numbers displayed on Exhibits
21 SSW-3 and SSW-4, on which I have previously commented.

1 Q DID PEF SUPPLY ANY ANALYSIS DEMONSTRATING THAT THE BASE
2 PLAN WHICH IT USED AS A BENCHMARK FOR COMPARISON WAS THE
3 LEAST COST PLAN?

4 A No, as I indicated above, it did not. Thus, even assuming that all of the economic
5 calculations were performed correctly, all the comparison tells us is that the
6 proposed UPS transaction is between \$5 million and \$11 million less desirable
7 from the customers' perspective than this plan, which has been called the base
8 plan, but which has not been shown to be the least cost or best plan in the first
9 place.

10 Q DO THE PROPOSED UPS AGREEMENTS MERELY EXTEND OR MODIFY
11 THE EXISTING UPS AGREEMENTS?

12 A No, they do not. Whereas presently there is one UPS agreement, the proposal is
13 to have two agreements. More fundamentally, however, the current agreement
14 provides for roughly 80 megawatts of coal-fired power from the Scherer plant and
15 320 megawatts of coal-fired power from the Miller plant. As noted above, the
16 Scherer plant is jointly owned by Georgia Power Company and Gulf Power
17 Company. The Miller plant is owned by Alabama Power Company. The
18 proposed new UPS agreements continue to provide some (reduced to 74 MW)
19 amount of power from Scherer Unit 3, but the pricing is different. The second
20 contract provides 350 MW gas-fired power from the combined cycle Franklin
21 units, and is an entirely new agreement with a different party.

22 In addition, the present UPS agreement bundles generation and
23 transmission service together, while the proposed agreements require PEF to

1 seek and contract for transmission service separately from the UPS generating
2 supply.

3 Thus, instead of being extensions or minor changes to existing
4 agreements, these are entirely new agreements that are materially different.

5 **Q WHERE ARE THESE PLANTS LOCATED?**

6 A The Scherer plant is located in Monroe County, Georgia. The Miller plant is
7 located in Jefferson County, Alabama, and the Franklin plant is located near
8 Smiths, Alabama.

9 **Q ARE THE MILLER AND FRANKLIN PLANTS CLOSE TO EACH OTHER?**

10 A No, they are not. They are over 100 miles apart and connected to different
11 portions of the Southern Company transmission system. This adds complexity to
12 the transaction because of the need to separately secure transmission service
13 from a facility not involved in the current transaction.

14 **Q WHY IS THIS AN ISSUE?**

15 A If the source of the power is changed from the Miller plant to the Franklin plant,
16 the load flows on the Southern system will change. Whether or not the change in
17 load flows adversely affects the transmission system from a thermal or stability
18 point of view must be studied. I will address this in more detail later in this
19 testimony.

1 Q HOW LONG HAS PEF KNOWN THAT THE EXISTING UPS AGREEMENT
2 WOULD EXPIRE IN MID-YEAR 2010?

3 A This has been a known fact since 1988, when the contract was initially executed.
4 Thus, PEF has had more than adequate time to seriously consider and evaluate
5 appropriate alternatives to these contracts upon their expiration. As explained
6 later in the testimony, it has not done so.

7 Q HAVE YOU REVIEWED PEF'S RECENT TEN-YEAR SITE PLANS?

8 A Yes. In response to Production of Documents (POD) No. 5, PEF produced
9 copies of the Ten-Year Site Plans filed in the spring of 2001 through 2005. Little
10 or no supporting data was supplied for the 2001 and 2002 site plans. For the
11 more recent plans, there is some discussion of coal-fired alternatives, but the only
12 analysis presented is rather simplistic "screening curves" which examine the
13 theoretical crossover points that show where one technology becomes more
14 economical than another. No economic analyses of coal-fired alternatives were
15 presented as a part of the supporting documentation for the Ten-Year Site Plans,
16 and the resource selections from those plans were exclusively gas-fired
17 combined cycle units (and combustion turbine units). In none of these plans did
18 coal apparently receive a serious analysis by PEF.

19 Q IS THERE ANY EVIDENCE THAT PEF GAVE SERIOUS CONSIDERATION TO
20 REPLACING THE UPS AGREEMENTS, UPON THEIR EXPIRATION IN 2010,
21 WITH COAL-BASED POWER?

1 A No, quite to the contrary. In POD No. 8, White Springs made the following
2 request:

3 "Please provide a copy of any and all documents and
4 communications related to Progress's consideration, evaluation or
5 study of building or acquiring coal-fired generating capacity to
6 replace the coal-fired capacity purchased under Progress's
7 existing unit power sales agreement with SCS."

8 In response thereto, PEF replied:

9 "There are no documents responsive to this request."

10 This makes it perfectly clear that PEF did not give serious consideration to
11 replacing the expiring coal-based purchased power agreements with either coal-
12 based purchased power contracts or with a constructed facility.

13 **Q SHOULD PEF HAVE CONSIDERED THIS APPROACH TO REPLACING THE**
14 **CAPACITY FROM THE EXPIRING UPS AGREEMENTS?**

15 A Yes. I believe it was particularly important that PEF undertake these
16 considerations after the gas price spikes that occurred beginning in 2000. That
17 event, coupled with subsequent spikes and escalating price levels, and the
18 continued construction of gas-fired electric generation capacity (by merchants
19 and others) certainly gave rise to concerns that natural gas prices would be both
20 high and volatile. I believe PEF should have devoted more attention to analyzing
21 the comparative risks and economics of natural gas and coal-fired generation.

22 **Q IN ADDITION TO THIS FACTOR, ARE THERE OTHER REASONS WHY PEF**
23 **SHOULD HAVE BEEN ACTIVELY CONSIDERING ACQUIRING COAL-FIRED**
24 **POWER?**

1 A Yes. From a resource diversity standpoint, PEF's current projections indicate a
2 significantly increasing dependency on natural gas. For example, the Ten-Year
3 Site Plans show an increase in the percentage of generation from oil and gas-
4 fired resources from 28% in the year 2000, to a projected 34% in 2005, 42% in
5 2010, and 54% in 2014. This factor also should have led PEF to more actively
6 consider adding coal-fired generation to the system, not only to replace the
7 expiring UPS agreements, but also to meet part of the load growth requirements
8 and maintain closer to an historic fuel diversity. Exhibit MEB-3 () shows this
9 pattern.

10 Q HAS THE FLORIDA PSC STAFF COMMENTED ON THIS TREND IN
11 DEPENDENCY ON NATURAL GAS?

12 A Yes. The Commission's Division of Economic Regulation issued a report in
13 December of 2004 entitled "A Review of Florida Electric Utility 2004 Ten-Year
14 Site Plans." At Page 6 of that report, in a section entitled "**AREAS OF**
15 **CONCERN – IMPACT OF PLANS ON FUEL DIVERSITY**", the Staff commented
16 as follows:

17 "Over the past several years, utilities across the nation and within
18 Florida have selected natural gas-fired generation as the
19 predominant source of new capacity. If this trend continues,
20 natural gas usage will approach the levels of oil usage that Florida
21 was experiencing just prior to the oil embargoes of the 1970's.
22 Recent past experience has shown that natural gas prices can be
23 volatile. Further, Florida's utilities project a wide range of prices
24 for natural gas. These facts, coupled with the Florida utilities'
25 historic under-forecasting of natural gas price and consumption,
26 could further strain Florida's economy. In the 1970's, the
27 Commission took action to encourage the utilities to diversify their
28 fuel mix in an effort to mitigate volatile fuel prices. Based on
29 current fuel mix and fuel price projections, Florida's utilities should

1 explore the feasibility of adding solid fuel generation as part of
2 future capacity additions.”

3 Later in the report, at Page 21, in a section entitled “**GENERATING UNIT**
4 **SELECTION**” Staff commented as follows

5 “According to the utilities’ *Ten-Year Site Plans*, natural gas is
6 forecasted to play an even more dominant role in electric power
7 generation in Florida over the next ten years. To minimize price
8 and supply volatility, electric power generation must rely on
9 multiple fuel sources. As a result, Florida’s utilities should
10 evaluate potential sites for coal capability. To lessen the capital
11 cost impact of building coal-fired units, utilities should look at the
12 possibility of joint ownership of future coal units. Florida’s
13 municipal utilities have a successful history of sharing investment
14 costs associated with coal units. Finally, utilities should
15 investigate the possibility of receiving financial assistance through
16 the DOE’s CCT Program. As emerging research and
17 development in coal-fired generation reduces high capital costs,
18 emissions, permitting lead times, and investment risk, coal could
19 again play a critical role in electric power generation in Florida.”

20 I believe Staff’s comments are right on point, and merit serious
21 consideration. Additional coal-fired capacity in Florida brings many benefits that
22 are not available from gas-fired combined cycle facilities located in Alabama.

23 **Q IS THERE ANY RECENT EVIDENCE THAT PEF IS NOW LOOKING MORE**
24 **CLOSELY AT INSTALLING COAL-FIRED UNITS?**

25 **A** Yes. As I indicated earlier, the so-called “base” plan, which PEF has advanced
26 as what it would do absent the proposed UPS agreements, contains four
27 pulverized coal units beginning in the year 2015. Also, in 2004 we begin to see
28 more serious studies, including some conducted by outside parties, of the
29 comparative economics of various types of solid fuel units. These studies
30 indicate the increasing attractiveness of these types of units in light of changes in
31 fuel markets.

1 In response to Interrogatory No. 15, PEF claims that it would take at least
2 eight years to do the necessary development and construction for a coal-fired
3 generating station, and if one accepts that claim, 2013 would be the earliest
4 feasible in-service date.

5 In light of these circumstances and other factors noted above, PEF should
6 intensify its efforts in regard to the analysis and development of coal-fired
7 resources, and their expeditious construction if such analysis reveals them to be
8 appropriate choices. So far, it appears that PEF has not undertaken this
9 analysis.

10 **Q OTHER THAN THE ECONOMIC ANALYSIS ATTACHED TO MR. WATERS'**
11 **TESTIMONY (SSW-3 AND SSW-4) IS THERE ANY EVIDENCE THAT PEF**
12 **COMPARED THE PROPOSED NEW UPS AGREEMENTS TO ANY OTHER**
13 **ALTERNATIVE SOURCE OF POWER – EITHER FROM A CONSTRUCTED**
14 **FACILITY, OR FROM ALTERNATIVES AVAILABLE FROM THIRD PARTIES**
15 **IN THE MARKET?**

16 **A** There is no such indication. PEF did not conduct any Requests for Proposals
17 (RFPs) or take any other steps to ascertain the possible availability of substitutes
18 for part or all of the expiring UPS agreement. In fact, White Springs asked the
19 following as Interrogatory No. 5:

20 “(a) Were any of “recent Requests for Proposals (RFPs)” referred
21 to in line 10 of page 6 of the Direct Testimony of Samuel S.
22 Waters undertaken in connection with the expiration and/or
23 replacement of Progress’s existing unit power sales agreement
24 with SCS? (b) If your response to Interrogatory No. 5(a) is
25 anything other than an unqualified “no,” please identify each such
26 Request for Proposals that was undertaken in connection with the

1 expiration and/or replacement of Progress's existing unit power
2 sales agreement with SCS.

3 In response thereto, PEF stated: "(a) No."

4 **Q WOULD IT HAVE BEEN PRUDENT FOR PEF TO CONDUCT AN RFP FOR**
5 **THIS PURPOSE?**

6 **A** Yes, it would have been appropriate and prudent for PEF to do so. Good
7 practice when considering entering into transactions of this magnitude,
8 representing over 400 megawatts of capacity and with a cost (estimated by PEF)
9 over the five-year term of the contract of nearly [REDACTED] in fixed costs, plus
10 fuel, would be to conduct a thorough review of the market to ascertain if there are
11 any other options available which should be considered.

12 An RFP process is an organized and comprehensive way to approach the
13 market and to solicit input. It is used quite frequently, and in fact PEF uses an
14 RFP approach when it is testing the construction of new facilities. If a
15 comprehensive search is not conducted, PEF may miss economical opportunities
16 available in the marketplace. Furthermore, without this search, PEF cannot
17 demonstrate that its chosen course of action is the appropriate one.

18 **TRANSMISSION ISSUES**

19 **Q HAS PEF SECURED THE TRANSMISSION RIGHTS ON THE SOUTHERN**
20 **SYSTEM THAT ARE NECESSARY TO DELIVER THE POWER FROM THE**
21 **PROPOSED UPS AGREEMENTS?**

22 **A** No, it has not.

1 Q PLEASE DESCRIBE THE TRANSMISSION SERVICE ARRANGEMENTS IN
2 CONNECTION WITH THE UPS AGREEMENTS.

3 A In his Direct Testimony at Page 12, Mr. Waters summarizes the transmission
4 requirements under the UPS Agreements:

5 "The agreements call for PEF to submit a request for sufficient
6 transmission Capacity to Southern Company Transmission within
7 30 days of the effective date of the agreement, November 24,
8 2004. The agreements further call for PEF to make commercially
9 reasonable efforts to obtain an offer for transmission service by
10 February 16, 2006, a date which may be extended by mutual
11 consent. If any or all of the required transmission service cannot
12 be provided, PEF will notify Southern Company, as seller, of the
13 unavailability. The contracts also provide for PEF notification to
14 Southern Company of the circumstances where transmission may
15 be offered at a total cost greater than the embedded rate for Long
16 Term Firm Transmission Service under Southern Company
17 Transmission's Open Access Transmission Tariff (OATT). Upon
18 notification, Southern Company has the option of offering to sell,
19 including by reassignment, up to the required amount of
20 transmission service, and/or offsetting any transmission costs
21 above the OATT rate.

22 If the amount of available transmission is less than [REDACTED] for the
23 Franklin agreement, or if the transmission available at the OATT
24 rate is below [REDACTED] PEF may terminate the agreement. The
25 similar threshold in the Scherer agreement is [REDACTED]."

26 Q WHAT IS THE STATUS OF PEF'S TRANSMISSION REQUESTS?

27 A Again, in his Direct Testimony at Page 13, Mr. Waters summarizes the status of
28 PEF's transmission service requests:

29 "PEF submitted its requests for transmission on November 30,
30 2004, within the 30 day period required by the agreements.
31 These requests were submitted to Southern Company
32 Transmission as "rollover" requests of the existing transmission
33 paths from Southern Company's Scherer plant and Miller plant
34 under PEF's current UPS agreement. On March 8, 2005, these
35 requests for transmission were accepted and conditionally

1 confirmed in a letter agreement signed by the parties. The letter
2 agreement stated that Southern Transmission would accept the
3 requests for transmission, and on March 15, the transmission
4 requests were confirmed by PEF. The transmission agreements
5 were contingent on PEF's ability to redirect the Miller transmission
6 path to the Franklin plant, which PEF requested on March 15.

7 The next step in the process will be a System Impact Study
8 ("SIS") and Southern Company Transmission has already sent
9 notification of this study to PEF. PEF must respond with a deposit
10 towards the study in the immediate future. Once PEF has
11 submitted the deposit, Southern Company Transmission will begin
12 the SIS to either confirm the transmission path for the Franklin
13 purchase, or notify PEF of any system impacts that need to be
14 addressed. If there are system impacts, an additional Facilities
15 Study would follow. However, if no impacts are identified, the
16 transmission request would be confirmed, in effect making PEF
17 the owner of the Scherer and Franklin transmission paths at that
18 time. This could occur any time after our submittal of the SIS
19 deposit."

20 **Q DO YOU HAVE ANY DOCUMENTATION CONCERNING THE STATUS OF**
21 **PEF'S TRANSMISSION SERVICE REQUESTS?**

22 **A** Yes. In discovery, White Springs asked PEF to explain what it had done to
23 obtain transmission to implement the terms of the UPS Agreements. PEF's
24 response to Interrogatory No. 8 is consistent with Mr. Waters's testimony noted
25 above, and states:

26 "Please describe Progress's efforts and activities undertaken to
27 obtain transmission to implement the terms of the UPS
28 Agreements.

29 A. Section 7.4 of the UPS Agreements discusses the Parties
30 requirements for obtaining transmission. Specifically, 7.4.1
31 required PEF to submit a request for transmission on Southern
32 Company's OASIS within thirty days following the Effective Date of
33 the Agreements. The Effective Date of the Agreements is
34 November 24, 2004.

35 PEF initiated transmission requests on November 30, 2004 (see
36 Southern OASIS Reference Numbers 519354, 519355),

1 requesting rollover of PEF's existing service for Plant Scherer to
2 the Southern-Florida Interface and for Plant Miller to the Southern
3 Florida Interface.

4 Southern Company then requested PEF to submit two documents:
5 (1) Application for Firm Point-to-Point Transmission Service; and
6 (2) Southern Company Transmission Deposit Information Sheet
7 PEF submitted these documents, along with the Company's
8 deposit, on December 15, 2004.

9 Southern Company then wrote a Letter Agreement that detailed
10 the study that they would perform, and mailed it to PEF on March
11 7, 2005. The Parties agreed to terms of the Letter Agreement on
12 March 8, 2005. This Letter Agreement states that Southern would
13 conditionally confirm both of PEF's transmission requests.

14 On April 12, 2005, Southern Company sent PEF a notice stating
15 that a System Impact Study would be required to determine
16 available transmission capacity. On or before April 18, 2005, PEF
17 submitted a signed original of the System Impact Study
18 agreement. Payment in the amount of \$10,000 was wire
19 transferred to Southern Company on April 21, 2005 for the System
20 Impact Study to be performed. Southern Company has
21 acknowledged receipt of PEF's payment."

22 White Springs also requested a copy of any and all documents related to
23 PEF's response to Interrogatory No. 8, and PEF produced a series of e-mails
24 and agreements concerning the transmission service requested by PEF in
25 response to POD No. 13. I have attached this as Exhibit No. MEB-4 ().

26 **Q WHAT IS PEF'S APPARENT BELIEF CONCERNING WHETHER ITS**
27 **TRANSMISSION SERVICE REQUEST WILL BE GRANTED?**

28 **A** PEF appears confident that the request it has submitted for redirecting its point of
29 receipt for transmission service from Plant Miller to Plant Franklin will be granted.
30 For example, in response to White Springs's Interrogatory No. 9, PEF stated that
31 it is not aware of any transmission constraints that could impede the
32 implementation of the contract. Mr. Waters also testified at Page 14 of his Direct

1 Testimony that he had no "reason to believe that PEF will not be able to obtain
2 sufficient transmission service to deliver the proposed purchases from Scherer
3 and Franklin." He based his conclusion on his observation that the magnitude of
4 the purchases is basically the same as is currently being purchased, and that,
5 although a different point of receipt was involved for the Franklin purchase, he
6 said that he had no reason to believe that delivery from the new source will be a
7 problem.

8 **Q WHAT ABOUT TRANSMISSION CAPACITY AT THE FLORIDA-GEORGIA**
9 **BORDER?**

10 **A** White Springs also asked in discovery about PEF's transmission rights at the
11 Florida-Georgia interface. In response to Interrogatory No. 7, PEF explained:

12 "With respect to the transmission capacity at the Georgia-Florida
13 Interface, please (a) identify each owner of such capacity; and (b)
14 identify and describe Progress's rights to such capacity, including
15 but not limited to the amount of such capacity (in MW), the quality
16 (firmness) of such rights, the duration of such rights, and any
17 rollover rights concerning such rights.

18 A. a) Based upon the 1990 "Florida-Southern Interface Allocation
19 Agreement", the owners of the Florida - Southern interface are
20 Florida Power and Light Company (FPL), Florida Power
21 Corporation (CORP), Jacksonville Electric Authority (JEA) and the
22 City of Tallahassee (TAL). For purposes of allocation, the Joint
23 Ownership Party (JOP) means Florida Power and Light Company
24 (FPL) and Jacksonville Electric Authority (JEA) collectively.

25 b) **Subject to check, PEF believes the following information**
26 **highlighted in yellow is CONFIDENTIAL PROPRIETARY**
27 **INFORMATION and therefore subject to the Confidentiality**
28 **agreement between PEF and White Springs.** The Firm
29 allocated Import capability, based on current conditions, is as
30 follows:

31
32
33



1 [REDACTED] Southern to Florida
2 The allocation agreement was effective June 1, 1990 and
3 automatically renews each year. As this agreement predates
4 FERC Order 888 and subsequent orders, rollover rights for
5 purchases existing at the time of the order are grandfathered in."

6 Mr. Waters also testified at Page 14 of his Direct Testimony that the
7 interface allocation that currently accommodates the UPS purchases from
8 Southern is sufficient to accommodate the proposed purchases.

9 **Q DO YOU SHARE MR. WATERS'S OPTIMISM ABOUT THE AVAILABILITY OF**
10 **TRANSMISSION?**

11 **A** Notwithstanding PEF's confidence, it seems speculative at this point to try to
12 determine whether the proposed transmission arrangements are sufficient from a
13 reliability and economics standpoint. Southern has not yet completed its System
14 Impact Study of the rollover and redirected transmission requests.

15 **Q HAS PEF EXERCISED ITS ROLLOVER RIGHTS WITH RESPECT TO THE**
16 **TRANSMISSION SERVICE TO IMPLEMENT THE UPS AGREEMENTS?**

17 **A** It appears so. PEF's response to White Springs's Interrogatory No. 8 indicate
18 that PEF submitted its transmission service requests in connection with the UPS
19 Agreements using PEF's rollover rights under the current UPS agreement. Mr.
20 Waters's testimony also states at Page 13 that the transmission requests were
21 submitted as rollover requests.

1 Q PLEASE EXPLAIN FERC'S ELECTRIC TRANSMISSION ROLLOVER RIGHTS
2 POLICIES.

3 A Section 2.2 of FERC's *pro forma* open access transmission tariff provides that
4 existing long-term firm transmission service customers (including bundled
5 wholesale requirements customers) have the right to continue to take
6 transmission service from the transmission provider when the contract expires,
7 rolls over, or is renewed. This transmission reservation priority is independent of
8 whether the customer continues to purchase capacity and energy from the
9 transmission provider or selects a different supplier, and it is an ongoing right that
10 may be exercised at the end of all firm contract terms of one year or longer,
11 unless the renewal period expires for a given customer to exercise its rollover
12 right. Section 2.2 of Southern's OATT is no different than the section 2.2 of the
13 *pro forma* open access transmission tariff. I have included a copy of section 2.2
14 of Southern's OATT in Exhibit No. MEB-5 ().

15 Q WHAT IS THE PURPOSE OF THIS ROLLOVER RIGHTS POLICY?

16 A FERC concluded in its open access rule (Order No. 888) that once a
17 transmission provider evaluates the impacts on its system of providing
18 transmission service to a customer and decides to grant a request for service,
19 the rollover rights policy obligates the transmission provider to plan and operate
20 its system with the expectation that it will continue to provide service to that
21 customer, should the customer request rollover of its contract term within 60 days
22 of the initial term's expiration. That policy applies to existing customers under

1 long-term bundled wholesale contracts. If the transmission system becomes
2 constrained such that the transmission provider cannot satisfy existing
3 customers, then the obligation is on the transmission provider to either curtail
4 service pursuant to the provisions of its OATT or to build more capacity to relieve
5 the constraint.

6 **Q WHAT IS THE DEADLINE FOR SUBMITTING A REQUEST FOR**
7 **TRANSMISSION SERVICE USING ROLLOVER RIGHTS?**

8 A Under FERC's current policies, a transmission customer seeking to exercise its
9 rollover rights under section 2.2 of the OATT must submit its request by no later
10 than 60 days before the customer's existing transmission service agreement
11 expires. The transmission customer does not need to submit its request before
12 that time, even if other customers or eligible customers have submitted requests
13 for transmission service that would conflict with the rollover customer's
14 transmission rights. Indeed, PEF seems to recognize this point. In response to
15 White Springs's Interrogatory No. 10, PEF states:

16 "Please identify the person(s) in the Southern Company
17 transmission queue with a priority higher than that of Progress with
18 respect to Progress's request for transmission capacity intended to
19 be used to implement the UPS Agreements.

20 A. Since the transmission associated with the UPS Agreements is
21 subject to rollover rights associated with the existing agreements,
22 there are no entities with a priority higher than Progress."

23 **Q WHAT DOES THAT MEAN FOR PEF'S ROLLOVER RIGHTS?**

24 A PEF's rollover rights under Southern's OATT's for transmission service under the
25 existing UPS agreement do not expire until 60 days before the current UPS

1 agreement expires on May 31, 2010. So, PEF has until April 2, 2010 to exercise
2 its rollover rights.

3 Accordingly, I do not believe there is any merit to PEF's claim in its April
4 15, 2005 Answer to White Spring's Petition for Hearing that "To maintain the
5 rollover rights, PEF must submit a System Impact Study Agreement for the
6 redirection request in the immediate future, at which point Southern can act on
7 the request at any time." (Answer at 3.)

8 There are at least three reasons for this belief. First, it is important for the
9 Commission to understand that PEF will not lose its rollover rights until April 2,
10 2010 – the date that is 60 days before the expiration of the current UPS
11 agreement. That is what Southern's OATT and FERC's rollover rights policy
12 provides. Stated differently, PEF's rollover rights are independent of the UPS
13 Agreements. Nothing in the current UPS agreement, the Southern OATT or
14 FERC's rollover rights policy jeopardizes PEF's rollover rights if it fails to act at
15 this time.

16 Second, documents and information provided to White Springs in
17 discovery indicate that PEF already has submitted its SIS deposit and signed the
18 SIS Agreement. (See POD No. 13 in Exhibit No. MEB-4 (); and PEF's
19 response to Interrogatory No. 8.) That means that PEF has already put the
20 wheels in motion for its transmission request – it will be acted on whether or not
21 this Commission approves the UPS Agreements. There is therefore no need to
22 rush to judgment here.

23 Third, PEF's real concern seems to be its position in the Southern
24 transmission request queue with respect to its redirect request. That redirect

1 request would change the point of receipt for transmission service in connection
2 with the Franklin UPS Agreement from Plant Miller to Plant Franklin. Apparently,
3 Southern and PEF are treating the transmission arrangements under the existing
4 UPS agreements as point-to-point transmission service in which Plant Miller and
5 Plant Scherer are the points of receipt (and the Florida-Georgia interface as the
6 point of delivery). Under the rollover rights policy, Plant Miller and Plant Scherer
7 are guaranteed as points of receipt. Under section 22.2 of the Southern OATT,
8 redirecting Plant Miller to Plant Franklin on a firm basis would require a new
9 study, and would be subject to any requests with a higher priority (a copy of
10 section 22.2 of Southern's OATT is included in my Exhibit No. MEB-5 ()).
11 However, moving quickly to "lock in" Plant Franklin as a point of receipt begs the
12 question of whether Plant Franklin is the best source.

13 **Q DO THE UPS AGREEMENTS HAVE ANY EFFECT ON THE CAPACITY AT**
14 **THE FLORIDA-GEORGIA INTERFACE?**

15 **A** No. The allocation of the transmission capacity at the Florida-Georgia interface
16 is governed by separate agreements among the owners of the interface capacity.
17 That allocation should not be affected by the power supply arrangements of the
18 parties who are allocated and use the capacity. In addition, Mr. Waters states at
19 Page 14 of his direct testimony that the interface allocation that currently
20 accommodates the UPS purchases from Southern is sufficient to accommodate
21 the proposed purchases. But, nowhere does he state that the interface allocation
22 may be used *only* for the delivery of the power under a UPS agreement with
23 Southern.

1 Q WHAT DOES MR. WATERS CONCLUDE REGARDING THE TIMING OF THE
2 COMMISSION'S DECISION IN THIS PROCEEDING AS IT RELATES TO
3 TRANSMISSION?

4 A Mr. Water claims at Page 15 of his direct testimony that there is a chance that
5 PEF could be committed to transmission without approval of the corresponding
6 purchases. His conclusion is based on his observation that transmission service
7 could be offered at any time after PEF submits the SIS deposit. He goes on to
8 note that the date by which PEF must obtain Commission approval of the UPS
9 Agreements is tied to the notices related to transmission service. According to
10 Mr. Waters, a delayed decision by the Commission may put the agreements at
11 "risk."

12 Q WHAT DO YOU MAKE OF THESE CONCLUSIONS?

13 A Mr. Waters has put the cart before the horse. In effect, Mr. Waters is arguing
14 that the Commission should approve the UPS Agreements because PEF will
15 have obtained transmission service to implement the contracts' terms.

16 Moreover, the jam that PEF apparently finds itself in is entirely of its own
17 making. If the Commission approved PEF's approach here, it would mean that
18 regulated utilities could agree upon compressed schedules for approval in their
19 agreements, and then use those schedules to rush the Commission into
20 approval. This is especially problematic in light of the overstated economic
21 benefits of the UPS Agreements.

1 Q WHAT ABOUT PEF'S CLAIM THAT IT WOULD BE REQUIRED TO TAKE THE
2 TRANSMISSION CAPACITY IMMEDIATELY IF SOUTHERN'S SYSTEM
3 IMPACT STUDY SHOWS THE REQUEST TO REDIRECT MILLER TO
4 FRANKLIN CAN BE ACCOMMODATED?

5 A PEF made the decision to enter into the UPS Agreements and to agree to the
6 clauses requiring it to obtain transmission without first having obtained
7 Commission approval. PEF made the decision to agree to and submit a
8 conditional firm transmission service request in which it would be deemed to
9 have accepted the transmission upon completion of the SIS. It is difficult to see
10 why PEF's decisions in these matters should force the Commission to approve
11 the UPS Agreements.

12 More important, the [REDACTED]
13 [REDACTED]
14 [REDACTED]
15 [REDACTED]
16 [REDACTED]
17 [REDACTED]
18 [REDACTED]
19 [REDACTED]
20 [REDACTED]
21 [REDACTED]
22 [REDACTED]
23 [REDACTED]

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

[REDACTED]

There is absolutely nothing automatic about PEF acquiring the redirected transmission, even if it is available. Moreover, there is nothing in the signed SIS agreement (also included at Pages 43 and 44 in Exhibit No. MEB-4 (), and also marked as confidential)

[REDACTED]

Under the OATT, a transmission customer (PEF) can decide whether to proceed with its transmission service request after the transmission provider (Southern) issues its SIS report. (Section 19.3 of Southern's OATT, which is included in my Exhibit No. MEB-5 ().) Finally,

[REDACTED]

" Quite simply, PEF is not locked into any redirected transmission arrangements at this time. Indeed, if PEF should find itself in the position of having committed to transmission without Commission approval of the UPS agreements it will be as a result of its own actions and the Commission should find that PEF's shareholders, not its customers, are responsible for all transmission related costs.

Q ARE THERE ANY FACTORS THAT WOULD MITIGATE SUCH AN OUTCOME HERE?

A Yes. PEF completely ignores its ability to remarket the transmission capacity if it is unable to use it. Section 23.1 of the Southern OATT permits a transmission

1 customer to release its firm reserved capacity on a short-term basis, subject to
2 recall. (A copy of section 23.1 of Southern's OATT is included in my Exhibit No.
3 MEB-5 ().) If PEF finds itself locked into a transmission contract that it is
4 unable to use, it can mitigate its damages by reassigning its capacity, either
5 permanently or until it is able to make use of it.

6 In addition, PEF could request deferral of the commencement of service
7 under its transmission service agreement. Section 17.7 of Southern's OATT
8 permits up to five one-year deferrals of the service commencement date, upon
9 payment of one month's transmission service charges. (A copy of section 17.7 of
10 Southern's OATT is included in my Exhibit No. MEB-5 ().) If PEF is unable to
11 use the transmission capacity that it reserves as a result of its pending request,
12 then it can exercise its rights to defer commencement of service by paying one
13 month's transmission charges. That procedure, which could not be used until the
14 June 1, 2010 service commencement date, may be helpful at that time if the
15 capacity is not needed by PEF and there is not a market for reassignment.

16 Neither Mr. Waters nor PEF makes any mention of these procedures that
17 would allow PEF to mitigate its exposure to costs resulting from its acquisition of
18 transmission pending the Commission's review of the UPS Agreements.

19 Finally, even if the SIS report shows that the redirect transmission request
20 can be accommodated, nothing in the Southern OATT would prevent PEF from
21 asking for an extension from Southern to determine whether to act on its request.

22 **Q GIVEN THE STATUS OF THE TRANSMISSION REQUEST, CAN IT BE SAID**
23 **THAT THE ECONOMICS PRESENTED BY PEF WILL NOT CHANGE?**

1 A No. It is entirely possible that Southern will require certain system modifications
2 to be made before it will agree to approve the transmission necessary to
3 accomplish the proposed UPS transactions. Depending upon the amount of any
4 capital contribution that might be required from PEF, the economics of the
5 proposed UPS transactions could become even more negative. Without knowing
6 what the transmission will cost, it is not possible to know whether or not it is
7 feasible or even marginally economic to enter into the proposed UPS
8 agreements.

9 Q **SHOULD THE COMMISSION REQUIRE THE SIS RESULTS BEFORE**
10 **CONSIDERING THE UPS AGREEMENTS?**

11 A Yes. The results of the SIS study should be known in approximately 60 days
12 from the submission date. At that point the Commission will know whether
13 transmission will be available and whether PEF's customers would be saddled
14 with substantial system improvement costs.

15 **OTHER BENEFITS CLAIMED BY PEF**

16 Q **BEGINNING AT PAGE 10 OF HIS DIRECT TESTIMONY, AND CONTINUING**
17 **TO PAGE 12, PEF WITNESS WATERS DISCUSSES WHAT HE REFERS TO**
18 **AS SEVERAL "OTHER" BENEFITS OF THE PROPOSED UPS AGREE-**
19 **MENTS. DO YOU HAVE ANY COMMENTS ON THESE CLAIMED NON-**
20 **ECONOMIC RELATED BENEFITS?**

21 A Yes, I do. The first factor he mentions is that the proposed UPS agreements
22 would contribute to fuel diversity. By this he means that PEF would have the

1 rights to 74 megawatts of Southern coal-based generation, which is more than it
2 says it would have when the existing UPS agreement expires. Actually, for this to
3 be true, the assumption must be made that there are no other sources of coal-
4 fired power during this period of time, and/or that absent the UPS agreements
5 PEF would not be able to construct or otherwise acquire a coal-based facility prior
6 to 2015. PEF has not established this to be the case, and in fact has indicated
7 that development of a new coal-fired generating facility might be possible by
8 2013. (See response to Interrogatory No. 15.)

9 The second factor mentioned by Mr. Waters is contribution to the
10 availability of economy energy. He bases this on the asserted superior access to
11 transmission facilities provided the UPS agreements are executed. As discussed
12 elsewhere, PEF's opportunities are not so limited. Interestingly, he specifically
13 references the ability to acquire energy during hours when the combined-cycle
14 units available under the UPS agreement are not scheduled. This is effectively
15 an admission that during these hours the output of the combined-cycle unit will be
16 out of market and not economic.

17 The third factor he mentions is increased reliability. The argument he
18 makes here is that PEF will maintain the transmission path to Southern for
19 supplies when Scherer or Franklin are unavailable, and he also points out that
20 the Franklin unit will be served from a gas supply system separate from those
21 that serve other PEF units. There is more to this issue than he discusses. With
22 respect first to the transmission path to the Southern system, PEF will continue to
23 have import rights at the Florida-Georgia border, irrespective of any UPS
24 agreements. Thus, imports to maintain reliability would not be diminished in the

1 absence of the UPS agreements, and in fact to the extent that capacity were built
2 in Florida, rather than acquired from Georgia, there would be a greater amount of
3 import capability for reliability purposes.

4 The next factor he mentions is cost certainty, stating that purchases from
5 existing units provide greater assurance of cost and performance than might be
6 obtained from units that would need to be constructed. This may or may not be
7 the case, depending upon what would be acquired or constructed, and the nature
8 of the contractual arrangements. Furthermore, if there are credible non-gas fired
9 resources, the UPS Agreements actually increase price risk.

10 He then mentions the right of first refusal if additional coal capacity on the
11 Southern system should be offered to the wholesale market. There is no analysis
12 of the probability of this being the case, and thus it is not possible to evaluate the
13 benefits associated with this right.

14 The last factor mentioned is planning flexibility. Mr. Waters indicates that
15 the agreements provide for extension of the combined cycle contract for two
16 years at PEF's option. While there may be some benefit here, there is no
17 analysis or demonstration that similar benefits would not be available absent the
18 UPS agreements.

19 **Q WHAT SHOULD BE DONE?**

20 **A** The Commission should decline to approve the UPS agreements until FERC has
21 completed its investigation of the credible allegations concerning the Southern
22 Companies. At a minimum, the Commission should protect Progress' customers

1 by declining to approve the agreements for cost recovery until FERC completes
2 its investigation.

3 **OTHER ISSUES CONCERNING UPS AGREEMENTS**

4 **Q ARE THERE ADDITIONAL REASONS TO BE CONCERNED ABOUT THE**
5 **REASONABLENESS OF THE TWO UPS AGREEMENTS?**

6 **A** Yes. Given that PEF is asking for approval of these contracts five years before
7 the end of the current contract term, the Commission should be concerned by the
8 considerable uncertainty that exists concerning potential federal regulatory
9 impacts on the Southern Companies' wholesale activities. Specifically, FERC
10 recently initiated multiple investigations of the Southern Companies that could
11 significantly affect whether additional competitive alternatives to the UPS
12 agreements may be available during the 2010-2015 term of the contracts.

13 **Q PLEASE DESCRIBE THE SOUTHERN COMPANY ENTITIES INVOLVED IN**
14 **THE PROPOSED UPS AGREEMENTS.**

15 **A** As noted earlier, several Southern Company entities are involved in the UPS
16 agreements. Southern Power Company ("Southern Power") owns the Plant
17 Franklin gas-fired combined cycle facility, and is the Seller with respect to the
18 Unit Power Sales Agreement for 350 MW from that facility. Georgia Power
19 Company and Gulf Power Company own the Plant Scherer Unit No. 3, and are
20 the Sellers with respect to the Unit Power Sales Agreement for 74 MW from that
21 facility. In each case Southern Company Services ("SCS") acts as agent for the
22 Seller. SCS is also the Southern Company entity responsible for administering

1 transmission services on the Southern Company system, and as such will act on
2 the PEF transmission requests that are a condition precedent to the UPS
3 agreements. Each of these Southern entities is subject to the ongoing FERC
4 investigations.

5 **Q PLEASE BRIEFLY DESCRIBE THE FERC INVESTIGATIONS OF THE**
6 **SOUTHERN COMPANIES.**

7 A There are three ongoing FERC investigations concerning the exercise of market
8 power by the Southern Companies. First, on December 17, 2004 FERC
9 instituted an investigation under section 206 of the Federal Power Act concerning
10 the justness and reasonableness of the Southern Companies'¹ market-based
11 rates, based on the Southern Companies failure of FERC's generation market
12 power screen.² That investigation involves Southern's generation market power
13 within its control area. Second, on May 5, 2005 FERC initiated a separate
14 Section 206 investigation to determine whether the Southern Companies failed
15 the remaining three prongs of FERC's market based rate analysis: transmission
16 market power, barriers to entry, and affiliate abuse or reciprocal dealing
17 ("Rehearing Order").³ Third, in a concurrent order, FERC also initiated an
18 investigation concerning allegations concerning the Southern Companies

¹ The Southern Companies include Southern Company Services, Alabama Power Company, Georgia Power Company, Gulf Power Company, Mississippi Power Company, Savannah Electric and Power Company and Southern Power Company.

² *Southern Companies Energy Marketing Inc. and Southern Companies Services, Inc.*, 109 FERC 61,275 (2004).

³ Order on Rehearing, *Southern Companies Energy Marketing Inc. and Southern Companies Services, Inc.*, 111 FERC 61,144 (2005).

1 Intercompany Interchange Contract ("IIC") ("IIC Order").⁴ The IIC is an
2 agreement among the six Southern operating companies, including Southern
3 Power, that establishes a closed power pool (the "Southern Pool").

4 **Q PLEASE EXPLAIN WHAT CONCERNS FERC HAS EXPRESSED ABOUT THE**
5 **SOUTHERN COMPANIES' ACTIONS.**

6 A FERC has determined that there are credible concerns that the Southern
7 Companies, including the Southern entities involved in the UPS agreements,
8 have exercised market power to the detriment of wholesale competition and
9 wholesale customers in the Southeast. For example, in the IIC Order at
10 Paragraph 35 FERC observed that:

11 "The participants have raised credible allegations . . . that the
12 relationship between Southern Power and other Southern
13 Companies, including Southern Services and the inclusion of
14 Southern Power in the IIC and Southern pool, as well as the
15 conduct of several of the Southern Companies may have resulted
16 in unduly preferential or unduly discriminatory conduct in violation
17 of the FPA and/or in violations of Part 37 of the Commission's
18 regulations, to the detriment of wholesale competition and
19 customers in the southeast. It is appropriate to allow the
20 participants to continue to investigate these allegations in a
21 hearing. We are also concerned that the IIC (including how
22 ratepayers are impacted by the sharing of costs and revenues
23 under the IIC and whether native load wholesale customers are
24 receiving a proper share of revenue credits from off-system sales)
25 may not be just and reasonable, may allow Southern Power to
26 enjoy an undue preference by virtue of its pool membership that
27 adversely impacts wholesale competition and wholesale
28 customers, and may lack sufficient clarity and transparency to
29 ensure its justness and reasonableness. These issues should be
30 addressed in the hearing."

⁴ Order Establishing Hearing Procedures, *Southern Company Services, et al.*, 111 FERC 61,146 (2005).

1 Q WHAT IMPACT MIGHT FERC'S INVESTIGATIONS HAVE ON THE UPS
2 AGREEMENTS?

3 A While I am not testifying as a legal expert, a plain reading of the orders reveals
4 that the FERC investigations may have several significant impacts on the UPS
5 agreements. First, FERC could decide that the Southern Companies do not
6 meet FERC's test for market-based rates and presumably could revoke
7 Southern's market-based rate authority.

8 Second, should FERC decide to open the closed Southern Pool to other
9 competitors, Progress could have access to additional competitive options during
10 the time frame of the UPS agreements. By approving the UPS agreements now,
11 notwithstanding that the term of the agreements is 2010-2015, the Commission
12 could foreclose the possibility of Progress' customers benefiting from such
13 competitive options.

14 Third, the Commission should be hesitant to approve, far in advance,
15 transactions that may be tainted by Southern Companies' market power. As
16 FERC has recognized, there are credible allegations that the Southern
17 Companies have used their market power to harm wholesale competition, and
18 wholesale customers, in the Southeastern United States. Such a result would
19 harm both Progress and its customers. For example, if Southern has used its
20 market power to deprive PEF of competitive alternatives, PEF's customers would
21 bear the burden of higher prices.

1 **RECOMMENDATION**

2 Q WHAT IS YOUR RECOMMENDATION?

3 A For the reasons indicated above, I recommend that the Commission deny PEF
4 the authority to enter into the proposed UPS contracts until and unless it provides
5 a more thorough analysis of options available to it, including accelerated pursuit
6 of solid fuel resources.

7 Q DOES THIS CONCLUDE YOUR DIRECT TESTIMONY?

8 A Yes, it does.

Qualifications of Maurice Brubaker

1 Q PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.

2 A Maurice Brubaker. My business address is 1215 Fern Ridge Parkway, Suite
3 208, St. Louis, Missouri 63141.

4 Q PLEASE STATE YOUR OCCUPATION.

5 A I am a consultant in the field of public utility regulation and President of the firm of
6 Brubaker & Associates, Inc., energy, economic and regulatory consultants.

7 Q PLEASE SUMMARIZE YOUR EDUCATIONAL BACKGROUND AND EXPERI-
8 ENCE.

9 A I was graduated from the University of Missouri in 1965, with a Bachelor's Degree
10 in Electrical Engineering. Subsequent to graduation I was employed by the
11 Utilities Section of the Engineering and Technology Division of Esso Research
12 and Engineering Corporation of Morristown, New Jersey, a subsidiary of
13 Standard Oil of New Jersey.

14 In the Fall of 1965, I enrolled in the Graduate School of Business at
15 Washington University in St. Louis, Missouri. I was graduated in June of 1967
16 with the Degree of Master of Business Administration. My major field was
17 finance.

18 From March of 1966 until March of 1970, I was employed by Emerson
19 Electric Company in St. Louis. During this time I pursued the Degree of Master
20 of Science in Engineering at Washington University, which I received in June,
21 1970.

1 In March of 1970, I joined the firm of Drazen Associates, Inc., of St. Louis,
2 Missouri. Since that time I have been engaged in the preparation of numerous
3 studies relating to electric, gas, and water utilities. These studies have included
4 analyses of the cost to serve various types of customers, the design of rates for
5 utility services, cost forecasts, cogeneration rates and determinations of rate
6 base and operating income. I have also addressed utility resource planning
7 principles and plans, reviewed capacity additions to determine whether or not
8 they were used and useful, addressed demand-side management issues
9 independently and as part of least cost planning, and have reviewed utility
10 determinations of the need for capacity additions and/or purchased power to
11 determine the consistency of such plans with least cost planning principles. I
12 have also testified about the prudence of the actions undertaken by utilities to
13 meet the needs of their customers in the wholesale power markets and have
14 recommended disallowances of costs where such actions were deemed
15 imprudent.

16 I have testified before the Federal Energy Regulatory Commission
17 (FERC), various courts and legislatures, and the state regulatory commissions of
18 Alabama, Arizona, Arkansas, California, Colorado, Connecticut, Delaware,
19 Florida, Georgia, Guam, Hawaii, Illinois, Indiana, Iowa, Kentucky, Louisiana,
20 Michigan, Missouri, Nevada, New Jersey, New Mexico, New York, North
21 Carolina, Ohio, Pennsylvania, Rhode Island, South Carolina, South Dakota,
22 Texas, Utah, Virginia, West Virginia, Wisconsin and Wyoming.

23 The firm of Drazen-Brubaker & Associates, Inc. was incorporated in 1972
24 and assumed the utility rate and economic consulting activities of Drazen Asso-
25 ciates, Inc., founded in 1937. In April, 1995 the firm of Brubaker & Associates,

Appendix A
Maurice Brubaker
Page 3

1 Inc. was formed. It includes most of the former DBA principals and staff. Our
2 staff includes consultants with backgrounds in accounting, engineering,
3 economics, mathematics, computer science and business.

4 During the past ten years, Brubaker & Associates, Inc. and its
5 predecessor firm has participated in over 700 major utility rate and other cases
6 and statewide generic investigations before utility regulatory commissions in 40
7 states, involving electric, gas, water, and steam rates and other issues. Cases in
8 which the firm has been involved have included more than 80 of the 100 largest
9 electric utilities and over 30 gas distribution companies and pipelines.

10 An increasing portion of the firm's activities is concentrated in the areas of
11 competitive procurement. While the firm has always assisted its clients in
12 negotiating contracts for utility services in the regulated environment, increasingly
13 there are opportunities for certain customers to acquire power on a competitive
14 basis from a supplier other than its traditional electric utility. The firm assists
15 clients in identifying and evaluating purchased power options, conducts RFPs
16 and negotiates with suppliers for the acquisition and delivery of supplies. We
17 have prepared option studies and/or conducted RFPs for competitive acquisition
18 of power supply for industrial and other end-use customers throughout the United
19 States and in Canada, involving total needs in excess of 3,000 megawatts. The
20 firm is also an associate member of the Electric Reliability Council of Texas and
21 a licensed electricity aggregator in the State of Texas.

22 In addition to our main office in St. Louis, the firm has branch offices in
23 Phoenix, Arizona; Chicago, Illinois; Corpus Christi, Texas; and Plano, Texas.

MEB:cs/84004228

1 CHAIRMAN BAEZ: Mr. Brubaker, do you have comments,
2 sir?

3 THE WITNESS: Yes, sir, I would like to make some
4 brief comments?

5 CHAIRMAN BAEZ: Go ahead and summarize your
6 testimony.

7 THE WITNESS: Thank you.

8 Mr. Chairman, members of the Commission, I have filed
9 testimony in this proceeding in which I recommend that the
10 Commission not approve PEF's entry into the proposed UPS
11 agreements, but rather find that PEF should be required to more
12 fully analyze alternatives available to it prior to making a
13 decision on the contract or choosing some other course of
14 action.

15 Now, let me just touch on some of the more important
16 reasons why I come to that recommendation. First of all, a
17 critical aspect of the analysis that is done is the selection
18 of the base plan. And the base plan is the portfolio of
19 resources that the utility would undertake to execute if it
20 didn't do the UPS agreements. It takes that base plan and then
21 it compares the UPS agreement to that and moves resources in
22 the portfolio to adjust for the fact that it would have
23 capacity from these UPS agreements over some interval of time,
24 maintaining roughly the same reserve margin with those two
25 different portfolios. And I think, in general, conceptually

1 that is a proper approach.

2 What I have trouble with is it is not clear to me
3 that what has been characterized or developed as the base plan
4 is, in fact, the best choice, and what PEF should be doing in
5 the absence of the UPS agreements or some other set of
6 resources. And some of the reasons for that, I cannot tell
7 from the information provided, for example, what constraints
8 may have been placed on the availability of solid fuel
9 technologies in a timing sense, or the size of units that could
10 be considered, or the effect of higher gas prices on the
11 resources that belong in the base plan in the first instance.

12 This is particularly problematic in light of the much
13 higher gas prices that PEF has forecasted subsequent to March
14 of '04 when it formulated the base plan, including higher gas
15 prices forecasted in the fall of 2004 prior to the time that it
16 decided to enter into the UPS agreements with Southern.

17 Now, if the base plan that is selected is not really
18 the best plan that the utility should be trying to execute,
19 then all the analysis that has been done shows is how the UPS
20 agreement or a plan with the UPS agreement and some adjustments
21 compares to a base plan which may not be the right base plan.

22 The second major issue I have is that in deciding to
23 go with the UPS agreements, the utility did not conduct an RFP
24 to determine what other kinds of assets might have been
25 available to it in either the 2010/2015 time frame or some part

1 f that time frame. That means that they may have overlooked
2 ther opportunities that they may not even know about and would
3 ot know about because they didn't address the market in an
4 rganized and comprehensive fashion to test what actually is
5 vailable.

6 Third, based on my review, there was no consideration
7 iven to accelerating the coal units, or considering
8 ccelerating the coal units to an earlier date than 2015. I
9 elieve there was an indication this morning that from an
10 conomic standpoint on a life-cycle basis, coal in 2013, I
11 elieve, had a lower cost to the consumers than what the base
12 lan was. I find that problematic that more attention wasn't
13 iven to those options, especially in light of the Burns and
14 cDonnell study in early 2004 and, again, the escalating gas
15 rices.

16 The transmission issue, I think, is important, too.
17 ecause at this point we don't know what the availability of
18 ransmission will be to implement these agreements, nor do we
19 now that if there is transmission available what the upgrade
20 osts would be that would have to be incurred in order to
21 actually secure the transmission contract path from Southern to
22 eliver power from the Franklin gas-fired unit to the
23 Florida/Georgia interface. It simply is not known and could
24 ncrease the potential costs that PEF would be asking the
25 Florida consumers to bear in a scenario where already, by its

1 own calculations, the economics of the transaction are somewhat
2 negative over the time period considered.

3 I was also troubled that in my review we did find a
4 significant overstatement of claimed savings on the front end
5 of this deal in the first five years. That leads me to wonder
6 if there might be other aspects of the studies that could
7 benefit from further scrutiny and vetting in a more suitable
8 time frame than what was available to me, at least, in this
9 proceeding.

10 In any event, the front-end savings in the first five
11 years at 37, or 44, or whatever the number is, are not near as
12 compelling to me as the initial number. And if you look two or
13 three years out beyond 2015 to, I think, 2017 or 2018, those
14 cumulative net present value benefits actually disappear, and
15 it becomes effectively a wash at zero. So there might be some
16 short-term benefits there available, but they don't last very
17 long. And given the gas prices, what they have done, what the
18 company's new forecast is compared to what they assumed in the
19 base plan, it is not even clear to me that those numbers would
20 be there.

21 I also need to indicate that the exhibit I presented,
22 which recalculated the deferral savings, only addressed the
23 capital costs associated with the deferred units. We did not
24 have the time or ability to look into the production cost
25 models and determine if we had any issues with respect to those

1 matters. And the production cost models, as I recall, the
2 dollar amounts at issue there are many, many, many times in
3 magnitude what the deferral cost numbers are. So I find that
4 difficult for me to buy into the conclusions of the study.

5 For those reasons, my recommendation is to reject
6 giving permission to PEF to enter into these agreements and,
7 instead, suggest that they could benefit from more analysis of
8 alternatives.

9 Thank you.

10 CHAIRMAN BAEZ: Thank you, sir.

11 Mr. Perko, you can cross.

12 MR. PERKO: Thank you, Mr. Chairman.

13 CROSS EXAMINATION

14 BY MR. PERKO:

15 Q Good afternoon, Mr. Brubaker.

16 A Good afternoon, Mr. Perko.

17 Q Can you tell me when you were first retained to work
18 on this case?

19 A It was a time frame approximately when the Commission
20 issued its procedural order, which if memory serves was around
21 the 20th of April.

22 Q Thank you. Now, have you ever worked for an electric
23 utility?

24 A Not as an employee of an electric utility, I have
25 not.

1 Q You mentioned the company's base plan. Have you ever
2 developed a resource plan for an electric utility?

3 A Not on an engagement where I was working for an
4 electric utility. I have looked at a lot of utility base plans
5 and suggested alternative plans in the course of participating
6 in proceedings like this in long-term resource planning
7 dockets.

8 Q My question is have you ever developed a utility
9 resource plan?

10 A Not for a utility. Not from scratch, if that is
11 where you are going. My role typically is to take a look at
12 what utilities are proposing to do and see if I have any issues
13 with it.

14 Q Would you agree that development of an electric
15 utility resource plan involves the exercise of professional
16 judgment?

17 A I would.

18 Q Now, you talked a little bit about the production
19 cost models that Progress Energy used, and I assume you were
20 talking about the PROSYM and/or Strategist model?

21 A Correct.

22 Q Do you have any training with either the PROSYM or
23 Strategist models?

24 A Not to run them. I am very familiar with production
25 cost models and what they turn out and what the basic workings,

1 internal workings is of them.

2 Q But you have never run it?

3 A I have never run it. Never had a need to.

4 Q Now, you mentioned that you, I believe, in your
5 testimony performed an alternative analysis of the costs
6 associated with the agreements, is that correct?

7 A Yes. Just limited to the fixed costs associated with
8 the units that were potentially deferred.

9 Q And as I understand it, the results of those costs at
10 year 2015, at the end of the term of the agreement, showed \$37
11 million in savings, is that correct?

12 A Correct. Subject to the previous caveats that I
13 expressed.

14 Q And would you agree that the difference between 37
15 and \$44 million in savings is relatively immaterial?

16 A I would.

17 Q Your alternative analysis also showed that over a
18 long-term period of 45 years the agreements would result in the
19 net cost of approximately 11 million, is that correct?

20 A Correct. Again, subject to the caveats that that is
21 derived by just assuming that the company's production cost
22 analysis was correct and without having had an opportunity to
23 look at it and see if I agreed with it.

24 Q Now, you mentioned you had some questions about how
25 Progress Energy's analysis was performed, is that correct?

1 A Yes.

2 Q To your knowledge, did White Springs ever attempt to
3 depose Mr. Waters or anyone at Progress Energy?

4 A I don't believe -- well, I don't know. I don't think
5 so. I'm not aware if they did.

6 Q Wouldn't you think you would aware if they did?

7 A Probably.

8 Q Would you agree that price is not the only factor
9 that should be considered in connection with approval or
10 disapproval of power purchase agreements?

11 A I would. There are other factors that are important,
12 as well.

13 Q Would you agree that at least to the extent that it
14 includes 74 megawatts of coal capacity from Plant Scherer, that
15 the UPS agreements increase fuel diversity on Progress Energy's
16 system as compared to the self-build?

17 A If you compare the UPS agreements to what the company
18 represents as its base case, that would be true. Since I'm not
19 comfortable with the base case as having been fully -- been the
20 product of fully vetting all the options, I don't know whether
21 that would produce more coal-fired energy than some other
22 opportunity or some other option would.

23 MR. BUSHEE: Mr. Chairman, during this brief break,
24 might I ask my own witness to speak closer to the microphone so
25 we could hear him better.

1 THE WITNESS: I'm sorry. People don't usually have
2 trouble hearing me. Sometimes understanding me, but not
3 hearing me. So I will try to be conscious of that.

4 BY MR. PERKO:

5 Q Do you recall being deposed on May 18th of this year?

6 A I think that is the date, yes.

7 Q Do you recall me asking you the question would you
8 agree that when compared to the self-build alternative that the
9 new UPS agreements would increase fuel diversity on PEF's
10 system?

11 A I do.

12 Q And would you agree that at that time you stated,
13 "Only to the extent of the relative modest amount of coal for
14 the duration"?

15 A I gave that answer. I don't recall if I amplified it
16 or not.

17 Q Was it correct when you stated it?

18 A Yes. It is probably not as complete as I just gave.

19 MR. PERKO: Nothing further, Mr. Chairman.

20 CHAIRMAN BAEZ: Ms. Vining.

21 MS. VINING: Staff doesn't have any questions.

22 CHAIRMAN BAEZ: Commissioners, any questions of Mr.
23 Brubaker?

24 Mr. Bushee, you can redirect.

25 REDIRECT EXAMINATION

1 BY MR. BUSHEE:

2 Q Mr. Brubaker, just one question for you on redirect.
3 A couple of times in response to Mr. Perko's questions you
4 mentioned subject to the caveats that you have. **Would you** just
5 make sure that the record reflects what your caveats are?

6 A Yes. They were the fact that I had not had an
7 opportunity to go through the production cost model or its
8 results and determine whether or not I had any issues with
9 respect to that part of the analysis. **Plus, any other aspect**
10 other than just the pure deferral analysis on the capital costs
11 was not able to look at.

12 MR. BUSHEE: I have no further questions.

13 MR. PERKO: I know this is unusual. May I ask one
14 follow-up question?

15 CHAIRMAN BAEZ: Subject to redirect, go ahead.

16 RE CROSS EXAMINATION

17 BY MR. PERKO:

18 Q Mr. Brubaker, did you ever attempt to get access to
19 the Strategist or PROSYM models?

20 A No, sir, because by the time that I got anything that
21 even looked like the output results of the PROSYM, it was four
22 or five days after I had filed my direct testimony, and I just
23 knew there was no point from a time standpoint of even trying
24 to ask for that.

25 MR. PERKO: Nothing further.

1 CHAIRMAN BAEZ: Mr. Bushee, you have an opportunity
2 to redirect on the question, sir.

3 MR. BUSHEE: I have no further questions.

4 CHAIRMAN BAEZ: Very well. We will take exhibits.
5 and I am showing 9 through 14 inclusive.

6 MR. BUSHEE: That is what my records reflect, Your
7 Honor.

8 CHAIRMAN BAEZ: Very well. Without objection, we
9 will show Exhibits 9, 10, 11, 12, 13, and 14 admitted into the
10 record.

11 (Exhibits 9 through 14 admitted into the record.)

12 CHAIRMAN BAEZ: Mr. Brubaker, thank you. You are
13 excused.

14 And, Mr. Waters, you are back in the box.

15 SAMUEL S. WATERS

16 was called as a rebuttal witness on behalf of Progress Energy
17 Florida, and having been previously duly sworn, testified as
18 follows:

19 DIRECT EXAMINATION

20 BY MR. PERKO:

21 Q Good afternoon, Mr. Waters.

22 A Good afternoon.

23 Q Do you have your rebuttal testimony with you?

24 A Yes, I do.

25 Q Are there any changes or revisions that you need to

1 ake to that testimony?

2 A No.

3 MR. PERKO: At this time, Mr. Chairman, I would like
4 o move Mr. Waters' rebuttal testimony into the record.

5 CHAIRMAN BAEZ: Without objection, show the rebuttal
6 estimony of Samuel Waters moved into the record as though
7 ead. And also for the record show his attached rebuttal
8 xhibits marked as 15 and 16.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **PROGRESS ENERGY FLORIDA**

2 **DOCKET NO. 041393-EI**

3 **REBUTTAL TESTIMONY OF**

4 **SAMUEL S. WATERS**

5 **May 20, 2005**

6

7 **Q. Please state your name, employer, and business address.**

8 **A.** My name is Samuel S. Waters and I am employed by Progress Energy Carolinas
 9 (PEC). My business address is 410 S. Wilmington Street, Raleigh, North
 10 Carolina, 27601.

11

12 **Q. Have you previously filed testimony in this docket?**

13 **A.** Yes, I have.

14

15 **Q. What is the purpose of your rebuttal testimony?**

16 **A.** I wish to address several points raised by Mr. Maurice Brubaker on behalf of
 17 White Springs Agricultural Chemicals, Inc. d/b/a PCS Phosphate – White
 18 Springs (White Springs) regarding the proposed Unit Power Sales (UPS)
 19 Agreements between Progress Energy Florida (PEF) and Southern Company
 20 Services, Inc. Mr. Brubaker raises 13 points regarding the agreements and
 21 recommends that the Commission deny PEF the authority to enter into the
 22 proposed contracts. I will address each of the points in turn and discuss why
 23 Mr. Brubaker has not offered any credible reason why the contracts should not
 24 be approved.

1

2 **Q. Please summarize what you believe to be Mr. Brubaker's main objections**
3 **to approval of the contracts.**

4 **A.** Mr. Brubaker takes issue with the cost effectiveness analysis, particularly the
5 short-term calculations (Points 1, 2 and 4). He asserts that PEF should have
6 taken various actions to replace the UPS agreements when they expire, or
7 proceed now to add coal capacity, or just wait and do nothing (Points 3, 5, 7, 8
8 and 11). He states that fuel diversity will be reduced, but that "non-price"
9 factors are not sufficiently important to be given any significant weight in the
10 Commission's decision (points 6 and 10). He also offers an opinion that there
11 are many uncertainties regarding transmission service required to implement the
12 agreements (Point 9). His remaining points are not objections to the agreements
13 themselves, but recommendations for Commission action, including a
14 suggestion that the Commission consider a downward adjustment to PEF's
15 return on equity in the pending rate case (Point 12), and, should the contracts be
16 approved, that the Commission should make the UPS Agreements subject to a
17 prudency challenge when cost recovery is sought (Point 13).

18

19 I would summarize Mr. Brubaker's issues into the following categories:

- 20 - Cost effectiveness of the UPS Agreements
- 21 - Non-price or strategic considerations associated with the agreements
- 22 - Transmission requirements
- 23 - Alternatives to pursuing the agreements

24 and,

1 - Proposed Commission actions

2 I will address each of his issues within these categories, and I have categorized
3 in this order because I believe that this is the relative importance of the
4 arguments he has made against the contracts, from my perspective.

5

6 **Q. Please begin by addressing Mr. Brubaker's discussion of the cost-**
7 **effectiveness analysis.**

8 **A.** First, let me begin by acknowledging an error in the initial calculations
9 submitted in my direct testimony. The error does not affect the overall analysis
10 or conclusion it supported. The analysis illustrates the year-by-year economics
11 of the UPS Agreements. It was performed after the initial cost-effectiveness
12 analysis, which was based on a methodology that relied upon the use of
13 economic carrying charges, also known to this Commission as a value-of-
14 deferral analysis. This type of analysis calculates the costs and benefits
15 associated with deferring or advancing generating units over their full expected
16 life, but does not allow for the quantification of actual benefits or savings in any
17 specific year of the analysis. Put in simple terms, the economic carrying charge
18 or value of deferral analysis tells me that delaying a generating unit may save
19 \$20 million, net present value (NPV), over, say, 25 years, but it does not tell me
20 how much will be saved in year 1, year 2, year 3, etc. This method was the
21 basis for the quantification of the NPV \$5 million to \$11 million cost presented
22 in my direct testimony, and this analysis was and remains correct.

23

1 In an attempt to identify the net cost or savings to customers during the five-
2 year term of the proposed UPS Agreements, a simple revenue requirements
3 analysis was performed. This analysis included an error which was revised in
4 my supplemental testimony. The revised analysis shows an NPV savings of
5 approximately \$44 million during the contract term, 2010-2015. Mr. Brubaker
6 has repeated the analysis and shown the results in his Exhibits MEB-1 () and
7 MEB-2 ().

8
9 **Q. What do you make of Mr. Brubaker's analysis?**

10 **A.** Mr. Brubaker suggests that "The results are significantly different than what
11 PEF initially calculated" (Brubaker, page 5, line 12), apparently referring back
12 to the analysis I originally submitted. However, examining his Exhibit MEB-2 ()
13) against my revised Exhibit No. ____ (SSW-4), one would be hard pressed to
14 see any significant difference. In other words, Mr. Brubaker has apparently
15 obtained the same result, that there are savings to customers during the five year
16 term of the contracts.

17
18 **Q. But doesn't Mr. Brubaker contend that little or no weight be given to these
19 front-end savings?**

20 **A.** Yes. Mr. Brubaker would rely on later years' results, pointing to the period
21 beginning three years after the contract and the next 20 years (Brubaker, page 6,
22 lines 3-4).

23
24 **Q. Do you agree that these front-end savings should not be considered?**

1 **A.** No. Use of the “bottom line” number from the analysis alone would be
2 inappropriate. The benefits in the near-term are more certain because the
3 resource plan is more certain in those earlier years. If considered in isolation,
4 the costs in the longer term, which are based on assumed resource plan additions
5 to which PEF has not committed, may have an unduly large impact on the
6 decision on whether or not to pursue the alternative under consideration. While
7 we must make some assumptions about the resource plan to perform the
8 analysis, planning judgment is appropriate in reviewing the results. This is not
9 to say that the decision should be based solely on this near-term view, but it is
10 certainly worthy of consideration, not dismissal. This consideration is not
11 unique to this analysis. Timing of costs and benefits is a consideration in
12 resource planning decisions. It is relevant to consider how long it takes to
13 produce savings in the comparison of resource alternatives, just as it is relevant
14 to look at the year-by-year savings provided by the UPS agreements.

15

16 **Q.** **What other criticisms does Mr. Brubaker have regarding the cost**
17 **effectiveness analysis?**

18 **A.** Mr. Brubaker asserts that the base plan to which the UPS Agreements were
19 compared has not been shown to be the least cost plan that PEF would execute
20 in the absence of the Agreements. (Brubaker, page 6, lines 20-22). His belief is
21 apparently based, at least in part, on the fact that the base plan includes four coal
22 units that were not included in the PEF Ten Year Site Plan as of December 31,
23 2004. (Brubaker, page 7, lines 1-3) Of course, the obvious reason that the coal
24 units were not included in the PEF Ten year Site Plan is that the document is

1 just what it says, a 10 year plan which covers the period 2005-2014, and the coal
2 units are not included in the base plan used in this analysis until 2015.

3 However, PEF does determine optimal plans for a 20 year planning horizon, so
4 the base plan used here was optimized for the period 2004 through 2023. It was
5 determined in the same manner that PEF uses to determine its base plan for
6 inclusion in the Ten Year Site Plan. The base resource plan used to determine
7 the cost effectiveness and the alternative resource plan including the purchases
8 from Southern are shown in my Exhibit ___(SSW-5).

9
10 I do want to make an important distinction between my use of the term optimal
11 plan and Mr. Brubaker's use of the term "least cost" plan. The objective of the
12 planning process is not simply to identify the plan that represents "least cost"
13 over a given period. As has been presented many times to this Commission,
14 there are many other factors which may influence the selection of resources to
15 meet customer needs. I will not burden this proceeding with a discussion of the
16 strategic factors that should be considered, but, needless to say, the Commission
17 has considered factors beyond cost in previous decisions, including the recent
18 approval of FPL's purchases from the Southern Companies. Even in the
19 consideration of costs, the definition of "least cost" may depend on the time
20 frame selected for the comparison, as I previously discussed. Therefore, I
21 believe the standard for the base plan should be the most cost effective plan that
22 PEF would pursue absent the purchases under the UPS Agreements. That was
23 the plan that was used in this instance.

24

1 **Q. Mr. Brubaker states that he has not been provided with the model or any of**
2 **the inputs or outputs used in the economic analysis. Is this correct?**

3 **A.** No. Mr. Brubaker has been provided the forecasts used in the analysis and the
4 raw input data, as well as summary output files used in the analysis. He has not
5 been provided the Strategist model, which PEF obtains under license, which
6 prohibits distribution of the model and certain input files. PEF did provide
7 saved output files that could be used in the model, should Mr. Brubaker decide
8 to obtain access. The only capability that Mr. Brubaker may be missing is the
9 ability to rerun the model himself. All relevant information was provided.

10

11 **Q. How does Mr. Brubaker suggest that non-price factors be included in the**
12 **analysis of the UPS Agreements?**

13 **A.** In somewhat contradictory testimony, Mr. Brubaker cites various “non-price”
14 factors in support of his findings and recommendations, while at the same time
15 arguing that “‘non-price’ factors that PEF cites in support of the UPS
16 agreements are not sufficiently important or quantified to be given any
17 significant weight by the Commission.” (Brubaker, page 3, lines 27-29). One of
18 the non-price factors he refers to is, of course, that the UPS Agreements
19 contribute to fuel diversity. Apparently, to Mr. Brubaker, this factor is only
20 important in pursuing the construction of new coal units, an alternative I will
21 address later in my testimony. Other non-price factors, such as maintaining
22 “closer to an historic fuel diversity” are given as reasons to reject the UPS
23 Agreements rather than approve them. I do not understand the distinction. Mr.
24 Brubaker apparently weighs the “non-price” factors selectively, either

1 dismissing or attaching significance to them depending upon which argument he
2 is trying to support. One of the clear benefits of these agreements is the
3 contribution to fuel diversity by making coal-fired energy available.
4

5 **Q. What about Mr. Brubaker's criticisms of the other non-price factors you**
6 **have presented?**

7 **A.** His second criticism of non-price factors appears to be that "PEF's opportunities
8 are not so limited" (Brubaker, page 30, line 12), referring to PEF's ability to
9 access additional economy energy without the UPS Agreements. I take it from
10 his discussion that he means that we could simply contract for the transmission,
11 buy economy energy when available, and resell the transmission capacity when
12 it is not needed. He offers no analysis that this would produce a net savings to
13 customers, so I cannot address it quantitatively, but on the face of it, it does not
14 appear to make sense. Economy purchases might somewhat offset the
15 transmission costs, but they are not likely to completely pay for transmission
16 access. Referring to my own original Exhibit No. ___(SSW-3), the NPV of the
17 transmission costs was approximately \$28 million, while the NPV of the
18 economy savings was calculated to be \$6 to \$12 million. Thus, there would be a
19 shortfall of \$22 to \$16 million and Mr. Brubaker provides no evidence that
20 additional economy savings could make up the difference.
21

22 Mr. Brubaker's next point is that "... in fact to the extent that capacity were
23 built in Florida, rather than acquired from Georgia, there would be a greater
24 amount of import capability for reliability purposes." (Brubaker, page 31, lines

1 1-3) This would be true only if the interface between Georgia and Florida sat
2 idle. In other words, he apparently assumes that if PEF does not pursue the UPS
3 Agreements, no other entity in Florida would be interested in buying power
4 across the interface. This seems very unlikely in light of the fact that other
5 entities have expressed interest in buying power from across the border.

6
7 Mr. Brubaker addresses the issues of cost certainty, the right of first refusal for
8 additional coal capacity and planning flexibility by simply noting that either
9 they may or may not be the case, or they haven't been quantified. This is not a
10 sufficient reason to be totally dismissive of the potential for benefit they
11 provide. They are non-price factors, and by definition, not quantifiable, at least
12 in the same manner as the overall deal economics. However, as even Mr.
13 Brubaker concedes regarding planning flexibility, "..... there may be some
14 benefit here....." (Brubaker page 31, line 16). Non-quantifiable benefits are
15 benefits nonetheless.

16
17 **Q. What does Mr. Brubaker have to say with regard to the transmission**
18 **requirements associated with the UPS Agreements?**

19 **A.** Mr. Brubaker devotes a great deal of his testimony to transmission issues, nearly
20 14 of the 36 pages. The main points seem to boil down to 3 major issues:

- 21 - PEF will maintain its rollover transmission rights until 2010.
22 - The Commission should wait until the System Impact Study (SIS) is
23 completed to make a decision on the UPS Agreements

1 - The costs of transmission may be higher than analyzed, resulting in
2 increased costs to customers.

3 One factor ignored in these arguments is that Southern, as a marketer, has an
4 interest in selling the designated capacity and consummating the deals. While it
5 may be true that PEF could wait until 2010 to exercise its rollover rights, just
6 what would we be expected to buy to exercise those rights at that time? There is
7 no reason to believe that Southern will hold these assets for PEF to buy at a later
8 date. Even buying from another source would involve exercising the right to
9 rollover the transmission service far earlier than 2010. Transmission service
10 would be required as a necessary precedent before the purchases could be
11 completed, as it is in this case. The UPS Agreements specifically call for PEF to
12 request transmission service within 60 days of the effective date of the
13 agreements. PEF has until February, 2006 to make arrangements for service.
14 This condition precedent protects PEF against the possibility of not being able to
15 deliver the resources it is paying for, and it protects the Southern Companies
16 from having to hold open an offer that may not be ultimately completed. It
17 would not be desirable for either party to delay a decision until the brink of
18 expiration of the current contract.

19
20 Regarding waiting until the System Impact Study is completed, Mr. Brubaker
21 would like to wait and see if additional system upgrade costs will be incurred.
22 This should not be a concern since the UPS Agreements specifically provide for
23 mitigation should transmission costs be above the Southern Open Access
24 Transmission Tariff (OATT) rates. PEF customers would not be "... saddled

1 with substantial system improvement costs” as Mr. Brubaker suggests.
2 (Brubaker, page 29, lines 13-14) The mitigation measures in the contract
3 include the potential for offsetting increased charges, provision of alternative
4 transmission service, or even cancellation of the contract. Waiting until the SIS
5 is completed is unnecessary if the concern is that additional costs may be
6 incurred. The more appropriate concern is that the SIS will be completed with
7 no system upgrades required. At that point, Southern will affirm the
8 transmissions service, and PEF will own the transmission service. Since the
9 transmission service request is currently in process, and a response could occur
10 within the next 60 days, delaying the decision on the UPS Agreements does
11 introduce the risk that PEF could have to decide on transmission without
12 knowing whether the agreements themselves have been approved. The delay is
13 simply not necessary or advisable.

14
15 I would also like to note that the SIS study does not address rollover rights, as
16 Mr. Brubaker suggests in his testimony. Rollover of the existing transmission
17 rights has already been confirmed by Southern. Mr. Brubaker’s suggestion on
18 page 20, line 14 of his testimony that these rights need to be studied, or the
19 inference that any additional costs might be incurred as the result of such a
20 study, is in direct opposition of his own description of the purpose of rollover
21 rights on page 21.

22
23 **Q. Do you believe that PEF has adequately identified the costs associated with**
24 **the proposed UPS Agreements?**

1 **A.** Yes. The costs associated with the agreements, such as the capacity, energy and
2 O&M costs, as well as fuel transportation and transmission costs were included
3 in the analysis. Mr. Brubaker’s insinuation that transmission costs might be
4 higher is not anything other than that, and even so, he ignores the mitigation
5 measures provided by the agreements. The analysis I have presented gives the
6 best available information, and is a true representation of the impact we would
7 expect on PEF customers.

8

9 **Q.** **Mr. Brubaker offers a number of alternatives that he states PEF should, or**
10 **should have pursued. How do you view these alternatives?**

11 **A.** As with the non-price factors, I find Mr. Brubaker’s suggestions to be all over
12 the map, and somewhat contradictory. In the same list of issues, PEF should
13 have:

- 14 - Added coal capacity in advance of the expiration (page 3, lines 3-6)
- 15 - Conducted an RFP (page 3, lines 11-14)
- 16 - Planned to add coal capacity in 2013 (page 3, lines 18-21)
- 17 - Wait to enter into agreements for 2010-2015 (page 3, lines 22-24)
- 18 - More fully analyze alternatives (page 3, lines 30-32)

19 I am reminded of the expression “hurry up and wait” in reviewing these
20 suggestions as a whole. I will first address the suggestion that there is no rush to
21 enter into agreements.

22

23 Mr. Brubaker does not really address when it would be appropriate to enter into
24 an agreement. In his transmission discussion, Mr. Brubaker asserts that “PEF

1 has until April 2, 2010 to exercise its rollover rights". (Brubaker, page 23, lines
2 1-2) Certainly, he does not mean to imply that PEF should take no action to
3 replace the 414 MW of capacity currently purchased from Southern until
4 approximately 2 months before it disappears, but he does not suggest when the
5 appropriate time would be. For reasons I will discuss later, delaying the
6 approval of the UPS Agreements does, I believe, put the deals at risk, without
7 regard for transmission schedules or rollover rights.

8
9 I will return to the issue of an RFP, but first I would like to discuss the assertion
10 that PEF should have planned to add coal capacity when the existing UPS
11 contracts were going to expire. Mr. Brubaker does not appear to take issue with
12 the fact that a new coal unit takes approximately 8 years to site, license, design
13 and construct. Thus, to meet a June 1, 2010 in-service date, PEF would have
14 had to commit to the siting and licensing process back in 2002. If PEF had
15 made that commitment, that certainly would have made the company more
16 prescient than any other utility I am aware of. As I review a PEF fuel forecast
17 dated February of 2002, I see a natural gas price forecast for the year 2010 of
18 \$3.48/MMBtu (Henry Hub price). Planning studies at that time indicated that
19 combined cycle units were the most economic, as indicated by PEF's Ten Year
20 Site Plan, and that was in general agreement with the plans of other utilities.
21 Today, the forecast for the year 2010 is about \$7.10/MMBtu, more than double
22 the view of only 3 years ago. I wish I could say we had the foresight to predict
23 that steep climb, but we did not (nor am I aware that any other utilities did), and
24 now we must make a decision on capacity for 2010, only five years from now.

1 Construction of a new coal unit to meet that need is not an option, but the UPS
2 Agreements do allow us some measure of coal at a reasonable price. As
3 compared to the existing agreements, we retained approximately the same
4 relative amount of coal (17%) under the new agreements, as did FPL under the
5 UPS agreements that this Commission approved in January of this year. We
6 would like more, but that was not an option.

7
8 Mr. Brubaker suggests we should proceed with a new coal unit now, rather than
9 take the UPS Agreements, because it might be possible to place a new coal unit
10 in service by 2013. However, he has not offered a solution for what we might
11 do from the time the current UPS contracts expire, May 31, 2010, to the in
12 service date of the new unit. Obviously, the three year interim would have to be
13 filled by some agreement, although according to Mr. Brubaker, it is premature to
14 address that period.

15
16 **Q. What does Mr. Brubaker suggest with respect to requiring a bidding**
17 **process to demonstrate the cost effectiveness of the proposed power**
18 **purchases from the Southern Companies?**

19 **A.** Mr. Brubaker suggests that “Good practice when considering entering into
20 transactions of this magnitude . . . would be to conduct a thorough review of the
21 market to ascertain if there are any other options available which should be
22 considered.” (Brubaker, page 15, lines 6-11)

23
24 **Q. Do you agree with that suggestion?**

1 **A.** No. I believe that conducting an RFP would jeopardize PEF's ability to take
2 advantage of this opportunity.

3

4 **Q.** **Please explain.**

5 **A.** Clearly, in the creation of the Commission's "Bid Rule", there was recognition
6 that requiring an RFP process in all instances where the utility is acquiring
7 capacity would restrict a utility's ability to plan its supply system in a flexible
8 and cost-effective manner. For example, when a utility has identified
9 combustion turbines as its most cost-effective alternative, there is no
10 requirement for an RFP, allowing the utility to more quickly respond to needs in
11 the near term. Repowering of existing units is also excluded, encouraging the
12 efficient use of older generating units. These exemptions result from the clear
13 linkage between the "Bid Rule" and the Power Plant Siting Act, but they also
14 implicitly suggest that there are circumstances where bidding may not be
15 appropriate. In this case, where we are dealing with a continuation of a
16 contractual relationship with an existing party, rather than construction of a new
17 unit, I believe that there is a great risk of losing the opportunity if PEF is
18 required to proceed with an RFP.

19

20 **Q.** **Why do you feel that the opportunity to make this purchase from the**
21 **Southern Companies would be at risk?**

22 **A.** There are two reasons. To put the risk in context, it is important to recognize
23 that an RFP process would take on the order of six months to complete,
24 followed by negotiations to complete a contract for the power to be purchased.

1 Based on this timeframe, the first reason I believe risk is increased is that
2 Southern is under no obligation to either hold this offer or bid into an RFP and
3 wait for the outcome to see if they are the winning bidder. There is every reason
4 to believe that Southern will continue to search for a buyer if we back away
5 from an agreement today. The assets they are seeking to sell are “uncovered” by
6 any existing power sale or retail rate base once our current contracts with them
7 end. It stands to reason that no owner of a capital intensive asset will take a
8 passive approach to selling that asset. We have to ask ourselves, what incentive
9 would Southern have to wait for us? If the argument is that there are no other
10 potential buyers, it brings me to my second reason for believing that this deal is
11 at risk by delaying.

12
13 Not only do I believe that there are potential buyers for this capacity simply
14 looking at the overall growth in peninsular Florida, but I also believe that at
15 least some of the potential buyers are not subject to Commission review of the
16 contract for cost recovery, and would not have to delay a purchase by
17 conducting an RFP process. This would be true for potential buyers both inside
18 and outside Florida. The only reasonable conclusion is that, at the very least,
19 there is an increased possibility of this deal being offered elsewhere, in whole or
20 in part, while PEF goes through an RFP process. Loss of this sale would result
21 in loss of the advantages I outlined in my previous testimony, the most
22 important of which, in my mind, is access to coal energy.

23

1 **Q. Do you believe that an RFP would produce any offers that would be more**
2 **economic than the UPS Agreements?**

3 **A.** No. I would not expect to see any coal capacity offered because, as I have
4 previously discussed, a new coal unit takes roughly 8 years to bring into service,
5 and we're looking only 5 years out. For the combined cycle portion of the
6 agreements, I have compared the Franklin unit to offers received in PEF's most
7 recent RFP solicitation for Hines 4. The results of my comparison are shown in
8 Exhibit No. ___ (SSW-6). While I have only compared fixed costs, this is a
9 good indicator of relative cost since all bids were gas and oil units. If
10 anything, I would expect to see new bids that are even higher in cost because of
11 recent increases in materials costs.

12
13 In addition to these results, it is worth noting the PEF has a wholesale marketing
14 group that is constantly testing the market, looking for both purchase and sale
15 opportunities. We are not making these decisions in a vacuum.

16
17 **Q. How then can the Commission address the cost effectiveness of this**
18 **proposed purchase from the Southern Companies?**

19 **A.** The Commission has sufficient information available to make an informed
20 decision. We have presented the economics of the proposed agreements, and the
21 assumptions upon which they are based, the relative costs of the agreements
22 compared to the offers received in response to PEF's most recent RFP, as well
23 as the strategic benefits associated with the purchases. There is sufficient
24 information to make a judgment on whether or not the purchases are prudent and

1 cost-effective. Waiting for additional information would put the offer at risk
2 and potentially lose the benefits of this deal for PEF customers.

3

4 **Q. Mr. Brubaker suggests that the Commission should not approve the UPS**
5 **Agreements, but require PEF to more fully analyze alternatives. Do you**
6 **agree with his recommendation?**

7 **A.** No. Mr. Brubaker has not identified a single alternative that may be available,
8 nor has he made a case that additional analysis will produce a different result.
9 There is no reason to delay a decision, and PEF customers stand to lose potential
10 benefits as a result of any delays. Furthermore, even with the UPS agreements,
11 PEF plans to issue a request for proposals for its next combined cycle unit,
12 identified in the 2005 PEF Ten Year Site Plan, and at that time the wholesale
13 power market will have an opportunity to submit alternatives.

14

15 **Q. Mr. Brubaker also suggests that, because of the alleged “problems” with**
16 **how PEF has approached the capacity expansion issue and evaluation of the**
17 **proposed UPS Agreements, the Commission should consider a downward**
18 **adjustment to PEF’s return on equity in the pending rate case. Is this issue**
19 **appropriate in this case?**

20 **A.** No. It appears to be a thinly disguised effort to tie this contract approval into
21 the pending rate case (in which White Springs has intervened) and introduce an
22 issue which is not at all relevant to the Commission’s consideration of the
23 contract. PEF does not make a return on purchased power contracts. Therefore,

1 the only incentive PEF has to move forward with these agreements is to obtain
2 the benefits the agreements provide for PEF customers.

3

4 **Q. What is your opinion on Mr. Brubaker's suggestion that "Should the**
5 **Commission decide to allow PEF to enter into the UPS agreements in this**
6 **case, it should make them subject to a prudency challenge whenever PEF**
7 **would seek cost recovery" (Brubaker, page 4, lines 1-3)?**

8 **A.** I am not certain of what Mr. Brubaker is suggesting. However, I would say that
9 if his intent is to reopen the issue of whether or not PEF should have entered
10 into the agreements, then I would be adamantly opposed to such a "prudency
11 challenge". There should not be a "second bite of the apple" regarding review
12 of the prudence of these agreements. If his intent is to monitor PEF's
13 administration of the agreements, and the expenses associated with the
14 contracts, I believe that this would be done in the normal course of fuel cost
15 recovery proceedings, as it is today.

16

17 **Q. Would you please summarize your rebuttal testimony?**

18 **A.** The testimony of Mr. Brubaker on behalf of White Springs raises a number of
19 objections to the UPS Agreements between PEF and Southern which are
20 contradictory, vague, and in some cases, immaterial to the question of approving
21 the agreements. His own cost effectiveness analysis produces results similar to
22 those I presented in my supplemental testimony, and his suggestion that non-
23 price factors should be ignored is not consistent with planning practices with
24 which the Commission is familiar. He broadly discusses transmission issues

1 without demonstrating that any would require the Commission to delay a
2 decision. Finally, his call for an RFP would add unnecessary delay to the
3 process and most certainly puts the UPS Agreements at risk.

4

5 The proposed purchases from the Southern Companies offer a unique
6 opportunity to obtain coal energy, access a broader southeastern market, and
7 defer the need for new capacity in Florida. I continue to believe that approval of
8 this purchase is in the best interest of PEF customers.

9

10 **Q. Does this conclude your testimony?**

11 **A. Yes.**

1 CHAIRMAN BAEZ: Mr. Waters, do you have a summary?

2 THE WITNESS: Yes, I do.

3 CHAIRMAN BAEZ: Okay.

4 THE WITNESS: Good afternoon, Commissioners. My
5 rebuttal testimony addresses several issues raised by Mr.
6 Maurice Brubaker on behalf of White Springs.

7 I've summarized Mr. Brubaker's points into five main
8 categories, including the cost-effectiveness of the unit power
9 sales agreements, the nonprice or strategic considerations
10 associated with the UPS agreements, the transmission
11 requirements, the alternatives to pursuing the agreements, and
12 proposed Commission actions. I have placed these
13 considerations in this order because I believe that that is
14 their relative importance in dealing with these new agreements.

15 Regarding the cost-effectiveness of the UPS
16 agreements, my revised short-term analysis has demonstrated a
17 \$44 million savings, net present value, to customers over the
18 five-year term of the agreements. Mr. Brubaker's analysis does
19 not significantly differ from that result. Mr. Brubaker does
20 not provide an alternative analysis to the long-term results I
21 have presented, and I disagree with his suggestion that the
22 short-term analysis should be dismissed and only the results of
23 the long-term analysis considered to judge the
24 cost-effectiveness of these agreements. The short term
25 analysis shows benefits in the period where the resource plan

1 is more certain and is, therefore, very relevant in assessing
2 the cost-effectiveness of these agreements.

3 Regarding nonprice or strategic considerations
4 associated with the UPS agreements, Mr. Brubaker contends that
5 we could access the Southern System without the UPS agreements
6 and take advantage of economy transactions. My own economic
7 analysis shows that if we were to take this approach the
8 economy savings do not offset the transmission costs.

9 He also asserts that if capacity were built in
10 Florida rather than acquired in Georgia there would be greater
11 import capability for reliability purposes. This could only be
12 true if the interface between Georgia and Florida sits idle,
13 which I consider to be very unlikely.

14 Finally, Mr. Brubaker addresses a number of other
15 nonprice issues saying that they may or may not happen and they
16 haven't been quantified. Nonprice factors are, by definition,
17 not quantifiable, at least not in the same manner as direct
18 costs. But nonquantifiable benefits are still benefits.

19 Regarding transmission requirements, Mr. Brubaker
20 makes three main points, all of which suggest delay or
21 inaction. First of all, delay or inaction on the part of
22 Progress Energy until the system impact study is complete or
23 until rollover rights are about to expire would not necessarily
24 correspond to inaction on the part of Southern Company in
25 marketing its generating capacity. Waiting, as Mr. Brubaker

1 suggests, is not a prudent course of action, given that
2 Southern Company will have other markets for existing capacity.

3 Second, waiting until the system impact study is
4 completed is an unnecessary step. The new agreements provide
5 for remedies in the event that the system impact study
6 identifies any necessary transmission upgrades. And the very
7 possibility of system upgrade reinforces the need to proceed
8 now rather than waiting.

9 The third point Mr. Brubaker makes is that Progress
10 Energy has not adequately identified the costs associated with
11 the agreements, implying that transmission costs might be
12 higher. As I stated previously, the agreements contain
13 mitigation measures in the event of system upgrade costs
14 protecting Progress Energy's customers.

15 Regarding alternatives to pursuing these agreements,
16 Mr. Brubaker makes several suggestions that focus on adding
17 coal capacity to the Progress Energy system. First of all,
18 there are no existing coal-fired resources currently available
19 that would compete with these agreements. Prices offered by
20 Southern Company in these agreements are consistent with the
21 pricing we have seen in the recent request for proposals for
22 capacity, and, therefore, we would not expect that any further
23 solicitation of the market would provide a more favorable
24 result.

25 Second, Mr. Brubaker contends that we should have

1 taken action to replace the existing agreement with coal
2 capacity, or, in the alternative, we should currently be
3 planning to add coal capacity by 2013. His suggestion that we
4 should have acted to add coal capacity more than three years
5 ago is made with perfect 20/20 hindsight, and the suggestion
6 that we should add coal capacity by 2013 ignores the fact that
7 these agreement address a 2010 need.

8 Mr. Brubaker does not ever reach a bottom line on
9 what the most appropriate course of action should be. In fact,
10 in the course of his testimony he suggests we should have
11 already proceeded, or we should wait until 2010, or we should
12 proceed immediately. Mr. Brubaker does seem to feel that
13 Progress should actively pursue coal-fired generation to
14 replace the existing UPS agreement, and the new agreements
15 present an opportunity to do just that.

16 Regarding proposed Commission actions, I would just
17 say that a suggestion that the agreements be subject to a later
18 prudence challenge is entirely inappropriate. Having the
19 agreements subject to a prudence challenge when Progress Energy
20 seeks cost-recovery would essentially make any action taken by
21 the Commission in this proceeding meaningless.

22 That concludes my summary.

23 (Transcript continues in sequence with Volume 4.)

24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)

:

CERTIFICATE OF REPORTER


COUNTY OF LEON)

I, JANE FAUROT, RPR, Chief, Office of Hearing Reporter Services, FPSC Division of Commission Clerk and Administrative Services, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 3rd day of June, 2005.



JANE FAUROT, RPR

Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732