


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 060038-EI

In the Matter of:

PETITION FOR ISSUANCE OF A STORM
RECOVERY FINANCING ORDER, BY FLORIDA
POWER & LIGHT COMPANY.



ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING.
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 3

Pages 152 through 284

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN LISA POLAK EDGAR
COMMISSIONER J. TERRY DEASON
COMMISSIONER ISILIO ARRIAGA
COMMISSIONER MATTHEW M. CARTER, II
COMMISSIONER KATRINA J. TEW

DATE: Wednesday, April 19, 2006

TIME: Commenced at 9:30 a.m.
Concluded at 5:15 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: MARY ALLEN NEEL
Registered Professional Reporter

PARTICIPATING: (As heretofore noted.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

NAME:	PAGE NO.
GEISHA J. WILLIAMS	
Direct Examination by Mr. Butler	156
Cross-Examination by Mr. McGlothlin	200
Cross-Examination by Mr. Wright	213
Cross-Examination by Mr. Kise	231
Cross-Examination by Ms. Brubaker	244
Redirect Examination by Mr. Butler	246
RICHARD E. BROWN	
Direct Examination by Mr. Butler	250
Cross-Examination by Mr. McGlothlin	263
CERTIFICATE OF REPORTER	284

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXHIBITS

NUMBER:		ID.	ADMTD.
4			155
140	FPL Pole Inspection Program Budget Summary	221	249
141	Transcript of Paul Hebert's testimony, DOAH Case No. 03-1629TL	226	249
142	Original Tower Design, Conservation-Corbett 500-kV Transmission Line	268	

P R O C E E D I N G S

1
2 (Transcript follows in sequence from
3 Volume 2.)

4 CHAIRMAN EDGAR: We will go back on the
5 record. And I believe when we broke we had some
6 exhibits to take up. Mr. Keating.

7 MR. KEATING: Yes. The staff has discussed
8 those exhibits with FPL during the break. I want to
9 give a revised list of the Bates stamped page numbers
10 from the staff exhibit that's identified as Exhibit
11 Number 4 that FPL can agree to move into the record.
12 It's Bates stamped pages 27, 38, 41, 260, 266, 329 to
13 330, 332 to 333, 335 to 336, 435 to 440, and 446. And
14 that list includes all but three of the originally
15 listed page numbers I had provided.

16 CHAIRMAN EDGAR: Okay. Thank you. And my
17 understanding is that resolves the objection, or do you
18 have further comment?

19 MR. BUTLER: No, that resolves the objection.

20 CHAIRMAN EDGAR: Thank you. Then we will move
21 that into the record as Mr. Keating described.

22 (Exhibit Number 4 was admitted into evidence.)

23 CHAIRMAN EDGAR: Any other --

24 MR. BUTLER: FPL will -- I'm sorry.

25 CHAIRMAN EDGAR: Go right ahead.

1 MR. BUTLER: I'm sorry. FPL will call its
2 next witness, Mr. Geisha Williams. Ms. Williams, have
3 you previously been sworn?

4 THE WITNESS: Yes, I have.
5 Thereupon,

6 GEISHA J. WILLIAMS
7 was called as a witness on behalf of Florida Power &
8 Light Company and, having been first duly sworn, was
9 examined and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. BUTLER:

12 **Q.** Would you please state your name and business
13 address for the record.

14 **A.** My name is Geisha Williams, and my address is
15 9250 West Flagler Street, Miami, Florida.

16 **Q.** By whom are you employed, and in what
17 capacity?

18 **A.** I'm employed by Florida Power & Light Company
19 as Vice President of Distribution.

20 **Q.** Do you have before you 39 pages of prepared
21 direct testimony dated January 13, 2006, with attached
22 documents GJW-1 through GJW-6?

23 **A.** Yes, I do.

24 **Q.** And were these testimony and exhibits prepared
25 under your direction, supervision, or control?

1 **A.** Yes, they were.

2 **Q.** Do you have any changes or corrections to your
3 prepared testimony or the exhibits?

4 **A.** No.

5 MR. BUTLER: I would ask that Ms. Williams'
6 prepared testimony be inserted into the record as though
7 read.

8 CHAIRMAN EDGAR: We will have Ms. Williams'
9 testimony entered into the record as though read.

10 MR. BUTLER: Thank you. And I note that
11 Ms. Williams' documents GJW-1 through GJW-6 have been
12 preassigned Exhibit Numbers 9 through 14 respectively
13 and moved into the record.

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **DIRECT TESTIMONY OF GEISHA J. WILLIAMS**

4 **DOCKET NO. XXXXXX-EI**

5 **January 13, 2006**

6

7 **Q. Please state your name and business address.**

8 A. My name is Geisha J. Williams. My business address is Florida Power & Light
9 Company, 9250 W. Flagler Street, Miami, Florida, 33174.

10 **Q. By whom are you employed and what is your position?**

11 A. I am employed by Florida Power & Light Company (FPL or the Company) as
12 Vice President, Distribution.

13 **Q. Please describe your duties and responsibilities in that position.**

14 A. I am responsible for the planning, engineering, construction, operations,
15 maintenance, and restoration of FPL's Distribution infrastructure. During storm
16 restorations, I assume the additional role of FPL's Emergency Operations Officer.
17 In this capacity, I am responsible for the overall coordination of all restoration
18 activities to ensure the successful implementation of FPL's restoration strategy -
19 to restore service to our customers as safely and quickly as possible.

20 **Q. Please describe your educational background and professional experience.**

21 A. I have a Bachelor of Science degree in industrial engineering from the University
22 of Miami and a Master of Business Administration from Nova Southeastern
23 University. I joined FPL in 1983 and have served in a variety of positions in

1 distribution operations, customer service, and marketing. I have been manager of
2 commercial/industrial marketing, regional manager of customer service, and
3 manager of external affairs. I also am a member of the Dean's Advisory Council
4 for the College of Engineering at Florida International University, a member of
5 the Association of Edison Illuminating Companies' Power Delivery Committee,
6 and on the Board of Regents for Leadership Florida.

7 **Q. Are you sponsoring an exhibit in this case?**

8 A. Yes. I am sponsoring an exhibit consisting of 6 documents, GJW-1 through GJW-
9 6, which is attached to my testimony.

10 **Q. What is the purpose of your testimony?**

11 A. The purpose of my testimony is to provide an overview of FPL's emergency
12 preparedness plans and processes. I will also provide details on the 2005
13 hurricanes impacting FPL's service territory, FPL's response to these storms, and
14 the associated costs of restoring service to FPL's customers and restoring FPL's
15 facilities to pre-storm conditions. Finally, I will discuss the factors contributing to
16 FPL's overall successful performance in safely restoring service to the greatest
17 number of customers in the least amount of time. In these ways, my testimony
18 supports the reasonableness and prudence of the storm restoration costs for which
19 FPL is seeking approval. My testimony also describes storm restoration activities
20 that are included in the amounts which FPL is proposing to finance in this matter.

21

22

23

1 **EMERGENCY PREPAREDNESS PLAN & RESTORATION PROCESS**

2 **Q. What is the objective of FPL's emergency preparedness plan and restoration**
3 **process?**

4 A. Consistent with Commission rules, industry practice and state and local
5 governments' interests, the primary objective of FPL's emergency preparedness
6 plan and restoration process is to safely restore the greatest number of customers
7 in the least amount of time. Meeting this objective is the most prudent response
8 after a major storm. Experience has shown that extensive planning, training,
9 adherence to established storm processes, and execution that can be scaled
10 quickly to match each particular storm are critical to successfully achieving this
11 objective. It must be understood, of course, that the objective of safely restoring
12 electric service as quickly as possible does not permit restoration to be
13 accomplished at the overall least cost. Said another way, restoring service at the
14 lowest possible cost does not result in the most rapid restoration. However, FPL is
15 ever mindful of costs and has processes in place to both control and mitigate costs
16 to customers. I will discuss this more, later in my testimony.

17 **Q. Why is FPL's emergency preparedness plan reasonable and what are its key**
18 **components?**

19 A. The plan is the product of years of planning, study and refinements based upon
20 actual experience. The key components include:

- 21 • Disaster response policies and procedures;
- 22 • Adjustable internal organizational structures based on the required
- 23 response;

- 1 • Timeline of activities to assure rapid notification and response;
- 2 • Mutual assistance agreements and vendor contracts and commitments;
- 3 • Plans for movement of resources, personnel, materials, and equipment to
- 4 areas requiring service restoration;
- 5 • Communication and notification plans for employees, customers,
- 6 community leaders, emergency operating centers, and regulators;
- 7 • An established centralized command center with an organization for
- 8 command and control of emergency response forces;
- 9 • Checklists and conference call agendas to organize, plan, and report
- 10 situational status;
- 11 • Damage assessment modeling and reporting procedures;
- 12 • Field and aerial patrols to assess damage;
- 13 • Comprehensive circuit patrols to gather vital information needed to
- 14 identify the resources required for effective restoration; and
- 15 • Systems necessary to support outage management procedures and
- 16 customer communications.

17 **Q. How does FPL prepare and ensure readiness to effectively respond to storm**
18 **events?**

19 A. Each year, prior to storm season, FPL reviews and updates its emergency
20 preparedness plan. To ensure rapid restoration, key focus areas of this plan are
21 staffing the storm organization, preparing logistics and support, enhancing
22 customer communication methods and computer and telecommunication systems.
23 As part of this process, all business units in the company identify personnel for

1 staffing the emergency response organization. In many cases, employees assume
2 roles different than their regular responsibilities. Training is conducted for many
3 storm personnel each year regardless of whether they are in a new role or a role in
4 which they have served many times. This includes training on processes that
5 range from analytical and clerical to reinforcing restoration processes for
6 managers and directors.

7
8 In the logistics support area, preparations include increasing material inventory,
9 establishing staging site plans, expanding and verifying lodging arrangements,
10 and securing agreements and contracts for catering, busing, and office trailers.
11 These activities are important to ensure availability and delivery of these critical
12 items on time and at a reasonable cost. If FPL is not impacted by storms, the
13 increase in material inventory is absorbed through normal business by year end.
14 All of these agreements and activities provide the foundation to begin any
15 restoration effort. This allows us to scale up resources and commitments as
16 necessary, and at the same time, provides flexibility for adjusting our plans in
17 case a storm does not impact FPL's service territory. Costs associated with these
18 preparation activities are treated as normal operating expenses and are not
19 included in our storm costs.

20 **Q. How do you test your emergency preparedness plan?**

21 A. Each year prior to the start of hurricane season, FPL's tests its readiness during a
22 hurricane "dry run" exercise. This event simulates a storm impacting FPL's
23 territory. The purpose is to provide a realistic, challenging scenario that causes the

1 organization to practice functions not generally performed during normal
2 operations. It is a full scale drill which takes place with active participation from
3 employees represented from every business unit in the company. After months of
4 preparation, the formal drill activities begin 72 hours from the mock hurricane's
5 forecasted time and date of impact. The General Office Command Center
6 (GOCC) is fully mobilized and staffed. Field patrollers are required to complete
7 simulated damage assessments which are then utilized by office staff to practice
8 updating storm systems, acquiring resources, and developing estimated times of
9 restoration. The exercise also includes simulating customer and other external
10 communications, updating our outage management system, and other storm
11 specific applications. Again, costs associated with these activities are treated as
12 normal operating expenses and are not included in our storm costs.

13 **Q. How does FPL respond when a storm threatens its territory?**

14 A. FPL responds by taking well-tested actions at specified intervals prior to a storm's
15 landfall. While these storms are developing in the Atlantic Ocean or Gulf of
16 Mexico, our staff meteorologists are monitoring conditions and various
17 departments throughout the company initiate preliminary preparations for
18 addressing internal and external resource requirements, logistics needs, and
19 system operation conditions. At 72 hours prior to the projected impact to FPL's
20 system, the GOCC is activated, all storm personnel are alerted, resource
21 requirements are forecasted, initial restoration plans are developed, contingency
22 resources are activated, and available resources from mutual assistance utilities

1 are identified. In addition, all FPL sites begin to prepare their facilities for the
2 impact of the storm.

3
4 At 48 hours, computer models are run based on the projected intensity and path of
5 the storm to forecast expected damage, restoration workload and potential
6 customer outages. Based on the modeled results, commitments are confirmed for
7 restoration personnel, materials, and logistics support. Staging site locations are
8 then identified and confirmed based on the storm's expected path. Staging sites
9 are temporary work sites that are opened to provide parking, food, laundry
10 service, medical care, hotel coordination, and, if necessary, housing for large
11 numbers of external and internal resources. Communication lines are ordered for
12 the staging sites and satellite communications are expanded to improve
13 communication efforts. External resources are activated and begin moving toward
14 Florida and internal personnel may also be moved so as to be closer to the
15 expected damage.

16
17 At 24 hours, the focus turns to positioning personnel and supplies to begin
18 restoration as soon as it is safe to do so. Damage models are continuously re-run
19 as the path and strength of the storm changes and plans are adjusted accordingly.
20 Also, community leaders and County Emergency Operations Centers (EOC) are
21 contacted to share FPL's restoration plans, verify those infrastructure facilities
22 that have been identified as critical, confirm assignment of FPL personnel to
23 remain in the various EOCs for the remainder of the storm and identify restoration

1 personnel to assist with road clearing and search and rescue efforts. Throughout
2 the process the Company also provides information to the news media, customers
3 and community leaders regarding storm preparation, what to do in the event of an
4 outage, as well as public safety messages.

5 **Q. Has FPL had previous opportunities to execute its emergency preparedness
6 plan and restoration process?**

7 A. Yes. Since Hurricane Andrew made landfall in 1992, FPL has experienced a
8 number of events which have provided opportunities to execute and refine our
9 storm plans. Most recently, in 2004, Hurricanes Charley, Frances and Jeanne
10 made landfall in FPL's service territory and required full scale implementation of
11 our restoration processes.

12 **Q. Please summarize the Company's 2004 hurricane restoration performance.**

13 A. The 2004 hurricane season was unprecedented. Responding to three hurricanes
14 that made landfall in FPL's territory and affected our entire system, all within a
15 six week period, required an extraordinary effort. In total, FPL restored service to
16 nearly 5.4 million customers. Our restoration processes and efforts were
17 recognized by most as being extraordinary.

18 **Q. Did FPL further improve its emergency preparedness plans and restoration
19 process for 2005 based on its experience in 2004?**

20 A. Yes. Consistent with FPL's culture of continuous improvement, we implemented
21 several enhancements to our processes based upon our experiences in 2004. I will
22 discuss these later in my testimony.

1 **Q. How does FPL ensure the emergency preparedness plan and restoration**
2 **process are consistently followed in any given storm experience?**

3 A. Significant standardization in field operations has been institutionalized including:
4 work-site organization; work preparation and prioritization; and damage
5 assessment. For external crew personnel, we provide an orientation including
6 safety rules, work practices and engineering standards. For external personnel
7 providing patrol and management assistance, a training class is provided to
8 explain their duties as well as FPL processes and procedures. Also, procedures to
9 ensure rapid preparation and mobilization of remote staging sites have been
10 developed to allow us to establish these sites in the most heavily damaged areas.

11
12 Storm plan requirements are documented in a variety of media including manuals,
13 on-line procedures, checklists, job aids, process maps, and detailed instructions.
14 System data is continuously monitored and analyzed throughout the storm.
15 Multiple daily conference calls, utilizing structured agendas, are held with GOCC
16 business leaders to discuss overall progress and identify issues, which can then be
17 resolved very quickly since leaders from all business units participate. Twice
18 daily, conference calls are held with all field restoration and logistics locations,
19 providing a mechanism enabling us to ensure critical activities are being
20 performed and communicated at all levels throughout the organization. Also, each
21 organization has its own daily conference call schedule to ensure plans are being
22 executed and issues quickly resolved. Overall monitoring and performance
23 management of field operations is performed through the GOCC. In addition,

1 field visits by GOCC personnel are routinely conducted to validate process
2 application and progress at remote work sites, as well as identify any adjustments
3 that may be required.

4 **Q. How does FPL assess its workload requirements?**

5 A. There are a variety of factors which impact restoration workload. In each storm,
6 we utilize FPL's damage assessment model to predict the expected damage and
7 hours of work to restore service. These estimates are based on the location of
8 FPL's facilities, the storm's projected path, and the effects of varying wind
9 strengths on different facilities. These workload projections are matched with
10 resource factors such as availability and location, and FPL's capacity to
11 efficiently and safely manage and support available resources. As soon as the
12 storm passes, certain employees are tasked with driving predetermined routes to
13 survey damage. Additionally, FPL assesses damage through aerial and field
14 patrols and utilizes results of customer outage information contained in the outage
15 management system to validate the damage model's estimates. This enables us to
16 finalize the workforce requirements and adjust our plans for acquiring and
17 allocating external resources.

18 **Q. How does FPL begin to acquire resources?**

19 A. Normally 72 hours prior to expected storm impact, FPL begins to contact utilities
20 and selected contractors to assess their availability. At 48 hours, depending on the
21 storm track certainty and forecasted intensity, FPL may begin to financially
22 commit to acquire necessary resources and ask that travel to Florida commence.

1 Resource needs are continually reviewed and adjusted, if necessary, based on the
2 storm's path, intensity fluctuations, and corresponding damage model results.

3 **Q. How does FPL take cost into account when acquiring resources for storm
4 restoration?**

5 A. Although as I indicated earlier, rapid restoration is our primary objective, FPL
6 takes cost into consideration. Prior to storm season, FPL's storm preparation
7 process includes negotiating contracts with vendors. These vendors include line
8 contractors, tree trimming contractors, logistics, environmental and salvage
9 contractors. For line and tree contractors, we endeavor to acquire resources based
10 on a low to high cost ranking and release these same resources in reverse cost
11 order. FPL also takes traveling distance into account when procuring resources for
12 storm restoration. Longer distances require increased drive times and can result in
13 higher costs. Final resource decisions take relative labor cost, travel distance and
14 numbers of resources into consideration. This information is then evaluated
15 relative to the expected time to restore affected customers.

16 **Q. Does FPL consider alternative levels of storm resources prior to making
17 commitment decisions?**

18 A. Yes. FPL uses the damage assessment model referenced earlier to run multiple
19 scenarios - one of which is a "near miss" scenario. This would be a storm that
20 does not directly make landfall in FPL's service territory, but does have the
21 potential of causing wide spread outages. During the 72 hour period prior to
22 impact, FPL reviews the model output and establishes resource acquisition
23 targets. The ability and flexibility to scale up resource commitments minimizes

1 the risk of procuring unnecessary resources, and spending money on an event that
2 does not materialize.

3 **Q. What steps does FPL take to acquire additional resources?**

4 A. An important component of each restoration effort is FPL's ability to scale up its
5 resources to match the increased volume of workload. FPL is a participating
6 member of the Southeastern Electric Exchange Mutual Assistance group. While
7 this group is a non-binding entity, it provides FPL and other members with
8 guidelines on how to request assistance from a group of approximately 20
9 utilities, primarily located in the southern and eastern United States. The
10 guidelines require reimbursement for direct costs of payroll and other expenses,
11 including travel costs to and from, when providing mutual aid in times of
12 emergency. In addition, FPL participates with the Edison Electric Institute to gain
13 access to other utilities and has requested assistance from those companies based
14 on similar mutual assistance agreements. Resource requests are made for line
15 crews, tree trimming crews, patrol personnel, crew supervisors, material-handling
16 personnel and in some cases, logistics support.

17

18 FPL also has a number of contractual agreements with line and vegetation
19 contractors throughout the U.S. Many of these agreements are with contractors
20 that we utilize during normal operations. These contracts are competitively bid,
21 and as a result, FPL has among the lowest labor rates for contractors in the
22 industry. Depending on the severity of the storm and our resource needs, a large
23 number of additional line and vegetation companies can be contracted to provide

1 additional support, pending release from other utilities for which they normally
2 work. If these additional line and vegetation companies are needed, FPL
3 negotiates rates with these new contractors on an as needed basis, prior to the
4 commencement of work.

5 **Q. Describe FPL's plan for the deployment and management of these incoming**
6 **external resources.**

7 A. Deployment and movement of resources are controlled through the GOCC,
8 utilizing personnel tracking and outage management systems to monitor execution
9 of the plan. Daily management of the crews is performed by the field operations
10 organization, which is responsible for effectively implementing FPL's restoration
11 strategy. Decisions on opening staging sites to position the workforce in the most
12 damaged areas are based on the timing of the arrival of external resources. Daily
13 analysis of workload execution and restoration progress permits dynamic and
14 effective resource management. This enables a high degree of flexibility and
15 mobility in allocating and deploying resources in response to changing conditions
16 and requirements. Another critical factor is FPL's ability to assemble trained and
17 experienced management teams to direct field activities. As part of the storm
18 organization, management teams include group leaders and crew supervisors to
19 directly oversee field work.

20 **Q. Are there controls in place over the acquisition of resources?**

21 A. Yes. FPL has centralized all external resource (linemen, tree contractors)
22 acquisition within the GOCC organization. I approve acquisition targets and they

1 are continually monitored by the resource acquisition director, who reports to me
2 and keeps me informed during the entire restoration process.

3 **Q. What processes and controls are in place to ensure that once these resources**
4 **arrive, their work and time is properly accounted for?**

5 A. These external resources are assigned to an FPL contract compliance coordinator
6 referred to as a "CCR" as they arrive at their designated staging site. The CCR is
7 responsible for verifying crew rosters as we accept these resources on to our
8 system. The CCR also reviews and approves daily time tickets to ensure that time
9 and personnel counts are accurately recorded. These time tickets are sent to FPL's
10 contractor payment center, where they are used to verify invoices when they are
11 received from the contract company.

12 **Q. What logistics and support personnel and activities are required?**

13 A. To support the overall restoration effort and the thousands of workers involved,
14 various logistics functions are required. These functions include, but are not
15 limited to, acquisition, preparation and coordination of: staging sites,
16 environmental, salvage, lodging, laundry, buses, caterers, ice and water, office
17 trailers, light towers, generators, port-o-lets, security guards, communications, and
18 fuel delivery. Also, agreements with primary vendors are in place prior to the
19 storm season as part of our storm planning process. Additional logistic staffing
20 needs are provided by FPL personnel from all parts of our company. Most of
21 these employees are pre-identified, trained and assigned to provide site logistics
22 management as well as to support other needs of the restoration workforce. For

1 larger restoration efforts, when the workforce exceeds internal logistic support
2 capabilities, FPL contracts for additional logistics manpower.

3 **Q. What controls ensure that only necessary items are procured and that they**
4 **are appropriately accounted for?**

5 **A.** In addition to the procurement of external resources which have been previously
6 discussed, our logistics organization is responsible for overseeing and
7 coordinating the procurement of resources required at our staging sites. Staging
8 sites serve as the major hubs for resources involved in daily restoration activities.
9 Utilizing experience from previous storms, specific staging site resource
10 requirements, e.g., the sites' footprint, tents, meals, water, ice, buses, hotel
11 requirements, etc., have been pre-determined. Based on this, a logistics
12 coordination team ensures that each staging sites resource requirements are
13 initially procured and received. This, along with the constant coordination of
14 resource requirements with site management, determines the daily needs of each
15 site. Site management at each location is responsible for receiving and tracking of
16 all supplies and materials and provides daily input to the logistics coordination
17 team. The site controller, whose role and functions are discussed in Mr. Davis'
18 testimony, also provides guidance and assistance to help ensure appropriate
19 record-keeping, documentation, and accounting is maintained at each site. In
20 summary, we believe that appropriate controls are in place and that these controls
21 are effective.

1

2

THE 2005 STORM SEASON

3

Q. Please provide an overview of the 2005 hurricane season.

4

A. The 2005 Atlantic hurricane season shattered records that have stood for decades.

5

These records include the highest number of named storms (27) and hurricanes

6

(13), the most major hurricanes (4) to make landfall in the U.S., and the most

7

storms (3) to reach Category 5 strength. Wilma became the strongest storm ever

8

recorded, while Rita and Katrina are the fourth and sixth strongest storms ever

9

recorded. Katrina also became the costliest (estimated to exceed \$80 billion) and is

10

also the deadliest U.S. storm, since 1928. Additionally, the 2004 and 2005 storm

11

seasons established many new records for two consecutive storm seasons. These

12

include: most tropical storms (42); most hurricanes (24); most major hurricanes

13

(13); most major hurricanes to make landfall (7); and most major hurricanes to

14

make landfall in Florida.

15

Q. Please provide an overview of the 2005 hurricanes impacting FPL's service territory.

16

17

A. In 2005, FPL and its customers were affected by 4 hurricanes – Dennis, Katrina,

18

Rita, and Wilma. All four of the hurricanes impacted the most densely populated

19

areas in FPL's service territory, Palm Beach, Broward and Miami-Dade counties,

20

where 60% of FPL's customers reside. Hurricane Katrina made landfall near the

21

Miami-Dade and Broward county line. Hurricane Wilma made landfall on the

22

southwest coast of Florida and exited near Palm Beach, significantly impacting

23

Palm Beach, Broward and Miami-Dade counties and causing more outages for

1 FPL than any other previous storm. In addition to the damage to our
2 infrastructure, Hurricane Wilma caused significant damage to our communities.
3 It has been reported that Hurricane Wilma could prove to be the worst storm to
4 impact Miami since August 1992, when Hurricane Andrew caused more than \$25
5 billion in damage. The American Red Cross also has reported that over 27,000
6 dwellings were destroyed or rendered temporarily unlivable, an indication of the
7 destruction caused by Hurricane Wilma. Hurricane Wilma also proved to be a
8 deadly storm, causing 60 deaths, with 35 of the deaths occurring in Florida.
9 Hurricanes Dennis and Rita, while not making landfall in FPL's territory, traveled
10 near enough for their outer bands to cause significant outages, particularly in
11 Miami-Dade and Broward counties.

12 **Q. Can you provide additional specifics for each storm?**

13 A. Yes.

14 **HURRICANE DENNIS:**

15 The first hurricane to impact FPL and its customers in 2005 was Hurricane
16 Dennis. Hurricane Dennis entered the Gulf of Mexico, after exiting Cuba, and
17 traveled off the west coast of Florida. Hurricane Dennis, which at its peak reached
18 Category 4 strength, eventually made landfall near Pensacola as a Category 3
19 storm. Hurricane Dennis began affecting FPL's service territory late in the
20 evening on July 8, 2005. At that time, Hurricane Dennis was a Category 2 storm
21 and had tropical storm winds that extended out 175 miles. A satellite picture of
22 Hurricane Dennis, Document No. GJW-1, taken on July 9, 2005, shows the size
23 of the storm. As can be seen, its outer bands essentially covered the entire state.

1 Customers in FPL's southeast territory, especially Broward and Miami-Dade
2 counties, were significantly affected by at least two unpredictable hurricane
3 weather bands with winds of almost 70 mph. By the time the effects of Hurricane
4 Dennis left FPL's territory on Friday, July 9, 2005, approximately 509,000
5 customers required power restoration. By Sunday morning, the second day of
6 restoration, 75% of those customers affected had their power restored. By
7 Monday, the third day, all of the customers had been restored. The total workforce
8 dedicated to the restoration effort totaled approximately 3,800, made up entirely
9 of FPL employees and embedded contractors. External resources were limited
10 because Hurricane Dennis was threatening the Gulf Coast as a Category 4
11 hurricane and all external resources were waiting to be diverted there. Total cost
12 to restore service to FPL's customers and restore FPL's facilities to pre-storm
13 conditions is estimated to be \$10.4 million.

14 **HURRICANE KATRINA:**

15 Hurricane Katrina, which originated as a tropical storm in the Bahamas, was only
16 expected to produce increased rainfall over the FPL territory. However, less than
17 48 hours before it was to make landfall in South Florida, it developed into a
18 hurricane. Hurricane Katrina made landfall near the Miami-Dade and Broward
19 County line on August 25, 2005, as a Category 1 hurricane, the first hurricane to
20 directly hit Broward County in over 40 years. A satellite picture of Hurricane
21 Katrina, Document No. GJW-2, taken on August 25, 2005, shows the size of the
22 storm. Hurricane Katrina exited the southwest part of Florida on August 26.
23 Hurricane Katrina had sustained hurricane force winds that extended over a 30

1 mile-wide corridor and tropical storm winds that extended over a 160 mile-wide
2 corridor. Areas affected were subjected to tropical force winds for 18-20 hours.
3 Almost 1.5 million customers, in 15 counties within FPL's service territory,
4 required power restoration.

5
6 The hardest hit areas were Miami-Dade, Broward, and Palm Beach counties.
7 This tri-county area also contains the greatest number of electrical facilities, many
8 of which are located in areas with difficult access such as alley ways and behind
9 homes, and includes areas with very dense vegetation. Tree damage was
10 extensive, causing damage not only to our overhead facilities but also to our
11 underground facilities, which were damaged as a result of uprooted trees. Damage
12 to facilities required replacing 245 miles of wire, approximately 1,507 distribution
13 transformers, and 1,248 poles, some of which were not owned by FPL. There was
14 also damage to 26 transmission line sections and 10 distribution substations. The
15 workforce dedicated to the restoration effort totaled approximately 14,400,
16 including almost 5,200 foreign utility and other contractor personnel. The 5,200
17 additional support personnel called in to assist FPL's restoration efforts came
18 from 72 different utilities and contractor companies, across 25 different states.
19 The total workforce was made up of approximately 5,500 linemen, 2,900 tree
20 personnel, 1,400 patrol and field support people, and 4,600 FPL corporate and
21 care center support personnel. In total, 12 different staging sites were established
22 in Broward and Miami-Dade counties to help manage and execute the restoration
23 effort. To serve and maintain this workforce during the restoration effort over

1 38,000 meals, almost 69,000 pounds of ice, almost 20,000 gallons of water and
2 over 104,000 gallons of fuel were consumed per day.

3

4 For the first time, system and county level Estimated Time of Restoration (ETRs)
5 were provided within 24 hours of landfall. Sub-county ETRs were provided at 72
6 hours for locations within Broward and Miami Dade County. In addition, as
7 restoration progressed, outbound calls were made to contact customers
8 individually to notify them when their power was to be restored within 48 hours.
9 Power was restored to 77% of all customers affected by the third day, 95% by the
10 fifth day and 100% of our customers were restored by the eighth day. Total cost to
11 restore service to FPL's customers and restore FPL's facilities to pre-storm
12 conditions is estimated to be \$162.1 million.

13 **HURRICANE RITA:**

14 Hurricane Rita, which eventually became a Category 5 hurricane, did not make
15 landfall in FPL's service territory. However, Rita did pass through the Florida
16 Straits and affected the southern portion of FPL's service territory. A satellite
17 picture of Hurricane Rita, Document No. GJW-3, taken on September 20, 2005,
18 shows the size of the storm. While impacting FPL service territory, Hurricane
19 Rita was a Category 1 storm and had tropical storm and gale force winds that
20 extended out 120 miles. Once again, customers in Miami-Dade and Broward
21 counties were the most affected. The outer bands of Hurricane Rita began
22 affecting the southeastern portion of FPL's territory in the afternoon of September
23 19, 2005. The most significant impacts, in Miami-Dade County, started around

1 noon on September 20. By the time the storm's effects subsided late on
2 September 20, over 140,000 FPL customers needed to have their power restored,
3 with over 80% of these customers residing in the Broward and Miami-Dade areas.
4

5 As the weather bands traveled through the South Florida area, FPL was able to
6 restore service between these bands, resulting in no more than 40,000 customers
7 being without service at any one time. The workforce dedicated to this storm
8 totaled almost 4,900 and consisted of approximately 4,600 FPL employees and
9 FPL embedded contractors and 300 foreign utility and contractor personnel. Total
10 cost to restore service to customers and restore FPL's facilities to their pre-storm
11 condition is estimated to be \$12.2 million.

12 **HURRICANE WILMA:**

13 Hurricane Wilma became a hurricane on October 18, 2005. On October 19,
14 Hurricane Wilma strengthened to a Category 5 hurricane with its minimum
15 central pressure estimated at 882 MB, the lowest pressure and therefore the most
16 powerful hurricane on record in the Atlantic basin.
17

18 Hurricane Wilma made landfall on the southwest coast of Florida, near Marco
19 Island on October 24, 2005, as a Category 3 hurricane. It crossed the state and
20 exited just to the north of Palm Beach, as a Category 2 hurricane. While in
21 Florida, Hurricane Wilma had hurricane force winds that extended 125 miles from
22 the center of the storm and winds greater than 40 mph extended 200 miles from
23 the center. A satellite picture of Hurricane Wilma, Document No. GJW-4, taken

1 on October 24, 2005, shows the size of the storm. Hurricane Wilma impacted
2 more customers than ever before in FPL's history. Over 75% or 3.2 million of our
3 customers in 21 counties required power restoration. While Hurricane Wilma
4 affected FPL's customers in Collier and Lee counties on the west coast and from
5 Brevard County south on the east coast, Miami-Dade, Broward and Palm Beach
6 counties were again the most impacted. In this tri-county area 99% of our
7 customers were without power once the storm passed.

8
9 While every storm is different, Wilma was unique in one very significant aspect
10 in contrast to prior storms. Wilma affected our entire infrastructure in ways never
11 before experienced. Power plants, transmission lines and substations as well as
12 distribution facilities all suffered damage. The resulting damage to facilities
13 caused us to replace 1,016 miles of wire, 6,330 distribution transformers, and
14 12,419 poles, some of which were not owned by FPL. While damage was
15 widespread, FPL found pockets of severe damage, where 5, 10, or in several
16 instances more than 50 poles were down in an area or on a particular segment of
17 the distribution system. Damage to poles was indiscriminate, whether the poles
18 were wood or concrete, chromated copper arsenate (CCA) or creosote, new or
19 old. In addition, approximately 100 transmission structures, 2 transmission
20 breakers and 4 substation regulators also required replacement.

21
22 Over 19,000 restoration workers, including approximately 9,200 foreign utility
23 and other contractor personnel, from 36 states and Canada worked to restore

1 power to customers affected by the storm. A restoration team of this size had
2 never before been assembled in FPL's 80-year history. Assembling this team was
3 especially difficult as the industry was still supporting Hurricane Katrina's and
4 Rita's restoration efforts in the Gulf States. FPL initially opened 11 staging sites.
5 Eventually, 20 staging sites were opened, with a peak of 17 operational at one
6 time. At one point, over 5,000 personnel were housed in nearby hotels which were
7 without power and over 200 were housed in on-site tents in order to maximize
8 productive hours. Additionally, to maximize productive hours, FPL leveraged the
9 start of daylight savings time and began the workday at 5 a.m. instead of 6 a.m..
10 This had the effect of maximizing daylight hours and allowing travel to the work
11 site to occur before peak urban traffic time. On a daily basis, FPL served almost
12 49,000 meals, used almost 82,000 pounds of ice, consumed nearly 30,000 gallons
13 of water, and used over 189,000 gallons of fuel. In an effort to provide as much
14 information as possible to the affected communities, estimated time to repair for
15 the service territory was supplied within 12 hours after landfall, at an evening
16 press conference the same day as the storm passed through the territory. County
17 level ETRs were provided in 48 hours and more local level ETRs were provided
18 at 72 hours. In addition, as more information became available, we continued to
19 update the media and our customers with improved restoration times every two or
20 three days. As we had initiated with Hurricane Katrina, outbound calls were made
21 to customers to notify them when their power was to be restored in the next 48
22 hours. By the third day we had restored power to over one million customers, on
23 the fifth day we had restored over two million, by the thirteenth day we had

1 restored over three million and on the eighteenth day all customers were restored.

2 Total cost to restore service to customers and restore FPL's facilities to their pre-

3 storm condition is estimated to be \$721.7 million.

4 **Q. Can you provide some additional cost details, by storm, for Hurricanes**
5 **Dennis, Katrina, Rita and Wilma?**

6 A. FPL's 2005 estimated costs for restoring service and restoring facilities to their
7 pre-storm condition total approximately \$906.4 million - \$10.4 million for
8 Hurricane Dennis, \$162.1 million for Hurricane Katrina, \$12.2 million for
9 Hurricane Rita, and \$721.7 million for Hurricane Wilma. In Document No. GJW-
10 5, I have provided a breakdown of those costs, by storm and cost category. I have
11 also designated whether these costs are actual or estimated. I will explain later in
12 my testimony the difference between actual expenses and estimated expenses.
13 Also, as a result of the magnitude of the repair costs associated with damages to
14 our fossil and nuclear power plant sites and other FPL facilities, Messrs. Davis'
15 and Warner's direct testimonies include a further discussion of these costs.

16
17 The major cost categories contained in Document No. GJW-5 are FPL Payroll,
18 Contractors, Vehicle and Fuel, Materials, Logistics and Employee Related, and
19 Other. "FPL Labor" includes the payroll costs, both regular and overtime, for
20 those FPL employees supporting the restoration efforts. This would include FPL
21 linemen, patrol and field support personnel, as well as corporate and care center
22 personnel. "Contractors" includes foreign utilities' personnel and line clearing and
23 other contractors (both embedded and additional) that supported FPL's restoration

1 efforts. "Vehicle and Fuel" includes FPL's vehicle costs and associated fuel costs,
2 including fuel supplied by FPL to foreign utilities and contractors. "Materials"
3 includes costs associated with items such as wire, transformers and poles and
4 other electrical equipment, used to repair and restore FPL's facilities to pre-storm
5 condition. "Logistics and Employee Related" includes costs associated with
6 managing and supporting the personnel involved in restoration efforts, such as,
7 lodging, meals, equipment and vehicle rental. "Other" includes costs not
8 previously captured. This would include costs for items such as security, nursing
9 and telecommunication at our staging sites, safety and storm related public service
10 announcements, incremental call center costs, and certain storm related employee
11 services. "Other" may also include an amount, referred to as a contingency, to
12 account for differences that may occur when estimates are replaced by actual
13 expenses. For the 2005 storms, this contingency amount accounts for less than 5%
14 of the total 2005 storm costs.

15
16 Costs that are "actual" represent costs that have been reviewed, properly invoiced
17 or charged and are considered to be final. Costs that are "estimated" include
18 invoices that have been received, but are still pending our review and approval,
19 estimates obtained from vendors, foreign utilities and contractors that are still
20 pending receipt of the final invoices, as well as other FPL estimates for work or
21 services performed. Estimated costs also include costs associated with the second
22 phase of restoration: restoring FPL's facilities to their pre-storm condition. This
23 work includes but is not limited to repairing or replacing poles that are leaning or

1 were initially braced during the initial restoration stage, replacing lightning
2 arrestors, and repairing or replacing capacitor banks. While these estimated costs
3 are subject to some fluctuation since they have not been finalized, FPL believes
4 that any fluctuation will not be material since these estimates are based on costs
5 that have been received and obtained from third parties and estimates prepared
6 using very recent cost experience, i.e., our 2004 storm experience.

7 **Q. How effective was FPL's plan and execution during the 2005 storms?**

8 A. As mentioned before, our primary goal is to safely restore the greatest number of
9 customers in the least amount of time to return the communities we serve to
10 normalcy. For the four 2005 storms, approximately 5.3 million customers
11 required power restoration. As mentioned earlier, Palm Beach, Broward, and
12 Miami-Dade Counties, our most densely populated areas, were the most
13 significantly impacted. These three counties also contain a high concentration of
14 electrical facilities, many of which are difficult to access and/or are located in
15 heavily landscaped and vegetated areas. For Hurricanes Dennis and Rita,
16 customers were 100% restored within three and two days, respectively. For
17 Hurricane Katrina, 77% of the customers affected were restored in three days,
18 95% in five days and 100% in eight days. Hurricane Wilma caused significant and
19 widespread damage to FPL's facilities, including the transmission and substation
20 facilities that first needed to be repaired before focusing on the distribution
21 system. For Wilma, FPL restored over two million customers, or 65% of all
22 affected customers by the fifth day, and 100% were restored by the eighteenth
23 day.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

The high percentages accomplished in the first few days in each storm result from FPL's consistently applied restoration strategy - to restore devices that serve the largest number of customers first. For two straight years our facilities, processes and employees have been significantly stressed and challenged like never before. Yet, we have been able to overcome these challenges with unwavering determination and commitment to our customers. We have continued to refine our processes and effectively manage field operations, while acquiring an extraordinary number of workers and managing many staging sites. As a result, we have been able to restore service to our customers in an expeditious and prudent manner.

Q. Can you discuss what factors contributed to FPL's performance in 2005?

A. There are numerous factors that contributed to FPL's overall successful performance. We have solid plans and procedures, a strong centralized command, contingency plans for critical operations, and the tools and processes which ensure effective communications and information flow. Focus on process discipline and consistent execution of the plan resulted in consistent and effective performance. These factors would include:

- Our damage forecasting model, along with aerial patrols and ground assessments which allowed us to identify how many and where resources would be needed;
- Aggressively seeking resources prior to landfall resulted in successfully acquiring the necessary workforce;

- 1 • The centralized function of resource planning allowed us to
2 allocate and redeploy personnel where needed, as the workload
3 shifted;
- 4 • Effective damage assessment through ground patrols confirmed the
5 resource allocation plan and allowed for adjustments;
- 6 • Robust outage management system functionality and a real-time
7 data warehouse allowed us to continually gauge restoration
8 progress and make adjustments as changing conditions and
9 requirements warranted;
- 10 • As transmission and substation field workers completed their
11 restoration efforts, they were redirected to distribution work; and
- 12 • Strong alliances with our vendors assured ample supply of
13 materials and avoided delays;
- 14 • As a result of the increased hurricane activity, materials stocks
15 were also increased to allow us to restore service with no materials
16 issues; and
- 17 • Past experience, constant practice, and employee skill and
18 commitment gave us the ability to anticipate operational barriers
19 and to proactively develop alternative actions to overcome them.

20 I would note that these same factors and efforts are essentially the same as those
21 that were utilized during the 2004 storms.

1 Q. Describe some of the enhancements to FPL's emergency preparation plans
2 and processes that you implemented based on the Company's review of its
3 2004 storm experience.

4 A. As a result of our 2004 restoration experiences, new initiatives were introduced in
5 2005. These new initiatives included:

- 6 • Earlier resource acquisition: By making commitments and
7 acquiring external resources earlier and having them travel, and
8 pre-staged closer, yet out of danger, to the expected areas to be
9 affected - before the storms made landfall, restoration execution
10 was enhanced; For Hurricane Katrina over 1,400 external
11 resources were pre-staged in Orlando and for Hurricane Wilma
12 over 1,600 were pre-staged in Orlando and Miami. This enabled
13 these resources to assist our restoration efforts earlier than
14 before, thereby reducing restoration times.
- 15 • Enhanced fuel strategy: Physical inventory and in-house delivery
16 capabilities allowed us to avoid fuel supply issues like those
17 experienced during 2004 .
- 18 • Establishing critical infrastructure facilities: Established a
19 partnership with the county EOC organizations to identify key
20 community infrastructure facilities requiring restoration
21 prioritization. This enabled the EOCs to better serve the
22 communities' needs.

- 1 • EOC communications: Dedicating an FPL representative to each
2 EOC to improve communications between us and the community
3 leaders and to more quickly understand and resolve issues.
- 4 • Customer communications: Improving our communication
5 efforts with our customers assisted us in providing more and
6 better information than ever before. A Crisis Information Team
7 was created and became the hub for all external, as well as
8 internal communications. Updates on restoration progress were
9 provided to community leaders and the media four times per day,
10 daily live press conferences were held telephonically as well as
11 live from our headquarters and our staging sites, ETRs were
12 provided to FPL's care centers for customers calling in as well as
13 the media, and FPL's website was updated to provide easier
14 access to restoration information and to report outages. Our
15 improved communication efforts assisted us in providing more
16 and better information than ever before.

17 **Q. What other factors contributed to the successful restoration efforts in 2005?**

18 A. From 1998-2004, FPL has invested over \$4 billion in its distribution
19 infrastructure. This includes investing \$1.2 billion in reliability programs which
20 ensure that our distribution system is well maintained and provides excellent
21 reliability for our customers. FPL's reliability programs are designed to maintain
22 the existing infrastructure, address circuits that are considered outliers and
23 introduce initiatives to help improve the infrastructure. These programs have

1 resulted in a 50% improvement in our customers' overall reliability since 1997, as
2 measured by SAIDI or service unavailability. Also, FPL's overall reliability has
3 been best among the Florida investor owned utilities for the last two years and is
4 significantly better than the national average. Without a properly maintained
5 system, these reliability results and achievements could not be achieved.
6 Additionally, certain of these reliability programs have allowed our infrastructure
7 to better withstand these unprecedented back-to-back hurricane seasons and avoid
8 even more damage to our facilities and customer outages.

9
10 Finally, I would be remiss if I did not mention the commitment and dedication of
11 our employees who, for two straight years now, have demonstrated that they will
12 go to great lengths to serve our customers. They have worked 16 hour days,
13 sometimes for weeks at a time, been away from their families, given up vacations,
14 and left their own damaged homes and not returned until power has been
15 completely restored to all of our customers.

16 **Q. Please provide some examples of the reliability initiatives that have**
17 **contributed to an improved infrastructure and fewer and/or shorter outages?**

18 **A.** As mentioned earlier, since 1998, FPL has spent nearly \$1.2 billion on its
19 distribution infrastructure. Over \$800 million was spent on key reliability
20 programs, which are designed to improve performance, address outlier devices
21 which impact customers experiencing multiple interruptions, maintain our
22 infrastructure and address critical devices. Over \$370 million have been spent on

1 expanding our system in order to meet load requirements of new and existing
2 customers

3

4 Some of our successful reliability programs designed to improve performance
5 include the AFS (automated feeder switch) program and the cable rehabilitation
6 program. Since the beginning of the AFS program in 2002, we have installed
7 approximately 500 switches which we estimate have resulted in avoiding over
8 188,000 customers from being interrupted. Our underground Cable Rehabilitation
9 program also has provided significant outage savings. Since 2000, over 10 million
10 feet of feeder and lateral cable have been rehabilitated and we estimate that, on
11 average, approximately 30,000 customers have avoided being interrupted each
12 year.

13

14 Another program which is a critical component of our reliability initiatives is the
15 "outlier" program. It is designed to address customers who have repeatedly
16 experienced multiple interruptions. At the end of last year, we had approximately
17 16,600 customers experiencing more than eight interruptions within a twelve
18 month period. Even though this is a fraction of our customer base, we are
19 committed to improve the performance level of our system for these customers.
20 Through a targeted program aimed at improving performance, we expect to see a
21 50% reduction over last year.

22

1 Our maintenance programs and practices continue to ensure that our infrastructure
2 and critical equipment are operable and in good condition. Some of our
3 fundamental programs include the following: thermovision inspections, an
4 infrared predictive technology, designed to detect and correct potential failures in
5 overhead facilities; visual inspections; padmounted transformer inspections; vault
6 inspections, designed to ensure that critical underground equipment such as
7 automated throw-over switches are operational in order to allow for the
8 redundancies built into our system to properly function. These and other
9 operations are critical in helping to maintain our excellent reliability performance.

10
11 Additionally, our system expansion and model feeder program allow us to
12 alleviate overloaded conditions that could result in outages or stress equipment,
13 causing it to fail earlier than expected. These conditions are addressed by
14 constructing new feeders, upgrading or retrofitting existing feeders and creating
15 feeder ties. This allows us to reduce the number of customers affected by an
16 outage. It also builds in system flexibility and redundancy in order to be able to
17 minimize restoration efforts by operationally switching loads and isolating faults.

18 **Q. Hurricane Wilma caused more poles to be damaged and subsequently**
19 **replaced than any other previous storm, including the storms in 2004. As a**
20 **result, assertions have been made that FPL has not maintained its pole**
21 **infrastructure. What is your response to these assertions?**

22 **A.** The facts do not support such assertions. To begin, FPL designs and constructs its
23 distribution system to meet and, in most cases, exceed the National Electric Safety

1 Code. With this as the basis, let me provide some facts associated with our poles.
2 We own approximately 1.1 million distribution poles, of which 94% are wood,
3 that meet or exceed the requirements of the American National Standard for
4 Wood Products and the applicable standards of American Wood-Preservers
5 Association. FPL has a pole inspection program that consists of three initiatives -
6 a targeted pole inspection program that specifically addresses one of FPL's older
7 pole types, visual inspections conducted as a part of our thermovision program,
8 and inspections conducted as part of daily work activities. Approximately 12,000
9 poles are replaced annually as part of our business activities.

10

11 As a result of 3 hurricanes that made landfall in FPL's territory during 2004 and
12 affected most of FPL's service territory, FPL replaced approximately 13,000
13 poles. 10,400 of these poles were owned by FPL and represent less than 1% of
14 our pole population. In 2005, as a result of four hurricanes that impacted our most
15 densely populated areas and subjected the majority of our poles to hurricane force
16 winds, FPL replaced about 12,600 poles. While the number of replaced poles
17 owned by FPL is unknown at this time, we currently expect that, like 2004, it
18 should be less than 1% of our pole population. During the period 1999-2004, pole
19 related outages accounted, on average, for approximately 130 outages per year, or
20 just 0.1% of all outages experienced by our customers. In April 2005, the FPSC
21 conducted its own independent survey on FPL's poles, covering 23 counties
22 within FPL's service territory. The FPSC focused on those areas that were not
23 severely impacted by the 2004 hurricanes in order to ensure that they were

1 inspecting older poles and not recently installed poles. The results of the survey
2 showed that out of almost 600 poles inspected, only five poles showed some
3 minor to moderate surface damage and one pole had a severe fracture. However,
4 not one pole was found to have any significant visible deterioration. I believe
5 these facts indicate that the integrity of FPL's pole infrastructure is sound and
6 resilient and has been properly maintained.

7 **Q. Has there been any analysis or investigation performed subsequent to any of**
8 **the 2005 storms that provides any insight into the pole damage issue?**

9 A. Yes. After examining our 2004 hurricane efforts, we determined that it would be
10 helpful to compile more information on our storm-damaged facilities immediately
11 following a storm to better understand failure modes. This information might then
12 be useful in determining how to better protect or "harden" our facilities for future
13 storms. As Hurricanes Katrina and Hurricane Wilma cleared our service territory,
14 we immediately dispatched several teams of FPL engineers to gather forensic data
15 on damaged facilities, including poles. While the data are still being analyzed, we
16 have identified some preliminary findings regarding damaged poles:

17 (1) Pole damage resulted primarily from acts of nature - uprooted trees,
18 high winds or flying debris;

19 (2) Not unlike FPL's experience in 2004, there were many poles damaged
20 that were not owned by FPL ;

21 (3) During Wilma, over 50% of FPL poles were subjected to hurricane
22 force winds, yet only approximately 1% experienced any damage;

1 (4) Almost 75% of the FPL-owned damaged poles in the Hurricane Wilma
2 sample were pole types that have not historically shown any signs of
3 deterioration: concrete poles and newer treated wood poles (CCA type).

4 **Q. Has FPL contracted for an independent third party review of FPL's 2005**
5 **storm performance?**

6 A. Yes. Similar to 2004, when FPL hired Davies Consulting to examine its
7 restoration processes as part of its continued efforts to improve performance, FPL
8 has contracted with KEMA, Inc. (KEMA) to review FPL's transmission and
9 distribution systems' 2005 storm performance. KEMA is an internationally
10 known engineering and consulting firm that has tremendous experience with
11 infrastructure and reliability reviews for other major utilities throughout the
12 world. This review, which is discussed in greater detail in the direct testimony of
13 Dr. Richard Brown, includes a statistical examination of data collected during
14 Wilma, a review of FPL design standards, a comparison of FPL design standards
15 to standard industry practice, a review of relevant FPL and supplier quality
16 standards and a review of FPL's pole inspection and maintenance program.

17
18 **2005 versus 2004 Storm Comparison**

19 **Q. Can you provide any comparative information to help gauge FPL's 2005**
20 **hurricane restoration efforts?**

21 A. It is very difficult to draw precise conclusions when comparing a utility's
22 response to a given event, e.g., customer density, electrical facility density,
23 vegetation density, structural damage, etc. However, I have included information

1 in Document No. GJW-6 for the 2004 and 2005 hurricanes that impacted FPL.
2 This comparison shows very similar results for the number of customers restored,
3 days to complete restoring service and total restoration costs. With respect to the
4 2004 storm restoration efforts, Order No. PSC-05-0937-FOF-EI issued in our
5 2004 storm recovery proceeding (Docket No. 041291-EI) states, starting on page
6 22:

7 “We find that the costs that we found to be appropriately charged to the
8 storm reserve, as set forth in the table above (in Section II.D.), are
9 reasonable and prudent. At the customer service hearings in this docket,
10 extensive testimony was offered in praise of FPL’s storm restoration
11 efforts. No party has challenged the reasonableness or prudence of these
12 efforts. More importantly, no party has challenged the reasonableness or
13 prudence of any specific cost among those that we found to be
14 appropriately charged to the storm reserve. Thus, based on the record
15 established, it appears that the costs we found to be appropriately charged
16 to the storm reserve are reasonable and prudent.”

17 **Q. What are your conclusions with respect to the comparison contained in**
18 **Document No. GJW-6?**

19 A. As I have discussed earlier in my testimony, FPL’s 2005 restoration processes,
20 efforts, and actions are essentially the same as those in 2004. In fact, with the
21 improvements implemented in 2005, they are even better. Therefore, I would
22 conclude that our 2005 restoration efforts and associated costs are reasonable and
23 prudent.

1 Q. Please summarize your testimony.

2 A. FPL has highly effective emergency preparedness plans and processes. Annual
3 practice, along with recent actual experience, assures consistent and effective
4 performance. Four 2005 hurricanes, Dennis, Katrina, Rita, and Wilma, affected
5 FPL and its customers. Hurricanes Katrina and Wilma made a direct impact in the
6 most densely populated portions of FPL's service territory and Hurricanes Dennis
7 and Rita traveled close enough to FPL's service territory for their outer bands to
8 cause damage and outages. In total, for all four storms, approximately 5.3 million
9 customers required power restoration. Significant resources comprised of FPL
10 employees, other utilities, and contractors were utilized to restore power and
11 restore FPL's facilities to pre-storm condition. Total costs for 2005 associated
12 with the restoration of customers' service and FPL facilities are estimated to be
13 approximately \$906.4 million. FPL's reasonable management actions, which I
14 have previously described with respect to our 2005 storm restoration activities,
15 support that these costs were reasonably and prudently incurred.

16
17 The 2005 storm season was extremely active, testing our plans and expanding our
18 capabilities. In a number of ways, FPL's operational performance in response to
19 the 2005 storms exceeded its very effective 2004 performance. Critical to
20 achieving these results was FPL's proven restoration processes and the
21 management teams' experience. Throughout the storms, FPL worked tirelessly to
22 bring available internal and external resources to bear. We took extraordinary
23 actions in acquiring all necessary resources in order to meet the objective of

1 restoring electric service as quickly and safely as possible, to allow our customers
2 and the communities we serve to return to normalcy. We focused on the
3 objectives and strategies required to successfully execute our plans. We took
4 reasonable, necessary, and prudent actions in meeting our restoration objective for
5 each storm.

6 **Q. Does this conclude your direct testimony?**

7 **A. Yes.**

1 BY MR. BUTLER:

2 Q. Ms. Williams, would you please summarize your
3 testimony?

4 A. Yes, I would. Good afternoon, Commissioners.
5 The primary objective of FPL's emergency preparedness
6 plans and restoration process is to restore the greatest
7 number of customers in the least amount of time. FPL's
8 plan is consistent with Commission rules and other
9 public interest and is the product of years of study and
10 refinements based on actual experience.

11 When a storm actually threatens our territory,
12 we respond with well-tested actions at specified
13 intervals prior to the storm's landfall. These actions
14 include developing restoration plans based upon the
15 intensity and the path of the storm, identifying and
16 acquiring the necessary resources, determining logistic
17 needs, and communicating with state and community
18 leaders as well as our customers.

19 The 2005 hurricane season shattered records
20 that had stood for decades. Additionally, many new
21 records for two consecutive storm seasons were
22 established as well. In 2005, FPL and its customers
23 were affected by four storms, Dennis, Katrina, Rita, and
24 Wilma. All four storms impacted the most densely
25 populated areas of our service territory, which are

1 Miami-Dade, Broward, and Palm Beach Counties.

2 In total, 5.3 million customer accounts
3 required power restoration. In my direct testimony
4 which was submitted on January -- later this year --
5 January 13th of this year, I estimated that the total
6 cost for this restoration effort would be \$906 million,
7 and that was estimated as of November 30th, 2005. I
8 should note, though, that in my rebuttal testimony, it
9 provides an updated estimate of \$885.6 million as of
10 March 31st, 2006.

11 Our successful 2005 restoration efforts
12 utilized essentially the same processes as those that
13 were used during the 2004 storm season, with some
14 enhancements that were based on lessons learned in 2004.
15 These enhancements included acquiring resources earlier,
16 improving our fuel strategy that allowed us to avoid
17 fuel supply issues, establishing critical infrastructure
18 facility priorities with the county EOCs, and improving
19 communications.

20 Additionally, significant investments in our
21 distribution infrastructure over the last seven years,
22 including reliability initiatives, provided a
23 well-maintained system that was able to withstand
24 unprecedented back-to-back hurricane seasons.

25 While our pole inspection and maintenance

1 programs have been questioned, the facts are that pole
2 outages for reasons other than hurricanes are almost
3 nonexistent. Pole replacements for each of the past two
4 storm seasons represented less than 1 percent of our
5 pole population. And the PSC's own survey of FPL poles
6 showed that only a handful of poles showed minor to
7 moderate levels of damage. In short, our pole
8 infrastructure is sound, resilient, and properly
9 maintained.

10 After the 2005 storms, FPL hired an
11 internationally renowned engineering consulting firm
12 named KEMA to evaluate FPL's distribution, transmission,
13 and substation storm performance. This review is
14 discussed in the direct testimony of Dr. Richard Brown.

15 As one measure of the success of FPL's 2005
16 hurricane restoration efforts, we compared 2005 and 2004
17 restoration performance. Our 2004 efforts and costs
18 were determined by this Commission to be prudent and
19 reasonable. Because the '05 efforts and results are
20 very similar for the number of customers affected, for
21 the days to restore service, and for the total
22 restoration costs, I would conclude that FPL's 2005
23 restoration efforts and costs are likewise reasonable
24 and prudent.

25 Thank you. That concludes my oral summary.

1 MR. BUTLER: I would tender the witness for
2 cross-examination.

3 CHAIRMAN EDGAR: Who would like to begin?

4 MR. PERRY: This is Tim Perry for FIPUG. We
5 don't have any questions for the witness.

6 CROSS-EXAMINATION

7 BY MR. MCGLOTHLIN:

8 Q. Hello, Ms. Williams. My questions relate to
9 that part of your testimony in which you describe the
10 company's pole inspection program and the components of
11 the program. At page 34, line 5 --

12 CHAIRMAN EDGAR: Mr. McGlothlin, we need you
13 to pull the microphone a little closer or lean in just a
14 little bit, if you would.

15 MR. MCGLOTHLIN: I'll square around.

16 CHAIRMAN EDGAR: Thank you.

17 BY MR. MCGLOTHLIN:

18 Q. At page 34, line 5, you make this statement:
19 "FPL has a pole inspection program that consists of
20 three initiatives, a targeted pole inspection program
21 that specifically addresses one of FPL's older pole
22 types, visual inspections conducted as a part of our
23 thermovision program, and inspections conducted as part
24 of daily work activities."

25 Referring to what you describe as the targeted

1 program, that has also been identified as the Osmose
2 program from time to time in this case, has it not?

3 A. Yes, it has.

4 Q. And under that program, as I understand it,
5 Osmose, the contractor, will in the course of an
6 inspection use a hammer or other tool to sound the pole,
7 excavate 18 inches below ground level to check for
8 deterioration there, and take sample borings to see if
9 there's anything internal to the pole's shell; is that
10 correct?

11 A. Yes, that's part of the Osmose program.

12 Q. And as part of that program, Osmose provides
13 information that is then placed into a database; is that
14 correct?

15 A. Yes.

16 Q. The KEMA report describes that database as
17 follows. I'm reading from page 26 from the report
18 attached to Dr. Brown's testimony. Referring to the
19 Osmose program, it makes this statement, or the report
20 makes this statement. "The pole inspector collects the
21 following data which is placed in a database for FPL:
22 (1) Pole location, by street address or other means, (2)
23 GPS coordinates, (3) pole brand, date, month, and year,
24 (4) pole length and class, (5) species of wood, (6)
25 original treatment, (7) pole supplier, (8) FPL grid

1 number if available, (9) ground line circumference, (10)
2 condition of pole above ground line, (11) condition of
3 attachments, (12) last year inspected, (13) last year
4 treated, (14) decay this cycle, (15) evaluations, and
5 (16) work performed."

6 Does that accurately describe the information
7 that's supplied by Osmose in the course of its
8 inspections?

9 **A.** I believe it does.

10 **Q.** The Osmose program was implemented -- it began
11 in 1999; is that correct?

12 **A.** No. I think Osmose was actually doing pole
13 inspections on Florida Power & Light in the '80s.

14 **Q.** Well, the particular program that is described
15 in the KEMA report was implemented in 1999, was it not?

16 **A.** The specific program, yes, it was started in
17 '99.

18 MR. MCGLOTHLIN: I'm going to ask some
19 questions that relate to a document that is among the
20 exhibits attached to Witness Byerley's testimony. I'm
21 going to distribute one page from that document. I
22 think there's no need to identify it as a separate
23 exhibit. This is simply for the convenience of the
24 witness and the Commissioners, for their ease of
25 reference. It's the program matrix.

1 (Documents distributed.)

2 BY MR. MCGLOTHLIN:

3 Q. Ms. Williams, I think you recognize this as a
4 document you've seen before. It's captioned "Program
5 Evaluation Matrix." Do you recognize this as a portion
6 of the scenarios that those within FPL who are
7 recommending the adoption of the pole inspection program
8 prepared for the company's consideration?

9 A. That is correct. This is a typical document
10 that will be prepared to evaluate any number of
11 reliability programs that we consider every year as part
12 of our budget and reliability plan.

13 Q. And this particular matrix presents three
14 scenarios, does it not?

15 A. Yes.

16 Q. Alternatives 1, 2, and 3?

17 A. Yes, it does.

18 Q. And would you agree with me that each of the
19 three alternatives, each of the three scenarios
20 described in this particular evaluation contemplated
21 that the proposed pole inspection program would cover
22 all of the wood poles in FPL's system, the entire
23 universe of wood poles?

24 A. It would over different periods of time.

25 Q. Yes. And those are depicted in the three

1 alternatives, are they not, four, seven, and ten years?

2 **A.** Yes, that's correct.

3 **Q.** And to accomplish the objective of inspecting
4 all of the poles in those time periods, these scenarios
5 contemplated that FPL would have the contractor perform
6 325,000 poles if the objective was four years, and then
7 the corresponding number of inspections for the seven-
8 and ten-year programs would have 185,000 and 130,000
9 inspections per year; is that right?

10 **A.** Yes.

11 **Q.** And, of course, depending on the scope of the
12 annual program, the estimated capital and O&M outlays
13 are shown that correspond to those different levels of
14 activity; is that correct?

15 **A.** That's correct. That's what's shown on this
16 page.

17 **Q.** All right. When the particular program that
18 has been referred to as the Osmose program or the
19 targeted pole program was actually implemented in 1999,
20 it was limited as to both geographical area and the
21 number of inspections per annual period, was it not?

22 **A.** Yes, it was. And I think what's not shown
23 with this particular sheet is, of course, that when we
24 evaluate any number of programs, these programs, in
25 essence, compete with each other. It's all about what

1 value do the specific programs bring to the customers,
2 what type of reliability initiative or what type of
3 improvement as a result of the dollars that are being
4 proposed to be spent can our customers expect to
5 receive. And that's what, by not seeing all the
6 different programs that we had an opportunity to review,
7 just looking at one page, fails to capture.

8 Q. In any event, when the program was implemented
9 in the 1999 and 2000 time frame, in those early years,
10 FPL did perform or had Osmose perform in terms of order
11 of magnitude about 28,000 inspections per year in 2000
12 and 2001; isn't that is right?

13 A. I don't recall the specific numbers.

14 MR. BUTLER: I'm sorry. Joe, can you make a
15 reference to a document for that figure if you're trying
16 to refer her to it?

17 MR. MCGLOTHLIN: Well, one such reference is
18 again taken from Mr. Byerley's exhibit, which is part of
19 the 2001 reliability performance initiatives, and I have
20 copies of that page to pass out.

21 (Documents distributed.)

22 MR. MCGLOTHLIN: Again, Commissioners, this
23 has already been attached to Mr. Byerley's testimony and
24 has been identified as part of JSB-11 to be marked later
25 in the case.

1 BY MR. MCGLOTHLIN:

2 Q. Ms. Williams, do you have before you the page
3 captioned "2001 Reliability Performance Initiatives"?

4 A. Yes.

5 Q. And do you see the reference in the top
6 paragraph to a current inspection rate of approximately
7 28,000 per year?

8 A. Yes, I see that.

9 Q. Do you accept that as accurate as of the time?

10 A. I do.

11 Q. You became Vice President of Distribution in
12 2003, did you not?

13 A. Yes, I did.

14 Q. In that capacity, are you familiar with the
15 number of inspections performed by Osrose in 2004?

16 A. I would have to look it up. I don't really
17 recall the exact numbers for any one of our programs, I
18 have to admit.

19 Q. Well, are you aware that the numbers in recent
20 years are considerably fewer than the 28,000?

21 A. They are in fact lower.

22 Q. And again, in Mr. Byerley's exhibit, for 2004,
23 there's an indication that the total for FPL was 7,710
24 in terms of order of magnitude. Does that sound about
25 right?

1 **A.** Subject to check, yes.

2 **Q.** All right. FPL compensates Osmose for each
3 inspection it performs, does it not?

4 **A.** Yes.

5 **Q.** So the cost of the program will be, in part at
6 least, a function of the number of inspections?

7 **A.** That is correct, the number of inspections,
8 the number of actual bracings that is required as a
9 result of the inspection, and the treatment that is
10 actually applied to the poles.

11 **Q.** So over time, as the number of inspections
12 diminish from 28,000 to order of magnitude of 7,500, FPL
13 has been spending less on the Osmose program in recent
14 years than it did in the 2000-2001 time frame?

15 **A.** That would be correct.

16 **Q.** You also refer to the visual inspections that
17 are part of the thermovision program. As I understand
18 it, the thermovision program and the visual inspections
19 that are part of that program do not apply to laterals;
20 is that correct?

21 **A.** Thermovision targets -- that's correct, it
22 does not. Thermovision targets our feeder population,
23 which is really the most critical component of the
24 distribution infrastructure. It's the main trunk lines
25 where, frankly, 93 percent of our customers can be

1 directly fed from -- actually, 100 percent. If the
2 feeders are out, everything else is out.

3 Q. And in terms of the number of laterals that
4 are not part of that program, at page 45 of the KEMA
5 report there is an estimate of 845,000 laterals. Is
6 that in order of magnitude about right?

7 A. Would you repeat that number, please?

8 Q. 845,000.

9 MR. BUTLER: I'm sorry, Joe. Your reference
10 is to page 45 of the KEMA report?

11 MR. MCGLOTHLIN: Of the KEMA report.

12 THE WITNESS: I don't show that on page 45 of
13 the KEMA report.

14 MR. BUTLER: Page 45 in what I have is section
15 5.7, Conclusions.

16 THE WITNESS: Right.

17 BY MR. MCGLOTHLIN:

18 Q. I must have the wrong reference written down.
19 As Vice President of Distribution, I'll just ask you.
20 How many of your poles are laterals?

21 A. How many of my poles are laterals?

22 Q. Yes.

23 A. Let me see if I can find that information. As
24 Vice President of Distribution, I haven't counted them,
25 but I'm sure that I can find the reference. Let's see.

1 Where would I find that?

2 I think roughly 65 percent. Let's do it this
3 way. Sixty-five percent of our poles are laterals.
4 Sixty-five percent of our 1.1 million would be close. I
5 don't know that it would be exactly 885,000, but it
6 would be in the neighborhood.

7 Q. I didn't hear the number that you gave.

8 A. I said about 65 percent of our poles are
9 lateral poles, 65 percent of about 1.1 million. You're
10 in the neighborhood.

11 Q. Okay. Now, inasmuch as the thermovision crews
12 perform only visual inspections, there's no excavation
13 performed in the course of one of those inspections, is
14 there?

15 A. There isn't any excavation as a result of the
16 thermovision inspections. There could be excavation as
17 a result of the third initiative of our pole program,
18 which includes, of course, all the daily touch points.
19 And I think it's in that area that lateral poles
20 probably have the largest amount of inspection done.

21 Q. My question is limited to the thermovision
22 program. Is there excavation involved in the
23 thermovision inspection?

24 A. I think I answered that. No, there is not.
25 It's visual.

1 **Q.** And the thermovision crews do not sound the
2 poles with tools to detect internal decay?

3 **A.** That is correct. The thermovision program is
4 a visual inspection that looks for obvious damage to the
5 poles, rot, cracks, damage of different types,
6 woodpecker holes, those types of things.

7 **Q.** Do the thermovision inspections result in
8 information for purposes of database collection that
9 lines up with the information supplied by Osmose?

10 **A.** No, it does not. It is captured in a
11 different forum as part of our reliability database,
12 where we get the reports from the thermographers, where
13 they identify for every circuit all the various things
14 that they found on that circuit requiring attention.

15 First, of course, is the thermographic
16 information, looking for hot spots, if you will, the
17 connections on the equipment, with the intent of trying
18 to correct those things before they turn into an outage.
19 And then separately, they also do a visual inspection
20 and take pictures of the actual locations where they've
21 seen a problem.

22 That information is then provided to the
23 service center, which creates work orders, work requests
24 to correct the problem. And then at the reliability
25 staff level, they reconcile, if you will, the work done

1 versus the work that was expected to be done.

2 Q. And those pictures are taken, and reports of
3 that nature, when a visual inspection is capable of
4 detecting obvious damage; is that correct?

5 A. Obviously, yes.

6 Q. The other category or component of the program
7 that you described relates to the workmen and their
8 contact with the pole. And in that regard, those
9 workmen are called upon to perform hazard assessments,
10 are they not?

11 A. Yes, they are. It's a requirement, part of
12 the safety rules that we have for our workforce, that
13 prior to beginning any kind of work that they do a
14 thorough hazard assessment. And, of course, so many of
15 our facilities are in fact poles, that as part of that
16 hazard assessment, if they're going to do anything on
17 that pole, whether it's climbing the pole or working
18 from a bucket onto the pole, they are required to follow
19 a very specific protocol of inspecting the facilities
20 that includes a number of things similar to the Osmose
21 program.

22 Q. In terms of the data that is collected and
23 preserved in a database, is the information generated by
24 a hazard assessment on a par with the information that
25 is entered into the database by Osmose?

1 **A.** The information that is gathered from our
2 workforce is in fact collected, brought back to the
3 worksite, and then something we call the local joint
4 safety committees, which are joint committees of
5 management and union, look at the specific safety issues
6 that were found on the jobsite, and over time, work to
7 make sure that those issues are addressed.

8 But as far as addressing your specific
9 question, is it entered into the Osmose database or the
10 database that Osmose uses, no, it is not. It's really
11 more at the worksite level about addressing the specific
12 issues that the workers themselves found.

13 **Q.** Is it fair to say that these hazard
14 assessments are more in the nature of the daily work and
15 part of the daily process as opposed to a long-term data
16 retention program?

17 **A.** It's part of their daily work. It's an
18 important part of their daily work. And since they are
19 working in people's backyards, they're doing work on
20 laterals all the time, they are touching -- and I think
21 the KEMA report shows a pretty extraordinary large
22 number. They are touching over 100,000, almost 200,000
23 poles on an annual basis because they're doing so much
24 work on our infrastructure.

25 **Q.** You used the term "touching," and KEMA uses

1 the term "touch points." Whose term is that? Was that
2 used by FPL to describe its program to KEMA, or is that
3 KEMA's description of the FPL program?

4 **A.** I'm not sure where the term came from. It's
5 not one that I've used in the past.

6 MR. MCGLOTHLIN: Those are all my questions.

7 CHAIRMAN EDGAR: Mr. Twomey.

8 MR. TWOMEY: I don't have any questions.

9 CHAIRMAN EDGAR: Thank you. Mr. Wright.

10 MR. WRIGHT: Thank you, Madam Chairman.

11 CROSS-EXAMINATION

12 BY MR. WRIGHT:

13 **Q.** Good afternoon, Ms. Williams.

14 **A.** Good afternoon.

15 **Q.** Am I correct that in evaluating customer
16 interruptions, you look at SAIDI and CAIDI measures in
17 those?

18 **A.** We look at a number of things when we're
19 looking at customer interruptions. We're actually
20 looking at the raw number of customers interrupted.
21 We're looking at on a reliability basis the CAIDI, the
22 average amount of time to restore power. We're looking
23 at the average amount of time that customers are without
24 power. We look at multiple interruptions for any
25 particular customer, as it's not just the average of the

1 system, but also keeping an eye on making sure that the
2 customer experience for any group of customers is not
3 beyond a certain threshold. So we look at reliability,
4 if you will, from the customer perspective in a number
5 of different facets.

6 Q. Okay. Is it true that your measure of
7 customer interruptions does not include momentary
8 interruptions?

9 A. We actually look at it in two ways. We look
10 at it as permanent customer interruptions, which are
11 defined as interruptions that are 60 seconds or greater.
12 And for interruptions that are less than 60 seconds, 59
13 or less, those are considered momentary interruptions,
14 and we measure those as well and track those as well and
15 have programs to address those as well.

16 Q. Okay. But in your CI measure, that's
17 permanent interruptions?

18 A. Permanent interruptions; that's correct.

19 Q. Does FPL do any studies that attempt to
20 quantify the value to consumers of interruptions that
21 they might experience as a result of storms?

22 A. Well, we know how important electricity is to
23 our customers. In terms of actually doing an economic
24 analysis, the answer would be no.

25 Q. In your deposition, I believe that you told me

1 that something like 57 percent of the pole failures in
2 Katrina were vegetation-related and something on the
3 order of 22 percent of pole failures in Wilma were
4 vegetation-related. Is that about right?

5 **A.** Subject to check. I don't have my deposition
6 in front of me, but I do recall having the conversation
7 with you. And I know that there were more
8 vegetation-related interruptions in Katrina overall, or
9 as a percentage, I should say, than there were with
10 Wilma. Wilma was an extraordinarily high wind storm.

11 **MR. WRIGHT:** If I may, I'm just going to show
12 her her deposition. Those numbers are 21 and 57, but
13 I'll just ask her to verify that.

14 **BY MR. WRIGHT:**

15 **Q.** If you would just confirm that that's what you
16 said in your deposition, that 21 percent in Wilma were
17 vegetation-related, and 57 in Katrina. And assuming
18 that to be true, if you would confirm that that's still
19 true to the best of your knowledge as of today.

20 **A.** If I could have a minute.

21 **Q.** Certainly.

22 **A.** Thank you.

23 I can't find where I actually said it. I'm
24 sorry. Let me see if I can find it. What you showed me
25 is what you said I said. Not that I don't trust you,

1 but I want to see it.

2 Q. And I believe your response to my question
3 there was, "That's correct"; is that not correct?

4 A. I just want to see it.

5 Well, subject to check, I'll just agree with
6 it.

7 Q. Okay. And will you agree that to the degree
8 that FPL had access to control vegetation, that at least
9 some of the vegetation-related pole damage was
10 preventable by FPL?

11 A. No, I would not agree with that. When you
12 look at the data, the forensic data that was collected
13 and then analyzed by KEMA, you would find that pole
14 breakages related to trees were extraordinarily
15 non-preventable.

16 And, of course, that makes sense. When you
17 think about a pole and the wires and the infrastructure
18 that is included or involved in poles, it's hard to
19 imagine a branch breaking a pole, and that's not what
20 normally happens. What typically happens in a hurricane
21 situation is, you have trees that are uprooted and then
22 toppled onto our lines. Therefore, those pole breakages
23 associated with trees are not preventable.

24 And in looking at the over -- my goodness, 18,
25 1,900 data points of actually looking at facilities

1 right after the hurricane as part of our forensics for
2 both Katrina and Wilma, I believe that with Wilma there
3 were 1,741, and with Katrina there were several hundred.
4 Of those 1,900-plus observations, there were three
5 preventable tree-related pole breakages with Wilma,
6 three, and four preventable tree-related pole breakages
7 with Katrina.

8 Q. What does preventable mean in that context?
9 Does that mean the tree that fell on the pole was in the
10 right-of-way that you could have controlled?

11 A. It means that -- and I've looked at the
12 pictures of several of those. It means that where there
13 was pole damage, it was the opinion of the person that
14 went out there, the forensics engineer, that standard
15 trimming could have prevented the pole damage that
16 actually occurred.

17 For example, one of them was very interesting.
18 It was a pole that -- the top portion of the pole had
19 been sheared off, and so you could see how possibly a
20 branch came down that caused that pole to get severely
21 cracked.

22 But in all the other 1,900-plus instances of
23 direct observation, it was the assessment of the
24 forensic engineer that no level of line clearing could
25 have prevented that pole from breaking, which of course

1 makes sense. When you have a three-ton tree against any
2 wood pole, or concrete pole for that matter, the tree is
3 going to win. And that happened over and over again.
4 So when you're looking at tree-related pole breakage,
5 it's overwhelmingly not preventable.

6 Q. Am I correct -- I'm changing subjects now. Am
7 I correct that it is your statement as a matter of fact
8 that FPL's distribution system performed as designed and
9 as expected in Wilma and Katrina?

10 A. That is my opinion, and it's also the opinion
11 of KEMA, the third-party engineering firm that looked at
12 the data, looked at our standards, and similarly came to
13 that conclusion. Actually, they came to the conclusion.
14 I agree with it.

15 Q. Thank you. I'm going to ask Mr. Twomey to
16 hand out an exhibit that is one page out of what was
17 your Deposition Exhibit Number 3. And for reference, it
18 is Bates stamped FPL 004465, and it has to do with a
19 pole inspection, an FPL pole inspection program.

20 Ms. Williams, you recall seeing this document?

21 A. Yes, I do.

22 Q. And do you recall our conversation about it at
23 your deposition?

24 A. I do.

25 Q. The date on which this document was prepared

1 is apparently July 16, 2004. Does that seem right to
2 you?

3 **A.** Yes, I think that's probably right.

4 **Q.** That is the date that's shown on the document?

5 **A.** Uh-huh, yes, it is.

6 **Q.** Okay. Given that the document was prepared in
7 2004, do you know whether the 2002 and 2003 numbers were
8 actuals or whether they were just budget numbers as
9 indicated in the left-hand column of the table?

10 **A.** I don't know whether they were budget or
11 actual. They were probably actual, but I'm speculating.

12 **Q.** Thank you. You'll agree that the trend from
13 2002 to 2004 -- well, from 2002 to 2003 was a
14 substantial reduction in the expenditures on the pole
15 inspection program?

16 **A.** Yes, there is a reduction.

17 **Q.** Okay. And from 2004 to -- I'm sorry, 2003 to
18 2004, the dollars expended stayed approximately the
19 same; is that accurate?

20 **A.** That is correct.

21 **Q.** The number of poles inspected or touched,
22 inspected, treated, braced, or replaced reduced by close
23 to half. Would you agree with that?

24 **A.** That's what it looks like.

25 **Q.** And then from 2005, given the projected budget

1 for 2005, the number was projected to reduce quite a bit
2 further, from around 6,000 in 2004 to a little over
3 2,000 in 2005; is that also correct?

4 A. That's what it looks like, yes.

5 Q. Okay.

6 A. I think it's also important, though, as you
7 look at these -- and I think we talked about this at our
8 deposition as well. There's no such thing as a legacy
9 program, so every single year when you're looking at
10 your budget and your reliability plans, all these
11 programs are looked at with the fresh perspective of
12 what kind of value can they deliver the following year.
13 So just because you've been funded in the past does not
14 mean that you automatically get funded in the future.

15 So as I look at these various funding levels
16 from year to year, it could very well be that other
17 programs came to the table that had a bigger benefit for
18 the dollars to be expended. And I have to believe that,
19 considering the excellent reliability that we've
20 provided to our customers and really the very good pole
21 performance that we've had throughout the time in
22 question here.

23 MR. WRIGHT: Madam Chairman, did I get a
24 number for that? I would like it marked. I thought I
25 said that, but I'm not sure that I did.

1 CHAIRMAN EDGAR: We did not do that, and I was
2 going to ask you as well.

3 MR. WRIGHT: Thank you.

4 CHAIRMAN EDGAR: I'll ask you -- it would be
5 Exhibit 140, 140.

6 MR. WRIGHT: Thank you.

7 CHAIRMAN EDGAR: And I will ask you to give us
8 a title.

9 MR. WRIGHT: FPL Pole Inspection Program
10 Budget Summary.

11 CHAIRMAN EDGAR: Thank you.

12 (Exhibit Number 140 was marked for
13 identification.)

14 BY MR. WRIGHT:

15 **Q.** Ms. Williams, do you know whether the budgeted
16 numbers for the poles treated, braced, replaced,
17 et cetera, inspected, as indicated here, came out being
18 fairly close in actuality to the numbers budgeted?

19 **A.** No, I really don't know. And, of course, the
20 last couple of years have been extraordinarily difficult
21 to really execute 100 percent of any of our programs
22 because of the tremendous disruption that we've had
23 associated with the hurricanes. Many of our programs
24 had ended up being deferred. They end up being carried
25 over into following years and then have to be done. So

1 I don't know today what the actual versus budget for
2 this program and many of our programs were because of
3 the impact of the hurricanes.

4 Q. Will you agree that reducing the number of
5 pole inspections conducted cannot help reliability?

6 A. Yes and no.

7 Q. Please explain.

8 A. I will be happy to.

9 Q. I thought you would.

10 A. There are choices that we have to make. And
11 if in reducing the pole inspection program you're able
12 to use that money, use that funding to do something else
13 that provides bigger benefits to your customers, then by
14 not actually budgeting this program, but budgeting
15 something that has a much broader, more comprehensive
16 benefit, you could be providing reliability.

17 So in a nutshell, if it was just reducing this
18 program without anything else changing, the answer would
19 be yes, that it could not improve reliability. But
20 since that's not what happens in the real world, there
21 are a lot of choices and a lot of tradeoffs that are
22 made, and it's about ultimately the reliability that our
23 customers are getting by making choices and possibly not
24 funding something here, it enables you to fund something
25 else that does impact and in fact improve reliability.

1 Q. Thank you. If I were to ask you the same
2 question with regard to vegetation management, tree
3 trimming, would you give the same answer?

4 MR. BUTLER: For the sake of the record, I
5 think it would probably --

6 CHAIRMAN EDGAR: Mr. Butler.

7 MR. BUTLER: -- be better to ask the question,
8 just so we're sure what question it is that's being
9 asked and answered regarding vegetation management.

10 MR. WRIGHT: Fair enough.

11 CHAIRMAN EDGAR: Actually, we were talking
12 over one another, and I realize that has to happen
13 sometimes to break in and get my attention. But with
14 that, I lost the question myself, so if you would start
15 with the question again, please.

16 MR. WRIGHT: I will follow Mr. Butler's
17 suggestion, because it will work just fine.

18 BY MR. WRIGHT:

19 Q. Will you agree that reducing vegetation
20 management activities cannot help reliability on the
21 distribution system?

22 A. Yes. It's not the same, because the impact,
23 obviously, of the vegetation management program is so
24 significant to the reliability of our system. So the
25 impact, the reliability impacts of pole inspections are

1 pretty inconsequential. The impacts of vegetation
2 management are not.

3 Q. Thank you. Will you agree that in general,
4 with regard to hurricane information, FPL pays attention
5 to the National Hurricane Center?

6 A. Yes. Of course we pay attention to the
7 National Hurricane Center, yes.

8 Q. I want to ask you, would you agree, to your
9 knowledge and opinion, that the period 1960 or '61 to
10 2000 was a relatively quiet period for hurricanes and
11 tropical storms hitting FPL's service area?

12 A. That's my understanding, yes.

13 Q. What's the basis for that understanding?

14 A. My understanding is that I've basically --
15 from my own personal experience. I've lived in Florida
16 since 1980, and from 1980 to present, it was pretty mild
17 up to the last couple of years. And prior to that, it's
18 my understanding that we did not have a lot of
19 hurricanes, but I -- you know, I have not personally
20 experienced that.

21 Q. In 2004 before the storms hit, were you at all
22 concerned about the possibility of increased hurricane
23 activity affecting FPL's service area?

24 A. On a personal level, we're always concerned
25 about increased hurricane activity. This is Florida.

1 It's a subtropical climate. You've got an enormous
2 amount of coastline. It's always a concern on a
3 personal level and everything else.

4 However, looking at what we had experienced,
5 the type of hurricane activity that we had seen over the
6 last ten years or so, we felt that we had excellent
7 restoration plans, that we had good infrastructure in
8 place, and that we had personnel that were well trained
9 and experienced and knew what to do in case there was a
10 hurricane. So while you never hoped it would happen, I
11 had confidence that if a hurricane hit, our organization
12 and our company were well prepared to be able to handle
13 it.

14 Q. Are you familiar with a transmission line
15 project known as the Collier-Orange River Number 3
16 transmission line?

17 A. No, I'm not.

18 Q. You've never heard of that project?

19 A. Collier-Orange River?

20 Q. Yes.

21 A. I've heard of it, but I can't tell you how
22 many structures or where it starts or -- it starts at
23 Collier and ends at Orange River, but I really don't
24 have specific information to it. It's not -- I don't
25 know if you know transmission is not part of my area of

1 responsibility.

2 Q. I understand that. Do you know when that line
3 was permitted?

4 A. No, I do not.

5 Q. You do know Paul Hebert, do you not?

6 A. Of course I do.

7 Q. I'm going to hand you an excerpt -- well,
8 actually, I think I'm going to hand you a copy of his
9 testimony from the Collier-Orange River transmission
10 line siting proceeding that was conducted in early 2004,
11 and I would like to ask that this be marked.

12 CHAIRMAN EDGAR: Mr. Wright, did you ask that
13 we go ahead and give this a number?

14 MR. WRIGHT: Yes, please.

15 CHAIRMAN EDGAR: So this will be 141.

16 MR. WRIGHT: 141, I think.

17 CHAIRMAN EDGAR: 141.

18 MR. WRIGHT: Thank you.

19 CHAIRMAN EDGAR: And I'll ask you for a title.

20 MR. WRIGHT: Transcript of Paul Hebert's
21 testimony, DOAH Case No. 03-1629TL.

22 CHAIRMAN EDGAR: Thank you.

23 MR. WRIGHT: Thank you.

24 (Exhibit Number 141 was marked for
25 identification.)

1 BY MR. WRIGHT:

2 Q. Now, in your deposition, Ms. Williams, I asked
3 you had you consulted with Mr. -- back up. Mr. Hebert
4 is a recognized expert in hurricanes, is he not?

5 A. Yes, he is.

6 Q. And when I asked you in your deposition how
7 much you had talked to him about hurricane activity, you
8 indicated you had talked about it in general terms, but
9 that you mostly relied on the National Hurricane Center;
10 is that fair?

11 A. That's fair.

12 Q. I would like to ask you to look at page 1359
13 of the deposition transcript, which is on the fourth
14 page in. And if you would, look at lines 14 to 25
15 there.

16 Now, the document will speak for itself, but
17 I'll aver to you that this was under examination by
18 FPL's attorney, Ms. Carolyn Raeppe, of Mr. -- I don't
19 know. Is he a Dr., or is he a Mr.?

20 A. I'm sorry?

21 Q. Is Mr. Hebert a Ph.D.?

22 A. I don't know. I don't know whether he is or
23 isn't.

24 Q. I just wanted to use the correct title.
25 I would just like to ask you, if you would,

1 read the question and answer that begins at line 14 and
2 continues through line 25 there.

3 **A.** Of page -- of 1359?

4 **Q.** Yes.

5 **A.** I'm sorry. Which line? Which question do you
6 want me to read?

7 **Q.** Fourteen, that begins, "Is the return."

8 **A.** "Is the return period for hurricanes spread
9 out evenly over time?"

10 Answer: "No, it's not. Hurricanes tend to
11 come in cyclic periods and can go a long period without
12 having any, and then you can have very many hurricanes
13 in a 20-year period. For example, if we look at the
14 40-year period from 1961 to 2000, we will be very much
15 deceived for all of Florida, in particular for Lee and
16 Collier County, because during that 40-year, Lee and
17 Collier County had one hurricane hit both counties and
18 one major hurricane directly affect the counties. By
19 direct" --

20 **Q.** You may continue if you like. That's all I
21 was asking you to do.

22 **A.** That's fine.

23 **Q.** Thanks. During that time frame, say, 2003 and
24 2004, did you ever consult with Mr. or Dr. Hebert about
25 possible changes in the hurricane pattern for Florida?

1 **A.** We talked about it in broad terms. We're
2 always very interested in the status or El Nino or
3 La Nina, which are ENSO scales of weather that measure
4 the heat, if you will, in the Atlantic basin and give
5 you an indication of what you might expect in any given
6 time frame.

7 So we would have those types of conversations.
8 Of course, I always asked him for his best estimates
9 based on any experience he might have from what had
10 happened during the winter or what had happened the
11 prior summer, about what his predictions would be for
12 the following summer. He is really a noted hurricane
13 expert and someone whose advice and counsel I've always
14 relied on. So we've had those types of conversations
15 about hurricanes and what might happen in the future. I
16 would say that's generally the type of discussions that
17 we had.

18 **Q.** Okay. And would it fair for me to infer from
19 what you just said that you did not have a specific
20 conversation with him about his expectations for 2004 or
21 2005?

22 **A.** 2004? Actually, I remember in May of 2004, we
23 had had an extraordinarily -- so the answer is no. We
24 had had an extraordinarily dry May, and I thought that
25 was really good news, and so I had said, "So, Paul, tell

1 me, what does that mean for hurricane seasons this
2 summer?"

3 And he said, "Well, let me tell you, dry Mays
4 typically turn out resulting in extremely bad news for
5 South Florida as it pertains to major hurricanes." Now,
6 I was flabbergasted by it, and he showed me some data.
7 So we had those types of conversations in May about
8 2004.

9 As far as 2005, we did not have any
10 conversations about what we might be ready to expect,
11 but he did predict that we would have in 2004 at least
12 one major hurricane based on May being a dry weather
13 month. And I thought that was pretty extraordinary,
14 when you consider the fact that we had three actually
15 impact our area.

16 **Q.** Following that conversation with Mr. Hebert,
17 did you undertake to do anything differently towards
18 getting ready for the 2004 season?

19 **A.** At that point, what are you going to do? All
20 you can do is hope that your organization is as prepared
21 as possible to restore. There certainly isn't time to
22 do anything different from an infrastructure hardening
23 perspective.

24 So you -- we worked very diligently, as we do
25 every year, to make sure that prior to storm season our

1 systems are running as efficiently as they possibly can,
2 our people are trained, that we have material stock
3 levels that are going to be adequate, that we've got
4 good relationships with our mutual aid providers, that
5 our communications plan is ready to go. It is all about
6 getting ready for hurricane season so that if a
7 hurricane hits, we can be there for our customers and we
8 can restore power as quickly and as safely as possible.

9 So to that extent, it was about getting ready,
10 because we all had a bad feeling going into it after
11 Paul told us about the May weather.

12 MR. WRIGHT: Thank you. That's all I have,
13 Madam Chairman.

14 CHAIRMAN EDGAR: Captain Williams, any cross?

15 CAPTAIN WILLIAMS: No, ma'am.

16 CHAIRMAN EDGAR: Thank you, sir. Mr. Kise.

17 MR. KISE: Yes. Thank you, Madam Chair.

18 CROSS-EXAMINATION

19 BY MR. KISE:

20 Q. I just had a couple of questions just
21 following up on what Mr. Wright just asked you, because
22 I'm a little confused by your testimony.

23 You indicated that following this conversation
24 about the May dry month that you had increased concerns
25 about the severity of the 2004 hurricane season; right?

1 **A.** That's correct.

2 **Q.** Okay. But I think -- didn't you -- and maybe
3 I missed the dates you were talking about. I thought
4 earlier you had said in response to one of Mr. Wright's
5 questions that while you were concerned about the 2004
6 season on a personal level, because we're all concerned
7 as Floridians, having spent all this time here in
8 Florida, we're all concerned on a personal level, but
9 you weren't concerned from a business standpoint. Did I
10 miss some dates there?

11 **A.** I think you might have, because what I meant
12 was in general. I thought Mr. Wright's question was
13 more in terms of was I concerned in general about
14 hurricanes, and then his second question was really
15 specific to was I concerned about 2004, and that's where
16 Paul Hebert came in with the May dry weather. It really
17 increased many of our concerns, because he has had a
18 very good track record for predictions. So I think one
19 was general and the other one was specific to '04.

20 **Q.** Okay. So you took Mr. Wright's question to be
21 just in general terms, just sitting here today, just
22 like any other time, do you have a concern? Personally
23 you do, but nothing specific to 2004?

24 **A.** No.

25 **Q.** Or 2005?

1 **A.** No.

2 **Q.** But then following this conversation about the
3 dry May, then you had increased concern. Significantly
4 increased concern; is that fair to say?

5 **A.** I had -- I was intrigued by Mr. Hebert's
6 prediction.

7 **Q.** Intrigued?

8 **A.** Intrigued. I mean, he has just predicted,
9 very specifically predicted that because we've had a dry
10 May, that there will be a major hurricane impacting -- a
11 high likelihood of a major hurricane impacting the State
12 of Florida. That's extraordinary. That's an
13 extraordinary prediction. And we were intrigued. We
14 thought -- we hoped he was wrong.

15 And as we sat there, we all said we're going
16 to be as prepared as we always are. We're going to make
17 sure that our people are as trained, all the different
18 things that I already alluded to, that our material is
19 ready. And at that point, it was all about, should it
20 happen, if it does happen, doing the best job we could
21 for our customers, and I think we responded very well.

22 **Q.** Okay. But I think you just said that -- you
23 described his prediction as extraordinary; is that
24 right?

25 **A.** Yes.

1 **Q.** But then you said you were going to be just as
2 prepared as you always are; right?

3 **A.** As prepared as we always are.

4 **Q.** Not anything different, not anything
5 extraordinary. You weren't going to be extraordinarily
6 prepared; right? You were just going to be prepared as
7 you always are?

8 **A.** We are always extraordinarily prepared. I
9 guess that's the point that I'm making.

10 **Q.** Okay. I'm sorry. I misunderstood you. So
11 you're always extraordinarily prepared, so you always
12 anticipate these extraordinary predictions from
13 Mr. Hebert. You're prepared for three or four storms in
14 a year every year, year over year?

15 **A.** I think that what I really want to make sure
16 is clear -- I think possibly that you don't understand
17 the way that we --

18 **Q.** I don't think I do.

19 **A.** Okay. Let me try to explain.

20 **Q.** I don't know that anyone does.

21 **A.** Every year as part of our preparations for
22 storm season, our organization undertakes to go through
23 a very comprehensive training and preparation program
24 that involves all aspects of our operation. We do
25 extensive training. We increase material stock levels.

1 We make sure that our systems are running efficiently.
2 We follow up with all of the utilities and contractors
3 that we do business with to make sure that they're
4 ready, willing, and able to support us if the need
5 arises. We do comprehensive drills that we call dry
6 runs in the May time frame where we simulate specific
7 hurricanes and actually go through -- we call it a mock
8 hurricane drill, a dry run.

9 And as a result of the experience that we have
10 had in the past with multiple hurricanes, tornados,
11 wildfires, I can tell you that Florida Power & Light's
12 emergency preparedness plans and response are considered
13 by the utility industry and many outside the utility
14 industry to be the best in the country. We take it
15 extraordinarily seriously. We know how important power
16 restoration is to our customers. And year over year, we
17 constantly look for ways of getting better, even though
18 I can tell you that even prior to 2004, our storm
19 restoration process was terrific.

20 So in May, it was an interesting sidebar, if
21 you will. In May, again answering Mr. Wright's question
22 about the types of conversations that I had with
23 Mr. Hebert, I thought it was interesting that, again, in
24 May Mr. Hebert made a prediction about what we might
25 expect in 2004.

1 Did it change things? Did we run around with
2 our heads on fire saying, "Oh, my goodness. The sky is
3 falling"? Absolutely not. We were ready before that
4 prediction, as we are today. It was an intriguing
5 comment and something we took seriously, because after
6 all, Mr. Hebert is a known authority, but let's not take
7 it out of context.

8 **Q.** Okay. So then your answer is that you didn't
9 do anything different following receipt of that
10 prediction than you always did, because you're always
11 prepared. But you didn't do anything different; right?

12 **A.** As a result of that prediction? I would say
13 no, we didn't. It was interesting. We made sure that
14 our restoration plan was as good as it could be, we were
15 as well trained as we could be, that all those different
16 things leading up into the actual time frame were as
17 good as they could be. And we hoped that Mr. Hebert's
18 prediction was wrong.

19 **Q.** We always do. Okay. Unless he says there
20 won't be any storms, in which case we hope he's right.

21 But with respect to -- just so I can get a
22 specific answer, because I know you're saying a lot,
23 with respect to what actions were taken following
24 receipt of that prediction from Mr. Hebert, am I
25 understanding you to be saying that nothing different

1 was done following receipt of that prediction? Right?

2 **A.** Well, no. But let's make sure that we don't
3 get carried away with this prediction.

4 **Q.** Well, I'm not trying to get -- I'm just trying
5 to understand your answer. You have said that you
6 received this extraordinary, intriguing prediction from
7 Mr. Hebert, and you value his opinion greatly. You have
8 said that. Then you -- if I'm wrong, stop me here.
9 Then you said that every year you are prepared and you
10 treat each year the same. And so my question is -- just
11 so I'm clear, all I want to know from you is, did you do
12 anything different after you received this
13 extraordinary, intriguing prediction, yes or no,
14 anything different?

15 **A.** And let me clarify what I meant by -- I want
16 to make sure that --

17 **Q.** Can we start with yes or no? Did you do
18 anything different?

19 **A.** We did not do anything significantly
20 different.

21 **Q.** Okay. That's all I need to know.

22 **A.** But I think -- let me please clarify.

23 **Q.** Okay. Go ahead.

24 **A.** I think this is all being blown very out of
25 proportion. Mr. Hebert and part of our staff -- I think

1 it might have even been our dry run, our May dry run --
2 were sitting around a table. We had just had a really
3 wonderful spring. The weather had been clear. We had a
4 beautiful May. And I literally talked to him across --
5 I said, "So, Paul" -- because he always had, you know,
6 these great stories to tell about the hurricane of 1960
7 or whatever. "So what does it mean having had this sort
8 of wonderful spring? Are there any -- can we believe or
9 can we assume that we're going to have a mild summer,"
10 hoping, of course, that that would be the answer.

11 And he said, "Well, it's interesting you
12 should say" -- and it was very folk-talish. It was not
13 an official document. It was not a research thesis. It
14 was not a paper that he was going to present to the NOAA
15 board or anything. It was almost a folk tale, based on
16 his experience, something that he had just thought of,
17 that interestingly enough to him, dry Mays oftentimes
18 resulted in major hurricane activity.

19 And it was interesting, interesting. It did
20 not change our focus, because it was an interesting
21 comment. We're always prepared. We're always going to
22 take hurricane restoration extraordinarily seriously.
23 We had before then, we did then, and we continue to do
24 so.

25 Q. Okay.

1 **A.** Does that help? Because I think it was
2 important to help on that particular issue.

3 **Q.** Maybe you did. I already stopped. Once you
4 said no, that's all I needed, but I'm glad you added the
5 other part.

6 Let me see if I understand, though, your
7 editorial to the remainder of the question I didn't ask,
8 which is, you are now saying that -- I think in response
9 to Mr. Wright's questions, you said that Mr. Hebert,
10 this noted, reputable individual when it comes to storm
11 predictions, provided you with an extraordinary
12 prediction, an intriguing prediction. Now it has gone
13 to the level of an interesting prediction based on his
14 folk tale. Is that what I'm understanding you to be
15 saying, that he speaks to you in terms of folk tales?

16 **A.** No, no, no. I think what I meant by
17 extraordinary is, it is extraordinary for anyone to make
18 a prediction about this year, there shall be a major
19 hurricane and it shall be in South Florida.

20 **Q.** Well, isn't that the business he's in?

21 **A.** That's -- if I can --

22 **Q.** Isn't that the business he's in?

23 **A.** If I could finish my comment, please.

24 MR. BUTLER: I'm sorry. I object to stepping
25 on the witness's answers.

1 THE WITNESS: And so I found that --

2 CHAIRMAN EDGAR: Ms. Williams, a moment, if
3 you would. Mr. Butler, I could not hear you, so I would
4 like you to speak up and repeat it for me, please.

5 MR. BUTLER: I'm sorry. I objected to
6 Mr. Kise stepping on Ms. Williams' answer.

7 MR. KISE: And I apologize. I did that, and
8 I'm sorry.

9 CHAIRMAN EDGAR: One speaker at a time,
10 please.

11 THE WITNESS: So I just -- to me, it was
12 extraordinary that someone would make such a specific
13 prediction or, you know, statement. But again, it was
14 not -- I think it's being completely blown out of
15 proportion. It was just a conversation between someone
16 who, obviously, myself, was very interested in weather
17 patterns from the perspective of having that impact our
18 customers and whether in fact there might hurricanes,
19 and someone who had a very long history of hurricane
20 experience. And it was really a conversation between
21 two people about what we might expect. I thought it was
22 interesting, and we went on. And as it turned out, he
23 turned out to be correct.

24 CHAIRMAN EDGAR: Mr. Kise, I note at this
25 point we have a little over two days and over 20 more

1 witnesses to go. I've allowed great latitude, but I
2 think it's about time to move on.

3 MR. KISE: Thank you. I just want to clarify
4 one last point on this before I move on to just one
5 other question about -- one or two other questions about
6 her subsequent testimony.

7 BY MR. KISE:

8 Q. Am I understanding you also to be saying --
9 well, strike that. After this conversation with
10 Mr. Hebert where he discussed his predictions, however
11 you want to characterize them, incredible, interesting,
12 folk tale, however, following that conversation, did you
13 do anything else to consult with other experts as to
14 whether or not they agreed with Mr. Hebert?

15 A. No, I did not. But I did see --

16 MR. KISE: In the interest of -- I'm sorry,
17 Chair. In the interest of time, if I'm asking a yes or
18 no question, could the witness just simply answer yes or
19 no?

20 CHAIRMAN EDGAR: As I have said previously,
21 try to answer, to this witness and to others, the
22 question with a yes or no. If the witness feels that
23 they need to elaborate, I will allow them to elaborate.
24 But I would ask both of you to try to keep your answers
25 and questions somewhat concise and to the point.

1 BY MR. KISE:

2 Q. My next question --

3 A. I do want to elaborate.

4 Q. Okay.

5 A. Subsequent to the discussion with Mr. Hebert,
6 I do think I saw something, I don't remember what, on
7 the issue. But let's just leave it at that. I did not
8 consult with anyone else.

9 Q. Okay. Thank you. Now, you also said that
10 following that conversation, that you treat every year
11 the same, you take it seriously, and you engage in these
12 dry runs, and you engage in your ordinary hurricane
13 preparedness; is that correct?

14 A. Yes. Every year we have extraordinary
15 restoration plans in place.

16 Q. Right. And those are -- and that's what I was
17 getting at. You're referring to restoration plans,
18 meaning you're preparing yourselves for what you're
19 going to do after the storm hits to restore power;
20 right?

21 A. In the context of my answer earlier, that's
22 what I meant. But we also have reliability plans in
23 place that are all about preventing outages.

24 Q. Okay. And following your conversation with
25 Mr. Hebert, did you do anything from that point forward

1 to step up, say, your pole inspections or your
2 vegetation management activities? Did you do anything
3 different following that conversation to engage in
4 preventative measures different than you would do in
5 every other year?

6 **A.** No. It was May. Actually, it was probably
7 the end of May. There was really -- for the purposes of
8 2004, as a practical matter, what can you really do in
9 two months differently based on a prediction that
10 someone made? I think that you look at your plans, you
11 believe that they're reasonable, you believe that
12 they're sound, you have a good restoration plan in
13 place, you're ready to go, and you move forward.

14 But, no, we absolutely don't on a
15 hither-dither basis, you get a prediction from someone
16 and change the plans you have in place that have been
17 proven, that have ended up having good results for your
18 customers. And that's what we've had in place for many,
19 many years. So, no, we did not materially make changes
20 as a result of one conversation with one person in a
21 conference room; that is correct.

22 **Q.** And if I understand you correctly, you didn't
23 engage in any follow-up with any other hurricane experts
24 to determine if in fact Mr. Hebert's prediction might be
25 worthy of more than folk tale status?

1 something that you could consider as negligible.

2 Q. Would it also be correct then that in the
3 development and management of its pole maintenance
4 program that FPL would have some expectation that some
5 non-hurricane pole failures would occur?

6 A. I think it's possible. As we look, though, at
7 our -- what we believe to be a comprehensive pole
8 inspection and maintenance program that's made up of the
9 three initiatives, the Osmose initiative, the
10 thermovision visual initiative, as well as the safety
11 inspections, the work that's done on a daily basis by
12 our own employees, looking at those three initiatives as
13 a comprehensive part of our pole inspection and
14 maintenance program, you would have to look at the
15 results that are achieved by that program really at the
16 end of the day to see how effective they are. And I
17 think looking at the very small numbers of pole-related
18 issues that we have during non-hurricanes is one good
19 measure of how effective that has been.

20 And secondly, when you look at during these
21 hurricanes that we've had during the last two years and
22 how every square inch of our service territory has been
23 impacted by hurricane force winds, and you have
24 relatively small numbers of poles coming down, about
25 1 percent per year, those are all excellent measures,

1 and the same type of information that was used, by the
2 way, by KEMA to determine if they believed that our pole
3 performance during non-hurricanes is good, and as
4 expected, during hurricanes.

5 MS. BRUBAKER: Thank you. Staff has no more
6 questions.

7 CHAIRMAN EDGAR: Thank you. Commissioners,
8 are there any questions at this time?

9 Commissioner Deason.

10 COMMISSIONER DEASON: Did Mr. Hebert ever say
11 anything about a dry March and April?

12 THE WITNESS: No, he didn't.

13 COMMISSIONER DEASON: Okay. I was just
14 wondering. Thank you.

15 COMMISSIONER CARTER: Commissioners? No?

16 THE WITNESS: It was interesting. We had a
17 very wet May -- I'm sorry. Let me think. Yes, a wet
18 May last year, and we ended up with a lot of hurricanes.
19 So it's not 100 percent, is it?

20 CHAIRMAN EDGAR: Mr. Butler.

21 MR. BUTLER: Thank you. Just a couple of
22 redirect questions.

23 REDIRECT EXAMINATION

24 BY MR. BUTLER:

25 Q. Ms. Williams, would you look at what was

1 marked as Exhibit 140? This is the pole inspection
2 program budget summary.

3 **A.** Yes, I have it.

4 **Q.** I just want to clarify. This is referring to
5 budget statistics specifically for what you and
6 attorneys examining you are referring to as the Osmose
7 program or Osmose initiative; is that correct?

8 **A.** That's right.

9 **Q.** It is not statistics on FPL's pole inspection
10 program overall?

11 **A.** I'm sorry?

12 **Q.** It is not reflecting statistics on the cost or
13 number of poles inspected for FPL's pole inspection
14 program overall?

15 **A.** Let me make sure that I'm looking at the right
16 thing. Are we looking at pole -- okay, great. Yes, it
17 is not. It is very specific to the Osmose initiative,
18 which is one of the three parts of our pole inspection
19 program.

20 **Q.** Okay. You were asked by Mr. McGlothlin about
21 FPL's decision not to do the Osmose inspection program
22 on a systemwide basis back in the 1999 time frame.
23 Would you explain why FPL did not feel it was
24 appropriate to do an Osmose type program systemwide?

25 **A.** Yes. As I mentioned, as part of our annual

1 reliability and budget planning process, we look at a
2 number of different reliability initiatives. Some of
3 them are funded, and some of them are not. We look at
4 it from the perspective of what combination of programs
5 can provide the largest benefit to our customers.

6 And so when we looked at the pole inspection
7 program as it was outlined, the three different options,
8 and we looked at the benefits that could be derived by
9 our customers, as well as looking at what type of
10 performance we were actually experiencing in poles --
11 and as I mentioned already, in this timeframe we're
12 looking at 40, 50 pole interruptions any given year.
13 And at the same time, back then at the end of 1998, our
14 reliability levels were such that we felt that with that
15 investment in another program, possibly something like
16 our switch cabinets, or cable rehabilitation, or even
17 more line clearing, or some of the other programs that
18 frankly had a lot more benefit to be derived for our
19 customers, it was more prudent, it was a better
20 effective use of the funds that we.

21 Had. And frankly, I felt like my fiduciary
22 responsibility is to make sure that we are funding those
23 programs that are going to ultimately result in the most
24 benefit to our customers. And specifically looking at
25 this pole inspection program, the benefits were not very

1 compelling from a reliability perspective and from a
2 customer interruption perspective, and given the
3 performance that we were seeing as very, very good, we
4 decided to implement it, but to implement it in a very
5 small, measured way in two areas that had older
6 populations of poles, and then we would see what types
7 of results we achieved, and then depending on how it
8 went, we would go from there.

9 MR. BUTLER: Thank you. That's all the
10 redirect that I have.

11 CHAIRMAN EDGAR: Thank you. Mr. Wright.

12 MR. WRIGHT: I just want to move 140 and 141
13 at the appropriate time, Madam Chairman. Thank you.

14 CHAIRMAN EDGAR: And this would be that time.

15 MR. WRIGHT: So moved.

16 CHAIRMAN EDGAR: Any objections?

17 MR. BUTLER: No objection.

18 CHAIRMAN EDGAR: Please show Exhibits 140 and
19 141 moved into the record as evidence.

20 (Exhibits Number 140 and 141 were admitted
21 into evidence.)

22 CHAIRMAN EDGAR: And the witness may be
23 excused. Thank you very much, Ms. Williams.

24 Mr. Butler, your witness.

25 MR. BUTLER: I would call Dr. Brown at this

1 time.

2 Thereupon,

3 RICHARD E. BROWN

4 was called as a witness on behalf of Florida Power &
5 Light Company and, having been first duly sworn, was
6 examined and testified as follows:

7 DIRECT EXAMINATION

8 BY MR. BUTLER:

9 Q. Dr. Brown, have you previously been sworn?

10 A. Yes.

11 Q. Would you please state your name and business
12 address for the record?

13 A. My name is Richard Brown. I work at 3801 Lake
14 Boone Trail, Suite 200, in Raleigh, North Carolina.

15 Q. By whom are you employed, and in what
16 capacity?

17 A. I am employed by KEMA, Inc. as a senior
18 principal consultant.

19 Q. Do you have before you nine pages of prepared
20 direct testimony dated --

21 A. Yes.

22 Q. I'm sorry. Let me finish. Dated January 13,
23 2006, with attached document REB-1?

24 A. Yes.

25 Q. Was this testimony and the attached exhibit

1 prepared under your direction, supervision, or control?

2 **A.** Yes.

3 **Q.** Do you have any changes or corrections to your
4 prepared testimony?

5 **A.** Yes. On page 1, the date says January 13,
6 2005. That date should be changed to January 13, 2006.

7 **Q.** Is that the only change?

8 **A.** Yes.

9 **Q.** Thank you. With that change, do you adopt
10 this as your testimony in the proceeding today?

11 **A.** Yes.

12 **MR. BUTLER:** I would ask that Dr. Brown's
13 prepared testimony be inserted into the record as though
14 read.

15 **CHAIRMAN EDGAR:** Please show the witness's
16 prefiled testimony entered into the record as though
17 read.

18 **MR. BUTLER:** Thank you. And I note that
19 Dr. Brown's document REB-1 has been preassigned Exhibit
20 Number 15 and moved into evidence.

21
22
23
24
25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **DIRECT TESTIMONY OF RICHARD E. BROWN**

4 **DOCKET NO. XXXXXX-EI**

5 **JANUARY 13, 2005**

6

7

8 **Q. Please state your name and business address.**

9 A. My name is Richard E. Brown. My business address is KEMA Inc., 3801 Lake
10 Boone Trail, Suite 200, Raleigh, NC 27607.

11 **Q. By whom are you employed and what is your position?**

12 A. My employer is KEMA, Inc., where I am a Senior Principal Consultant focusing
13 in the areas of utility asset management and reliability. I also lead the Asset
14 Management and Performance team. KEMA is an international consulting firm
15 providing independent technical and management consulting, testing, inspections,
16 certification, and training services to more than five hundred electric industry
17 clients in over seventy countries. Headquartered in Arnhem, the Netherlands, with
18 subsidiaries worldwide, KEMA employs more than fifteen hundred full-time
19 professionals and leading experts in nearly all aspects of the electric industry.

20 **Q. Please describe your educational background and business experience.**

21 A. I received a BSEE, MSEE, and PhD degree from the University of Washington
22 (Seattle, WA) in 1991, 1993, and 1996, respectively. I received an MBA from the
23 University of North Carolina (Chapel Hill, NC) in 2003.

1 From 1991 to 1993 I worked as an Electrical Engineer at Sverdrup Corporation
2 (now Jacobs Engineering) performing design work for electric distribution
3 systems. Responsibilities included engineering design of medium voltage and low
4 voltage electrical systems for industrial facilities, institutional facilities, and
5 public works. Typical work included design, value engineering, specification
6 writing, construction document generation, and construction support.

7
8 From 1994 to 1996 I worked as a teaching and research assistant for the
9 University of Washington while attending graduate school. My research was in
10 the area of distribution system reliability assessment and design optimization. In
11 addition to research, I served as a teaching assistant for various power systems
12 and controls courses at the undergraduate and graduate level.

13
14 From 1996 to 2003 I worked for ABB Inc. in various roles. From 1996 to 1999 I
15 was a Senior Engineer in the corporate research department with responsibilities
16 of research, product development, consulting, project management, business
17 development, and teaching workshops. From 1999 to 2001 I was a Principal
18 Engineer for the Distribution Solutions group with the goal of providing
19 customers with complete solutions based on functional requirements including
20 design, build, own, operate, maintain, guarantee, and finance. From 2001 to 2003
21 I was the Director of Technology for the Consulting business with the
22 responsibility for research and development of algorithms and software tools.

23

1 From May of 2003 to the present, I have been a Senior Principal Consultant for
2 KEMA Inc. As a charter member of the T&D Consulting division in the US, my
3 role is to provide management and technical consulting services in the areas of
4 distribution reliability and asset management, which includes issues related to
5 aging infrastructure.

6
7 I have authored or co-authored more than seventy papers and articles on the topics
8 of distribution reliability and asset management. I am also author of the book
9 *Electric Power Distribution Reliability* (Marcel Dekker, 2002), and have
10 contributed to the book *The Electric Power Engineering Handbook* (CRC Press,
11 2001). I am a senior member of the Institute for Electrical and Electronics
12 Engineers (IEEE), and chair its working group on Distribution Planning and
13 Implementation. I was the recipient of the IEEE Walter Fee Outstanding Young
14 Engineer Award in 2003, which is issued by the IEEE Power Engineering
15 Society. I am registered by the state of North Carolina as a Professional Engineer
16 in Electrical Engineering.

17 **Q. Are you sponsoring an exhibit in this case?**

18 A. Yes, it is comprised of the following document:

19 Document No. REB-1- "Technical Report: Post Hurricane Wilma Engineering
20 Analysis"

21

22

23

1 **PURPOSE AND SUMMARY**

2 **Q. What is the purpose of your testimony?**

3 A. The purpose of my testimony is to present the results of KEMA's independent
4 analyses of the FPL infrastructure performance during Hurricane Wilma, which
5 assesses whether FPL transmission, substation, and distribution facilities
6 performed appropriately.

7 **Q. Please briefly describe the analyses performed for FPL.**

8 A. KEMA has examined the performance of FPL facilities during Hurricane Wilma
9 in an attempt to better understand whether transmission and distribution structures
10 performed appropriately. This includes analyses on the following topics:
11 distribution design standards; quality systems and processes related to distribution
12 poles; inspection and maintenance practices related to distribution poles;
13 transmission system performance during Wilma; substation performance during
14 Wilma; and distribution system performance during Wilma. KEMA also
15 performed an industry survey related to these topics, and had the strength of
16 Wilma reviewed by a hurricane expert.

17 **Q. Please summarize the results of your analyses.**

18 A. Hurricane Wilma caused extensive damage to the infrastructure of Florida Power
19 & Light Company (FPL). This damage included more than ten thousand
20 distribution poles and nearly one hundred transmission structures. In all, Wilma
21 resulted in more than three million customer accounts losing electrical service.
22 FPL has retained KEMA to examine the performance of FPL facilities during

1 Wilma in an attempt to better understand whether transmission and distribution
2 structures performed appropriately.

3

4 KEMA's investigation concludes that the power delivery system of FPL is
5 designed to meet or exceed all required safety standards, and, during Wilma,
6 performed as expected and in accordance with FPL standards. These results are
7 based on an extensive assessment including standards, quality systems,
8 maintenance practices, transmission performance, substation performance, and
9 distribution performance. These results are further supported by an industry
10 benchmark survey covering these topics, and a review on the strength of Wilma
11 by an independent hurricane expert. Summary results for these issues are now
12 provided.

13

14 *Distribution Standards.* FPL distribution standards as described in the
15 Distribution Engineering Reference Manual (DERM) meet or exceed the
16 requirements of National Electrical Safety Code (NESC), which requires
17 distribution poles to be designed based on a minimum of 60 mph wind speeds. In
18 fact, FPL requires that most poles be designed to the highest NESC requirement,
19 which is 50% stronger than NESC minimum requirements. The NESC has
20 requirements related to extreme wind conditions, but these requirements are only
21 for structures over sixty feet in height, which rarely apply to distribution
22 structures.

23

1 *Quality Processes.* The quality systems and processes of FPL and key suppliers
2 are sufficient to reasonably ensure that procured distribution poles, both wood and
3 concrete, meet national standards and FPL specifications. Further, the quality
4 systems of the FPL pole inspection and treatment vendor are such that it is
5 reasonably ensured that inspected wood poles requiring treatment or replacement
6 are identified as such.

7
8 *Pole Maintenance.* FPL distribution pole performance during non-hurricane
9 conditions is good, and non-hurricane pole failures cause virtually no customer
10 interruptions. FPL has two systematic programs related to pole inspections: (1) a
11 Thermovision program that visually inspects all main-trunk feeder poles at least
12 every five years, and (2) a more targeted wood-pole inspection and treatment
13 program that is smaller in scope and focuses on specific areas of the FPL system.
14 FPL crews are also required to perform a safety inspection on a pole before
15 performing work on the pole. These inspections will not systematically address
16 each pole, but KEMA estimates that this will effectively test between 80% and
17 90% of all branch-line laterals over a fifteen year period.

18
19 *Transmission Performance.* FPL's transmission lines are designed in accordance
20 with the NESC, including extreme wind requirements, applicable at the time of
21 design. For transmission structural damage that occurred during Wilma on less-
22 than 500-kV lines, most occurred on single-pole unguyed wood structures. These
23 facilities met the required design codes at the time of installation, but differ from

1 current designs in place now at FPL. This was the primary contributing factor for
2 these failures. Only one 500-kV transmission line experienced damage during
3 Wilma. This particular line had 30 tower failures. The major contributing factor
4 for these tower failures was the installation guidelines for manual tightening of
5 crossbrace bolts, per industry standard practice, which is insufficient and led to
6 the loosening of crossbrace bolts in several locations.

7
8 *Substation Performance.* FPL designs its substations according to extreme wind
9 criteria. The FPL substation performance during Wilma was acceptable, and
10 structural damage to substations was minor. Although FPL experienced outages
11 on 241 substations during Wilma, most were due to the outage of transmission
12 lines serving these stations; only 8 required equipment repair before being
13 reenergized. With some minor exceptions, there was no discernible pattern of
14 equipment failure that indicates a design or maintenance concern.

15
16 *Weather Assessment.* Wilma was a strong storm, and its path affected a large
17 percentage of the FPL system. As opposed to many statements by the media,
18 Wilma was a Category 3 hurricane when it made landfall at the Southwest coast
19 of Florida traveling to the Northeast. It transitioned into a Category 2 hurricane
20 while passing over Florida and left the state as a Category 2 hurricane. The
21 maximum 1-minute sustained wind speed (as reported by Unisys) as Wilma
22 crossed Florida was 127 mph, which comes close to a Category 4 hurricane. In

1 comparison, Katrina had a maximum sustained wind speed of 81 mph while
2 crossing Florida (also reported by Unisys).

3
4 *Distribution Performance.* FPL pole performance during non-hurricane
5 conditions is good. Distribution pole performance during Wilma is known to be
6 acceptable, since FPL gathered extensive forensic data on Wilma pole failures.
7 Based on this data, the following conclusions are drawn: (1) wind was the
8 predominant root cause of pole breakage, (2) many failures involved multiple
9 CCA main-trunk feeder poles where one pole breaks first and takes down a series
10 of adjacent poles, and (3) the number of failures involving creosote poles was
11 relatively small, with these failures mainly being due to falling trees and the
12 presence of deterioration. During Wilma, pole breakage was about 1.5% of the
13 total amount of poles exposed to hurricane wind speeds. This pole breakage ratio
14 is in line with past hurricane pole performance after correcting for hurricane
15 severity. For comparison: Katrina (2005) was the weakest recent hurricane at
16 Category 1, and only had a 0.3% pole failure rate. Frances (2004) was Category 2,
17 and had a 0.9% pole failure rate. Wilma (2005) was Category 2 to Category 3, and
18 had a 1.5% pole failure rate. Charley (2005) was Category 3 to Category 4, and
19 had a 3.1% pole failure rate. Andrew (1992) was Category 5, and had a 10.1%
20 pole failure rate.

21 *Industry Benchmark Survey.* KEMA received survey responses from 9 companies
22 (not including FPL) with answers to questions relating to standards, maintenance,
23 and hurricane performance. Based on these responses, the following conclusions

1 are made: (1) FPL designs and constructs distribution facilities to a more stringent
2 standard than most other companies, (2) none of the companies are required by
3 their regulatory authority to place facilities underground in response to storm
4 damage, and (3) most of the responding companies have a systematic pole
5 inspection and treatment program in place with inspection cycles ranging from 10
6 to 15 years for poles older than a certain age.

7 **Q. Overall, describe how FPL's infrastructure performed during Hurricane**
8 **Wilma.**

9 A. The transmission, substation, and distribution systems of FPL are designed to
10 meet or exceed all required safety standards, and, during Wilma, performed as
11 expected and in accordance with FPL standards. This conclusion is based on an
12 extensive assessment including standards, quality systems, maintenance practices,
13 transmission performance, substation performance, and distribution performance.
14 These results are supported by an industry benchmark survey covering these
15 topics, and a review of the strength of Hurricane Wilma by an independent
16 weather expert.

17

18

CONCLUSION

19 **Q. Does this conclude your direct testimony?**

20 A. Yes.

1 MR. BUTLER: With that, I would ask that
2 Dr. Brown summarize his testimony.

3 CHAIRMAN EDGAR: Dr. Brown.

4 THE WITNESS: Good afternoon. In the
5 aftermath of Hurricane Wilma, FPL retained KEMA to
6 perform an independent examination of the performance of
7 FPL facilities. KEMA is an international consulting
8 firm with about 1,500 employees and has broad expertise
9 in all aspects of the electric utility industry,
10 including infrastructure design, maintenance practices,
11 and system reliability. The goal of this project was to
12 help FPL better understand the performance of its
13 transmission and distribution structures during Wilma.
14 The KEMA project team consisted of seven subject matter
15 experts and myself as project manager.

16 KEMA's investigation concludes that the power
17 delivery system of FPL is designed to meet or exceed all
18 required safety standards and that, during Wilma, the
19 system performed as expected and in accordance with
20 those standards. These conclusions are based on KEMA's
21 extensive assessment of FPL's design standards, quality
22 systems, maintenance practices, transmission
23 performance, substation performance, and distribution
24 performance. KEMA's conclusions are further supported
25 by an industry benchmark survey we conducted covering

1 these topics and a review of wind strength during Wilma
2 by an independent hurricane expert.

3 FPL builds most of its distribution system
4 50 percent stronger than minimum code requirements.
5 This, in addition to FPL's quality systems and pole
6 inspection and maintenance practices, has led to strong
7 pole performance in both non-hurricane and hurricane
8 conditions.

9 FPL's substations also performed well during
10 Hurricane Wilma. Although FPL experienced outages at
11 241 substations, the great majority of these were due to
12 outages of the transmission lines. Only eight
13 substations required equipment repair before being
14 re-energized.

15 Finally, FPL's transmission system performed
16 well during Wilma, with only limited areas of structural
17 damage. FPL's transmission structures are designed to
18 withstand extreme winds, and FPL has a strong program
19 for inspecting and maintaining the transmission system.
20 The most visible damage to FPL's transmission structures
21 occurred on a 500-kilovolt line where a series of towers
22 experienced a cascading collapse in response to Wilma's
23 strong winds. A few crossbrace bolts on these towers
24 had loosened and contributed to the collapse. However,
25 it is important to recognize that (1) all of these

1 crossbrace bolts were installed according to the
2 manufacturer's recommendation; (2) these manufacturer's
3 recommendations are in accordance with standard industry
4 practice; and (3) these structures had been extensively
5 inspected within recent years.

6 In summary, KEMA concludes that FPL's power
7 delivery system performed well during Hurricane Wilma,
8 considering Wilma's size, strength, and path.

9 This concludes my summary.

10 MR. BUIT: Thank you, Dr. Brown. I would
11 tender the witness for cross-examination.

12 CHAIRMAN EDGAR: Thank you. Mr. McGlothlin.

13 CROSS-EXAMINATION

14 BY MR. MCGLOTHLIN:

15 Q. Hello, Dr. Brown. I want to begin with your
16 statement of qualifications beginning on page 2. You
17 state that between '91 and '93, you worked as an
18 electrical engineer at -- is it pronounced Sverdrup?

19 A. Sverdrup.

20 Q. Sverdrup Corporation. Is that a consulting
21 firm?

22 A. They are an architectural and engineering
23 firm, so they have architects, electrical engineers,
24 mechanical engineers, structural engineers, et cetera.

25 Q. They're not in the business of owning

1 electrical utility systems and delivering power?

2 **A.** No.

3 **Q.** Between '94 and '96, you were a teaching and
4 research assistant; is that correct?

5 **A.** Correct.

6 **Q.** Then from '96 to 2003, you worked for ABB in
7 various roles. ABB is also a consulting firm, is it
8 not?

9 **A.** ABB is a very large multibillion-dollar
10 company with many divisions. Primarily, though,
11 equipment manufacturing would be how most people would
12 view ABB.

13 **Q.** Is ABB in the utility business?

14 **A.** No.

15 **Q.** And from 2003 to the present, you've been a
16 principal consultant with KEMA, Inc. Again, is KEMA in
17 the utility business?

18 **A.** KEMA is wholly owned by a consortium of Dutch
19 utilities, so the owners of KEMA are -- the owners of
20 KEMA are exclusively utilities, and KEMA is essentially
21 a staff extension for the Dutch utilities over in the
22 Netherlands. But in the U.S. and my role, really KEMA
23 could be considered a consulting company, not an
24 extension of utilities.

25 **Q.** And your particular role with KEMA has been as

1 a consultant, has it not?

2 A. Consulting for electric utilities, correct.

3 Q. Have you ever worked in the capacity of one
4 employed by the owner of a transmission system and one
5 who has responsibility for the maintenance of that
6 system?

7 A. No.

8 Q. My first questions relate to the subject of
9 the Conservation-Corbett transmission towers that failed
10 during Wilma. At page 7 of your testimony, line 5, you
11 state, "The major contributing factor for these failures
12 was the installation guidelines for manual tightening of
13 crossbrace bolts, per industry standard practice, which
14 is insufficient and led to the loosening of crossbrace
15 bolts in several locations." And this portion of your
16 testimony, like the balance of your testimony, is
17 essentially a condensation of the content of the report,
18 is it not?

19 A. Yes.

20 Q. So if, for instance, we were to look at page
21 43 of the report, section 5.6.4 captioned
22 "Cross-Bracing" begins a discussion of the design of the
23 connection of the crossbrace and the pole on the
24 Conservation-Corbett transmission line. And there are
25 references there to the fact, for instance, that the

1 connection consisted of a bolt and nut without locknut,
2 the fact that manual tightening was used, and then
3 there's a description of the differences between the old
4 and new connections between one or two plates. Is that
5 the more expansive version of the testimony that's
6 presented in summary fashion that I just directed you to
7 on page 7?

8 **A.** Yes.

9 **Q.** When you say per industry standard, are you
10 including manual tightening and the use of a bolt and
11 nut without locking device?

12 **A.** Yes, both. For the weathering steel
13 structures, when you assemble these structures,
14 typically -- KEMA has temporary emergency towers that we
15 actually sell to utilities, and the construction
16 methodology does not require the use of any hydraulic
17 equipment or electrical equipment. It's all used with
18 manual methods, with bolts.

19 And so there's the issue of, first of all,
20 installing the bolts, screwing the bolt onto the --
21 screwing the nut onto the bolt, and that's typically
22 done with a torque wrench. And when you secure it, you
23 snug it up and then snug it about a sixth of a turn past
24 snug, either if you're strong enough to do that or with
25 an impact hammer. That is actually installing the nut.

1 Then there's the issue of securing the nut.
2 And for weathering steel, for at least 20 or 25 years,
3 the industry standard has been to allow weathering steel
4 itself to secure the nut once it's fastened. Both are
5 industry standard practice.

6 **Q.** But there are those within the industry who
7 choose to use locknuts, do they not?

8 **A.** Yes.

9 **Q.** As a matter of fact, did you have occasion --
10 let me back up a minute. Is it true that at the time
11 you prepared your testimony and KEMA finalized its
12 report, KEMA had not actually obtained the actual
13 installation guidelines that are described here?

14 **A.** Correct.

15 **Q.** Nor did you or KEMA obtain and review earlier
16 design parameters that might have preceded the actual
17 one that was implemented, did you?

18 **A.** Correct.

19 MR. MCGLOTHLIN: I'm going to ask my colleague
20 to distribute a document at this time.

21 (Document distributed.)

22 MR. MCGLOTHLIN: Commissioners, Mr. Poucher is
23 providing to you and the parties a document that has
24 been redacted. The redactions are the result of
25 conversations between counsel for FPL and me as a means

1 of avoiding the necessity of red folders and requests
2 for confidentiality. But I represent to you that this
3 is a drawing that was provided by FPL to our office in
4 response to discovery, and specifically in response to a
5 request for the drawings that are related to the design
6 of the Conservation-Corbett 500-kV transmission towers.

7 CHAIRMAN EDGAR: Mr. McGlothlin, are you going
8 to enter this as evidence or make a motion to?

9 MR. MCGLOTHLIN: I intend to, yes.

10 CHAIRMAN EDGAR: Okay. Let's go ahead and
11 give it a number and a title. And by my count, this
12 would be Exhibit Number 142, 142. Mr. McGlothlin, I'll
13 ask you to label it.

14 MR. MCGLOTHLIN: If it's all right, I'll just
15 use the label that appears on the cover sheet, "Original
16 Tower Design, Conservation-Corbett 500-kV Transmission
17 Line."

18 CHAIRMAN EDGAR: Thank you.

19 (Exhibit Number 142 was marked for
20 identification.)

21 BY MR. MCGLOTHLIN:

22 Q. Dr. Brown, you're familiar with the fact, are
23 you not, that the transmission towers on the
24 Conservation-Corbett transmission line are of two
25 designs, one having angled legs and the other the

1 H-frame configuration?

2 **A.** That's correct. There are two designs, and
3 both of these designs have shown issues related to
4 loosening bolts.

5 **Q.** I've handed you -- my colleague has handed you
6 the copy of what has been marked as 142. And again, I
7 represent to you that this was provided by FPL in
8 response to our request for those drawings that are
9 related to the design of the Conservation-Corbett
10 transmission line. And this particular document I think
11 you'll see was prepared in 1972, and the second and
12 third pages are enlargements showing detail of the
13 material that appears on the overall drawing.

14 And I direct you to what has been labeled as
15 37. Do you see a reference to locknuts on that aspect
16 of the drawing?

17 **A.** Yes.

18 **Q.** And would you agree that the indication is
19 that the specification of locknuts is applicable to the
20 connection of the crossbrace to the tower?

21 **A.** Yes. I will say that the original design of
22 this was 1972. This was just about the time that the
23 industry started to use weathering steel for their
24 transmission structures, and so there wasn't a lot of
25 experience with weathering steel at this point. And a

1 lot of the construction standards that were used with
2 galvanized steel structures, including the use of
3 locknuts, transitioned from the old standards for
4 galvanized steel structures to the weathering steel
5 structures in the early days of weathering steel.

6 Q. But when you say that the use of a bolt with a
7 nut -- without locknuts is a standard industry practice,
8 you do not mean to exclude the possibility of the use of
9 locking devices such as locknuts in that same type of
10 connection, do you?

11 A. I believe that it's more common now not to use
12 a locknut than it is to use a locknut on weathering
13 steel structures.

14 Q. Okay. In your testimony you state that loose
15 bolts were observed in several locations. In fact,
16 isn't it true that loose and missing bolts were observed
17 in some 30 towers on that same transmission line?

18 MR. BUTLER: I'm sorry. Could you point to
19 where you're referring in his testimony, Joe?

20 MR. McGLOTHLIN: No, I'm saying that his
21 testimony says several locations. I'm asking if he
22 knows whether the loose bolts were observed on as many
23 as 30 towers on the line.

24 MR. BUTLER: And I'm asking --

25 THE WITNESS: Could you please indicate the

1 time frame that you are referring to?

2 MR. McGLOTHLIN: I'm talking about the 1998
3 experience.

4 CHAIRMAN EDGAR: Just a moment.

5 MR. BUTLER: I'm sorry. I'm still -- I'm
6 asking Mr. McGlothlin to identify -- he says that
7 Dr. Brown in his testimony states that there were
8 several locations with loose or missing bolts, and I'm
9 just asking him to refer where in the testimony that
10 statement is made.

11 CHAIRMAN EDGAR: Mr. McGlothlin, can you point
12 to --

13 MR. McGLOTHLIN: It's in the original
14 reference, page 7.

15 CHAIRMAN EDGAR: Thank you.

16 BY MR. McGLOTHLIN:

17 Q. At line 6.

18 A. I believe in 1998 after FP&L was responding to
19 an outage of one of their insulators and they noticed
20 that they had a conductor vibration problem, they did a
21 comprehensive inspection of all of the towers and found
22 that there were loose and/or missing bolts at 31 tower
23 locations during that 1998 inspection.

24 Q. Okay. Were you aware that the loose bolts
25 were found at 31 towers at the time you prepared your

1 testimony and at the time KEMA prepared its report?

2 **A.** Yes.

3 **Q.** At page 43 of the report -- and let me turn at
4 the same time you do. At the bottom of the page appears
5 this statement, again referring to the 1998 inspection
6 and the discovery of 31 towers that had loose or missing
7 bolts. "The exact actions to rectify the loose and
8 missing bolts in 1998 is not known, but action was taken
9 to fix this. Since manual tightening was used, it
10 appears that some of the tightened crossbrace bolts
11 subsequently became loose again."

12 Now, isn't it true that the exact actions to
13 rectify the missing bolts is not known due to the fact
14 that the documentation of what was done in 1998 is
15 insufficient to inform you as to what the exact action
16 was?

17 **A.** Yes.

18 **Q.** Would you agree that the crossbraces that are
19 connected to the tower with four bolts, one at each end
20 of the X, are significant to the structural integrity of
21 the overall tower configuration?

22 **A.** Yes.

23 **Q.** In fact, isn't it true that even a single
24 loose bolt could have significant implications for the
25 structural integrity of the tower?

1 **A.** Potentially, yes.

2 **Q.** That being the case, do you believe it might
3 have been better for the documentation in 1998 to
4 provide sufficient information for subsequent referrals
5 and evaluations of the situation?

6 **A.** In my experience, looking at the --

7 **Q.** Can you answer yes or no first?

8 **A.** No. Based on what I've seen at other
9 utilities and the level of detail that is involved in
10 inspection and maintenance of transmission towers,
11 recording information as to the specific actions for
12 tightening of an individual bolt, I've never seen this
13 in the industry before. And so expecting that FPL would
14 have done this is not something that I would reasonably
15 have expected them to have done.

16 **Q.** You said you've never seen this before. What
17 are you referring to when you say that?

18 **A.** I have never seen a utility that records
19 activity levels down to the individual tightening of
20 individual bolts.

21 **Q.** Well, have you ever seen a situation where 31
22 transmission towers, 500-kV transmission towers had
23 their structural integrity implicated by loose or
24 missing bolts at the same time?

25 **A.** No.

1 **Q.** Do you regard that as a serious situation?

2 **A.** Yes.

3 **Q.** Do you think that a utility that is faced with
4 a serious situation like that would take measures,
5 including documentation to record what was done to
6 rectify that?

7 **A.** Yes. And I think that FPL does meet that
8 standard that you described. In fact, I have to say
9 that when we prepared the KEMA report, we didn't have
10 the full information as to the follow-up inspection
11 activities that were done. And so one of the
12 observations of the KEMA report was that the inspection
13 and maintenance practices that FPL had communicated to
14 us as KEMA is potentially insufficient, given the
15 potential severity of the situation. The KEMA report
16 does state that.

17 It has come to my attention subsequently that
18 they have actually done considerably more inspection and
19 maintenance activities on this particular line section.
20 This is new information, and it slightly revises my
21 opinion of how FPL responded to this serious situation.

22 **Q.** Well, again, your statement is, "The exact
23 actions to rectify the loose and missing bolts in 1998
24 is not known." Does that remain the case?

25 **A.** I answered that previously yes.

1 **Q.** And what standard in terms of the adequacy of
2 recordkeeping do you contend that meets?

3 **A.** They had specific issues related to
4 structures. They had work practices, activities that
5 were described that were supposed to be performed on
6 these structures. All of this is documented. And so
7 when the work order is closed out, the implication is
8 that the activities that were described to be performed
9 have been done.

10 **Q.** With 31 500-kV transmission towers having
11 crossbraces that are implicated by loose bolts, should
12 one refer to implications to determine what was done at
13 the time?

14 **A.** Please repeat the question.

15 **Q.** Yes. Again, the situation being the fact that
16 FPL was confronted with 31 500-kV transmission towers,
17 all of which showed loose or missing crossbrace bolts,
18 meaning that all had implications for structural
19 integrity, should it be necessary to use implications to
20 determine what was actually done to rectify the problem
21 in 1998?

22 **A.** No. I think that what happened -- I know that
23 what happened was that in 1998, there was a problem with
24 conductor vibration that resulted in extensive conductor
25 damage in addition to loose bolts on these towers. They

1 did an extensive investigation of conductor vibration
2 and tower vibration in conjunction with one of the
3 premier research institutes in the United States to
4 address this problem. They did a thorough inspection of
5 all of their towers, did what they thought would fix
6 this.

7 One year later they did a comprehensive
8 inspection in 1999 of all of the structures and all of
9 the conductor spans to make sure that vibration levels
10 were okay and that bolts were not loose. Then in 2001
11 they did an aerial inspection of 50 percent of their
12 towers. In 2002 they did a climbing inspection of
13 10 percent of their towers. In addition, a separate
14 ground patrol actually identified a missing bolt. But
15 since they had done all of these inspections and it was
16 a single bolt that was missing, they just chalked this
17 up as an anomaly. And then again, in 2003 there was
18 another aerial inspection of this line.

19 And so by any standard, when I would look at
20 this level of activity, if I didn't know that there was
21 a problem previously, it would actually seem excessive
22 to me. So I think that by any standard, FPL addressed
23 this problem in a manner that was very aggressive and
24 appropriate.

25 Q. The aggressive and appropriate steps that you

1 are describing relate to the measures used to address
2 conductor vibration; is that correct?

3 **A.** Yes, with the idea that the conductor
4 vibration was the root cause of both the conductor
5 damage and the loose bolts.

6 **Q.** And would you agree with me that none of the
7 matters as you described in that lengthy answer serve to
8 inform you or anyone of the exact actions taken in 1998
9 to rectify the loose and missing bolts?

10 **A.** Correct.

11 **Q.** Referring back to the statement that the
12 original installation guideline requiring the manual
13 tightening of bolts was insufficient, assuming that's
14 the case, wouldn't that -- wasn't that fact revealed in
15 1998 when the inspection revealed 31 towers with loose
16 or missing bolts?

17 **A.** No. At the time, the root cause of the
18 problem appeared to be this extensive vibration problem,
19 and so the assumption is, if this vibration problem is
20 fixed, then the loosening of the bolts problem is fixed.
21 In fact, now, knowing what I know now, that there was
22 extensive inspections of this section of towers that I
23 didn't know about when we wrote the report, I would
24 actually say the problem was fixed. Based on all of
25 these inspections that were performed after 2003, there

1 was not a loose bolt problem in 2003, I can say with a
2 high degree of confidence.

3 When we wrote the KEMA report, however, it
4 appeared that they only did a climbing inspection on
5 10 percent of the towers in 2002. With that knowledge,
6 what it appeared to KEMA was that you've fixed the
7 vibration problem that could result in conductor
8 damages, but it looked like potentially the bolts
9 re loosened and you just didn't catch it. So my opinion
10 has actually changed now that I'm aware that they did
11 much more aggressive inspections than we were aware of
12 at the time we wrote our report.

13 Q. Is it your testimony today that there was no
14 loose bolt problem after 2003?

15 A. It is my testimony today that, based on the
16 post-Wilma inspections and the number of structures and
17 bolts that were found to be loose or missing, it is
18 extremely unlikely that this situation would have
19 existed at the end of 2003, given the extensive
20 inspections that occurred in 2001 and 2002 and 2003.

21 Q. And you're referring to, among other things,
22 helicopter flyovers?

23 A. Correct. Helicopter aerial inspections
24 occurred in 2001 and 2003, specifically to look at the
25 vibration issues of 19 -- that were occurring in 1998,

1 including loose and missing bolts.

2 Q. Assuming that the original installation
3 guideline was insufficient, and assuming for the purpose
4 of my question that the insufficiency of the
5 installation was revealed prior to Hurricane Wilma in a
6 fashion that put FPL on notice of the existence of the
7 insufficient installation, and assuming further that FPL
8 simply reapplied the original insufficient installation
9 technique, in that situation, would you agree that the
10 major contributing failure was not the original
11 installation, but rather the failure of FPL to take
12 adequate steps to remedy the situation?

13 MR. BUTLER: I would like to ask just to
14 clarify, this is being posed as a hypothetical?

15 MR. MCGLOTHLIN: It is.

16 MR. BUTLER: Okay.

17 A. Hypothetically, if FPL knew that there was a
18 chance of these bolts reasonably re loosening, and
19 hypothetically, if all of the other assumptions that you
20 made were true, then yes. But in this case, no.

21 Q. And you say no in this case because it is your
22 contention that FPL addressed the loose bolts adequately
23 in 1998?

24 A. In fact, yes, they did. Based on the
25 inspection results of 2001, 2002, and 2003, you can

1 reasonably conclude that there was not a loose and
2 missing bolts problem at the end of 2003.

3 Q. There's no disputing the fact that during
4 Hurricane Wilma, some 30 towers collapsed?

5 A. Correct.

6 Q. And there's no disputing the fact that loose
7 bolts were found after the collapse?

8 A. Correct.

9 Q. Would that be one indication that there was a
10 loose bolts problem after 2003?

11 A. No, it would not. It could imply that
12 potentially the hurricane forces of Wilma were
13 sufficient to cause these bolts to come loose.

14 Q. It could also indicate that the inspections
15 failed to detect a continuing loose bolts problem; isn't
16 that right?

17 A. In fact, the inspections did reveal one loose
18 bolt and nothing else related to loose and/or missing
19 bolts, so I think that that is unlikely.

20 Q. Had FPL taken measures such as attaching
21 locknuts to the bolts in 1998 or peening the threads
22 behind the nuts, would that have served to fasten the
23 nuts onto the bolts?

24 A. It couldn't have hurt. However, I believe
25 that one of the bolts that was recorded as missing

1 post-Wilma was an old structure design that in fact had
2 a locknut on it, and the bolt was sheared off, so not
3 necessarily.

4 Q. Oh, is that in your report somewhere?

5 A. No. This is all new information.

6 Q. When did you receive that information?

7 A. Yesterday.

8 Q. So after the design change for weathering
9 steel superseded the original specification of locknuts,
10 there was one that somehow made it onto one of the
11 bolts?

12 A. No. This was an old tower design, I believe.

13 Q. Is it your testimony that the old tower
14 designs do have locknuts?

15 A. My understanding, and I'm not certain, was
16 that one of the towers that came down during Wilma had a
17 locknut on it -- I believe it was an old tower design --
18 and that this bolt was missing after Wilma, recorded as
19 missing after Wilma.

20 Q. Your testimony was that peening the threads or
21 attaching locknuts couldn't have hurt. Could it have
22 helped?

23 A. It could have helped, yes.

24 Q. In fact, that is the intended function of
25 either of those measures, it is not?

1 **A.** Correct.

2 **Q.** Do you regard those as reliable, effective
3 measures?

4 **A.** Yes.

5 **Q.** At page 43 of the report, in the paragraph
6 just above the pictures, do you see this statement? "In
7 the current retrofit, FPL is applying approximately
8 4,600 foot-pounds of torque to fasten the connection."
9 Isn't it true that in the retrofit, FPL is also peening
10 the threads of the bolts?

11 **A.** Yes.

12 **Q.** Was KEMA aware of that when it wrote the
13 report?

14 **A.** I believe so. I am not certain, though. I
15 didn't write this section. I know that they were
16 considering it. I'm not sure if they had decided on
17 this.

18 **Q.** I have several questions about KEMA's
19 evaluation of FPL's pole inspection program.

20 Beginning --

21 CHAIRMAN EDGAR: Mr. McGlothlin, before you
22 move into those several questions, I'm going to need a
23 stretch, so I'm wondering -- I tried not to break in in
24 between, but it is about that time.

25 MR. MCGLOTHLIN: This is a good time.

1 CHAIRMAN EDGAR: Could you just give me -- and
2 I'm not rushing you, yet, anyway -- an approximate of
3 about how many -- about how long the questioning for
4 this witness on cross?

5 MR. McGLOTHLIN: Possibly 15 minutes.

6 CHAIRMAN EDGAR: Okay. With that, then let's
7 go ahead and take about a 15-minute break and come back
8 at 10 to 4:00.

9 And just for planning purposes, before we go
10 on this break, my intention today is to end our
11 discussions for the day at approximately 5:15, and we
12 will consider perhaps starting a little early tomorrow
13 and going late tomorrow.

14 And with that, we are on break. We will come
15 back at 10 to, and we will start, Mr. McGlothlin, with
16 the continuation.

17 (Short recess.)

18 (Transcript follows in sequence in Volume 4.)
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA:

COUNTY OF LEON:

I, MARY ALLEN NEEL, Registered Professional Reporter, do hereby certify that the foregoing proceedings were taken before me at the time and place therein designated; that my shorthand notes were thereafter translated under my supervision; and the foregoing pages numbered 152 through 283 are a true and correct record of the aforesaid proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor relative or employee of such attorney or counsel, or financially interested in the foregoing action.

DATED THIS 20th day of April, 2006.



MARY ALLEN NEEL, RPR
2894-A Remington Green Lane
Tallahassee, Florida 32308
(850) 878-2221