


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

DOCKET NO. 060173-EU

PROPOSED AMENDMENTS TO RULES
REGARDING OVERHEAD ELECTRIC
FACILITIES TO ALLOW MORE STRINGENT
CONSTRUCTION STANDARDS THAN REQUIRED
BY NATIONAL ELECTRIC SAFETY CODE.



ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS: STAFF RULE DEVELOPMENT WORKSHOP

DATE: Thursday, July 13, 2006

TIME: Commenced at 9:30 a.m.
Concluded at 12:49 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR
Chief, Hearing Reporter Services Section
(850) 413-6732

DOCUMENT NUMBER-DATE

FLORIDA PUBLIC SERVICE COMMISSION 06302 JUL 19 2006

FPSC-COMMISSION CLERK

		PAGE
1	PRESENTATIONS BY:	
2		
3	BELLSOUTH	7
4	Dorian Denburg, Kirk Smith, Stan Greer, Jim Meza	
5		
6	VERIZON	56
7	De O'Roark, David Christian, Steve Lindsay	
8		
9	FCTA	75
10	Michael Gross and Mickey Harrelson	
11		
12	EMBARQ	103
13	Charles Rehwinkel	
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		
	TDS TELECOM	108
	Tom McCabe	

P R O C E E D I N G S

1
2 MR. HARRIS: Good morning, everybody. This is a
3 staff rule workshop for Docket 060173-EU, proposed rules for
4 strengthening electrical infrastructure. My name is Larry
5 Harris, I'm a senior attorney here at the Public Service
6 Commission. Up here at the bench we also have from my left,
7 Carl Vinson, who is with our Division of Competitive Markets
8 and Enforcement; Rick Moses, same division. To my right, Bob
9 Trapp, who you all know, and Craig Hewitt, who is basically in
10 charge of our economic impact statements.

11 And so, as I understand the purpose of today, and, of
12 course, we can sort of modify from this, but really what we are
13 here for is to get some input from telecommunications and cable
14 companies regarding the economic impacts of the rules the
15 Commission proposed. You all know they have been published in
16 the Florida Administrative Weekly as of, I believe it is July
17 7th, and that means we are in the 21-day comment and/or request
18 for hearing period.

19 At this point we have a workshop today to get
20 information and there is an agenda that has been published, and
21 if you all don't have a copy -- and we might have some copies
22 sitting around somewhere. If you do, we are going to try to
23 sort of stick to that. It has a number of questions we're
24 asking people to answer.

25 If you have presentations, make sure that Jim Breman

1 over there has an electronic copy of it if you want it to go on
2 the screen. Because if we don't have it, we can't get it up
3 here projected. If you have got handouts, you might want to
4 put them somewhere where people can get copies of them. And we
5 will go from there.

6 At this point, a hearing has been scheduled, a
7 Commission hearing for -- it was August 22nd, we filed a notice
8 of change of that date yesterday morning. It now will be
9 August 31st. The Commissioners have determined that August
10 31st works better, so an FAW notice will be published whenever
11 it comes out that the hearing that had been noticed for August
12 22nd will be moved to August 31st. And that hearing, again, as
13 you all know, was just for two of the rules. So the others are
14 still out there. If no request for hearing or comments are
15 filed, then they will be filed with the Secretary of State for
16 adoption.

17 So the purpose of today's workshop is for entities to
18 give us some information, mainly cost information and impact
19 information on the impact of proposed Rules 25-6.0341 and
20 25-6.0342. The agenda that we sent out for today's workshop
21 has a number of questions, and we would really like for you all
22 to answer those. We are here to get information from you all
23 about the impact of these rules on your companies. Today is a
24 good opportunity for you to tell us these things and get staff
25 the data we need to be able to understand the positions that

1 you are taking.

2 I don't have any type of list of people who want to
3 speak. I see people are sitting at the table, and following
4 the usual Commission practice, I will go ahead and start on my
5 left, which is to you guys' far right, and we will go down the
6 line. And we will give you all the time you need to speak.
7 And as the Chairman asks frequently, you know, if you can try
8 to consolidate comments and not repeat things other people have
9 said, that is good. Unless you need to, in which case feel
10 free to go ahead. Bob, do you have any comments?

11 MR. TRAPP: I just wanted to ask Larry whether or not
12 there were any electronic presentations. We have asked that
13 they be submitted in advance, but I'm not aware that we have
14 received any. If anybody has a chip plug-in or a CD that they
15 need to run, we need to know about it so that staff can gear it
16 up over here at the electronics table. And also if there is
17 hard copies, we want to make sure there is an abundant number
18 of copies of any hard copy material that you want to leave with
19 us. And if you will coordinate that with Mr. Breman, we would
20 appreciate it.

21 MR. HARRIS: And one last thing. This is being
22 transcribed, so I will ask everyone who speaks to identify
23 yourself and who you are representing when you begin your
24 comments. It gets difficult for the court reporter sometimes
25 when people go back and forth. And I assume she knows that I'm

1 Larry Harris. So if you would introduce yourselves and the
2 company you are speaking for, and every time you have a
3 comment, that would be helpful.

4 Before we get started, I think it would help me, I'm
5 going to make a list. If we could sort of go down the line and
6 find out who is here and who they represent and who plans to
7 speak. So if you are not at the table and you want to speak,
8 if you could sort of find a microphone and let me know that you
9 are going to want to make a presentation or address the
10 Commission -- I'm sorry, address staff, that would be helpful.
11 Thank you.

12 MS. DENBURG: Dorian Denburg, Chief Rights-of-Way
13 Counsel with BellSouth.

14 MR. SMITH: My name is Kirk Smith, I'm a manager on
15 the BellSouth network operations staff with the BellSouth
16 region.

17 MR. REHWINKEL: Charles Rehwinkel, State Vice
18 President for Embarq.

19 MR. O'ROARK: De O'Roark, counsel for Verizon
20 Florida, Inc. With me today are Dave Christian and Steve
21 Lindsay, who will be making the presentation.

22 MR. GROSS: Michael Gross, counsel for the FCTA. And
23 with me today I would like to introduce Mickey Harrelson who
24 will be our consultant and primary presenter today.

25 MR. HARRIS: Okay. There will be an opportunity for

1 more presentations later, but I wanted to get a good idea of
2 who we had to start with.

3 We do have a sign-up sheet. And I have been asked to
4 ask you all to sign into the sign-in sheet, so we can have an
5 idea. There is lot of people here and not many people who are
6 indicating they are going to speak, so if we could have people
7 sign in. I think there should be at least one on this side of
8 the room, there might be another one on the other side of the
9 room. Just one, I'm sorry. So there is one over here to my
10 right.

11 With that, BellSouth, if you all want to get started,
12 we would appreciate it.

13 MS. DENBURG: Thank you. Good morning. My name is
14 Dorian Denburg. I'm the Chief Rights-of-Way Counsel with
15 BellSouth Corporation. BellSouth is very appreciative of the
16 opportunity to be here today. We would like you to consider as
17 you move forward that BellSouth owns 40 percent of the poles in
18 our region, approximately 459,000 poles in Florida.
19 Consequently, because pole rentals are based on a formula
20 comprised of average historical pole costs times the carry
21 costs, including a space factor, as the age of poles goes down
22 and poles are taller or stronger, in addition to which electric
23 companies undertake certain steps to comply with mandates of
24 the Commission, BellSouth and other telecommunications
25 companies will be forced to pay higher rental rates.

1 We believe that the amendments and rules that you are
2 considering are premature because the Commission has ordered
3 electric and telecommunications companies to inspect our poles
4 every eight years in addition to conducting remaining strength
5 assessments and pole loading assessments, and you've required
6 the parties to report the data. And tomorrow, in fact, you
7 will be reviewing the storm preparedness plans.

8 You are proposing these rules without the benefit of
9 having had the opportunity to analyze any of the data
10 collected, or, in fact, even had the first report submitted.
11 And the rules presuppose that third-party attachments cause
12 safety and reliability problems. Yet, again, you have not had
13 the first report submitted or had the opportunity to analyze
14 any of the data of the telecom or electric companies.

15 BellSouth disputes that the Commission has
16 jurisdiction over pole attachments. Notwithstanding our
17 jurisdictional concerns, BellSouth has made a good faith effort
18 to respond to the staff's requests regarding the cost impacts.
19 BellSouth has very real concerns about the cost impacts because
20 electric and telecom are two very different types of
21 companies, as you know. Electrics are rate of return
22 regulated, BellSouth is price regulated. The electrics are
23 utilities guaranteed to recover their costs due to their
24 monopoly environment and can pass on any increased costs to
25 their customers. Telecom, BellSouth is a highly competitive

1 environment with providers, including some subsidiaries of the
2 electric companies, who offer the same services utilizing
3 different technologies and will not incur these costs.
4 Consequently, we will be competitively and economically
5 disadvantaged by these changes.

6 Thank you.

7 At this time I would like to introduce BellSouth's
8 expert, Kirk Smith.

9 MR. SMITH: Again, as Dorian said, we appreciate the
10 opportunity to try to address these issues in this forum. The
11 approach that we have taken after we reviewed the rules were to
12 make some general assumptions on what the impact of these
13 proposes rules would mean to us. Very quickly, on the second
14 page of our presentation, these are our assumptions. That each
15 electric company will ultimately develop its own construction
16 standards that meet or exceed the 2002 NESC guidelines. That
17 each electric company will develop construction standards that
18 will incorporate, if applicable, extreme wind load conditions
19 for new build construction, major planned work, targeted
20 critical infrastructure, and major thoroughfares. In addition,
21 each electric company will develop construction standards that
22 will deter damage resulting from flooding and storm surge and
23 that each electric company shall seek from other entities
24 regarding the development of these standards.

25 Now, this is the framework. Of course, we understand

1 that the rulemaking was much more extensive than that, but as
2 it applies to our issues, our concerns, those are the
3 assumptions we made as we prepared the feedback for you today.

4 When we looked at the agenda that was sent for
5 today's workshop, what we attempted to do was try to address
6 each one of the questions specifically. As we saw and analyzed
7 and assessed the impact to BellSouth, we saw two likely
8 scenarios developing, so we will address those scenarios rather
9 than a line item response, if you will, to the agenda.

10 On the third page of our presentation, the first
11 scenario that we saw that would develop would be a potential of
12 an aerial-to-aerial conversion on the part of the electric
13 company. We would have two choices to make should we see that
14 type of conversion. The first choice we would assess if the
15 electric company abandoned a rear lot construction and replaced
16 facilities with new streetside aerial facilities, we may elect
17 from an economic standpoint to remain on the existing pole
18 line. At that point, there are provisions within our joint use
19 agreements with the various electric companies that we would
20 assume at a cost the ownership of that old pole. Quite
21 frankly, this does not happen very often, as we have never been
22 in the market for used poles. But if you look at potentially
23 what some of the cost differentials would be, you would have to
24 see why we would have to assess that as a possibility.

25 The cost for us to assume the ownership of a

1 previously owned electric company pole may run us between 250
2 to \$300 per pole. Accompanying that particular issue is the
3 premise of the acquisition of the easement for the electric
4 company to have been there in the first place. It would not be
5 a safe assumption on our part that that particular easement
6 could be assigned to us as the new owner of that pole. It
7 could be that we would be in the position of having to work to
8 secure an easement for the poles that we would now own. But
9 that is such a variable and such an unknown we couldn't even
10 come up with a reasonable cost estimate to try to put on the
11 table with you today.

12 As we assume the ownership of these older poles, of
13 course our pole inspection costs would be increasing. This
14 would be an incremental lift to the number of poles that we
15 will own in our forecast of the pole inspection cost. We
16 forecasted our going forward rate of the number of poles that
17 we would add to our inventory versus the number of poles that
18 we would remove by virtue of the fact that the standards that
19 the electricians may come up with are, at this time, very, very
20 vague and unknown to us. We would be unable to quantify what
21 this additional lift to our pole inspection costs would be. If
22 we assume that we could accomplish this for 25 or \$30 on a
23 pole, then the delta would be 25 to \$30 on a pole times some
24 number. We don't know what that number would be.

25 When we assume ownership of those poles, then we put

1 into motion an administrative effort or process, if you will,
2 in terms of BellSouth to actually transfer the ownership of
3 those poles to us and to incorporate those poles into our land
4 base. It is not unlike the effort that is associated with a
5 BellSouth engineer going out and performing a job for a new
6 facility altogether. That effort is there, as well.

7 The other option that we saw that would exist on an
8 aerial-to-aerial conversion is if we opt not to avail ourselves
9 of the opportunity to purchase the old poles and stay in place,
10 and that would be if we decided to follow the new electric
11 company route to the front property line. At that point in
12 time, we estimate that our cost of providing that new facility
13 is going to be anywhere between 25 to \$40 per foot.

14 And let me speak just very, very briefly on the
15 methodology we use to look at this and to make that estimate.
16 That is a fairly wide range, as you can see, very dependent on
17 the type of facility that we would be using. Are we moving or
18 having to move possibly a remote terminal, some of our
19 electronics, or would it be a simple matter of just relocating
20 a small facility in a residential area. We simply do not know
21 until we get a better idea of what these electric company
22 standards would be.

23 In looking at trying to come up with this estimate
24 and give you this range, we looked at probably no less than
25 about 20 different work authorizations that we have completed

1 within BellSouth within the last year that are doing this same
2 type of work to try to be able to come to you with some type of
3 validity, if you will, on some of these costs that we are
4 passing along to you here today, and that is how we established
5 these numbers that we are looking at here.

6 If you look at, on the second page, the other
7 scenario we saw developing was a removal of an electric company
8 facility from a rear property line to a new buried facility on
9 the street side, okay. Be it right-of-way, be it
10 applicant-provided easement, that was the general work content
11 that we saw. At that point in time, BellSouth would have the
12 same assessment that we would make. If we have a reliable
13 facility, we may opt to assume ownership of the poles that are
14 being abandoned. So as you see here, one of our first options
15 in that scenario was exactly like we would have on the
16 aerial-to-aerial conversion.

17 However, if we opt to abandon that route and follow
18 the new electric company route on the street side, and remove
19 our aerial facilities and bury our facilities, again, the cost
20 of what we saw in some of our most recently completed work
21 authorization could go up as much as \$10 a foot. Those are not
22 insignificant costs. I wish we could do something a little bit
23 better to give you an overall impact to BellSouth of what these
24 would be. These are -- a commonly used term, they are
25 activity-based costs, okay. We just clearly, again, do not

1 have a clue at this point as to what the order of magnitude may
2 be until we know what those standards are.

3 On our next page, these are costs that are probably
4 not as clearly defined as some of our incremental costs for
5 assuming an ownership of poles for looking at a range of
6 installation on aerial or buried cable, but they are very, very
7 real costs that will impact us significantly.

8 Training on standards. We have thousands of
9 employees across Florida. What these standards are, we have
10 joint use agreements with 40-plus electric companies. The
11 potential is there that we may be dealing with 40 different
12 sets of standards. And, again, not knowing what those
13 standards are, by the simple fact that we are going to have to
14 communicate to our thousands of employees, our engineers, our
15 technicians, our management people what these various standards
16 are going to be will absorb an internal cost simply for trying
17 to communicate and train our people.

18 It is not unreasonable to think as we place a
19 facility, be it an aerial facility or a buried facility,
20 primarily an aerial environment, we could be moving from one
21 electric company's serving area into another. That happens
22 regularly. At that point in time, with the technicians that we
23 have got that are placing an aerial facility, they could be
24 dealing from the standpoint that poles one through five may be
25 one set of standards and poles six through ten may be

1 altogether different. Now, that is a great concern of ours in
2 how do we effectively communicate what these standards will be
3 to keep us in compliance with what those may be.

4 Facility damages. Our buried facilities in Florida
5 have been damaged to the tune of about 2,500 times this year
6 already. Seventy-five percent of the buried and underground
7 damages that we incur happen on street-side environments. That
8 has totalled a cost to BellSouth in 2006 alone in excess of \$3
9 million. We will not back off from the standpoint that we work
10 very diligently through a claims process to try to recover
11 those costs, but they are costs that are associated with
12 facility damage that we simply cannot and work very, very
13 diligently to avoid. We can't project manpower requirements
14 for facility damages when we have somebody that's working on
15 facility damage that is taken away from another task that we
16 may be utilizing that technician to perform.

17 We have seen in other cases where you move into what
18 I would call an overbuild type environment that damages, in
19 fact, are increased over business as usual. It's the
20 environment that you are working in when you have crowded
21 easements that are loaded with not only telco facilities, cable
22 TV facilities, water lines, gas lines, everybody historically
23 that has used the buried environment for the placement of their
24 facilities. When we see these type of activities starting to
25 develop, we mobilize our damage prevention activities. Damage

1 prevention activities generally impact us with increased costs
2 in the sense of providing route surveillance, trying to do
3 additional education for whoever is doing the excavation,
4 making daily if sometime hourly visits to these excavation
5 sites to protect our facilities.

6 We see an increase in the number of locate costs,
7 locate tickets you have for people calling in to say locate
8 your BellSouth facility. Now, this is an expense that is in
9 many ways encouraged because we get out and we try to lobby, if
10 you will, and we try to educate the public to call before you
11 dig. But, again, this increase in activity here, we see a cost
12 to our expenses from a locate standpoint. Again, to be able to
13 quantify how much, unknown at this point in time.

14 As we assume ownership of an abandoned pole from a
15 power company, we may then be in the position of having to
16 renegotiate or to amend, if you will, our agreements with cable
17 TV companies and with CLECs, as well. If they are attached to
18 that pole, then the rental fees that are being paid to that
19 pole at this point are going to the electric company. The
20 attachment fees at the point that we would assume the ownership
21 would then become BellSouth rental fees. At that point we are
22 going to have to, again, renegotiate, or amend, or append to
23 multiple agreements and, again, order of magnitude, can't speak
24 to that.

25 Updates or changes to standards, a great concern to

1 us. We see nothing that is in the rulemaking that has any
2 period, if you will, of gestation for any type of change to the
3 rules. That is of great concern in that should an electric
4 company decide that they want to take a different direction on
5 some part of these guidelines, how quickly would they do that,
6 how quickly would it be expected that BellSouth would need to
7 comply to that change.

8 As an additional concern to this, I know the rule
9 states that the current rulemaking is applicable for the
10 (noise) -- nobody was throwing anything at me, were they?
11 Please let me know and I will stop. We understand that the
12 rules are based on the 2002 NESC guidelines. We also
13 understand that the NESC guidelines are updated on a five-year
14 cycle. That would mean that 2007 is the next update to the
15 NESC guidelines. Would we expect a change in the rules based
16 on the 2007 guidelines? This is 2006, and as we understand, if
17 these rules are adopted the electricians have six months to form
18 these guidelines. It doesn't seem as if it is an efficient
19 thing to do until we know, unless somebody does that can speak
20 to it, do we expect any changes in the 2007 NESC guidelines
21 that would impact these rules.

22 Additional manpower requirements. Again, this is an
23 order of magnitude that we can't address at this time. We feel
24 very, very confident across the state of Florida that we are
25 sized to our forecasted workloads. Should this be a

1 substantial increase to our workload, we will be adding
2 additional management people, nonmanagement people, vehicles,
3 equipment, you name it. And, like I said, this is an
4 unanticipated lift in work content for us, again, to be defined
5 when these guidelines are firmed up.

6 Use of non-wood poles. BellSouth is not in the
7 market at this point in time to be a non-wood pole user. There
8 has not been a need developed at this point in time that that
9 is the right thing to do to support the type of infrastructure
10 that we place. However, in these guidelines, should an
11 electric company decide to go to a steel pole, fiberglass pole,
12 concrete pole, we are going to have to tool up to match to
13 that. We have limited resource at this point in time to
14 provide attachments to concrete poles. I will tell you that on
15 a pole-by-pole basis that could lift our cost as much as 50 or
16 \$60 per attachment just on material and time it takes to do
17 that. But, again, an unknown that is in front of us.

18 Increase in pole rental fees. Dorian touched on
19 that, and we will try to circle back on that in a few minutes,
20 but in its most simplistic form, as an electric company would
21 add to the value of their infrastructure, that impacts the
22 rental fees that we pay on a yearly basis to the 40-some-odd
23 electric companies that we do business with in the state of
24 Florida.

25 From a very high level, there is a concern on our

1 part that as we assess the various and sundry conversions that
2 may come through from the electric companies, we will be
3 replacing perfectly good facilities. We may have facilities
4 that are there now that are sized correctly, they are
5 serviceable, relatively maintenance free, and we would have
6 to -- you know, not given the implication of the conversion, we
7 would choose to leave that facility alone. And in its purest
8 form that doesn't make a lot of good business sense to be
9 replacing a perfectly good facility.

10 The pole inspection process we have already talked
11 about. We have worked very successfully with several of the
12 major electric companies to approach this in a joint manner as
13 we talked about in the workshop on the pole inspections. We
14 are seeing some of the early results of some of those
15 inspections coming in. Quite frankly, we just saw the first
16 good sizeable sample come into my office this week. We have
17 not had an opportunity to assess that yet, but we feel very,
18 very comfortable that it's going to be giving us some very,
19 very good data on how we ought to approach the treatment of our
20 infrastructure.

21 Again, we feel that we have not had the opportunity
22 and, of course, I would obviously let the other companies speak
23 for themselves, to assess this and see what it means. And I
24 think we felt like the intent of the pole inspection process
25 was to do just that, help us internally develop some guidelines

1 on how to treat our infrastructure. So from that standpoint,
2 the rulemaking does seem premature.

3 The bottom line, and I'll ask a colleague of ours
4 from BellSouth, Mr. Stan Greer, to address some of the finer
5 points of the following issue. In all of this, we don't see
6 BellSouth as being a cost-causer, okay, but with very little
7 activity at all, our increment lift to costs are going to be
8 significant.

9 Stan.

10 MR. MOSES: Could I ask you one question before we
11 move on?

12 MR. SMITH: Yes, sir.

13 MR. MOSES: You had made a statement about differing
14 electric companies may have different construction standards,
15 and in one pole line of ten poles, five might be in one and
16 five in the other.

17 MR. SMITH: Correct.

18 MR. MOSES: Could you give us an example of the
19 differing standards that would cause you harm in trying to
20 attach to those poles?

21 MR. SMITH: If I were following a route that -- let's
22 use Electric Company A, and Electric Company A was primarily
23 serving a coastal type environment, and their construction
24 standards may be for extreme wind load conditions X, and that
25 would require me to possibly use a stronger type supporting

1 strand, different types of hardware for the attachments. If
2 you know what I am talking about, we provide straps, if you
3 will, on the attachment clamps for our strand.

4 MR. MOSES: Uh-huh.

5 MR. SMITH: That may be a standard for Company A. As
6 you move to Company B, they may not adopt that same standard.
7 So in the middle of that job, I may have a situation where I
8 would have to use a certain size strand on five poles, a
9 certain type of strand on the other five poles. I might have
10 to use straps and different types of hardware to attach on
11 these, I wouldn't have to use it on these. It could be very
12 confusing.

13 MR. MOSES: Would it be that economically damaging to
14 you just to use the stronger of the two and that way you would
15 exceed the specifications of the weaker one?

16 MR. SMITH: I have an incremental cost as the size of
17 the material goes up. So, again, to answer your question,
18 would there be an incremental lift in my material costs, yes,
19 there would be. There be would a less than significant cost in
20 the labor content because I'm going to be climbing the pole to
21 make that attachment anyway. But, again, it is an order of
22 magnitude. How many times would that happen, and we simply do
23 not know.

24 MR. MOSES: Thank you.

25 MR. TRAPP: Could I follow up on Rick's questions and

1 ask you doesn't that situation exist today? I mean, we have
2 municipals, we have cooperatives, we have investor-owned
3 utilities, each of which have a fairly clearly defined service
4 territory. I mean, the Commission has a practice of trying to
5 keep them from duplicating facilities and overlapping, so
6 presumably there is a demarcation between the electric
7 utilities' service territories. But I'm aware that under
8 current construction standards today, the utilities --
9 differences between investor-owned and municipal and
10 investor-owned and co-op and co-op and municipal exist today.
11 Is that not the case?

12 MR. SMITH: That would be -- and I will give you to
13 the best of my ability to address that. There are not wide
14 differences in standards today among the electricians that we deal
15 with that we perceive, okay. The NESC guidelines are pretty
16 much the rule of thumb. You know, our issue is, as we address
17 this particular point, there is a definition in the rulemaking
18 that says they will build to extreme wind load conditions if it
19 is a major thoroughfare, critical infrastructure, new build.
20 Those are, quite frankly, as we have tried to assess this,
21 those are somewhat ill-defined. I don't know what a critical
22 infrastructure is.

23 Now, in the case of Electric Company A and Electric
24 Company B, if their standards are different for what a critical
25 infrastructure is, that particular route that I'm placing may

1 or may not pass a critical infrastructure, and the definition
2 may be different among the two electricians. We just simply do
3 not know.

4 MR. TRAPP: Well, we do know in Florida Power and
5 Light's service territory that at least four have been defined.
6 There have been two hospitals and two port areas that have been
7 targeted as hardened areas that the company has already
8 converted to, I think, concrete poles. I believe that is also
9 BellSouth's service territory.

10 MR. SMITH: That is correct, and we have --

11 MR. TRAPP: What has been your experience with that
12 hardening exercise?

13 MR. SMITH: We did not have the equipment, nor the
14 manpower, or the tools necessary to make the attachments at the
15 point in time that we would like to to some of the non-wood
16 poles that they used.

17 MR. TRAPP: Were you coordinated? I mean, were you
18 contacted by the company in advance?

19 MR. SMITH: Yes, sir, we were.

20 MR. TRAPP: And so there was an opportunity for
21 coordination there?

22 MR. SMITH: There was an opportunity for
23 coordination. The point we're trying to make today is, as you
24 pointed out, their decision was it was a couple of hospitals.
25 You know, what is our assumption at this point is a critical

1 infrastructure all hospitals? And that is really, I think, the
2 kind of point we are trying to drive to here. You know, we
3 appreciate the fact that we were, in fact, coordinated with on
4 the hardening of those four instances. We were, we addressed
5 it. It was not without an increased cost to BellSouth that we
6 did that, but, in fact, the coordination was there.

7 MR. TRAPP: Would you agree that hospitals need
8 telephone service as much as they need electric service?

9 MR. SMITH: Absolutely.

10 MR. TRAPP: And ports, major ports?

11 MR. SMITH: There is no argument there.

12 MR. TRAPP: So there seems to me some benefit to
13 BellSouth in providing quality continuity service to those
14 critical areas in preparation for storms.

15 MR. SMITH: Our network is increasingly reliant on
16 the availability of commercial power. As we move to some of
17 the advanced electronics we have, if power is readily available
18 and serviceable, I will not tell you, yes, that is a benefit
19 for BellSouth. Now, the issue that we were trying to address
20 here today is what cost impact this is going to have to
21 BellSouth, and there will be a significant cost associated with
22 this effort.

23 MR. TRAPP: I think it is important, though, as we
24 discuss cost impacts that we also look at benefits, as well,
25 because the two have to be weighed together. And I haven't

1 heard anything in your presentation that addresses possible
2 benefits of, for instance, you talk some time on rear lot to
3 front lot conversions and undergrounding situations. Do you
4 not experience any maintenance benefits associated with easier
5 access to off-road versus rear lot?

6 MR. SMITH: Our experience has been that we have
7 exposed ourselves quite a bit more when we are in a front lot
8 line situation. One of the issues that I failed to address
9 because we didn't want to come off being -- claiming that the
10 sky was falling, if you will. But vehicles, on occasion, have
11 a tendency to leave the traveled portion of the road. We
12 have --

13 MR. TRAPP: Only when my teenager drives the car.

14 MR. SMITH: Our preference would be to be able to
15 protect our critical facilities, such as cross boxes, such as
16 remote terminals, such as units that store our expensive
17 electronics, not necessarily in a street-side type environment.
18 Now, if that means that the access to those is rear lot line,
19 and that is the best way to protect that critical type
20 facility, that might even be our preference rather than a
21 street-side type facility.

22 MR. TRAPP: In a situation where you're leasing a
23 pole, a rear lot pole to an electric utility company, you're
24 not contending that they are obligated to stay there forever,
25 are you?

1 MR. SMITH: That the electric company would be
2 obliged to stay there forever?

3 MR. TRAPP: Yes. I mean --

4 MR. SMITH: No, sir, not in the least.

5 MR. TRAPP: They can choose if it is in their best
6 interest once they have done their analysis to move to the
7 front lot.

8 MR. SMITH: Absolutely. As any good business would
9 do, you look at the impact to your business based on historical
10 trends and what you know to be as factual as you can anticipate
11 on a going-forward basis. Simply put, this particular
12 rulemaking throws that into high gear, our assumption.

13 MR. TRAPP: In the opposite case, where you're
14 attaching to an electric facility, again, you can elect to move
15 with the movement of that facility or you can elect to redesign
16 or reconstruct your facilities in the back, and there's where I
17 see a real potential for cost impact. But I would note, and I
18 would like some assessment from you as to the value and impact
19 of Section 25-6.0341(4). And I don't know if everybody has the
20 same copy of the rule, so I will just give you the rule number.

21 But reading that it says where the expansion,
22 rebuild, or relocation of electric distribution facilities
23 affects existing third-party attachments, the electric utility
24 shall seek input from, and to the extent practical, coordinate
25 the construction of its facilities with a third-party attacher.

1 What problem do you have with that?

2 MR. SMITH: The concern that we would have with that
3 comes back somewhat to Dorian's earlier comment in that we own
4 40 percent of the poles in our serving area. We would feel
5 comfortable with stronger language, if you will, that would
6 incent the electricians to work in a more collaborative manner.
7 It seems as if the wording stops short of that. We feel that
8 the wording basically supports that we be given an audience,
9 that we be given consideration, but there is really nothing
10 definitive there that says, quite frankly, that they will work
11 in a more collaborative manner than what is absolutely
12 necessary.

13 MR. TRAPP: Well, again, you prefaced your sentence
14 with the situations where you own the pole. And, again, I
15 don't think that's the case. I think you just agreed that
16 where you own the pole, if they want to get off of it, they
17 can. My point really goes back to the point where they own the
18 pole and you're attached to it. You don't trust that they will
19 give you proper consideration in the coordination language
20 included in this rule?

21 MS. DENBURG: Respectfully, and I'm not the expert,
22 I'm just the lawyer, but it comes back to the same point. If
23 the power company owns the pole and BellSouth is attached to
24 the pole, the standards that would be implicated here will have
25 a direct impact on BellSouth's costs. We are not disputing at

1 all that an electric company has the right to be on a pole, to
2 move its poles, to be underground, and to make those decisions.
3 But the point is that if it puts in different poles, if it
4 moves, it has a direct cost impact to BellSouth.

5 MR. TRAPP: And I guess the point that I was trying
6 to make -- and we welcome lawyers here. We like to talk with
7 you all, too. We are here to dialogue, and so I'm not
8 expecting you to play law, and I don't intend to either. But,
9 I guess the point I was trying to make is that if an electric
10 utility decides to relocate some facilities, they have done it
11 for a reason, and that reason is that they have done an
12 analysis hopefully using research from our universities, and
13 hopefully using forensic data that they have collected, and
14 hopefully assessing the impact of storm and hurricane damage on
15 their facilities, and they have come to a conclusion that this
16 particular area is at risk. And because of that risk, it
17 imposes the high potential for us to interrupt service to our
18 services, make it difficult for us to get that service back up,
19 and costs money. And it seems to me that those three factors
20 also affect telephone service.

21 MS. DENBURG: Respectfully, BellSouth only lost two
22 percent of its poles.

23 MR. TRAPP: Well, Florida Power and Light only lost
24 one percent of theirs.

25 MS. DENBURG: I'm sorry, I didn't hear you.

1 MR. TRAPP: Florida Power and Light only lost one
2 percent of theirs, and they have adopted a new corporate
3 strategy of hardening. So you're not concerned about losing
4 two percent of your poles?

5 MS. DENBURG: I would say that the company felt very
6 good about the service that it maintained and that the chief
7 concern -- well, I shouldn't say the chief concern, but one of
8 our chief concerns is that the standards that are being
9 considered are chiefly for the benefit of the electric
10 companies and that BellSouth and the other telecommunications
11 companies are not the cause of the costs, and that we shouldn't
12 be required to absorb the costs.

13 MR. TRAPP: Well, we could get into a debate about
14 competitive industries versus regulated industries and who has
15 the best advantage over who and all of that kind of stuff. I
16 do want to take issue with the word guaranteed return, though,
17 that you used earlier. We don't guarantee anything. I think,
18 you know, when you all were regulated you certainly recognized
19 that you had to come and demonstrate and justify --

20 MS. DENBURG: Fair point.

21 MR. TRAPP: -- your return, and I think the same
22 still exists with the regulated electrics. But that is just an
23 aside. I want to turn to the other rule, 25-6.0342. And I'm
24 just, again, wanting to ask, Section 3 of that rule has
25 language in it that says in establishing the attachment

1 standards and procedures, the utility shall seek input from
2 other entities with existing agreements to share the use of its
3 electric facilities. It goes on to say, then, that any dispute
4 arising from the implementation of this rule shall be resolved
5 by the Commission. Now, what's wrong with that?

6 MS. DENBURG: BellSouth, respectfully, does not
7 believe that the Florida Public Service Commission has
8 jurisdiction over pole attachments.

9 MR. TRAPP: Even with regard to safety and
10 reliability?

11 MS. DENBURG: We believe that the Commission has
12 jurisdiction over safety and reliability, but that to the point
13 previously made you have not afforded the opportunity to the
14 companies to submit the data, to analyze the data that is being
15 collected, and that consequently, and respectfully, you are
16 making a leap that third-party attachments are the cause of the
17 safety and reliability problems.

18 MR. TRAPP: Were you at our January workshops? I
19 believe both telephone and electricians were invited to it.

20 MR. GREER: No, I don't think we were at the January.
21 I think we were at the May, if I remember the month right.
22 Time flies.

23 MR. TRAPP: Did you hear the discussion we had with
24 Mary Glass, a national consultant?

25 MR. GREER: No, I don't believe so.

1 MR. TRAPP: You probably ought to go to our website
2 and look at that, because that's where some of these concerns
3 originated was back in the discussions we had in January. And
4 it was pointed out that nationally, at least it was contended
5 nationally that pole attachments were of concern. And that in
6 particular it wasn't the initial installations necessarily, it
7 was what happens as time goes on and things change on that pole
8 that people may are may not be aware of.

9 And I would contend that in our further discussions
10 in these workshops that have been publicly noticed and people
11 are free to attend and I have seen a lot of people attend,
12 whether they've signed the sheets or not, they have indicated
13 to us a certain level of discomfort with the practices on the
14 electric utilities side as to whether or not they were actually
15 looking at those poles attachments, whether or not they were
16 actually verifying that what was supposed to be up there was
17 really up there as opposed to some extra stuff or some
18 undisclosed stuff.

19 And, furthermore, in connection with the pole
20 inspection plan, that maybe they didn't even know how strong
21 the pole was holding all of that pole attachment plus electric.
22 And I give that just as background to let you know where we
23 have been, and, you know, kind of why we are here, and what we
24 are trying to do.

25 So, again, I guess my rambling point here is that I

1 would encourage you to help us with this process to understand
2 where the weaknesses in the system are and try to address them.
3 My bottom line question, though, is what's wrong with
4 identifying a procedure, and what is wrong with seeing how that
5 procedure gets implemented by the utilities, and what's wrong
6 with assessing that implementation at that time on an
7 implementation basis as opposed to fighting this rule, which is
8 just a body of simple words that say give us a plan. We need
9 to know you've got a plan to deal with all of these issues.
10 What's wrong with that?

11 MR. REHWINKEL: Bob, this is Charles Rehwinkel from
12 Embarq. I don't recall that Ms. Glass, I don't recall that she
13 testified that this was a problem in Florida. I think you did
14 say nationally. And we are in a Florida rulemaking. I don't
15 think there is evidence that that is a problem here. And I
16 understand your point about that, but, again, that was not
17 Florida evidence.

18 Our concern -- I want to echo what BellSouth's
19 attorney indicated -- is there are no standards for how a
20 dispute would be resolved. Normally, when a Commission is
21 going to resolve dispute, you've got a statute, you've got a
22 rule, you've got an order, you have criteria to decide right or
23 wrong on the two parties.

24 MR. TRAPP: I'm not sure I'm following you, Charlie.

25 MR. REHWINKEL: Well, the rule said, the language

1 says any dispute arising from the implementation of this rule
2 shall be resolved by the Commission. And the dispute, I would
3 imagine, under this last rule provision that you cited, would
4 be as to the development of the attachment standards which are
5 to be developed by the electric company under this rule.

6 MR. TRAPP: That's where it's at in the rule.

7 MR. REHWINKEL: And today when you are adopting the
8 rule, or whenever it is actually formally adopted, those
9 standards will not be in place. And there is nothing that the
10 Commission has said as to what goes into those standards. So a
11 dispute that comes back to the Commission about those would be
12 governed by nothing at this point in time.

13 I think it's very clear that the Commission cannot
14 adopt a rule that adopts standards, they can't adopt a rule
15 that adopts by reference, say, FCC, or FERC rules that are not
16 in place as of the time of the adoption. You have to adopt a
17 rule that is -- you have to adopt standards or rules that are
18 in place as of the time of the adoption. You cannot make a
19 prospective adoption of a rule.

20 The same would go as to the standards that might be
21 adopted by a utility down the road. That's the crux of the
22 issue, both as to this section and the other one is that we
23 don't know what these standards are going to be. They may be
24 entirely fair and we may be very happy with them, we just don't
25 know today. We can't assess the impact of them and we cannot

1 assess how -- excuse me.

2 MR. TRAPP: Do you need some water?

3 MR. REHWINKEL: Everybody that has been on conference
4 calls with me knows this is a problem I have been having the
5 last few weeks. This is not -- thanks, Bob, but it's not going
6 to do me any good -- that is our issue. And I don't mean to
7 speak for Dorian, but that is at least part of the issue, I
8 think.

9 MR. GREER: Bob, this is Stan Greer with BellSouth.
10 I wasn't at the January meeting, but listening to what you
11 described is part of our point in that we think you ought to
12 let us do the pole inspections. Look at the attachments, see
13 what is there, see what problems we have got, and then assess
14 what you need to do as far as the standards that you're looking
15 at doing. I think it plays right into that.

16 But I understand what you are saying, though. I'm a
17 little curious, and we have discussed a little bit about what
18 you envision as the process moving forward in this. And I
19 understand the rule says you bring a dispute to the Commission.
20 We are wondering how do you deal with, you know, the split -- I
21 will just use a number, 60/40 in Florida for BellSouth and the
22 electricians. What do you do with the other 40 percent? I mean,
23 if you harden the 60, what is your idea would be the scenario
24 that would take care of the 40? Because, if you do the 60 and
25 you don't do the 40, if there actually is an issue, then doing

1 the 60 is not going to help you any. Poles are still going to
2 come down.

3 MR. TRAPP: I can appreciate that, Stan. But when we
4 started this rulemaking process, just to give you some more
5 background, we started out with an absolute, a mandatory rule
6 that says thou shalt harden up to extreme wind standards, and
7 flooding and surge zones for a Category 3 hurricane. And we
8 heard comments from the parties saying, wait a minute, you may
9 be going too far. You may be getting too far ahead of yourself
10 and you may be doing unexpected impact if we have to go in an
11 area, for instance, and put four poles instead of two, that's
12 more potential for poles being impacted by debris and what have
13 you else. You may actually degrade reliability.

14 So we listened to that. So we came back with the
15 current proposal that has been proposed by the Commission,
16 which basically says, utilities, we are willing to work with
17 you and define as we go what hardening means and what standards
18 need to be in place. And, therefore, we have put in -- you
19 file what you think you need to do with us, and we'll determine
20 whether or not that is right or not.

21 We have also put in the rule that we want the
22 attachers to be involved in that assessment. But we are doing
23 something. And I guess that may be the difference of opinion.
24 We are actually starting out with a process as opposed to the
25 trust me, we'll take care of it approach. It may be a

1 difference of opinion.

2 And, Stan, I did want to address Charles' point,
3 though, about there not being any standards in the standard
4 first and then I can talk to you.

5 MR. GREER: Sure, no problem.

6 MR. TRAPP: I kind of disagree with what you said,
7 Charles, with respect to the standard not having a standard in
8 it, because it very specifically says in Part 1 that the
9 attachment standards and procedures shall meet or exceed the
10 applicable edition of the National Electric Safety Code and
11 other applicable standards imposed by state and federal law so
12 as to assure as far as reasonably possible that third-party
13 facilities attached to electric transmission and distribution
14 poles do not impair electric safety, adequacy, reliability, do
15 not exceed pole loading capacity and are constructed,
16 installed, maintained, and operated in accordance with
17 generally accepted engineering practices. That's the standard.

18 MR. REHWINKEL: There are four words in this rule
19 that cause me a great deal of concern. One is -- well, five.
20 "At a minimum, and/or exceed." And that is where the problem
21 comes in, Bob. I mean, you've got these objective standards
22 that everyone bases their business on, but this at a minimum or
23 exceed indicates that you could go beyond that. To what
24 degree, we don't know. That is where the crux of the problem
25 is. I'm not saying that you have to --

1 MR. TRAPP: But the legislature told us those words.
2 That's what the legislature told us. They were no longer happy
3 with the National Electric Safety Code being a minimum, go
4 beyond it, and they also changed some other language with
5 respect to our quality of service standards. So, you know, I
6 am not a lawyer and I can't play law with you, you can do that
7 with Larry, but I just don't agree with what you are saying.

8 MR. REHWINKEL: Well, I'm telling you that is the
9 crux of the problem is those words right there, at least from
10 Embarq's standpoint. I'm not trying to speak for the others
11 here. I didn't mean to jump in line there, but I just wanted
12 to kind of add to what Dorian was saying.

13 MR. TRAPP: Well, Stan kind of jumped in. Stan was
14 trying to save you from your cough. But did you have anything
15 more you wanted to add, Stan?

16 MR. GREER: Well, as Kirk and Dorian have mentioned,
17 you know, one of the biggest problems we have is the additional
18 cost associated with it. And you're right, we could debate the
19 monopoly regulated price caps all day, probably, but the fact
20 is, BellSouth doesn't have a mechanism or not a good mechanism
21 to come in and recover those costs under the price cap
22 regulation.

23 We are in a very competitive environment. Every
24 decision we make as far as increasing rates, it is an internal
25 battle with the various given units that the rate increase is

1 going into. And, you know, just to recover costs for things
2 that are, at least in our opinion, appear to be -- say the
3 electric company wants to make a pole better or harder under
4 the extreme wind load requirements, that doesn't necessarily
5 mean that it benefits us. I mean, it may stand there, but it
6 may stand there if it stays at the other standard, as well.

7 So that's really where we are trying to figure out
8 how to deal with the cost issue for us. And, you know, we are
9 willing to work with the electric industries. Personally, I
10 think we would like to see a single standard statewide, if we
11 could get to that, but that's 40 companies, that's probably not
12 going to happen.

13 MS. SALAK: But that raises the issue -- you raised
14 the 60/40 issue, and that this rule basically takes care of the
15 60, but not the 40?

16 MR. GREER: Well, that was my take was how do you
17 plan on looking at the 40 percent now.

18 MS. SALAK: That was my question. So, if that is
19 true, and we move ahead with the electric rule, should we be
20 doing something similar for telephone, and why not or why?

21 MR. GREER: Well, should we? We don't think you
22 should, because we don't perceive the problem that you see that
23 you seem to perceive. Is there some -- I don't know how to
24 deal with the 40 in the world we're in, in the price cap world.
25 You know, do you see the electric companies looking at, you

1 know, some kind of compliance, because I remember in some of
2 the documents for tomorrow, that you are looking at audit of
3 nonelectric poles. I don't know what that means. I guess we
4 will find out more tomorrow. But, you know, are you expecting
5 them to look at us and to ensure some kind of compliance with
6 the electric rule? I don't know. I mean, that's some of the
7 uncertainty that we have.

8 I didn't answer your question, I know. I just don't
9 know how we deal with it. And having these kind of rules for
10 electric, I mean, for telephone, I don't know that it makes, at
11 least from our perspective, makes a lot of sense.

12 MS. SALAK: If we take the price cap versus rate base
13 regulated issue off the table and just talk, say, you could get
14 recovery of those costs, would you think that we should do
15 that?

16 MR. GREER: If we went through some of the pole
17 inspection and saw that there were some issues that needed to
18 be taken care of because of the data that we collected in that
19 inspection, then I don't think we would have a problem with
20 trying to address those in some form or fashion, whether it be
21 rule or some kind of agreement. The fact is, right now we
22 don't have that data, and we don't know whether or not there is
23 a high percentage of poles that have problems. We don't know
24 whether the attachments on our poles are causing problems. We
25 don't know if -- you know, in our opinion we think we've done

1 pretty well and had a fairly good track record as far as the
2 failure of poles. But if we get the data back and it says, you
3 have, you've got this issue you need to deal with, then, of
4 course, we'll deal with it.

5 It just seems premature to do it prior to seeing at
6 least some of the data that you have asked us to collect, and
7 attachments are some of the things we are going to be looking
8 at. You know, the loading on the poles, the strength of the
9 poles, all of that kind of stuff is part of the stuff that we
10 are going to look at. And it just doesn't make sense to do
11 that, to start down a rule process prior to seeing at least
12 some of the data.

13 MS. SALAK: May I ask you a question? You had
14 mentioned the renegotiating of your agreements, and you
15 mentioned joint use cable and CLEC. First of all, how many
16 agreements in total are you talking about by each of those
17 categories? You mentioned 40 awhile ago, but for all of these?

18 MR. SMITH: Likely I would say 40-plus joint use
19 agreements.

20 MS. SALAK: Uh-huh.

21 MR. SMITH: Cable TV agreements. I will probably
22 have to defer to -- about 80 across the state. Facility-based
23 CLECs, likely in the 10 to 12 range.

24 MS. SALAK: Okay. And how often do you renegotiate
25 them now? It seems like you would always have -- well, from my

1 perspective it seems like you would always have to be keeping
2 up with them for costs and everything else. So how often do
3 you look at them and renegotiate them?

4 MR. SMITH: There is not a set time that we would
5 renegotiate any of those in any of those categories. There are
6 some time frames within the joint use agreements where we will
7 jointly sit down and relook at that on about a five-year cycle,
8 okay. The point that I'm making with the cable TV and CLEC
9 agreements, again, in it's most simplistic form, they pay us a
10 pole rental when they attach to a pole.

11 The process that we ask of a cable TV and/or CLEC
12 company is that they make application to us when they want to
13 attach to our facilities. We dispatch an engineer. We make
14 sure that that facility is capable of the type of attachments
15 that they are talking about. And if there is any subsequent
16 make-ready work that has to be done, any billing that has to be
17 done to make our facility ready for those attachments, then it
18 is performed.

19 MS. SALAK: And paid for by the attacher.

20 MR. SMITH: Paid for by the attacher. Now, in the
21 situation that we're talking about here, those attachments are
22 already there, okay. They, being the cable TV company and/or
23 the CLEC, have not made application to us to attach to those
24 poles, so we would have to start almost from scratch, if you
25 will, from that standpoint to say -- we would have to assume

1 that transaction looks like an application for a new
2 attachment. Add those attachments, if you will, to our data
3 that we use for annual billing, obviously have to dispatch an
4 engineer to make suitable from our standpoint before we take
5 responsibility or liability for that pole that it is suitable
6 for the type of attachments we've got. So it is the same
7 transaction as if the cable TV company or CLEC came to me
8 wanting to attach to our poles on an ongoing basis.

9 MS. SALAK: Right now if an electric company wants to
10 move a pole for some reason of their own, under your agreements
11 what do you pay for? Like, I don't know, for some reason they
12 need for electric use, so do you pay to move your lines and --

13 MR. SMITH: Again, there are so many variables there,
14 and I'm not trying to -- I'm trying to give you the best answer
15 we can give you. If it's done for the benefit of the power
16 company or the electric company, generally speaking, then the
17 electric company would pay the cost of our transfer, okay.

18 If it were a taller, stronger pole that was being
19 required, and it was my pole, and the electric company decided
20 they needed additional height, additional strength on that
21 particular pole, again, if they were, the term we would use,
22 cost-causer, they would incur the cost for that additional
23 height and additional strength of the pole and to pay for my
24 transfer.

25 MS. SALAK: Okay.

1 MR. HEWITT: I have a question for Mr. Smith. Back
2 to the facility damages.

3 MR. SMITH: Yes.

4 MR. HEWITT: You talked about the damage to
5 underground facilities. How does that compare to the damage to
6 overhead facilities?

7 MR. SMITH: Ninety percent of the facilities that we
8 have damaged in the state of Florida are buried or underground
9 damages.

10 MR. HEWITT: Okay. So it sounds to me like it is
11 going to cost you money to move with the electric companies to
12 underground, it is going to cost you if you stay there by
13 yourself. So is your position that you would like the status
14 quo as the least-cost alternative?

15 MR. SMITH: Given that as the option, I would have to
16 say yes. Because the status quo we don't incur any incremental
17 lift or operating cost.

18 MR. HEWITT: And you think the benefits of staying
19 exceeds the cost of moving?

20 MR. SMITH: Excuse me, I didn't hear that.

21 MR. HEWITT: So the benefits of staying would exceed
22 the cost of moving underground to avoid, say, hurricane damage?

23 MR. SMITH: From a cost standpoint that would be
24 correct.

25 MR. HEWITT: And if the electric, you might not be

1 able to answer this, but if the electric go underground, do you
2 think they are going to have the same sort of damages from
3 digging or whatever that you are having with your underground
4 facilities?

5 MR. SMITH: The likelihood is, at least from my
6 practical experience, that the electric companies experience
7 less damage than we do by virtue of the fact that generally
8 speaking they are underneath us. As an excavation takes place,
9 be it from a landscape, be it from whoever may be disturbing
10 the ground, they usually come through water lines, cable TV,
11 us, gas, before they get to the electric company. It's not to
12 say that they don't have, I'm just not prepared to say how
13 vulnerable are they.

14 MR. HEWITT: Okay. Thank you.

15 MS. HARVEY: My name is Lisa Harvey with staff, and I
16 have a question for Mr. Smith.

17 MR. SMITH: Yes, ma'am.

18 MS. HARVEY: Going back to your scenarios, and on
19 your abandoned pole cost estimate of 250 to \$300 per pole.
20 Could you give me some background in terms of how that number
21 was derived?

22 MR. SMITH: There are actually some formulas, if you
23 will, in our joint use agreements that talk about the age of
24 the poles, some depreciation, if you will. You know, we had to
25 make some broad brush assessments when we came up with this

1 particular figure as to what would be the size of the pole, the
2 age of the pole, what should we expect, okay. In some cases we
3 have actually purchased poles from various electric companies
4 and they fall in this particular range, so we felt very
5 comfortable this was a conservative cost estimate.

6 MS. HARVEY: What's the cost for BellSouth to install
7 a new pole?

8 MR. SMITH: To install a new pole?

9 MS. HARVEY: Yes.

10 MR. SMITH: To install the pole itself, from a labor
11 and material standpoint, in the state of Florida we would
12 probably be in the 500 to \$550 range. So from that standpoint
13 you can see that the purchase of a used pole doesn't really
14 make a whole lot of sense for us. Now, that cost that I just
15 gave you for the installation of the pole does not include the
16 installation of any facility on that, that is just strictly the
17 placing of the pole.

18 MR. HARRIS: I did have one question. Before we got
19 sidetracked, I heard BellSouth say that -- I think I heard
20 BellSouth say they were not sure that the Public Service
21 Commission had jurisdiction over pole attachments, and then it
22 sort of got off a little bit. I would like to sort of go back
23 to that point and clarify. Is it BellSouth's position that the
24 Florida Public Service Commission does not have jurisdiction
25 for safety and reliability in the state of Florida?

1 MS. DENBURG: No, BellSouth does believe that the
2 Commission has jurisdiction over safety and reliability.

3 MR. HARRIS: But with respect to these pole
4 attachment rules?

5 MS. DENBURG: We believe that court decisions have --
6 that a court decision that has previously examined this issue
7 came to the conclusion that the Commission does not have
8 jurisdiction to regulate pole attachments.

9 MR. HARRIS: And it's your position that the rule
10 that the Commission proposed, 25-6.0342, is a regulation of
11 pole attachments?

12 MS. DENBURG: At its heart, yes. And when it says
13 that disputes would be brought before the Commission, then it
14 would put the Commission in the position of deciding disputes
15 over pole attachments, so, yes.

16 MR. HARRIS: Is it just that language, then, that
17 disputes would be resolved at the Commission?

18 MS. DENBURG: No. To the extent that the rules would
19 affect the standards, the procedures, the consequent rates that
20 would be charged, the terms and conditions, that that would be
21 the heart of the matter.

22 MR. HARRIS: I think I also in that conversation
23 heard a comment about up-front input into this. I think it was
24 in the context of the pole inspection order. Is it BellSouth's
25 position that there is a difference in our jurisdiction, the

1 PSC's jurisdiction over safety and reliability now versus if
2 BellSouth goes out and follows the pole inspection orders and
3 we develop a lot of data as to safety and reliability?

4 MS. DENBURG: I'm sorry, could you rephrase the
5 question?

6 MR. HARRIS: Right. Does the Public Service
7 Commission's jurisdiction over the safety and reliability as
8 they impact pole attachments change whether they issue rules
9 today or whether they issue rules a year from now after the
10 development of data as to the safety and reliability impacts of
11 pole attachments?

12 MS. DENBURG: I think the answer is no. We don't
13 believe that the Commission has jurisdiction over pole
14 attachments.

15 MR. HARRIS: Okay. Thank you.

16 MR. MOSES: Could I ask a question about that? When
17 you're talking about jurisdiction of pole attachments, are you
18 talking about the cost of it, or are you talking about the
19 engineering strength of it? Do you think we have jurisdiction
20 to mandate that you increase the strength of a pole attachment
21 in order to comply with the safety and reliability?

22 MS. DENBURG: Under 47 U.S.C. 224, which is the
23 Federal Pole Attachment Act, the FCC has jurisdiction over the
24 rates, terms, and conditions of pole attachments unless a state
25 certifies that it has jurisdiction. Under this decision that I

1 was referencing before, Teleprompter versus Hawkins, the
2 Florida Supreme Court looked at this issue and essentially
3 decided that the Commission did not have the jurisdiction.

4 I don't think you can parse out, if you will, just
5 rates versus a term and condition. So I think that the way the
6 court looked at it, looking at the Florida Legislature and its
7 plan for the Commission in regulating telecommunications came
8 to the conclusion that the Commission did not have that
9 jurisdiction. It's not sort of a Chinese menu, if you will.

10 MR. MOSES: So if you elected to put up a pole
11 attachment that was too weak in order to meet whatever these
12 standards end up being, you don't think we have the authority
13 to order you to put something stronger?

14 MS. DENBURG: Do you have the jurisdiction to order
15 us to put in a stronger pole, did you say?

16 MR. MOSES: A stronger pole attachment.

17 MS. DENBURG: A stronger pole attachment.

18 MR. MOSES: In order to meet the safety and
19 reliability standard. We're not setting the price of it, we're
20 just telling you it needs to be stronger to meet the wind
21 things, or whatever it ends up being.

22 MS. DENBURG: I think that there is a fine line,
23 undoubtedly, and that we are discussing, you know, we are here
24 on that now. And, frankly, I'm not prepared to walk through
25 every step of it. I think that the Commission clearly has

1 jurisdiction over safety and reliability. I think that -- and
2 perhaps this was some of what you were getting at. I think
3 without the data to understand that there is a safety and
4 reliability issue, that therefore you have a gap in the
5 foundation, if you will, to be looking at the attachments --
6 excuse me, not to look at the attachments, but to decide
7 disputes over the attachments.

8 If there is an attachment that causes a safety issue,
9 BellSouth would be responsible for remedying that problem
10 because we have obligations to the public. I'm not sure if
11 that answers your question or not. BellSouth is responsible
12 for its poles and its facilities that are on its poles, and we
13 have an obligation to the public.

14 MR. TRAPP: But who are you responsible to? I mean,
15 in a regulatory sense, if you have got a safety violation that
16 is not actable by this Commission, are you saying the FCC is
17 going to take care of us?

18 MS. DENBURG: Well, I believe that the NESC has
19 guidelines that would control that we need to comply with, and
20 those construction standards we're held to.

21 MR. TRAPP: But who enforces the National Electric
22 Safety Code in Florida?

23 MR. MEZA: Let me jump in here. This is Jim Meza on
24 behalf of BellSouth. The issue is that you do not have
25 jurisdiction as determined by the Florida Supreme Court to

1 regulate pole attachments, the rates, terms, and conditions
2 associated with that. That is clear black letter law. And the
3 law that the Supreme Court looked at back in 1984 to determine
4 that you don't have jurisdiction has not changed. And it is
5 our position that there is a very credible argument that by
6 backdooring jurisdiction through safety and reliability you are
7 attempting to assert jurisdiction over the manner in which pole
8 attachers agree with pole owners as to the rates, terms, and
9 conditions associated with those agreements.

10 If there is a safety and reliability concern, the
11 standard today is the NESC. BellSouth complies with that. If
12 you believe that a specific pole does not meet those standards,
13 I believe you probably have the jurisdiction to tell us to
14 replace it. But that's not regulating the rates, terms, and
15 conditions associated with pole attachments.

16 MR. BREMAN: One point of clarification. This is Jim
17 Bremen with staff. I just want to make sure I'm hearing you
18 correctly. Did you say the NESC is a reliability standard?

19 MR. MEZA: No, I'm sorry, it's a construction
20 standard.

21 MR. BREMAN: Which reliability standard are you
22 referring to in your comments?

23 MR. MEZA: I'm not sure I understand your question.

24 MR. BREMAN: You made reference to reliability and
25 safety, and you just clarified that safety, the standard for

1 safety is the NESC. I'm interested in understanding your basis
2 for saying reliability, and I want to also know what standard
3 that is and who has authority to implement that reliability
4 standard.

5 MR. MEZA: I believe the authority question lies with
6 the FCC. The Federal Act makes that clear. If it involves
7 regulating rates, terms, and conditions regarding pole
8 attachments, this Commission has to certify to the FCC that it
9 has jurisdiction to do that, and the Florida Supreme Court has
10 said that you don't.

11 MR. HARRIS: Mr. Meza, you said in your comment that
12 if a particular BellSouth pole did not meet an NESC standard,
13 the PSC could order you to replace that pole, correct?

14 MR. MEZA: I don't know if I would tie it to a
15 specific standard, but if you believe -- if there was a safety
16 and reliability concern with a pole, I believe you probably
17 have jurisdiction to do that.

18 MR. HARRIS: Okay. Now, let's say that that is an
19 IOU-owned pole, an investor-owned utility owned pole that
20 BellSouth has attached to, and the Commission decides that that
21 pole needs to be upgraded in order to meet safety and
22 reliability standards. Do we have authority to order the IOU
23 to change that pole to a higher standard?

24 MR. MEZA: You probably do. But to the extent that
25 that decision affects and determines our relationship with the

1 electric utility, you run into the jurisdictional problem.
2 Because by default, by making that decision to change the pole,
3 you're changing the parameters by which we attach to that pole.

4 MR. HARRIS: And so it's your argument that we, we
5 meaning the Public Service Commission, could not require that
6 upgraded pole if it affected your attachment to that pole?

7 MR. MEZA: Yes.

8 MR. HARRIS: Thank you. Bob.

9 MR. TRAPP: Does that opinion hold true even when
10 there is a provision in the joint use agreement that addresses
11 change-outs of that nature?

12 MR. MEZA: I'm sorry, sir, I didn't mean to interrupt
13 you. Are you finished with the question?

14 MR. TRAPP: Yes.

15 MR. MEZA: Thank you. The joint use agreement
16 addresses a situation, and that is the problem, we have a
17 contractual relationship with the electric utilities that sets
18 the rules by which we are going to attach to their poles and
19 they are going to attach to ours. By introducing these rules,
20 that by default probably changed the parameters by which we
21 have agreed to the joint use agreement, you are effectively
22 affecting our contractual rights. So in addition to the
23 jurisdictional argument, we also have a contractual arrangement
24 that we believe may be impacted by these rules.

25 MR. TRAPP: Well, again, I'm no attorney, but that is

1 the first time I've heard that a contract can veto, you know,
2 government authority to protect the public from hurricane
3 damage and safety and things. That just doesn't seem to be
4 logical.

5 MR. MEZA: I'm not sure I follow your point.

6 MR. TRAPP: Well, it's probably a bad point. I'll
7 just drop it.

8 MS. SALAK: Mr. Meza.

9 MR. MEZA: Yes, ma'am.

10 MS. SALAK: So are you saying that if the electric
11 company decided to upgrade something dealing with your
12 attachments, that they could not do that, or are you saying
13 they couldn't force you to pay for it?

14 MR. MEZA: They could not use your rule -- my view of
15 the world is that they could not use your rule to make a
16 decision to change a pole or to change their network and then
17 impose the cost on us. Because by using that rule they are
18 altering and using you as a means in which to regulate pole
19 attachments.

20 MS. SALAK: So is your issue strictly with who pays
21 for it?

22 MR. MEZA: I mean, that's a primary concern, yes.

23 MS. SALAK: I mean, if that issues goes away -- well,
24 which it won't, but if it weren't for that issue, major issue,
25 would all of your arguments go away?

1 MR. MEZA: What you're asking me is a best-case
2 scenario, is that really what you're asking?

3 MS. SALAK: I'm really asking you is will it all boil
4 down to money? Is that just the whole argument that you're
5 making? Is that the thrust of the argument you're making?

6 MR. MEZA: Yes. I mean, the world revolves around
7 money. We believe in establishing a reliable network, and we
8 believe we have one. What we don't want to be in a situation
9 is that by attempting to cure a problem that may not actually
10 be a problem that we are actually acceding or allowing the
11 Public Service Commission to circumvent the federal limitations
12 on your jurisdiction.

13 MS. SALAK: So when you talk about rates, terms, and
14 conditions, though, you are really talking about rates. That's
15 what I'm really trying --

16 MR. MEZA: Well, but there is also terms and
17 conditions associated with where we can attach, how, yes. I
18 mean, all of that is governed by the FCC.

19 MR. VINSON: Can I make a quick follow-up to Beth's
20 question, Mr. Meza? This is Carl Vinson with the Commission
21 staff. Does your joint use agreement with an electric IOU, for
22 example, generally address the handling of costs that would be
23 imposed as a result of regulatory action? And, if so, what
24 does it's say?

25 MR. MEZA: That's a sensitive question, because I

1 don't want to give my electric friends an avenue to sue me or
2 to use it. But there is a provision in our joint use
3 agreements that could be used by the electric companies to pass
4 off all the costs with their decision to make their network
5 stronger to us. We are not conceding that that is actually
6 going to occur, or that there is an actual -- or that their
7 argument would be correct, but there is a means or a potential
8 for them to use the joint use agreement to pass everything to
9 us.

10 MR. VINSON: And that provision generally states that
11 if a regulatory body imposes a requirement upon the IOU that
12 that cost would be allocated to the attachers such as
13 BellSouth?

14 MR. MEZA: What it does is it says if the electric
15 utility itself makes the determination to change a pole, they
16 pay it. If there is -- and, Dorian, correct me with the
17 correct phrase -- a governmental public authority, you know,
18 that the public authority issues a requirement that the pole
19 change, then they can shift some of that cost to the attacher.
20 And the debate would be, well, do these rules constitute public
21 authority; do you really have to change the pole; why should
22 we, as a price-regulated company, have to pay for your cost
23 associated with your decision to replace your facilities? And
24 so that is what we are struggling with, as well.

25 MR. HARRIS: Great. Did you all have anything else,

1 BellSouth?

2 MR. SMITH: No, I think that completes the
3 information I wanted to bring to you today.

4 MR. HARRIS: Great. Before we move on, I think we
5 are going to take a five-minute break, and then we will move on
6 to the next company.

7 I wanted to say thank you, BellSouth, thank you for
8 this discussion. I think it is what we were looking for,
9 staff.

10 (Recess.)

11 MR. HARRIS: All right. I think we've got a
12 presentation, a PowerPoint presentation by Verizon on the
13 computer. Are you all ready to go?

14 MR. O'ROARK: We are.

15 MR. HARRIS: Great. Why don't you go ahead and get
16 started whenever you're ready.

17 Mr. Breman is on his way. And did you have any
18 copies of your handout on paper at all?

19 MR. CHRISTIAN: They're up there in front of you
20 guys.

21 MR. O'ROARK: Good morning, again. My name is
22 De O'Roark. And as I mentioned at the outset, I represent
23 Verizon. We very much appreciate staff holding this workshop
24 to give us an opportunity to address our concerns about the
25 proposed rules.

1 On the jurisdictional issue that we have just been
2 discussing, our position will line-up pretty closely with
3 BellSouth's. What we would like to do is simply reserve our
4 right to address jurisdictional and other legal issues at a
5 later time. What we would like to do today is present concerns
6 about the proposed rules from Verizon's perspective as a
7 third-party attacher and as a company that is undertaking a
8 massive roll-out of fiber in our service territory around
9 Tampa.

10 We are going to have two folks making Verizon's
11 presentation today. David Christian will discuss Verizon's
12 network reliability starting with our legacy copper network,
13 but also going on to discuss our fiber roll-out and how our
14 investment in fiber in Florida relates to our concerns about
15 the proposed rules. Next, Steve Lindsay, who is with Verizon's
16 Network Engineering Group, will provide our high level concerns
17 about Rules .341 and .342, and he is also going to touch a
18 little bit on .034.

19 As others have already discussed, because we don't
20 know what the standards are going to be or how they are going
21 to be applied, we can't tell you exactly today what the cost
22 impact on Verizon will be. What we have tried to do, however,
23 is make some assumptions and at least give you a range of
24 possible cost impacts so you have got some idea of what we will
25 be facing. And, again, Mr. Lindsay will address those. So

1 with that I will turn it over to David Christian.

2 MR. CHRISTIAN: Thank you. Go to the next slide,
3 please. We just did this; go to the next slide.

4 We will start out with our network reliability. We
5 maintain a network that is extremely reliable, and we invest
6 heavily in our network reliability. A substantial portion of
7 our legacy copper network has already been placed underground.
8 Maintaining a sound reliable network is critical in today's
9 highly competitive marketplace, certainly in Tampa.

10 We are spending hundreds of millions of dollars --
11 we're already spent hundreds of millions of dollars to install
12 fiber facilities underground, and our fiber facilities deliver
13 substantial benefits to consumers while increasing our
14 network's ability to withstand storm conditions. Next slide,
15 please.

16 Here are some statistics about our network investment
17 in the Tampa Bay region, which covers a six-county territory
18 from Sarasota all the way up to Hillsborough and farther north.
19 99.9 percent of our fiberoptic system is underground. We have
20 placed 600,000 households to date. We have placed greater than
21 26 million feet of fiber in Florida underground, and we have
22 spent about \$550 million by the end of this year so far. And
23 our project is not slowing down, so you'll see the similar
24 statistics carrying over.

25 What is interesting about our network is that it is a

1 fiberoptic network that does not have electronics active in the
2 network. Therefore, it is resistant to lightning strikes,
3 storm damage, flooding, other associated things that affects
4 the copper plant in the state of Florida quite substantially.
5 So we think that this is a future-proof storm-proof network
6 that will serve the community that we serve for many decades to
7 come. Next slide, please.

8 Here is -- if you could go a little bit farther. And
9 one more click. This slide demonstrates how we're conducting
10 our construction project of our fiberoptic network. As you
11 will see on the top we have an overlay environment, and then
12 down below you will see the greenfield environment. And the
13 overlay environment is where we have the existing copper
14 network in place, and we are actually over-building a new
15 network. So we have two networks now in place in our more
16 mature neighborhoods and service area.

17 In the greenfield environments, obviously the growth
18 in Florida is substantial. We have lots of new developments
19 going in at a rapid rate. We are able to put in the fiberoptic
20 facilities right away. But this is important when you start
21 talking about coordinating plans with power companies. And we
22 believe that there should be advanced notice well in advance of
23 a coordination of a project so that we can see if we are, in
24 fact, scheduled to deploy fiberoptics to a certain area,
25 neighborhood, or development. And perhaps there will be some

1 cost savings to coordinate with the power companies if they are
2 deciding to go underground. Next slide, please.

3 Basically that finishes the fiberoptic presentation.
4 But the point we're trying to make here is that we have one
5 foot in the old world of legacy copper and we have one foot in
6 the new world with fiberoptics. And anything that impacts or
7 increases our cost on the old world is certainly going to have
8 an inverse impact on the fiberoptic or the new world of
9 telecommunications that we are trying to get to. And we just
10 wanted to bring that to your attention that there is a very
11 real balancing act going on between our desire to roll out the
12 fiberoptic network as quickly and as widespread as possible
13 with protecting the legacy copper plant.

14 MR. TRAPP: Could I interrupt with a question?

15 MR. CHRISTIAN: Yes, sir.

16 MR. TRAPP: I'm not sure I quite understood. You
17 have got existing copper -- you said the fiber was
18 predominately underground, what is the copper, is it overhead?

19 MR. CHRISTIAN: It's a mixture, but mostly it's
20 underground.

21 MR. TRAPP: Mostly cooper is underground.

22 MR. CHRISTIAN: Yes, sir. So we're attached to about
23 400,000 poles, and we own about 107,000 poles. So there is
24 still a significant amount of aerial plant out there.

25 MR. TRAPP: And the point you were trying to make

1 with the advanced notice is to, what, avoid dig-ins?

2 MR. CHRISTIAN: Well, it is to avoid the fact that if
3 they are going to go underground under one of the rules that
4 we'll talk about in a little bit, we don't want to put our
5 copper network underground and then have to go back in and put
6 the fiberoptic network underground and bear the cost of
7 undergrounding twice.

8 You're looking at me like I've got a third eye. Did
9 I --

10 MR. TRAPP: No.

11 MR. CHRISTIAN: It's a question of expense.

12 MR. TRAPP: No. I've got four, and I definitely
13 don't see three.

14 MR. CHRISTIAN: I just wanted to make myself clear.

15 Any other questions before we move on to sort of the
16 engineering side?

17 MR. LINDSAY: Hi. My name is Steve Lindsay. I'm
18 with Verizon. I don't have a legal background, I have an
19 outside plant and joint use background. And we're covering
20 basically some of the same things that BellSouth had covered.
21 If you will look at -- the first issue is -- actually both of
22 those issues having to do with that 6.034, standard of
23 construction. We still have a problem with prospectively
24 applying construction standards to the rule.

25 I think it would be more beneficial since, you know,

1 construction standards are fairly standard. And if they go
2 beyond what the NESC does, which is our basic standard or the
3 majority of our -- in the majority of our agreements with
4 electric companies, you know, the standard is the NESC. So
5 once you go beyond that, you have this confusion. So for us,
6 the best thing to do would be to lay out the construction
7 standards first, and let's all agree that those are a sound
8 principle.

9 So if you look at those two, we're looking at still
10 an uncertainty of how that is going to impact us. And part of
11 this hearing was to say, you know, what kind of costs are we
12 going to incur? Well, we don't know. Until the electricians come
13 out with some plans, we don't know how we're going to be
14 impacted. So for us to tell you here is what the impact is, we
15 can't do it until we see what standards we have to comply to.

16 We are complying currently to the NESC. That's all
17 three; TECO, Florida Power, Progress Energy, the minimum
18 standard is the NESC. When you go beyond that, you have to
19 call that out.

20 Where I came from, the northwest, it's not uncommon
21 to have additional construction standards in a contract, but
22 those are negotiated up front, they are understood, they
23 include diagrams, they include detailed construction. So you
24 know up front what you have. So you are asking us to say,
25 well, you have this unknown and a known. The known is the

1 NESC. The unknown is the open-ended construction standard.
2 And then you add onto that the standard for severe windloading,
3 and then looking at some of the documentation, the way it is
4 applied, it can be applied universally to all distribution
5 electric poles. Which, again, leads us to say, well, are the
6 or aren't they; will they or won't they harden their poles.

7 So I think with this particular slide, you know, we
8 would like to see that done up front. And I don't think it
9 would be that difficult to do. I think most of the power
10 companies probably know if they have additional construction
11 standards they would like to see implemented whether, you know,
12 you can or you can't. Those are some for the lawyers to
13 discuss. But from an operational point of view, from a
14 construction point of view, I would like to know up front what
15 rules I'm playing under. So this slide really kind of talks to
16 that. I think it can be done. I don't think it is, you know,
17 I don't think it is insurmountable to have that documented up
18 front.

19 MR. TRAPP: I don't understand your point, I truly
20 don't.

21 MR. LINDSAY: Well, my point is --

22 MR. TRAPP: The rule requires the electric
23 investor-owned utilities, and also the munis and co-ops, to
24 provide their construction standards within six months, at
25 which time this Commission is going to review those standards,

1 and at which time you have an opportunity to review those
2 standards and complain if there are problem areas. Based on my
3 history with the Commission, if you complain, we're going to
4 have some kind of process to look at that complaint and
5 evaluate the merits and move from there. So you're going to
6 have construction standards to look at, you're going to be able
7 to evaluate them, you are going to be able to determine impact,
8 and you're going to have due process before this Commission
9 before they go into effect. What is the problem?

10 MR. LINDSAY: There is no problem as long as you --
11 before the rule goes into effect that you have the input.

12 MR. TRAPP: The rule has nothing to do with it, in my
13 mind. What you're really talking about is you have an
14 implementation problem.

15 MR. O'ROARK: If I can address that.

16 MR. TRAPP: The rule is the rule. The rule has to be
17 implemented. The rule has processes for implementation. It
18 says utilities will develop and file. And then everybody is
19 going to have an opportunity to review impact, and if there's
20 problems, we're going to know about them and we're going to
21 work them out.

22 MR. O'ROARK: If I can --

23 MR. TRAPP: I keep hearing implementation problems,
24 not rule problems.

25 MR. O'ROARK: Well, if I can jump in. As I

1 understand the rule, as we say in the issue, the electric
2 utilities are required to seek input from the attachers, but it
3 doesn't say that they necessarily have to agree with that
4 input.

5 MR. TRAPP: And why should they? Why should you
6 control what an electric utility has to do to keep the lights
7 on? That's the Commission's job is to judge whether or not a
8 dispute is legitimate or not, and that's provided for in the
9 rule.

10 MR. O'ROARK: It is. And all we are saying -- you'll
11 see that not only did we set forth an issue, we also set forth
12 a proposed resolution. Our resolution simply, if there is a
13 dispute, and your rule contemplates that there might be, that
14 we ought to address that dispute up front, resolve it, and then
15 resolve it before the rule goes in place, that's all. We're
16 just trying to make sure we have got the process streamlined.

17 MR. TRAPP: Again, I hear your words, but you are
18 talking about not letting the rule go forward before we have a
19 complaint. You know, it just doesn't make sense to me. You
20 have the rule, the rule sets out the guidelines.

21 MS. SALAK: Excuse me. The way that's worded there,
22 you mean the rule itself goes in or the standards go in?

23 MR. O'ROARK: The standards.

24 MS. SALAK: So the rules goes in place, then before
25 any standards are adopted, any dispute about them would come

1 here before they go into effect?

2 MR. O'ROARK: Correct.

3 MS. SALAK: So the rule can go into effect, its just
4 any standards would have to be reviewed by the Commission and
5 litigated, if that's what had to happen, before they are
6 adopted?

7 MR. O'ROARK: Basically right. The electric utility
8 would have to come up with a standard and it would have to seek
9 input as the rule currently provides. If there is a dispute
10 concerning one or more of the rules, then that dispute needs to
11 be resolved by the Commission before that rule goes in place.
12 That's our proposed resolution.

13 MS. SALAK: The rule or the standard?

14 MR. O'ROARK: The standard, I'm sorry.

15 MS. SALAK: Okay. So we're talking standards. Okay.

16 MR. LINDSAY: We can go to the next slide unless we
17 had any other questions. This is concerning Rule .0341. It's
18 more or less to address major construction, relocation
19 projects. And I'm not saying this won't happen. And I think
20 if we team with the electric utility providers that I
21 anticipate that we will be on the same page, but this just
22 allows for any major relocations such as, you know, when you're
23 talking about going from the front to the rear, or adding a
24 significant number of poles that we are able to budget for this
25 activity, we are able to plan for this activity, we are able to

1 tie it into our fiber build.

2 It's not easy to just go ahead and say you are going
3 go from aerial to buried, or relocate your facilities and tie
4 it into our major fiber build because you have, you know, all
5 the infrastructure to get to that point to provide the fiber
6 service. So it's not a simple matter. So when you have a
7 major relocation or projects, that we would like to see a
8 decent amount of warning so that we can, you know, plan our
9 construction.

10 MR. BREMAN: Excuse me, Larry, I have a question if I
11 might interrupt. My name is Jim Breman with staff. I'm
12 curious about the 12-month notification prior to major work.
13 Is that not a term and condition of your joint use agreements
14 that there will be some sort of degree of coordination already?
15 I'm just confused about what is and what isn't a change in the
16 terms and conditions between an investor-owned utility and the
17 attachers to their assets.

18 MR. LINDSAY: This is a little different than what
19 your joint use agreement would call for in that you don't
20 normally do extensive reconstruction, if you will, going from
21 aerial to buried, which is a part of this, you know, I guess
22 the ultimate good plan is to get aerial facilities out so that
23 you don't have the problems.

24 For the most part, joint use agreements don't really
25 talk specifically to that, although, you know, as we do talk,

1 we try to convey those kind of projects. But I don't know if
2 contractually, you know, I would have to look, but I don't
3 recall anything specific to that.

4 MS. SALAK: I know in telephone we have a rule that
5 if you are going to go underground and you're going to dig,
6 that you are supposed to coordinate that effort. And, I'm
7 assuming that that is happening. How far in advance is that
8 done, I'm sorry, right now, the coordination effort?

9 MR. LINDSAY: Well, if you are talking about a
10 project where, as far as Verizon is concerned, you're going
11 from, say, a rear easement to a front easement and bury, you
12 know, we can stay on those poles. That was one alternative
13 that BellSouth talked about, and there is a certain cost
14 associated with that, which would be the preferable thing to do
15 until we are ready to actually move. So as far as, you know,
16 coordinating with -- you're talking about two different
17 situations. You're talking about electric doing their thing,
18 and then telephone doing their thing or cable doing their
19 thing. So not necessarily do you have joint projects on
20 existing plant, other than you have to work as far as pole
21 change-outs go, and transferring your facilities, placement of
22 where a pole should go concerning risers and things like that
23 that.

24 You know, those are operational type issues. You
25 know, if they are going to go buried, that's their plan. What

1 we are asking for, if they are going to go, and it would
2 benefit, you know, Florida in the reliability, that we give an
3 advance notice so we can plan for it. This is like an
4 eight-year cycle where the inspections are going. I think tied
5 into that is going to be an ongoing plan on how to correct, you
6 know, situations that, you know, are susceptible to, you know,
7 extreme wind damage. So, you know, I think as they go and
8 develop plans, as long as we team with it and we're given
9 advance notice, we can react accordingly and maybe build with
10 them to have some cost-savings for both parties.

11 MS. SALAK: How about those situations where it's
12 just, in my term, critical. It's just got to happen today. Can
13 there be exceptions to it under your view?

14 MR. LINDSAY: I think so. I think what you're
15 talking about, the hospitals, and you've got, you know, maybe
16 30 poles, and they're telling you, hey, we're going to do that
17 today. We want to get that done prior to the hurricane season,
18 and we're going to go. Well, I don't see that to be a major
19 problem unless we don't have the ability to attach to the
20 concrete poles, although if it's concrete or laminate and the
21 power company says we've predrilled the holes, we're all set
22 for you, you know. So, I mean, as you work together, I think
23 you can do that. And I think specifically if you identify
24 critical circuit, you know, that that is worthwhile to team on
25 and to not have a year's notice. I'm just talking more or

1 less, you know, overall plans and bigger plans that result from
2 the audits that are coming up.

3 MS. SALAK: Thank you.

4 MR. LINDSAY: Okay. And then there was the issue, of
5 course, that was brought up before. And you actually mentioned
6 it, when an electric utility is compensated for relocating its
7 facilities, you know, it should be taken into consideration the
8 third-party attachers and their costs associated with that
9 also, as far as relocating. It has been said by probably every
10 ILEC here and CLEC and cable TV company, we're all after the
11 same customer, and it is a very competitive environment. We're
12 losing, we're gaining. And, you know, to add anything to the
13 cost is not helpful to remain competitive. And you're talking
14 about a considerable amount of cost if we are required to
15 relocate. Which, you know, is very, very costly as we will
16 show you in one of the other slides.

17 Do you want to go to the next slide, please. This
18 deals with, of course, the utilities are not required to
19 provide any specified notice of the relocation of their
20 facilities to attachers -- is that the same one, no, to
21 establish safety, reliability, pole-loading capacity. Again,
22 that goes back to the same issues of standards that we would
23 like to see resolved. Because we do have contracts. The
24 contracts are specific on our safety and our construction
25 standards. And, again, we have already kind of discussed this.

1 Electric utilities, you know, and I'm not saying this
2 is going to happen, but the next two really bullet points are
3 how are these construction standards going to be applied. You
4 know, I see things like you go to, you know, apply a permit to
5 attach to a pole, a loading is done -- well, is the loading
6 going to be -- analysis going to be extreme when I want to
7 attach, but if you looked at the pole now it's actually
8 overloaded, and I would be responsible to replace the pole in
9 order to attach. You know, there's a lot of -- you know, that
10 is kind of where the standards come in and be universally
11 applied. Because those costs are passed back to the attacher.
12 And, you know, there is some uncertainty as to how it's going
13 to be applied.

14 So both of those, basically, talk to our joint use
15 agreements and construction standards, and then whether they
16 prevent you from attaching and whether or not you have to incur
17 an unreasonable cost. So, you know, the more clarifying we can
18 do as far as standards and how they are going to be applied and
19 less of, you know, that if it's reasonable and if you want to
20 you can apply it to the distribution poles that are under
21 60-foot that have, you know, that extreme wind loading,
22 according to the NESC it doesn't apply for poles that have less
23 than 750-volts or Class N construction. You know, there is a
24 lot of variables as to how it can be applied.

25 The way the Commission rule reads, to me it says you

1 can apply it if you see that it's a good business decision or
2 if it meets whatever criteria that you decide as an electric
3 pole owner. So we just want to have something that is
4 understandable and is consistent, you know, which is part of
5 the construction standards and the application of the extreme
6 wind loading.

7 Okay. The next one. This analysis was done just to
8 kind of show you a little bit about if you did a pole hardening
9 by adding additional poles to the network and what the impact
10 to Verizon would be. We currently are attached to 397,000
11 poles, so one of the methods of pole hardening system would be
12 to add additional poles. So if you add 10 percent, 15, 20, 25,
13 30 percent more poles it shows the impact to Verizon, you know,
14 by hardening. So this is part of the cost analysis you want to
15 see, possibly one scenario of how it would impact us.

16 The number of new poles, if you added 10 percent it
17 would be 39,000 estimated, or the attachment cost as to rent we
18 pay to the pole owners which averages out to be \$31.00 a pole,
19 times 39,000, equals \$1.2 million per year. And, of course,
20 that will be going up because the cost for the electricians to
21 harden their facilities are going to increase their net bare
22 pole cost.

23 Engineering costs, that's just for us to handle that
24 activity through joint use, through engineering, through
25 whatever procedures we need to put it in our systems.

1 And then the transfer costs are just an average of
2 one crew, two hours for two guys to make attachments to 39,000
3 poles. So you can kind of get an idea of what that impact
4 would be if you used that particular method of hardening your
5 pole lines.

6 You know, we looked a little bit at undergrounding.
7 We had a community, Davis Island, right off of Tampa who had
8 asked that we bury our facilities out there. This went on for
9 a few years because it was a very contentious issue. So,
10 finally, I think, we went out and did a detailed look at it.
11 And for that area, you know, I don't have the figures in front
12 of me, but it stands to be about \$10 million, 2,200 customers,
13 average of \$4,000 per household.

14 So then when you are talking about going from rear to
15 front and buried, in the rear you're feeding two houses off of
16 one cable in the back. When you go to redo that you have to
17 circle the block. So, in other words, you are placing twice as
18 much cable, you are placing it in front of the houses, which as
19 the Tampa south folks said, you have gas, you have water, you
20 have sewer, and that is a limited environment. And certainly
21 where people have rear easement, they are not going to allow
22 you to place poles in the front, so buried is really your only
23 alternative. So that cost is \$4,000.

24 You know, honestly, for us, number one, I don't know
25 where we would get the manpower to do it, because right now we

1 have got everybody in the world working on this fiber build.
2 So, you know, just finding the labor to do it would be one
3 major obstacle. The other would be how are you going to fund
4 it. You know, this is extremely expensive. And then like
5 David said, it's going to take away from the fiber build, which
6 we are really going forward with. It's just going to be a good
7 product for the folks in Florida. That's all I have.

8 MS. SALAK: On your chart you mentioned how you got
9 your attachment costs and your transfer costs. What were your
10 assumptions for your engineering costs?

11 MR. LINDSAY: 1.5 hours. I kind of reduced it.
12 Originally it was more. When you're talking about doing
13 anything more than just adding poles, you know, your
14 engineering costs go up higher, your construction costs
15 because, you know, you're adding facilities or moving
16 facilities. So this is just simply adding poles.

17 MR. CHRISTIAN: Under today's current NESC standards.

18 MR. LINDSAY: Okay. Thank you.

19 MR. HARRIS: Thank you. We appreciate that
20 presentation.

21 Michael, you're next in line, but I think it might
22 make sense to go to Charles, if he has anything. He is
23 pointing at you, so I guess not. I was going to try to lump
24 the telcos together.

25 Michael, if you're ready to go on.

1 MR. GROSS: Still good morning, members of the staff.
2 I just want to introduce myself. I'm Michael Gross, I'm
3 regulatory counsel for the FCTA representing the Florida cable
4 industry, and would like to thank you again for scheduling this
5 workshop and giving the FCTA an opportunity to present some
6 information and facts that, in our opinion, are very relevant
7 to this rulemaking, and will be of great value to the staff and
8 the Commission in perfecting these rules.

9 I just want to make a certain reservation of rights,
10 just for the record, that by participating in this process we
11 are not waiving our position that the state of Florida and the
12 Florida Public Service Commission do not have jurisdiction over
13 pole attachments. Once again, I want to make it clear that the
14 FCTA applauds and praises the Commission and the Florida
15 Legislature for taking these steps to address the protracted
16 power outages and storm damage from the last two hurricane
17 seasons.

18 I'm going to make some brief comments, and then I
19 will introduce our expert consultant, Mickey Harrelson, who is
20 sitting to my right who will make the FCTA's primary
21 presentation.

22 Cable operators are no longer purely providers of
23 cable TV, but are now offering voice service and data service
24 both nationally and more importantly in Florida. Accordingly,
25 cable has an equal interest in assuring against downed poles

1 and outages. The electric distribution system is vital to our
2 plant and feed to our customers also.

3 And we are in a very competitive environment. During
4 the last hurricane season, satellite trucks were following the
5 downed poles to market residences who formerly had cable TV,
6 but to market those residences for satellite services, as well
7 as power company plans to offer telecommunications and
8 broadband over power line.

9 So cable operators also provide emergency alerts,
10 which is a contribution to that system which is a vital service
11 that cable provides. So safe and strong poles are in cable's
12 best interest. However, we believe the power companies are
13 waving this safety flag inappropriately in the direction of
14 third-party attaching entities. And Mr. Harrelson will talk
15 more about the reasons why poles generally come down in storm
16 situations.

17 The FCC has recognized that public welfare depends
18 upon a safe and reliable provision of utility services, but the
19 FCC has also in the same sentence recognized that the 1996 Act
20 reinforces the vital role of telecommunications and cable
21 services. So there is a balancing of those two competing
22 interests that should take place in addressing these issues.

23 Further, the FCC has emphasized time and again that
24 Section 224, the Pole Attachment Act, reflects Congress'
25 intention that utilities must be prepared to accommodate

1 requests for attachments by telecommunication carriers and
2 cable operators. Some primary concerns that the FCTA has about
3 the attachment standard rule are that the Legislature has given
4 this Commission the authority to establish construction
5 standards. But, in our opinion, the rule subdelegates that
6 authority to the power companies, and that this, in our
7 opinion, constitutes an unlawful exercise of delegated
8 authority.

9 While the rule requires the power companies to seek
10 our input, and as you have heard before there is no assurance
11 that our input will not be summarily ignored. There is no
12 recognition in the rules that the FCC has asserted its
13 jurisdiction to hear complaints that utilities are unreasonably
14 using safety and reliability conditions to deny access.

15 Finally, there are numerous examples today where --
16 and that have persisted for years, where the power companies,
17 in our opinion, have tried to impose unreasonable construction
18 standards that violate FCC policy which have been in litigation
19 for years. And common sense tells the FCTA that we should be
20 concerned that the power companies will use these same tactics
21 as a template for the construction and attachment standards
22 that they will establish under these rules.

23 Now, Mr. Harrelson will talk a little bit more in
24 detail about this issue and construction standards and pole
25 attachment contract disputes that are taking place and have

1 taken place over a period of years. Regarding relocation of
2 facilities, I'm just going to reiterate what you have already
3 heard that cable does not recover the cost of relocating and
4 conversion of its facilities as do the power companies under
5 its rate regulation and these rules.

6 At this point I would like to introduce Mickey
7 Harrelson. And, Mickey, I'd appreciate it if you would
8 introduce yourself and just give a brief summary of your
9 background. Thank you.

10 MR. HARRELSON: Thank you.

11 My name is Mickey Harrelson. I live up in Georgia.
12 I've been doing consulting engineering work for electric power
13 companies and cable TV companies for fourteen years. I have
14 probably twenty years experience as a field engineer with an
15 investor-owned electric utility company. So I feel like I am
16 very familiar with the field application of the joint use of
17 electric utilities and communication companies, particularly on
18 power poles. I have worked extensively in Florida the last
19 fourteen years, and I am a registered engineer in Georgia and
20 Florida.

21 We'll try to address the questions that were posed,
22 and it's going to be in a general form, because we don't have
23 very much background data to put dollar prices on. So let me
24 start by trying to address the questions regarding the location
25 of the electric utilities' distribution facilities. It's very

1 difficult to respond to the request for cost impact on cable TV
2 for the proposed Rule .0341 for new overhead or underground
3 lines. We do prefer that new construction be built in
4 accessible locations. So hopefully everyone in the room is in
5 agreement with that, that new construction should avoid, if
6 practical, the back lot line locations.

7 For relocation of existing lines, the total cost is
8 just an estimate, one and a half to two times the cost of a new
9 line, and the cost of a new line attached to overhead poles for
10 a cable system can range from 35 to \$40,000 per mile. I'm
11 sorry, from around 20,000 per mile for overhead, and then
12 individual drops are in the range of \$125 to \$150 per service
13 drop. So to relocate that existing facility to a different
14 pole line would be, perhaps, \$40,000 per mile cost with
15 substantially no additional revenue.

16 Cost can be 100,000, even \$125,000 a mile for
17 underground in new subdivisions; that is, where we don't have
18 to bore under roads, bore under driveways, bore under
19 landscaping. Boring is much more expensive. It runs around
20 anywhere from 9 to \$18 per foot for directional boring.

21 When we have input into the electric construction
22 projects, it will be very much appreciated. We expect it to be
23 productive. We do request that the opportunity for input to
24 these electric projects be timely with respect to the
25 decision-making process. We'd like to have some input into

1 alternatives, construction alternatives, and we very much need,
2 also, time to do budgeting which corresponds to the please let
3 us know if you can 12 months ahead, or we'll let you know when
4 our budgets are due. And, if possible, large projects then we
5 can request funding.

6 Moving on to Rule .0342, the third-party attachment
7 standards.

8 MR. TRAPP: Before you move to the next rule, could I
9 ask you a question about the .0341 rule.

10 MR. HARRELSON: Please.

11 MR. TRAPP: These are cable costs, right?

12 MR. HARRELSON: That is correct.

13 MR. TRAPP: You mentioned you had an electric
14 background, I want to make sure that we are looking at the
15 cable costs.

16 MR. HARRELSON: No, I was just trying to approximate.
17 And these are very approximate numbers, just to have something
18 to discuss.

19 MR. TRAPP: Okay. But would you agree that there are
20 going to be probably even greater costs associated with the
21 electric part of the relocation if one is undertaken?

22 MR. HARRELSON: That I'm sure would depend on the
23 complexity of the electric circuits. Some electric circuits
24 are so simple as to have one wire for the distribution of the
25 power and services to the homes. But it would depend. If it

1 is a major feed going down a back lot line, then the costs
2 would be much greater.

3 MR. TRAPP: Would you think that even a simple
4 distribution secondary would approximate these costs, though,
5 for an electric? I mean, an electric is not going to be lower
6 cost than you, is it, to relocate?

7 MR. HARRELSON: No, I wouldn't think so.

8 MR. TRAPP: And my point being -- I go to the rule,
9 and I want to make sure we are not confusing which version of
10 the rule we are talking about. Because, I mean, we did have
11 two workshops and we did have two rule proposals. But the one
12 we took to the Commission, the one that our Commissioners
13 proposed to go forward, all it says in the opening paragraph is
14 in order to facilitate safe and efficient access for
15 installation and maintenance to the extent practicable,
16 feasible, and cost-effective, electric distribution facilities
17 shall be placed adjacent to a public road, normally in the
18 front of the customer's premises.

19 Nowhere in the rule as I read it now does it require
20 them to move anything from back lot to front lot, new,
21 relocated. The rest of the rule just goes on to say that when
22 you are locating facilities, use easements, use road
23 right-of-ways, use easily accessible. So I want to make sure
24 that we are not confusing this rule with the one that we first
25 proposed that did have more language about relocations.

1 And I also want to point to the emphasis of it has
2 got to be cost-effective to do it before they even think about
3 it, and they have got to coordinate with you. And I just
4 wanted to know does that give you any comfort with respect to
5 the cable side of things.

6 MR. HARRELSON: Yes, I think it does. And in my
7 statement that we do concur that generally we prefer accessible
8 locations for new lines. So I think that tries to cover the
9 going forward decision-making to let's at least stop placing
10 lines in back lot line positions where there will be conflict
11 with vegetation and residential dog pens and -- a fellow told
12 me one time that they didn't have junk cars in the back yards
13 in Arkansas, they had them in the front yards in Arkansas.
14 So --

15 MR. TRAPP: We do that in North Florida, too. Or we
16 used to.

17 MR. HARRELSON: There is a lot of stuff that you
18 really do have impossible, almost, access in some of the back
19 lot line locations. So I think everyone that has experience in
20 the field realizes there are some extreme consequences of
21 building new plant in back lot lines, aerial. So, generally
22 speaking, the people I have spoken with in the cable business
23 would agree that they prefer accessible location for new
24 overhead plant.

25 But just to cover the possibility, and I think the

1 expectation that some lines will be brought out. The power
2 companies are, I think, are at least expected to look and see
3 if it's beneficial to the power company to bring some lines out
4 from the back lot lines, then we hope to be asked early enough
5 to say, wait, that's one of our major feeders, and it's going
6 to not be cost-effective at all to perhaps the cable company --
7 and it is so much on a case-by-case basis.

8 MR. TRAPP: Thank you.

9 MR. HARRELSON: So moving on to the second question,
10 and here is where we have some worse experience about the
11 attachment standards and procedures. We agree we have to have
12 attachment standards and procedures, and I'll say, finally,
13 that we hope this affords an opportunity to share best
14 practices between cable companies and different power companies
15 and improve, generally, on those attachment standards as we see
16 them.

17 But, in trying to answer the questions about cost,
18 I'll start with the implementation of the Rule .0342,
19 third-party attachment standards and procedures could be very
20 helpful to power and communication companies if the individual
21 power companies adopt rules which recognize when it is prudent
22 to exceed NESC requirements for joint use and when, as the pole
23 fills up with attachments, the NESC requirements should then
24 govern as the final authority.

25 That's my opinion based on years of experience. And

1 I would just like to be able to share that as frequently as
2 possible, that what I'm speaking of there is some very specific
3 standards in the NESC which require specific separations, at
4 least that separation between communications and power. Now,
5 as you look at all of the different standards that are in
6 effect, some exceed that separation requirement and it is not
7 necessary for safety, in the words of the NESC. So as the pole
8 fills up, we believe, or I believe, that the NESC should become
9 the standard on those issues, not strength.

10 If you choose to increase the requirement for
11 strength in certain areas of Florida, then we can all
12 understand that. So I think we need to be more clear about
13 what areas the power companies are asked to exceed the NESC,
14 say, strength, rather than just exceed the NESC. And I hope
15 this affords an opportunity going forward to discuss and
16 compare some of the standards that are in use and to share best
17 practices. But let me try to get back to my outline.

18 The application of extreme wind loading, if adopted,
19 and where it is geographically applied, will be as it is
20 required by the Florida Public Service Commission. But, my
21 opinion, my experience is that thoughtful application of guying
22 to help achieve required strength of poles can be very
23 effective.

24 The failure of guy wires, splices in guy wires,
25 anchors for the guy wires have caused many pole failures during

1 hurricanes. And I have worked in three of the hurricanes in
2 the last two years in the field. Critical guys should be
3 inspected and tested as thoroughly as wood poles are required
4 to be. If a guy is important to the structural integrity of a
5 pole during a hurricane, it should be tested and inspected as
6 rigorously as the physical strength of the pole. And we cannot
7 estimate the cost impact of the extreme wind loading on the
8 cable TV industry at this time. We just can't. We could
9 guess, but we couldn't have any realistically estimate, that
10 I've heard of.

11 To go ahead and advance a few discussion points --
12 that's a summary. But the discussion points would be power
13 lines, the hardware for attaching the lines, the poles
14 themselves, the power apparatus, such as transformers,
15 switches, lightning arrester assemblies, outdoor lights, and
16 many other things usually account for most of the wind load on
17 a pole. Wind load is a product of the surface area that's
18 exposed to the wind multiplied times the force that the wind is
19 assumed to exert.

20 So the code presently requires a nine-pound force be
21 assumed in a light loading district, and that's what Florida
22 is. If extreme wind loading is required, you just use a
23 different number, not nine pounds, but a bigger number,
24 depending on the wind speed that's in the code. So it's just a
25 different mathematical formula, but it results in a stronger, a

1 higher strength requirement for the pole assembly.

2 But what really causes, in my experience, what causes
3 hurricane-related pole failures is falling trees falling into
4 the lines and the poles, flying building debris, soil so soft
5 that the poles lay over. They don't break, they just lay down.
6 Weak guy assemblies, which are either deteriorated or for some
7 other reason inadequate to hold the strain. Some poles which
8 have deteriorated, they are rotten, and therefore the wind
9 comes along and starts a cascade effect by blowing over a
10 rotten pole. And, finally, wind force on poles, lines, and
11 attachments which, of course, that final scenario would be
12 addressed by an extreme wind loading application.

13 But it wouldn't solve the trees blowing over into the
14 lines, because you can't redesign the tree for extreme wind
15 loading. So a lot of the things that start the poles and the
16 wires coming down is not the strength of the line and pole
17 assembly, but the debris and the other things around it.
18 Additionally, if a tree canopy is taller than the pole line,
19 then it makes no sense at all to spend money on upgrading the
20 pole line strength to extreme wind load standards. The trees
21 are going to shelter the line from the wind if it's an area
22 such as a lot of Tallahassee is, with an old established tree
23 canopy that is much taller than the line. There is no need in
24 increasing the strength of those poles to stand extreme winds.
25 Extreme winds are going to drop the trees on top of the line

1 anyway. But that would be part of the consideration, I think,
2 of a reasonable and competent engineer to say, well, in this
3 application it's not prudent, it's not practical, and it's not
4 reasonable. So I think for most cases that's covered in the
5 language. You apply the extreme wind loading where it will do
6 you some good.

7 And then tornadoes. Tornadoes within hurricanes,
8 during Hurricane Wilma, tore down a lot of lines in South
9 Florida. The poles would fall into the field for 15 poles, and
10 then one would be standing, and they would start falling into
11 the road in exactly 180 degrees different direction. So a new
12 line in South Florida about five years old had 42 pole
13 failures, and it was built to extreme wind loading design
14 criteria. But poles went this way, poles went that way, and I
15 honestly believe the wind speed exceeded extreme wind. It was
16 tornado winds. So even so, I mean, stronger poles have a
17 better likelihood of surviving, it just doesn't guarantee that
18 they will all survive.

19 Okay. Number four topic, rarely -- multiple cables
20 which are attached lower than power facilities on the poles do
21 account for more wind load than the very basic power lines
22 which have maybe two to four small wires and with no electrical
23 apparatus. So there are poles out there where the cables are a
24 very big factor of the wind loading, but it is not normally the
25 case.

1 And I have attached some photographs that I would
2 like to refer to. Number one is a simple assembly, and these
3 are RUS standards that the electric co-ops generally use. A
4 wooden cross-arm at the top of the pole, three primary wires at
5 the top, a neutral wire under that. That's a basic three-phase
6 electric circuit. This one happens to have a security light or
7 outdoor light on it, and one secondary voltage wire underneath
8 that, and it has one cable TV attached considerably below the
9 power attachments.

10 So in this case, there is not a lot of things up
11 there to catch the wind, but we did see some of these type
12 poles blow over during Hurricane Wilma in this area because of
13 the intensity of the wind and the lack of trees there to
14 shelter the lines in those sugarcane fields and cattle pastures
15 from intensity of the wind.

16 The number five point on Page 2, almost all power
17 companies already have construction standards for power lines
18 which specify power line and apparatus configurations for basic
19 power pole assemblies. And the examples are just like the
20 photo we just looked at. If it has one wire up top, they have
21 a drawing for it. If it has two wires, they have a drawing for
22 it. If they want the two wires horizontal, they have another
23 drawing for that. If they want the two wires vertical, they
24 have a drawing for that. So construction standards already
25 exist. And I think what you're asking them to do is adapt

1 those construction standards to the possible application of a
2 higher wind loading.

3 So for the most part, the construction standards are
4 already there. In the case of the RUS, those standards are
5 public available documents, and that is very helpful to
6 engineering from a standpoint of designing cable TV systems or
7 changes to cable TV systems if you know and have access to the
8 construction standards of the electric company. If you don't
9 have access to the construction standards of the electric
10 company, then you're working in the dark as far as what they
11 have standard construction that they could apply to help
12 resolve make-ready issues or anything that needs to be designed
13 into a new or modified cable system.

14 The power company construction standards, though, do
15 not contain drawings depicting the combinations of lines up
16 top, transformers below, lights added to that, underground
17 service laterals to consumers, overhead service laterals. So
18 if we could go back to the photographs, the second photograph
19 is a transformer that has -- it's a simple line, three-phase
20 power line that has one transformer added, one overhead
21 electric service, and one security light. You won't find that
22 in the standards or in the construction standards, you find
23 them separately on separate pages.

24 So people in the field have to make experience-based
25 and training-based judgments and applications of combining

1 different elements of a construction standard. And in
2 practice, a lot of errors get made in doing that. I have seen
3 places where this service, which is in this case placed
4 appropriately, was placed three or four feet below the
5 transformer. It uses up space, it does not comply with the
6 construction standards, and it creates a big problem for joint
7 use. It encroaches on the separation space that is required by
8 the NESC.

9 So then carrying that to the extreme, and I hope this
10 will be a little bit humorous, and it's certainly not Florida,
11 but Page 3 is how things continue to be added in some extreme
12 cases of power lines, fuses, transformers. In this case three
13 transformers for a three-phased service, electric lines,
14 telephone lines, cable TV lines, fiberoptic signal between
15 traffic signals, and I think a municipal fiberoptic
16 communications network all on the same pole. And I think there
17 is plenty of room there for everyone on that pole to take at
18 least some credit for not upgrading that pole at the proper
19 point in time. So there are some poles in the world, not
20 necessarily in Florida, but that are overloaded through the
21 process of people just adding things without doing the proper
22 engineering.

23 MR. TRAPP: I like your pictures.

24 MR. HARRELSON: Thank you.

25 MR. TRAPP: Isn't that exactly what we are trying to

1 do with the rule?

2 MR. HARRELSON: It's from Georgia. And where those
3 type of circumstances exist, they need to be identified and
4 they need to be corrected.

5 MR. TRAPP: And by requiring utilities to go look for
6 for that kind of thing and have standards addressing that kind
7 of thing and have actual stress calculations performed for
8 these situations where -- you know, I can tell you're a
9 practicing engineer, because the first thing you said was you
10 do things by experience. And that's the way a lot of things
11 are done out in the distribution world. That experience
12 hopefully is based on proper engineering design, proper
13 engineering calculation, but sometimes it get hung wrong.

14 And isn't that what we are trying accomplish in the
15 rulemaking is to make sure that utilities go back on those
16 experienced-based applications and make sure that the proper
17 stress calculations have been done for situations like this to
18 ensure that this thing is not going to break during a hurricane
19 unnecessarily?

20 MR. HARRELSON: I agree. And I feel sure that is
21 what you are attempting to do, and that's what we are
22 attempting to be a positive contribution to. And in that we
23 need -- we hope to have influence on making some real
24 improvements in the joint use rules that are in effect.

25 Now, there are jurisdictional issues and there are

1 contract issues and a lot of things that concern a lot of
2 people, and I understand part of that. But from a practical
3 standpoint and the application, my experience is the rules need
4 clarification and they need improving.

5 The attachment rules need to be improved, in my
6 opinion. Not just copied over and then ratified by a
7 government agency. The attachment rules that are in place,
8 you'll see a variety, and some of them are somewhat
9 conflicting. So as, hopefully, we, you and others, have a
10 chance to review those rules when they are submitted to you,
11 the attachment rules --

12 MR. TRAPP: The standards you are talking about.

13 MR. HARRELSON: Right.

14 MR. TRAPP: Let's not get confused between rules and
15 standards. You're talking about --

16 MR. HARRELSON: The power companies have standards
17 and procedures. I'm sorry.

18 Hopefully there will be an improvement overall in the
19 attachment rules and procedures. That would be very welcomed.

20 MR. TRAPP: I don't think we have any dispute so far.

21 MR. BREMAN: Excuse me. Seeing how you have been
22 interrupted. My name is Jim Breman with staff over here. I
23 just want to indulge myself a little bit in your experience and
24 sort of glean some more information regarding municipal and
25 cooperatives. You have had some experience with them, I take

1 it?

2 MR. HARRELSON: I have had a lot of experience with
3 cooperatives. And in years past, a lot of experience with
4 investor-owned, and not a lot of experience with the
5 municipals.

6 MR. BREMAN: Just recently I was reading the
7 attachment standards of a noninvestor-owned utility, and it
8 actually specifies the number of attachments to a pole. Is
9 that typical in your experience that the pole attachment
10 standards specify the number of attachments?

11 MR. HARRELSON: No, I have not seen that.

12 MR. BREMAN: Thank you.

13 MR. HARRELSON: So power companies already have
14 construction standards. And as I understand it, you are asking
15 them to incorporate some other provisions in their construction
16 standards, perhaps, or at least look at their construction
17 standards and see if they address what you're asking for.
18 Power company construction standards don't combine all of the
19 units, so that's a source of a lot of the difficulties out
20 there. Then I had already mentioned that the RUS standard is
21 available to everyone, and that has a lot of benefits, but I do
22 understand that the investor-owned utilities want to keep their
23 construction standards proprietary. They don't want to share
24 them with anyone other than the Commission staff, would be my
25 take on that. I'm not sure.

1 Many of the violations of the NESC separation
2 requirements, and here I'm talking about other requirements of
3 the NESC, not the strength requirements. So when you use the
4 term exceed -- equal to or exceed the NESC, I would like to see
5 you carve out somehow these separation standards. Because
6 these separation standards, in my opinion, my experience, need
7 not be exceeded except in certain circumstances. So let me go
8 through that.

9 Many of the violations of NESC separation
10 requirements between power and communication facilities and
11 many violations of the NESC pole-loading limitations occur as a
12 result of power facilities being added after the initial
13 construction of power and communication lines. The
14 communication companies also have construction standards. The
15 company which requires additional space or pole strength to
16 accommodate its attachments that are added must pay the power
17 company to rearrange facilities or install a new pole, if
18 necessary, and pay the cost of the other attachers to provide
19 such space.

20 But this rule also applies, as interpreted by the
21 FCC, the rule also applies to the power company when it needs
22 additional space or strength for power facilities, the power
23 company must bear the cost of the additional space of its
24 facilities. The power company must -- it may not take back
25 space from a legal attacher, and it may not add facilities of

1 power in violation of the NESC. So those are some of the
2 contentious issues that arise between attachers who are
3 frequently audited and held to be accountable for all of the
4 violations.

5 If the attacher didn't create the violation, the
6 attacher shouldn't be held responsible financially for the
7 violation. If the power company created the violation, then
8 they should correct the violation. And it's frequently very,
9 very difficult to prove who did what the last time.

10 The National Electric Safety Code is not a
11 construction standard. The National Electric Safety Code is a
12 performance standard. It contain rules for what must be
13 accomplished for safety of power and communication lines. The
14 NESC does not dictate how to accomplish what it requires, so
15 power companies and communication companies must have
16 construction standards which specify how they will accomplish
17 what the NESC requires.

18 For example, they can use wood poles or they can use
19 concrete poles. They can use tall poles spaced further apart,
20 or they can use shorter poles spaced closer together. There
21 are all sorts of alternatives that an engineer or a company
22 whose engineering staff can establish standards, and I think
23 JEA, for instance, uses concrete poles very extensively. Most
24 of the electric co-ops that I'm familiar with use wood poles
25 still for distribution lines. So the NESC doesn't dictate

1 construction standards. It dictates performance standards.
2 Your lines shall be a certain height to be safe, as opposed
3 to -- well, and also in the NESC you can place them
4 underground, but you have to comply with the underground
5 construction performance standards.

6 This is an important point, I believe, Number 11. It
7 is accepted good practice to exceed many of the NESC
8 requirements on initial construction, although it is not
9 necessary for safety. If you need a 35-foot pole for a line
10 today, it makes good sense to put in a 40-foot pole and have
11 room to add a transformer onto it when someone build a
12 business. I mean, it's just good sense to go ahead and exceed
13 the NESC basic requirements on initial construction.

14 This practice allows enough pole strength and height
15 to accommodate the addition of facilities by power companies,
16 communication companies, and government agencies which often
17 utilize poles for the government agencies putting traffic
18 signals themselves, they are putting communication wires, one
19 traffic signal talks to the next one. They are putting fiber
20 communication loops around town connecting all the schools
21 together. So there's a lot of people attaching things to the
22 pole more than just, for instance, cable companies who in many
23 cases have been on there for twenty years or more.

24 Most power companies and telephone companies which
25 own poles already have procedures for authorizing attachments

1 by cable TV and others. They also have specifications for
2 cable attachments, separation from power facilities and other
3 cables, and reliance on NESC requirements between these
4 different companies varies greatly. Some pretty much use the
5 NESC separation requirements. Some have a lot of requirements
6 that exceed NESC requirements.

7 And I would like to restate, initially on a new pole,
8 a lot of times it does make a lot of sense to exceed the NESC
9 requirements. But as that pole fills up and before someone is
10 held accountable for paying for a replacement pole, then the
11 NESC standards should be what's looked at as the final
12 decision. Okay, well, this pole has no more available room,
13 then a taller pole has to go in, or someone has to get off, or
14 whatever.

15 So compliance with the NESC requirements is
16 mandatory. There is no need in any of us arguing about that,
17 it's mandatory. But exceeding the NESC requirements should be
18 done with a lot of thought and a lot of consideration and
19 cooperation between the utilities. These procedures are
20 usually covered in existing joint use contracts or license to
21 attach agreements. And there's a lot of difference between,
22 for instance, the joint use contract between Bell Telephone
23 Company and power companies and the license agreement contract
24 between the same power company and the cable company.

25 Bell owns poles, and they have worked their contract

1 out over many decades. The cable companies rent space. They
2 have a right to attach based on a number of things that I
3 shouldn't try to talk about, not as an engineer. But, anyway,
4 they do have a right to attach, and it's governed, at least in
5 part, by attachment contract. But it is also governed by the
6 attachment rules that say exceed the NESC here -- it needs work
7 on it.

8 So I'm here to ask you don't just simply ratify an
9 existing set of rules from a power company because it's in an
10 existing contract. If we could work together for the benefit
11 of all of us, we would relook at those rules and compare
12 between different power companies, some of the better rules and
13 say, hey, this would be great if everyone would realize the
14 benefits of starting out with a higher standard on a brand new
15 pole, and then going to the NESC ultimately before you trash
16 can a good pole and put a taller one in.

17 It has been argued that a lot of these rules are
18 inconsistent with the FCC rulings. A lot of it is being
19 litigated. One example is one power company requires 40 inches
20 of separation between guy wire attachments and cable TV
21 attachments. Well, the code clearly only requires six inches
22 separation. But one of the best solutions to pole hardening in
23 certain areas in Florida is going to be put in storm guy. You
24 can put in anchors and guys and make a pole line so much more
25 strong. But if you have a requirement that requires cable TV

1 to be 40 inches below a storm guy when the code only requires
2 six, then that works against all of us. So some of those
3 requirements that are not consistent with the NESC and for
4 whatever reason are still being defended, they should be in a
5 spirit of cooperation looked at for purposes of this hardening
6 of pole lines.

7 I'll go to Number 14, the common requirements of
8 separation between cable TV which exceed NESC requirements are
9 acceptable for new poles with adequate height and strength. In
10 fact, more separation, six to eight feet separation between the
11 power line and cable TV is in effect with some of the electric
12 cooperatives because their construction standard places their
13 neutral wire much higher on the pole than the construction
14 standard of a lot of the IOUs. So in certain applications it
15 makes good sense to exceed the NESC, but ultimately the NESC
16 should be what is used to decide if a pole has attachments too
17 close together.

18 And I realize that's not the main issue here, the
19 main issue is strength. But it's a very big problem to the
20 cable industry, some of these separation requirements that are
21 quite likely to be enforced along with the audits for pole
22 strength. A big question when they go to audit the pole
23 strength, are they going to also audit the separations. It
24 might not have much to do with pole strength, but still if you
25 are there looking at one safety issue, the separations which

1 are, in some cases, whether it was built by the power company
2 or whether it was built by telephone, or cable TV, or a city,
3 if it violates the separation requirements, it's still a
4 violation. So I'm sure some people are going to say we have
5 got to audit the entire pole with respect to any NESC
6 violation.

7 There are a significant number of poles in Florida.
8 I can't help looking at them. I'm not necessarily paid to look
9 at them, but there are a lot of poles in Florida that have some
10 violations, at least between the separation between power and
11 communications. It's just obvious.

12 A very important fact is that these violations have
13 been caused by various different agencies, but many of the
14 violations do not present serious safety hazards to workers or
15 the public, this is Topic Number 16. There are violations on
16 the pole. If it requires 40 inches and you don't have but 30,
17 that's a violation. But the same code requires 12 inches
18 separation between the streetlight drip loop and
19 communications. So if a worker can be trained to work safely
20 around 12 inches away from the same wire, the same voltage
21 because it's going into a streetlight, they can and are trained
22 to work safely within 30 inches of a power wire. If it's a
23 different type, the same voltage, they can and are trained to
24 work around that during routine work and during hurricane
25 restoration because they are all tangled up during the

1 hurricane restoration.

2 So my point is in Part 4 of the National Electric
3 Safety Code, it has basically the same rules that are contained
4 in OSHA work rules for communications workers, and then a
5 different OSHA rule, but the same part of the NESC for
6 electrical workers, those are the work rules. So if a worker
7 is equipped and trained in those work rules, they can work
8 safely on these poles which do contain certain spacing
9 violations. So what needs to be done whenever there is a
10 safety audit, the serious safety violations need to be
11 identified and corrected promptly.

12 And I have quoted the NESC a little bit in Number 17,
13 which verifies that. It says that if a serious defect is found
14 that is likely or could endanger life or property, it should be
15 promptly corrected. Other violations should at least be
16 cataloged, kept up with until they are corrected.

17 So we do appreciate the ability to have input into
18 the revision of the power company attachment standards and
19 procedures, and we will work to try to achieve good results.

20 Thank you.

21 MR. GROSS: Thank you, Mr. Harrelson.

22 I would like to make just two quick closing points.
23 And if you have any questions, Mr. Harrelson is available.
24 Early in his presentation he mentioned that the company which
25 required additional space or pole strength to accommodate its

1 new attachment, this is on Page 2, Paragraph 9, must pay the
2 power company to rearrange facilities or install a new pole if
3 necessary and pay the cost of other attachers to provide such
4 space. But he also pointed out that this also applies to the
5 power company when it needs additional space or strength for
6 power facilities. The power company must bear the cost of
7 additional space for its facilities.

8 But I just want to point out that we have a cable
9 representative who has reported to us just today, who works in
10 the Central Florida/Gainesville/Ocala area that when the power
11 companies replace a pole, they do not pay the cost of transfer
12 for cable. And I wanted to point that out, because I think we
13 had some earlier statements from one of the ILECs that that is
14 paid for by the power companies in their case. Now, they may
15 have different joint use agreements than we have.

16 And also I would finally like to say that
17 Mr. Harrelson is not an attorney, as you know, and his comments
18 are not to be construed -- and they're not being offered to
19 address the legal concerns that I, as the FCTA's attorney, have
20 raised.

21 I mean, I think his information hopefully is very
22 helpful in understanding issues regarding plant and operations
23 in the field and hopefully will have a positive influence on
24 addressing some of the legal issues. Thank you.

25 MR. LINDSAY: I'd like to address that. Power

1 companies do not pay for our transfer costs if they replace a
2 pole in a joint use agreement. If I replace a pole and power
3 is on it, they pay their transfer costs. If they replace a
4 pole, I pay for my transfer costs. There really isn't any
5 provision for them to pay for it.

6 MS. DENBURG: And I will just clarify that with us it
7 depends upon the agreement.

8 MR. HARRIS: Thank you.

9 Questions, Bob? Okay. Thank you, Mr. Gross and
10 FCTA. We appreciate your comments.

11 Charles.

12 MR. REHWINKEL: Thank you.

13 From Embarq's standpoint, just to go to the agenda,
14 and the questions in Part 1, with respect to Questions 1
15 through 4, and in Part 2 with respect to Questions 1 through 2,
16 for many of the reasons that the other companies and the FCTA
17 have indicated today, we don't have cost estimates that we feel
18 at this time are reliable or would be useful in the
19 Commission's effort to do any kind of cost/benefit analysis as
20 might be required by a SERC.

21 However, BellSouth has laid out a template that we
22 can try to replicate if staff finds it useful as far as the
23 methodology to approach some high level estimates on a per foot
24 basis. In addition, the FCTA has laid out some broad new or
25 straight construction costs that are generally representative

1 of the costs that Embarq incurs. But at this time we do not
2 have specifics.

3 With respect to my purpose here today, really, is to
4 address Questions 5. And I said 1 and 2, I meant Part 2 and
5 Part 3. In Part 2, Question 5; and Question 3, in Part 2. I
6 earlier, at a high level, touched upon Embarq's legal position,
7 but I just want to elaborate a little bit more. And I'm not
8 here today to offer an opinion as to the very good points
9 raised by some of the ILECs and the FCTA as to the FPSC's
10 jurisdiction and the FCC's jurisdiction over these matters or
11 the impact that contract conflicts might have as to the
12 Commission's authority. I would rather address the 120
13 rulemaking authority of the Commission and the process that is
14 being proposed here.

15 As an initial matter, we do not believe that Senate
16 Bill 888 directed or authorized the Commission to delegate to
17 IOUs the authority to establish construction or standards or
18 procedures -- construction standards or standards or procedures
19 for attachments in excess of the NESC. And I do want to state
20 that standards or procedures that might be adopted or
21 established as the rule provides, in several places it uses the
22 terms establish, any such standards or procedures would, in
23 effect, have the legal effect of a rule. They are rules no
24 different than the NESC is if they are adopted pursuant to the
25 authorization of the rule.

1 The concern that Embarq has with the process that is
2 put forward, we believe it is well intentioned. There is a
3 phrase that I won't repeat about what road is paved with good
4 intentions. But the intention is good, but we believe the
5 shortcut is legally defective in giving the electric companies
6 the ability to establish these standards, procedures, or
7 construction standards. If these such standards, which we
8 believe are authorized by the Legislature in Senate Bill 888,
9 if the Commission establishes them, if they are done up front
10 as part of the rulemaking process, Florida Administrative Law
11 requires costs and benefits to be evaluated.

12 I think Mr. Trapp talked about cost and benefits, and
13 I will fully agree with that. But if they are established up
14 front, then the cost impact on third-party attachers would be
15 required to be included in this cost/benefit analysis.
16 However, if they are delegated or subdelegated as the FCTA
17 characterizes it to the IOUs, and disputes are brought to you,
18 then the only consideration that will be done on this
19 ad hoc/post hoc basis will be whether they are practical,
20 feasible, or cost-effective.

21 As to the IOUs, there will be no opportunity. There
22 are no standards in this rulemaking process that would allow
23 the cost impacts on third-party attachers to be addressed at
24 that point. In my mind, that is a crucial distinction between
25 establishing some standards up front versus reviewing

1 afterwards.

2 And as to the review, I note that the rule says that
3 with respect to the construction standards, that upon request
4 the utility shall provide access within two working days to a
5 copy of its construction standards for review by Commission
6 staff at utility offices in Tallahassee. I don't necessarily
7 think that that is a bad thing to do, but that does not have
8 within the rule any mandate that there be any actual review for
9 impact on third-party attachers at that time, nor does it, in
10 fact, mandate a review. But, in fact, it's more of an ad hoc
11 process. Again, not saying that this is a bad situation
12 unnecessarily, it just causes us concern because we don't think
13 it is legally sufficient.

14 Let me raise one final point that I don't really
15 think has been taken into account here today in not only this
16 process but this rulemaking process as it goes forward. I've
17 been working in this arena for 21 years now, and my experience
18 has been, and this is certainly anecdotal from my perspective,
19 but I've been with the Public Counsel's Office, I've worked in
20 the Commission Suite, and I've worked for a company before the
21 Commission. And my view is that the relationships between
22 electric companies and, at least from what I've seen,
23 telecommunications companies in this arena are very good, very
24 professional, very cordial. We do have disputes about pole
25 attachments and pole attachment rates. Those are part of the

1 business that we are in.

2 I am concerned that in chasing an issue that there is
3 still no direct evidence that pole attachments in and of
4 themselves and the NESC by itself are causing the harm that was
5 brought about as a result of the 2004 and 2005 seasons, but as
6 a result of making efforts to address that harm, we are putting
7 in place a process that is, in effect, throwing gasoline on
8 relationships that are, at this point, very good, very
9 professional.

10 I'm not saying that there is any lack of
11 professionalism on either side, but you are creating a forum
12 for disputes to become inflamed. And I would urge that there
13 be some reflection on this and that maybe we take a little bit
14 more time to look at the standards up front rather than
15 post hoc. Because the time is now. If we set this in concrete
16 and go forward with it, I believe that much harm could come
17 about that may be unnecessary.

18 That's all I have to say from Embarq's standpoint at
19 this time. But I certainly would be open to any requests for
20 further information from staff along the lines as provided by
21 the other companies.

22 MR. HARRIS: Well, I'm not the one preparing the
23 SERC, but from where I'm sitting, I think that would be very
24 helpful, Charles, if you could get those numbers to us. I
25 mean, we don't have the numbers is a good answer. But we don't

1 have the exact numbers and here is sort of what the range is is
2 probably a better answer.

3 Craig can correct me if I'm wrong, but whatever you
4 do have, I think, would be helpful to us, or can put together.
5 And that goes for really everybody in the room. If you
6 don't -- I don't know is fine, but I don't know but here is
7 sort of the range that we would be looking at is better from
8 the staff's perspective, I think.

9 MR. TRAPP: And that was the glory road he was
10 talking about earlier, wasn't it? The one that was paved, the
11 glory road, the road to glory.

12 MR. HARRIS: Right. Did anyone have any questions
13 for Charles or Embarq?

14 No. Okay.

15 I see that Mr. McCabe is up here. Thank you, sir.

16 MR. McCABE: Tom McCabe on behalf of TDS Telecom.

17 We support the comments that have been made by all
18 the parties this morning. I do have a question in terms of my
19 understanding of the rule, that it would apply to
20 municipalities. Because when we had the issue of the pole
21 inspections, there was discussion about whether that was going
22 to be applying to the municipalities, and it was determined
23 that it was not. But the way I'm reading this rule, it would
24 apply to the municipalities to implement standards.

25 MR. HARRIS: At this point we have Rule 25-6.0343,

1 which applies the rules we are talking about today to
2 municipalities and rural electric cooperatives. So the intent
3 at this point, and the Commission, in fact, has proposed that
4 the rule would -- these rules, 25-6.034, .0341 and .0342 would,
5 in fact, be applied to the municipals, yes.

6 MR. TRAPP: And with regard to the pole inspections,
7 the municipals and the cooperatives were invited to voluntarily
8 respond to the same things that were in the order for the
9 investor-owned utilities, and they have responded to that with
10 what they are doing in terms of pole inspections. Staff has
11 been trying to put them on the same type of comparative
12 spreadsheet that we are trying to do for the IOUs to evaluate
13 compliance with what the Commission asked for in terms of pole
14 inspections.

15 And Bill McNulty is here. I think we have some
16 meetings scheduled with the munis and co-ops on these pole
17 inspection issues and things like that that you may be
18 interested in following.

19 MR. McNULTY: Yes, we are going to be looking at
20 specifically the investor-owned electric utilities' pole
21 inspection plans, and, if necessary, bringing an item to agenda
22 conference on August 29th. In the process of looking at their
23 plans we are looking, as Bob indicated, at the municipal and
24 cooperatives efforts in these areas. They have responded to
25 us, and they are continuing to respond to us on how they would

1 inspect their poles on a going-forward basis.

2 MR. McCABE: From our perspective in terms of
3 responding to a SERC, I mean, needless to say, we'll do the
4 best that we can. It would, obviously, be simply a range of
5 what we anticipate in terms of what the costs associated with
6 us are for transfers and things of that nature is what we would
7 potentially see out of this. But when I looked at the SERC, on
8 Page 3 it indicated that it was going to be a cost of 63 to
9 \$199 million. So somewhere along that line I realized that it
10 is going to cost me something. And that is really a difficult
11 part, when you don't know what the cost is going to be until
12 you get into the implementation of things. Thank you.

13 MR. HARRIS: Thank you. Is there anyone else who
14 would like to make a presentation to the Commission at all, any
15 comments that they want to offer -- I'm sorry, to the staff?

16 No. Okay.

17 That concludes pretty much that part of the agenda
18 and mostly the workshop for today. At the beginning of this
19 workshop I announced that the hearing that had been scheduled
20 for August 22nd has been moved to August 31st. For those of
21 you that didn't hear it, the Commission has moved the hearing,
22 so it will be August 31st. I would anticipate that a -- well,
23 from this workshop today there is -- the difficulty we run into
24 is we are in the 21-day comment/request for hearing time frame
25 for the rules, the eight rules that have been proposed. This

1 is a, sort of, unusual event, this workshop.

2 I would encourage you all to follow up on this
3 workshop with any cost data that you have. I know that Mr.
4 Rehwinkel said that they might be able to do something like
5 that. If you can, that will be fantastic. It would help us to
6 get a handle on sort of where we are at this point.

7 I personally would not perceive those as actually
8 being comments/requests for hearing in the rule docket, but I
9 could be wrong about that. But, in my mind, at this point,
10 they are not necessarily the same thing. And so what I guess
11 I'm saying is if an affected person wants to file, you know,
12 APA comments or a request for hearing, I'm not sure, in my
13 mind, that just filing some additional cost data from today's
14 workshop is the same thing. Now, you could say that they are,
15 and that would be fine, but I guess what I'm trying to say is I
16 would encourage you all to protect your rights and make it very
17 clear what you are attempting to do.

18 Are these comments pursuant to the FAW notice issued;
19 is it a request for hearing; is it a follow-up to today's
20 workshop that are not intended to be Chapter 120 rule comments;
21 that kind of a thing. If you have any questions you can call
22 me or talk about it with your in-house attorneys or whoever.

23 At this point I would anticipate that the prehearing
24 officer will at some point issue an order establishing
25 procedure for the August 31st hearing. I do not know when that

1 will come. I do not know what it will contain. I do not know
2 how large it will be. In my mind, it probably will not require
3 formal prefiled testimony. Again, I could be wrong, I don't
4 know what the prehearing officer or the Commission will order.
5 What I would anticipate is it will be, essentially, file any
6 written changes you have to the rule, any alternative proposal,
7 alternate language, to file that, and then follow it up with
8 some type of comments, either written comments or sworn
9 comments, or what we could call testimony.

10 But in my mind this rule hearing on 31st is probably
11 not going to be the equivalent of the formal hearings that you
12 all are familiar with where we have very strict prefiled
13 testimony and rebuttal testimony and things like that. I think
14 it is a little more legislative at this point. Again, I don't
15 know what the order will say. I anticipate, hopefully, it will
16 come out next week and it will set some times. But at this
17 point I really don't have a lot of information on what it will
18 say exactly.

19 The other thing is the only two rules that are set
20 for hearing on the 31st at this point are .0341 and .0342. So
21 if no requests for hearing was received on any of the other six
22 rules, they will not be set for hearing on those dates, and the
23 Commission will move forward with filing with the Secretary of
24 State for adoption. So that is sort of a final warning.

25 Bob, did you have anything?

1 MR. TRAPP: Well, I was confused. Are you asking for
2 post-workshop comments or not?

3 MR. HARRIS: I'm asking for you all, if you can put
4 together some numbers -- BellSouth has done a fantastic job,
5 and I really appreciate that. Thank you. If anybody else can
6 do the same type of thing. Verizon has some numbers, and we
7 appreciate those.

8 MR. TRAPP: Can we put a date on when we might expect
9 that to come back, because staff -- I mean, obviously staff
10 wants to be able to be conversant with this material when the
11 hearing ultimately comes up.

12 MR. HARRIS: I would think that numbers coming out of
13 today would be done in the near time frame as opposed to being
14 filed the day before the August 31st hearing. But, again,
15 they're not my numbers. So I don't know, Bob. Maybe you have
16 an idea, or Craig, when you need to look at them.

17 MR. TRAPP: Well, we gave parties a week the last
18 time to come back with their workshop comments, written
19 workshop comments for the workshop. I understand the
20 distinction you are trying to make between responding to this
21 workshop and asking for some kind of legal hearing or whatever
22 and the rules. Is a week too little time to ask --

23 MR. HARRIS: I would think so. There are some
24 serious --

25 MR. TRAPP: And I note that I do have three written

1 products that we were given today to go over. It would be
2 staff's intent to post these to the website as we have other
3 written comments. So if there is any problem with that, let me
4 know. If there is anybody that wants to add written material
5 to the website. We're getting quite an outside following,
6 though, evidently of what we are doing. And I occasionally get
7 an e-mail saying when is the next edition coming out.

8 MR. HARRIS: I agree. Here is what I will say then,
9 if you all have written comments to today's workshop, numbers,
10 follow-ups, things like that, let's try to get it in within the
11 next two weeks. I think that is maybe a reasonable time
12 period. And that, coincidentally, would be about the time that
13 the FAW 21-day period runs. I believe that runs on July 28th.
14 That's about two weeks from now. So let's go ahead and use
15 that for follow-up to today's workshop, which may be different
16 from the FAW comments to the rules.

17 Does that work for you, Bob?

18 MR. TRAPP: Sure. I would ask, Beth, though, my
19 counterpart over there in Telecommunication. Is there anything
20 we need to cover on your end?

21 MS. SALAK: I think you got it.

22 MR. HARRIS: Great. If nobody else has anything,
23 thank you all for coming today, I appreciate it. And have a
24 good morning.

25 Well, it's afternoon now. Have a good afternoon.

(The workshop concluded at 12:49 p.m.)

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)

:

CERTIFICATE OF REPORTER


COUNTY OF LEON)

I, JANE FAUROT, RPR, Chief, Hearing Reporter Services Section, FPSC Division of Commission Clerk and Administrative Services, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 17th day of July, 2006.



JANE FAUROT, RPR
Official FPSC Hearings Reporter
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732