

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of

FUEL AND PURCHASED POWER
COST RECOVERY CLAUSE WITH
GENERATING PERFORMANCE INCENTIVE
FACTOR.


DOCKET NO. 060001-EI

PETITION TO RECOVER NATURAL GAS
STORAGE PROJECT COSTS THROUGH
FUEL COST RECOVERY CLAUSE, BY
FLORIDA POWER & LIGHT COMPANY.

DOCKET NO. 060362-EI

PETITION FOR AUTHORITY TO RECOVER
PRUDENTLY INCURRED STORM RESTORATION
COSTS RELATED TO 2004 STORM SEASON
THAT EXCEED STORM RESERVE BALANCE,
BY FLORIDA POWER & LIGHT COMPANY.

DOCKET NO. 041291-EI



ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 4

Pages 562 through 657

PROCEEDINGS:

HEARING

BEFORE:

CHAIRMAN LISA POLAK EDGAR
COMMISSIONER J. TERRY DEASON
COMMISSIONER ISILIO ARRIAGA
COMMISSIONER MATTHEW M. CARTER, II
COMMISSIONER KATRINA J. TEW

DATE:

Tuesday, November 7, 2006

1 TIME: Commenced at 9:35 a.m.
2 PLACE: Betty Easley Conference Center
Room 148
3 4075 Esplanade Way
Tallahassee, Florida
4
5 REPORTED BY: LINDA BOLES, CRR, RPR
Official FPSC Reporter
(850) 413-6734
6
7 APPEARANCES: (As heretofore noted.)
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

NAME:	PAGE NO.
CARLOS ALDAZABAL	
Prefiled Testimony (Final) Inserted	568
Prefiled Testimony (Actual) Inserted	578
Prefiled Testimony (Projected) Inserted	588
Cross Examination by Ms. Christensen	600
SMOTHERMAN	
Prefiled Testimony Dated 4/3/06 Inserted	603
Prefiled Testimony Dated 9/1/06 Inserted	610
DENNIS GOINS	
Direct Examination by Captain Williams	629
Prefiled Testimony (Actual) Inserted	631
Cross Examination by Mr. Anderson	647
CERTIFICATE OF REPORTER	657

EXHIBITS

	NUMBER :		ID.	ADMTD.
1				
2				
3	44	CA-1	567	567
4	45	CA-2	567	567
5	46	CA-3	567	567
6	47	WAS-1	602	602
7	48	WAS-2	602	602
8	50	DWG-1	630	
9	51	DWG-2	630	
10	52	DWG-3	630	
11				
12				
13				
14				
15				
16				
17				
18				
19				
20				
21				
22				
23				
24				
25				

1 (Transcript continues in sequence from Volume 3.)

2 MR. BEASLEY: Thank you. We would call as our next
3 witness Mr. Carlos Aldazabal.

4 MS. BENNETT: For a matter of clarification, I'm not
5 sure that we entered the exhibits into the record for
6 Ms. Wehle.

7 CHAIRMAN EDGAR: We just did. But that's okay.
8 Always ask.

9 MR. BEASLEY: As we indicated yesterday, all of
10 Mr. Aldazabal's issues have been stipulated. And we would
11 propose to stipulate the entry of his testimony into the record
12 and the admission into evidence of his exhibits.

13 We have committed to make him available for questions
14 regarding Tampa Electric's treatment of gas storage costs, and
15 for that reason we've called him to the stand. But if I could
16 propose that we simply stipulate in his testimony and exhibits,
17 I could, I could identify them and then we could tender him for
18 questions regarding gas storage costs, if that would work.

19 CHAIRMAN EDGAR: Is there any objection?

20 MS. CHRISTENSEN: No objection.

21 MR. McWHIRTER: No questions from FIPUG.

22 CAPTAIN WILLIAMS: No questions.

23 MS. BENNETT: No objections.

24 MR. BEASLEY: Thank you. His testimonies include the
25 March 1, 2006, final true-up testimony as amended by a filing

1 made on October 9, 2006; his August 8 actual/estimated true-up
2 testimony; his projection testimony for 2007 filed on
3 September 1, 2006, as amended on October 9, 2006, with revised
4 Pages 9 and 10 filed on October 30, 2006. His exhibits include
5 Exhibits CA-1 that accompanied his March 1, 2006, testimony
6 marked Exhibit 44 in the staff's comprehensive list of
7 exhibits; Exhibit CA-2 attached to his August 8th
8 actual/estimated true-up testimony, and that's marked Exhibit
9 45 in staff's composite exhibit list; and Exhibit CA-3 attached
10 to his September 1, 2006, projection testimony marked Exhibit
11 46 in staff's comprehensive list of exhibits.

12 CHAIRMAN EDGAR: The prefiled testimony as described
13 and exhibits marked 44, 45, and 46 will be entered into the
14 record.

15 MR. BEASLEY: Thank you.

16 (Exhibits 44, 45 and 46 marked for identification and
17 admitted into the record.)

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2 PREPARED DIRECT TESTIMONY

3 OF

4 CARLOS ALDAZABAL

5
6 Q. Please state your name, address, occupation and
7 employer.

8
9 A. My name is Carlos Aldazabal. My business address is 702
10 North Franklin Street, Tampa, Florida 33602. I am
11 employed by Tampa Electric Company ("Tampa Electric" or
12 "company") in the position of Manager, Regulatory
13 Affairs in the Regulatory Affairs Department.

14
15 Q. Please provide a brief outline of your educational
16 background and business experience.

17
18 A. I received a Bachelor of Science Degree in Accounting in
19 1991, and received a Masters of Accountancy from the
20 University of South Florida in Tampa in 1995. I am a
21 CPA in the State of Florida and have accumulated eleven
22 years of electric utility experience working in the
23 areas of fuel and interchange accounting, surveillance
24 reporting, and budgeting and analysis. In April 1999, I
25 joined Tampa Electric as Supervisor, Regulatory

1 Accounting. In January 2004, I was promoted to Manager,
2 Regulatory Affairs. My present responsibilities include
3 managing cost recovery for fuel and purchased power,
4 interchange sales, and capacity payments.

5
6 Q. What is the purpose of your testimony?

7
8 A. The purpose of my testimony is to present, for the
9 Commission's review and approval, the final true-up
10 amounts for the period January 2005 through December
11 2005 for both the Fuel and Purchased Power Cost Recovery
12 Clause ("fuel clause") and the Capacity Cost Recovery
13 Clause ("capacity clause"). I also present the
14 wholesale incentive benchmark for January 2006 through
15 December 2006 as well as the actual incremental
16 operation and maintenance ("O&M") security alert and
17 hedging expenses for the period January 2005 through
18 December 2005.

19
20 Q. What is the source of the data which you will present by
21 way of testimony or exhibit in this process?

22
23 A. Unless otherwise indicated, the actual data is taken
24 from the books and records of Tampa Electric. The books
25 and records are kept in the regular course of business

1 in accordance with generally accepted accounting
2 principles and practices and provisions of the Uniform
3 System of Accounts as prescribed by the Florida Public
4 Service Commission ("Commission").

5
6 Q. Have you prepared an exhibit in this proceeding?

7
8 A. Yes. Exhibit No. ___ (CA-1), consisting of four
9 documents which are described in my testimony, was
10 prepared under my direction and supervision.

11
12 **CAPACITY COST RECOVERY CLAUSE**

13 Q. What is the final true-up amount for the Capacity Cost
14 Recovery Clause for the period January 2005 through
15 December 2005?

16
17 A. The final true-up amount for the capacity clause for the
18 period January 2005 through December 2005 is an under-
19 recovery of \$156,806.

20
21 Q. Please describe Document No. 1 of your exhibit.

22
23 A. Document No. 1, page 1 of 4, entitled "Tampa Electric
24 Company Capacity Cost Recovery Clause Calculation of
25 Final True-up Variances for the Period January 2005

1 Through December 2005", provides the calculation for the
2 final under-recovery of \$156,806. The actual capacity
3 cost under-recovery, including interest was \$1,114,118
4 for the period January 2005 through December 2005 as
5 identified in Document No. 1, pages 1 and 2 of 4. This
6 amount, less the \$957,312 actual/estimated under-
7 recovery approved in PSC Order No. PSC-05-1252-FOF-EI
8 issued December 23, 2005 in Docket No. 050001-EI,
9 results in a final under-recovery for the period of
10 \$156,806 as identified in Document No. 1, page 4 of 4.
11 This under-recovery amount will be applied in the
12 calculation of the capacity cost recovery factors for
13 the period January 2007 through December 2007.

14
15 **Q.** What is the estimated effect of this \$156,806 under-
16 recovery for the January 2005 through December 2005
17 period on residential bills during January 2007 through
18 December 2007?

19
20 **A.** The \$156,806 under-recovery will increase a 1,000 kWh
21 residential bill by approximately \$0.01.

22
23 **Incremental Security Alert Expenses**

24 **Q.** What were Tampa Electric's actual 2005 incremental O&M
25 costs for security alert expenses as a result of the

1 events of September 11, 2001?
2

3 A. As shown in Document No. 1, Page 2 of 4, line 4, Tampa
4 Electric incurred \$342,158 for incremental O&M security
5 expenses for measures taken by the company to protect its
6 generating facilities for the period January 2005 through
7 December 2005.

8
9 Q. How did the actual incremental O&M security costs compare
10 to the costs included in the 2005 Actual/Estimated
11 capacity filing?
12

13 A. Actual incremental O&M security costs were \$58,733 lower
14 than projected in the 2005 Actual/Estimated capacity
15 filing. The primary reason incremental O&M security
16 costs were lower was the renegotiation of contract rates
17 Tampa Electric paid for guard services.
18

19 Q. Is Tampa Electric's methodology used to calculate
20 incremental security costs consistent with the one
21 described in PSC Order No. PSC-03-1461-FOF-EI, issued
22 December 22, 2003.
23

24 A. Yes. To calculate incremental security costs, Tampa
25 Electric compared its actual total O&M security expenses

1 to baseline expenses or pre-9/11 annual security
2 expenses. All incremental O&M security costs were
3 separately identified and any savings gained through the
4 implementation of any security related projects were
5 credited pursuant to the method described in Order No.
6 PSC-03-1461-FOF-EI, issued December 22, 2003.
7

8 **FUEL AND PURCHASED POWER COST RECOVERY CLAUSE**

9 **Q.** What is the final true-up amount for the Fuel and
10 Purchased Power Cost Recovery Clause for the period
11 January 2005 through December 2005?
12

13 **A.** The final fuel clause true-up for the period January
14 2005 through December 2005 is an under-recovery of
15 \$106,516,837. The actual fuel cost under-recovery,
16 including interest, was \$254,173,059 for the period
17 January 2005 through December 2005. This \$254,173,059
18 amount, less the \$147,656,222 actual/estimated under-
19 recovery amount approved in Order No. PSC-05-1252-FOF-
20 EI, issued December 23, 2005 in Docket No. 050001-EI
21 results in a net under-recovery amount for the period of
22 \$106,516,837. The 2005 hurricane season and resulting
23 dramatic increases in the prices of fuels, particularly
24 natural gas, were the primary drivers for the under-
25 recovery.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. What is the estimated effect of the \$106,516,837 under-recovery for the January 2005 through December 2005 period on residential bills during January 2007 through December 2007?

A. The \$106,516,837 under-recovery would increase a 1,000 kWh residential bill by approximately \$5.42.

Q. Please describe Document No. 2 of your exhibit.

A. Document No. 2 is entitled "Tampa Electric Company Final Fuel Over/(Under) Recovery for the Period January 2005 Through December 2005". It shows the calculation of the final fuel under-recovery of \$106,516,837.

Line 1 shows the total company fuel costs of \$984,850,997 for the period January 2005 through December 2005. The jurisdictional amount of total fuel costs, which includes the Commission ordered waterborne coal transportation expense disallowance, is \$936,449,790, as shown on line 2. This amount is compared to the jurisdictional fuel revenues applicable to the period on line 3 to obtain the actual under-recovered fuel costs for the period, shown on line 4.

1 The resulting \$255,684,832 under-recovered fuel costs
2 for the period, combined with the interest, true-up
3 collected and the prior period true-up shown on lines 5,
4 6 and 7, respectively, constitute the actual under-
5 recovery of \$254,173,059 shown on line 8. The
6 \$254,173,059 actual under-recovery amount less the
7 \$147,656,222 actual/estimated under-recovery amount
8 shown on line 9, results in a final \$106,516,837 under-
9 recovery amount for the period January 2005 through
10 December 2005 as shown on line 10.

11
12 Q. Please describe Document No. 3 of your exhibit.

13
14 A. Document No. 3 entitled "Tampa Electric Company
15 Calculation of True-up Amount Actual vs. Original
16 Estimates for the Period January 2005 Through December
17 2005", shows the calculation of the actual under-
18 recovery as compared to the estimate for the same
19 period.

20
21 Q. What was the total fuel and net power transaction cost
22 variance for the period January 2005 through December
23 2005?

24
25 A. As shown on line A7 of Document No. 3, the fuel and net

REVISED 10/30/06

1 power transaction cost variance is \$238,905,393 more
2 than what was originally estimated.

3
4 **Q.** What was the variance in jurisdictional fuel revenues
5 for the period January 2005 through December 2005?

6
7 **A.** As shown on line C3 of Document No. 3, the company
8 collected \$15,259,333 or 2.2 percent less jurisdictional
9 fuel revenues than originally estimated.

10
11 **Q.** Please describe Document No. 4 of your exhibit.

12
13 **A.** Document No. 4 contains Commission Schedules A1 through
14 A9 for the months of January 2005 through December 2005.
15 Also included is a twelve-month summary detailing the
16 transactions for each of Commission Schedules A6, A7,
17 A8, and A9 for the period January 2005 through December
18 2005.

19
20 **Wholesale Incentive Benchmark**

21 **Q.** What is Tampa Electric's wholesale incentive benchmark
22 for 2006, as derived in accordance with Order No. PSC-
23 01-2371-FOF-EI, Docket No. 010283-EI?

24
25 **A.** The company's 2006 benchmark is \$1,051,869, which is the

REVISED 10/30/06

1 three-year average of \$1,227,431, \$1,049,937, and
2 \$878,238 actual gains on non-separated wholesale sales,
3 excluding emergency sales, for 2003, 2004 and 2005,
4 respectively.

5
6 **Hedging Transaction and Incremental O&M Costs**

7 **Q.** Did Tampa Electric prudently incur incremental O&M
8 expenses for initiating and/or maintaining its non-
9 speculative financial hedging program in 2005?

10
11 **A.** Yes. Tampa Electric prudently incurred \$164,960 for
12 incremental O&M hedging expenses. An itemization of the
13 incremental O&M expenses by category will be provided as
14 an exhibit to the direct testimony of Tampa Electric
15 witness J. T. Wehle, which will be filed April 3, 2006 in
16 this docket.

17
18 **Q.** Does this conclude your testimony?

19
20 **A.** Yes.

21

22

23

24

25

TAMPA ELECTRIC COMPANY
DOCKET NO. 060001-EI
FILED: 8/8/06

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2 PREPARED DIRECT TESTIMONY

3 OF

4 CARLOS ALDAZABAL

5
6 **Q.** Please state your name, address, occupation and employer.

7
8 **A.** My name is Carlos Aldazabal. My business address is 702
9 North Franklin Street, Tampa, Florida 33602. I am
10 employed by Tampa Electric Company ("Tampa Electric" or
11 "company") in the position of Manager, Regulatory Affairs
12 in the Regulatory Affairs Department.

13
14 **Q.** Please provide a brief outline of your educational
15 background and business experience.

16
17 **A.** I received a Bachelor of Science Degree in Accounting in
18 1991, and a Masters of Accountancy in 1995 from the
19 University of South Florida in Tampa. I am a CPA in the
20 State of Florida and have accumulated 11 years of
21 electric utility experience working in the areas of fuel
22 and interchange accounting, surveillance reporting, and
23 budgeting and analysis. In April 1999, I joined Tampa
24 Electric as Supervisor, Regulatory Accounting. In
25 January 2004, I was promoted to Manager, Regulatory

1 Affairs. My present responsibilities include managing
2 cost recovery for fuel and purchased power, interchange
3 sales, and capacity payments.

4
5 **Q.** What is the purpose of your testimony?

6
7 **A.** The purpose of my testimony is to present, for Commission
8 review and approval, the calculation of the January 2006
9 through December 2006 fuel and purchased power and
10 capacity true-up amounts to be recovered in the January
11 2007 through December 2007 projection period. My testimony
12 addresses the recovery of fuel and purchased power costs,
13 incremental hedging operations and maintenance ("O&M")
14 costs, capacity costs and incremental O&M security costs
15 for the year 2006, based on six months of actual data and
16 six months of estimated data. This information will be
17 used to determine fuel and purchased power costs and
18 capacity cost recovery factors for the year 2007.

19
20 **Q.** Have you prepared any exhibits to support your testimony?

21
22 **A.** Yes. I have prepared Exhibit No. ____ (CA-2), which
23 contains two documents. Document No. 1 is comprised of
24 Schedules E1-B, E-2, E-3, E-5, E-6, E-7, E-8, and E-9,
25 which provide the actual/estimated fuel and purchased

1 power cost recovery true-up amount for the period January
2 2006 through December 2006. Document No. 2 provides the
3 actual/estimated capacity cost recovery true-up amount
4 for the period of January 2006 through December 2006.
5 These documents are furnished as support for the
6 projected true-up amount for this period.

7
8 **Fuel and Purchased Power Cost Recovery Factors**

9 **Q.** What has Tampa Electric calculated as the estimated net
10 true-up amount for the current period to be applied in
11 the January 2007 through December 2007 fuel and purchased
12 power cost recovery factors?

13
14 **A.** The estimated net true-up amount applicable for the
15 period January 2006 through December 2006 is an under-
16 recovery of \$157,776,979.

17
18 **Q.** How did Tampa Electric calculate the estimated net true-
19 up amount to be applied in the January 2007 through
20 December 2007 fuel and purchased power cost recovery
21 factors?

22
23 **A.** The net true-up amount to be recovered in 2007 is the sum
24 of the final true-up amount for the period January 2005
25 through December 2005 and the actual/estimated true-up

1 amount for the period January 2006 through December 2006.

2

3 **Q.** What did Tampa Electric calculate as the final fuel and
4 purchased power cost recovery true-up amount for 2005?

5

6 **A.** The true-up was an under-recovery of \$106,516,837. The
7 actual fuel cost under-recovery, including interest and
8 the waterborne transportation cost adjustment, was
9 \$254,173,059 for the period January 2005 through December
10 2005. The \$254,173,059 amount, less the actual/estimated
11 under-recovery amount of \$147,656,222 approved in Order
12 No. PSC-05-1252-FOF-EI issued December 23, 2005 in Docket
13 No. 050001-EI results in a net under-recovery amount for
14 the period of \$106,516,837. The final under-recovery of
15 \$106,516,837 will be applied in the calculation of the
16 fuel recovery factors for the period January 2007 through
17 December 2007.

18

19 **Q.** What did Tampa Electric calculate as the actual/estimated
20 fuel and purchased power cost recovery true-up amount for
21 the period January 2006 through December 2006?

22

23 **A.** The actual/estimated fuel and purchased power cost
24 recovery true-up is an under-recovery amount of
25 \$51,260,142 for the January through December 2006 period.

1 The detailed calculation supporting the actual/estimated
2 current period true-up is shown in Exhibit ____ (CA-2),
3 Document No. 1 on Schedule E1-B.

4
5 Q. Are incremental hedging O&M costs included in the
6 actual/estimated fuel and purchased power cost recovery
7 true-up amount for the period January 2006 through
8 December 2006?

9
10 A. Yes. The Commission authorized the recovery of
11 prudently-incurred incremental O&M expenses incurred for
12 the purpose of initiating and/or maintaining a new or
13 expanded non-speculative financial and/or physical
14 hedging program designed to mitigate fuel and purchased
15 power price volatility for its retail customers in Order
16 No. PSC-02-1484-FOF-EI, issued October 30, 2002 in Docket
17 No. 011605-EI. Therefore, as shown on Exhibit __ (CA-2),
18 Document No. 1 on Schedule E1-B, line A.5b, Tampa
19 Electric included \$196,702 for actual and estimated
20 incremental hedging O&M costs in its 2006
21 actual/estimated true-up calculation.

22
23 Q. How are the incremental hedging O&M costs calculated?

24
25 A. The total anticipated costs for 2006 are \$365,855, and

1 the base level amount is \$169,153. Therefore, the
2 incremental hedging O&M cost is calculated by subtracting
3 the base level amount of \$169,153 from the \$365,855 of
4 total anticipated costs, which results in an incremental
5 expense of \$196,702.

6
7 **Q.** How does this amount vary from the original projection?

8
9 **A.** The currently projected incremental hedging O&M cost are
10 \$39,096 less than the original projected costs. The
11 variance is primarily due to decreased labor and related
12 charges.

13
14 **Capacity Cost Recovery Clause**

15 **Q.** What has Tampa Electric calculated as the estimated net
16 true-up amount for the current period to be applied in
17 the January 2007 through December 2007 capacity cost
18 recovery factors?

19
20 **A.** The estimated net true-up amount applicable for January
21 2006 through December 2006 is an under-recovery of
22 \$960,951 as shown in Exhibit ____ (CA-2), Document No. 2,
23 page 2 of 4.

24
25 **Q.** How did Tampa Electric calculate the estimated net true-

1 up amount to be applied in the January 2007 through
2 December 2007 capacity cost recovery factors?

3
4 **A.** Tampa Electric calculated the net true-up amount to be
5 recovered in 2007 in the same manner as previously
6 described for the fuel and purchased power cost recovery
7 net true-up amount. The net true-up amount to be
8 recovered in the 2007 capacity cost recovery factors is
9 the sum of the final true-up amount for 2005 and the
10 actual/estimated true-up amount for January 2006 through
11 December 2006.

12
13 **Q.** What did Tampa Electric calculate as the final capacity
14 cost recovery true-up amount for 2005?

15
16 **A.** The final true-up amount is an under-recovery of \$156,806
17 per the company's March 1, 2006 true-up filing and as
18 shown in Exhibit _____ (CA-2), Document No. 2, page 1 of
19 4.

20
21 **Q.** What did Tampa Electric calculate as the actual/estimated
22 capacity cost recovery true-up amount for the period
23 January 2006 through December 2006?

24
25 **A.** The actual/estimated true-up amount is an under-recovery

1 of \$804,145 as shown on Exhibit ____ (CA-2), Document No.
2 2, page 1 of 4.

3

4 Q. Are incremental security O&M costs included for cost
5 recovery through the capacity clause?

6

7 A. Yes. Given the Commission's previous authorization to
8 recover incremental security O&M costs arising as a
9 result of the extraordinary circumstances of the
10 terrorist attacks of September 11, 2001, Tampa Electric's
11 incremental security O&M costs are included for recovery
12 through the capacity clause. Therefore, as shown on
13 Exhibit ____ (CA-2), Document No. 2, Page 4 of 4, the
14 company requests recovery of \$582,991, after
15 jurisdictional separation, for 2006 actual/estimated
16 incremental security O&M expenses.

17

18 Q. How does this amount vary from the original projection?

19

20 A. The actual/estimated incremental security O&M expenses
21 are \$11,901 less than the original projected costs. The
22 variance is due to guard services that were projected but
23 did not occur.

24

25 Q. Did Tampa Electric evaluate and calculate its incremental

1 "post-9/11" security project costs according to the
2 detailed guidelines provided in Order No. PSC-03-1461-
3 FOF-EI filed in Docket No. 030001-EI on December 22,
4 2003?

5
6 **A.** Yes. The first test is to determine if the company has
7 any O&M expenses for incremental security projects
8 included in the Minimum Filing Requirements ("MFR") that
9 established its current base rates and to remove any such
10 expenses from the calculation of incremental expenses.
11 None of Tampa Electric's post-9/11 increased security
12 costs were included in MFRs that established its base
13 rates as the company's last base rate proceeding was
14 approved in 1993, before the terrorist attacks occurred.
15 The second test is to identify any project costs that are
16 reflected elsewhere in the company's base rates and
17 remove them. Tampa Electric identified such project
18 costs for security and credited the savings to the total
19 incremental security expense. Finally, the third test is
20 to determine if the project will result in any offsetting
21 O&M savings and credit any savings to the project to
22 reduce its total cost. Tampa Electric has evaluated its
23 incremental security O&M expenses for related O&M savings
24 and credited the savings against total incremental
25 security O&M expenses. The calculation of incremental

1 security O&M costs is shown on Exhibit ____ (CA-2),
2 Document No. 2, page 4 of 4.

3

4 Q. Were Tampa Electric's base year "post-9/11" security
5 costs adjusted for retail energy sales growth as required
6 by Order No. PSC-03-1461-FOF-EI?

7

8 A. Yes. After adjusting the base year total by energy sales
9 growth, the baseline that should be used to calculate
10 2006 incremental security costs is \$2,218,979. The
11 calculation of the baseline security O&M expense amount
12 is shown on Exhibit ____ (CA-2), Document No. 2, page 4
13 of 4.

14

15 Q. Does this conclude your testimony?

16

17 A. Yes, it does.

18

19

20

21

22

23

24

25

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2 PREPARED DIRECT TESTIMONY

3 OF

4 CARLOS ALDAZABAL

5
6 Q. Please state your name, address, occupation and employer.7
8 A. My name is Carlos Aldazabal. My business address is 702
9 North Franklin Street, Tampa, Florida 33602. I am
10 employed by Tampa Electric Company ("Tampa Electric" or
11 "company") in the position of Manager, Regulatory
12 Affairs in the Regulatory Affairs Department.13
14 Q. Please provide a brief outline of your educational
15 background and business experience.16
17 A. I received a Bachelor of Science Degree in Accounting in
18 1991, and received a Masters of Accountancy in 1995 from
19 the University of South Florida in Tampa. I am a CPA in
20 the State of Florida and have accumulated 11 years of
21 electric utility experience working in the areas of fuel
22 and interchange accounting, surveillance reporting,
23 budgeting and analysis, and regulatory affairs. In
24 April 1999, I joined Tampa Electric as Supervisor,
25 Regulatory Accounting. In January 2004, I was promoted

1 to Manager, Regulatory Affairs. My present
2 responsibilities include managing cost recovery for fuel
3 and purchased power, interchange sales, and capacity
4 payments.

5
6 Q. What is the purpose of your testimony?

7
8 A. The purpose of my testimony is to present, for Commission
9 review and approval, the proposed annual capacity cost
10 recovery factors, the proposed annual levelized fuel and
11 purchased power cost recovery factors and the projected
12 wholesale incentive benchmark for January 2007 through
13 December 2007. In addition, I will address the 2007
14 projected incremental security costs as a result of the
15 September 11, 2001 attacks as well as the appropriate
16 base amount and period for calculating incremental
17 security costs. I will also describe significant events
18 that affect the factors and provide an overview of the
19 composite effect from the various cost recovery factors
20 for 2007.

21
22 Q. Have you prepared any exhibits to support your testimony?

23
24 A. Yes. My Exhibit CA-3, consisting of two documents, was
25 prepared under my direction and supervision. Document

1 No. 1 of Exhibit CA-3 is furnished as support for the
2 projected capacity cost recovery factors. Document No. 2
3 which is furnished as support for the proposed levelized
4 fuel and purchased power cost recovery factors, is
5 comprised of Schedules E1 through E10 and E12 for January
6 2007 through December 2007 as well as Schedule H1 for
7 January through December, 2004 through 2007.

8
9 **Capacity Cost Recovery**

10 **Q.** Are you requesting Commission approval of the projected
11 capacity cost recovery factors for the company's various
12 rate schedules?

13
14 **A.** Yes. The capacity cost recovery factors, prepared under
15 my direction and supervision, are provided in Exhibit CA-
16 3, Document No. 1, Projected Capacity Cost Recovery.

17
18 **Q.** What payments are included in Tampa Electric's capacity
19 cost recovery factors?

20
21 **A.** Tampa Electric is requesting recovery of capacity
22 payments for power purchased for retail customers
23 excluding optional provision purchases for interruptible
24 customers through the capacity cost recovery factors.

25

1 The company is also requesting recovery of incremental
2 security expenses as a result of the events of September
3 11, 2001, as authorized in previous years. As shown on
4 Exhibit CA-3, Document No. 1, Tampa Electric requests
5 recovery of \$668,761, after jurisdictional separation,
6 for estimated expenses in 2007.
7

8 Q. Were Tampa Electric's base year "post-9/11" security
9 costs adjusted for retail energy sales growth as required
10 by Order No. PSC-03-1461-FOF-EI, filed in Docket No.
11 030001-EI on December 22, 2003?
12

13 A. Yes. Tampa Electric's 2006 actual adjusted base year
14 total security O&M costs were \$2,218,979. After
15 adjusting this amount for expected energy sales growth, a
16 \$2,273,344 baseline was used to calculate Tampa
17 Electric's 2007 incremental security costs. This
18 calculation is shown on Exhibit CA-3, Document No. 1, and
19 page 5 of 5.
20

21 Q. Please summarize the proposed capacity cost recovery
22 factors by rate schedule for January 2007 through
23 December 2007.
24
25

1	A.	Capacity Cost Recovery
2	<u>Rate Schedule</u>	<u>Factor (cents per kWh)</u>
3	Average Factor	0.271
4	RS	0.325
5	GS and TS	0.311
6	GSD, EV-X	0.261
7	GSLD and SBF	0.222
8	IS-1, IS-3, SBI-1, SBI-3	0.020
9	SL-2, OL-1 and OL-3	0.042

10

11 These factors are shown in Exhibit CA-3, Document No. 1,
12 and page 4 of 5.

13

14 Q. How does Tampa Electric's proposed average capacity cost
15 recovery factor of 0.271 cents per kWh compare to the
16 factor for January through December 2006?

17

18 A. The proposed capacity cost recovery factor is 0.016 cents
19 per kWh (or \$0.16 per 1,000 kWh) lower than the average
20 capacity cost recovery factor of 0.287 cents per kWh for
21 the January 2006 through December 2006 period.

22

23 **Fuel and Purchased Power Cost Recovery Factor**

24 Q. What is the appropriate amount of the base fuel and
25 purchased power cost recovery factor for the year 2007?

1 **A.** The appropriate amount for the 2007 period is 5.897 cents
2 per kWh before the normal application of factors that
3 adjust for variations in line losses. Schedule E1 of
4 Exhibit CA-3, Document No. 2, Fuel Projection, shows the
5 appropriate value for the total fuel and purchased power
6 cost recovery factor as projected for the period January
7 2007 through December 2007.

8
9 **Q.** Please describe the information provided on Schedule E1-
10 C.

11
12 **A.** The Generating Performance Incentive Factor ("GPIF") and
13 true-up factors are provided on Schedule E1-C. Tampa
14 Electric has calculated a GPIF penalty of \$99,791, which
15 is included in the calculation of the total fuel and
16 purchased power cost recovery factors. Additionally, E1-
17 C indicates the net true-up amount for the January 2006
18 through December 2006 period. The net true-up amount for
19 this period is an under-recovery of \$157,776,979.

20
21 **Q.** Please describe the information provided on Schedule E1-
22 D.

23 **A.** Schedule E1-D presents Tampa Electric's on-peak and off-
24 peak fuel adjustment factors for January 2007 through
25 December 2007.

1 Q. Please describe the information provided on Schedule E1-
2 E.

3

4 A. Schedule E1-E presents the standard, on-peak and off-peak
5 fuel adjustment factors after adjusting for variations in
6 line losses.

7

8 Q. Please summarize the proposed fuel and purchased power
9 cost recovery factors by rate schedule for January 2007
10 through December 2007.

11

12 A.

Fuel Charge

13	<u>Rate Schedule</u>	<u>Factor (cents per kWh)</u>
14	Average Factor	5.897
15	RS, GS and TS	5.922
16	RST and GST	7.392 (on-peak)
17		5.146 (off-peak)
18	SL-2, OL-1 and OL-3	5.483
19	GSD, GSLD, and SBF	5.899
20	GSDT, GSLDT, EV-X and SBFT	7.364 (on-peak)
21		5.126 (off-peak)
22	IS-1, IS-3, SBI-1, SBI-3	5.745
23	IST-1, IST-3, SBIT-1, SBIT-3	7.171 (on-peak)
24		4.992 (off-peak)

25

1 Q. How does Tampa Electric's proposed average fuel
2 adjustment factor of 5.897 cents per kWh compare to the
3 average fuel adjustment factor for the January 2006
4 through December 2006 period?

5
6 A. The proposed fuel charge factor is 0.484 cents per kWh
7 (or \$4.84 per 1,000 kWh) higher than the average fuel
8 charge factor of 5.413 cents per kWh for the January 2006
9 through December 2006 period.

10

11 **Events Affecting the Projection Filing**

12 Q. Are there any significant events reflected in the
13 calculation of the 2007 fuel and purchased power and
14 capacity cost recovery projections?

15

16 A. Yes. There are three significant events. These are 1)
17 the significant changes in natural gas prices that
18 resulted from Hurricane Katrina; 2) the company's
19 wholesale purchases; and 3) Tampa Electric's recovery of
20 waterborne coal transportation costs as required in Order
21 No. PSC-04-0999-FOF-EI ("Order No. 04-0999") issued
22 October 12, 2004 in Docket No. 031033-EI.

23

24 Q. Please describe the first event that affects the
25 company's projection filing.

1 A. With the addition of the natural gas-fired Bayside
2 Station in 2004, Tampa Electric has increased its
3 reliance on natural gas as a fuel source. In 2005,
4 Hurricane Katrina affected the region where much of the
5 nation's natural gas supply originates, resulting in
6 reduced production and delivery constraints that caused a
7 spike in the price of natural gas. The spike in natural
8 gas prices over the last quarter of 2005 resulted in an
9 average natural gas price per MMBTU that was 60% higher
10 than the price in the 2006 projection filed in October
11 2005. Witness J. T. Wehle's direct testimony describes
12 the increase in natural gas costs in more detail. The
13 post-hurricane effects of Hurricane Katrina on natural
14 gas prices are a key driver behind Tampa Electric's
15 increased fuel costs.

16
17 Q. Please describe the second event.

18
19 A. Tampa Electric entered into or continued several cost
20 effective purchase agreements with Progress Energy
21 Florida, Cargill and Calpine Energy Services, L.P. The
22 purchases improve supply reliability for retail
23 ratepayers in 2006 and 2007 at reasonable and prudent
24 costs. The direct testimony of Tampa Electric witness B.
25 F. Smith describes the purchases and demonstrates that

1 the costs associated with the purchased power agreements
2 are prudent and appropriate for recovery through the Fuel
3 and Purchased Power and Capacity Cost Recovery Clauses.

4
5 Tampa Electric also intends to enter into purchase
6 agreements to replace lost generation capacity during
7 the planned Big Bend scrubber outages beginning in 2007.

8
9 Q. Please describe the third event that affects the
10 company's projection filing.

11
12 A. The calculation of the 2007 fuel and purchased power
13 factor reflects Tampa Electric's recovery of waterborne
14 coal transportation costs as required in Order No. PSC-
15 04-0999-FOF-EI ("Order No. 04-0999") issued October 12,
16 2004 in Docket No. 031033-EI. Tampa Electric adjusted
17 fuel expense for the disallowance of costs required by
18 FPSC Order No. 04-0999, which specifies that a portion
19 of the costs incurred by Tampa Electric under the
20 current contract with TECO Transport is not reasonable
21 for cost recovery. The annual adjustment to the
22 company's fuel cost recovery is projected to be
23 \$15,315,380 in 2007. This adjustment will be trued up
24 to reflect the actual tons shipped and associated
25 calculated disallowances as part of the normal true-up

1 process.

2

3 **Wholesale Incentive Benchmark Mechanism**

4 Q. What is Tampa Electric's projected wholesale incentive
5 benchmark for 2007?

6

7 A. The company's projected 2007 benchmark is ~~\$1,165,220~~,
8 which is the three-year average of ~~\$1,049,937~~, ~~\$878,238~~
9 and ~~\$1,567,484~~ ^{\$1,344,467} in gains on the company's non-separated
10 wholesale sales, excluding emergency sales, for 2004,
11 2005 and 2006 (estimated/actual), respectively.

12

13 Q. Does Tampa Electric expect gains in 2007 from non-
14 separated wholesale sales to exceed its 2007 wholesale
15 incentive benchmark?

16

17 A. No. Tampa Electric anticipates that sales will not
18 exceed the projected benchmark of \$1,165,220.

19

20 **Cost Recovery Factors**

21 Q. What is the composite effect of Tampa Electric's proposed
22 changes in its capacity, fuel and purchased power,
23 environmental and energy conservation cost recovery
24 factors on a 1,000 kWh residential customer's bill?

25

1 A. The composite effect on a residential bill for 1,000 kWh
2 is an increase of \$4.93 beginning January 2007. These
3 charges are shown in Exhibit CA-3, Document No. 2, on
4 Schedule E10.

5

6 Q. When should the new rates go into effect?

7

8 A. The new rates should go into effect concurrent with the
9 first billing cycle for January 2007.

10

11 Q. Does this conclude your testimony?

12

13 A. Yes, it does.

14

15

16

17

18

19

20

21

1 MR. BEASLEY: We tender Mr. Aldazabal for questions
2 regarding gas storage costs.

3 CROSS EXAMINATION

4 BY MS. CHRISTENSEN:

5 Q Good morning, Mr. Aldazabal.

6 A Good morning.

7 Q I think I got it close.

8 TECO's last rate case was 19 -- had a 1994 test year,
9 and that was in Docket 920324-EI, with the final order issued
10 May 19th, 1993; is that correct?

11 A Subject to check, yes. Sounds right.

12 Q And is it correct that TECO obtained natural gas
13 storage since Hurricane Ivan in 2004?

14 A That's my understanding. Yes.

15 Q Okay. And would you agree, subject to check, that
16 the issuance date of the hedging order, that would be
17 PSC-021484-S-EI, was October 30th, 2002?

18 A That's correct.

19 Q Okay. And would it also be correct that TECO has not
20 recovered any carrying costs on the inventory balance in its
21 natural gas storage through the fuel clause?

22 A We have not recovered the carrying costs. That's
23 correct.

24 Q Okay. And is it correct that TECO is earning within
25 its authorized rate on equity, and that's 10.75 percent to

1 12.75 percent?

2 A That's correct.

3 Q And as of August 2006, TECO's ROE was 11.12 percent
4 based on the FPSC adjusted basis for August 2006 surveillance
5 report; is that correct?

6 A I don't have that surveillance report in front of me,
7 but it sounds reasonable.

8 MS. CHRISTENSEN: Okay. I have no further questions.

9 MR. McWHIRTER: No questions from FIPUG.

10 CHAIRMAN EDGAR: Thank you.

11 CAPTAIN WILLIAMS: No questions.

12 CHAIRMAN EDGAR: No questions.

13 Questions from any other party on cross for this
14 witness? None.

15 Staff? Commissioners?

16 Mr. Beasley.

17 MR. BEASLEY: Thank you. I'd ask that Mr. Aldazabal
18 be excused.

19 CHAIRMAN EDGAR: You may be excused. Thank you, sir.

20 MR. BEASLEY: Our next witness is Mr. William A.
21 Smotherman. And I would propose that we stipulate in his
22 testimony regarding GPIF reward and penalty and have him appear
23 later in connection with the dead band issue addressed in
24 Mr. Ross's testimony. So I would propose that his prepared
25 direct testimony filed September 1, 2006, his prepared direct

1 testimony filed April 3, 2006, addressing actual generating
2 unit performance be inserted into the record as though read.

3 CHAIRMAN EDGAR: The prefiled testimony as described
4 will be entered into the record as though read.

5 MR. BEASLEY: And that would also include moving into
6 the record what's marked as Exhibit 47 in the staff's
7 comprehensive exhibit list, as well as 48.

8 CHAIRMAN EDGAR: Exhibits 47 and 48 will be entered
9 into the record.

10 MR. BEASLEY: And we will call him again later when
11 his time comes.

12 CHAIRMAN EDGAR: And we will look forward to
13 Mr. Smotherman later in the proceeding.

14 MR. BEASLEY: Thank you.

15 (Exhibits 47 and 48 marked for identification and
16 admitted into the record.)

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
PREPARED DIRECT TESTIMONY
OF
WILLIAM A. SMOTHERMAN

Q. Please state your name, business address, occupation and employer.

A. My name is William A. Smotherman. My business address is 702 N. Franklin Street, Tampa, Florida 33602. I am employed by Tampa Electric Company ("Tampa Electric" or "company") as Director of the Resource Planning Department.

Q. Please provide a brief outline of your educational background and business experience.

A. I received a Bachelor of Electrical Engineering degree in 1986 from the University of South Florida. In May 1986, I joined Tampa Electric as an associate engineer, and I have worked in the areas of system planning, commercial/ industrial account management and wholesale power marketing. In February 2001, I was promoted to Director, Resource Planning. My present responsibilities include the areas of system

1 reliability, generation expansion and system fuel and
2 purchased power forecasting and related economic
3 analyses.

4
5 **Q.** What is the purpose of your testimony?

6
7 **A.** My testimony presents Tampa Electric's actual performance
8 results from unit equivalent availability and station
9 heat rate used to determine the GPIF for the period
10 January 2005 through December 2005. I will also compare
11 these results to the targets established prior to the
12 beginning of the period.

13
14 **Q.** Have you prepared an exhibit to support your testimony?

15
16 **A.** Yes, Exhibit No. _____ (WAS-1), consisting of two
17 documents, was prepared under my direction and
18 supervision. Document No. 1, entitled "Tampa Electric
19 Company, Generating Performance Incentive Factor, January
20 2005 - December 2005, True-up" is consistent with the
21 GPIF Implementation Manual previously approved by the
22 Commission. In addition, Document No. 2 provides the
23 company's Actual Unit Performance Data for the 2005
24 period.

25

- 1 Q. Which generating units on Tampa Electric's system are
2 included in the determination of the GPIF?
3
- 4 A. Five of the company's units are included. They are Big
5 Bend Station Units 1, 2, 3, and 4 and Polk Station Unit
6 1.
7
- 8 Q. Have you calculated the results of Tampa Electric's
9 performance under the GPIF during the January 2005
10 through December 2005 period?
11
- 12 A. Yes, I have. This is shown on Document No. 1, page 4 of
13 26. Based upon -0.182 GPIF points, the result is a
14 penalty amount of \$99,791 for the period.
15
- 16 Q. Please proceed with your review of the actual results for
17 the January 2005 through December 2005 period.
18
- 19 A. On Document No. 1, page 3 of 26, the actual average
20 common equity for the period is shown on line 14 as
21 \$1,394,720,154. This produces the maximum penalty or
22 reward amount of \$5,479,030 as shown on line 21.
23
- 24 Q. Will you please explain how you arrived at the actual
25 equivalent availability results for the five units

1 included within the GPIF?

2
3 **A.** Yes. Operating data on each of the units is filed
4 monthly with the Commission on the Actual Unit
5 Performance Data form. Additionally, outage information
6 is reported to the Commission on a monthly basis. A
7 summary of this data for the 12 months provides the basis
8 for the GPIF.

9
10 **Q.** Are the equivalent availability results shown on Document
11 No. 1, page 6 of 26, column 2, directly applicable to the
12 GPIF table?

13
14 **A.** No. Adjustments to equivalent availability may be
15 required as noted in section 4.3.3 of the GPIF Manual.
16 The actual equivalent availability including the required
17 adjustment is shown on Document No. 1, page 6 of 26. The
18 necessary adjustments as prescribed in the GPIF Manual
19 are further defined by a letter dated October 23, 1981,
20 from Mr. J. H. Hoffsis of the Commission's Staff. The
21 adjustments for each unit are as follows:

22
23 **Big Bend Unit No. 1**

24 On this unit, 1344.0 planned outage hours were originally
25 scheduled for 2005. Actual outage activities required

1 754.6 planned outage hours. Consequently, the actual
2 equivalent availability of 61.0% is adjusted to 56.6% as
3 shown on Document No. 1, page 7 of 26.

4
5 **Big Bend Unit No. 2**

6 On this unit, 336.0 planned outage hours were originally
7 scheduled for 2005. Actual outage activities required
8 1399.5 planned outage hours. Consequently, the actual
9 equivalent availability of 64.8% is adjusted to 74.2% as
10 shown on Document No. 1, page 8 of 26.

11
12 **Big Bend Unit No. 3**

13 On this unit, 336.0 planned outage hours were originally
14 scheduled for 2005. Actual outage activities required
15 617.9 planned outage hours. Consequently, the actual
16 equivalent availability of 51.5% is adjusted to 53.4% as
17 shown on Document No. 1, page 9 of 26.

18
19 **Big Bend Unit No. 4**

20 On this unit, 336.0 planned outage hours were originally
21 scheduled for 2005. Actual outage activities required
22 683.8 planned outage hours. Consequently, the actual
23 equivalent availability of 70.7% is adjusted to 73.8% as
24 shown on Document No. 1, page 10 of 26.

25

1 **Polk Unit No. 1**

2 On this unit, 330.5 planned outage hours were originally
3 scheduled for 2005. Actual outage activities required 0
4 planned outage hours. Consequently, the actual equivalent
5 availability of 68.5% is adjusted to 65.9%, as shown on
6 Document No. 1, page 11 of 26.

7
8 **Q.** How did you arrive at the applicable equivalent
9 availability points for each unit?

10
11 **A.** The final adjusted equivalent availabilities for each
12 unit are shown on Document No. 1, page 6 of 26, column 4.
13 This number is entered into the respective Generating
14 Performance Incentive Point ("GPIP") table for each
15 particular unit on pages 20 of 26 through 24 of 26. Page
16 4 of 26 summarizes the equivalent availability points to
17 be awarded or penalized.

18
19 **Q.** Will you please explain the heat rate results relative to
20 the GPIF?

21
22 **A.** The actual heat rate and adjusted actual heat rate for
23 Big Bend Units 1, 2, 3, and 4 and Polk Unit 1 are shown
24 on Document No. 1, page 6 of 26. The adjustment was
25 developed based on the guidelines of section 4.3.16 of

1 the GPIF Manual. This procedure is further defined by a
2 letter dated October 23, 1981, from Mr. J.H. Hoffsis of
3 the FPSC Staff. The final adjusted actual heat rates are
4 also shown on page 5 of 26. The heat rate value is
5 entered into the respective GPIF table for the particular
6 unit, shown on pages 20 of 26 through 24 of 26. Page 4
7 of 26 summarizes the weighted heat rate and equivalent
8 availability points to be awarded.

9
10 **Q.** What is the overall GPIF for Tampa Electric for the
11 January 2005 through December 2005 period?

12
13 **A.** This is shown on Document No. 1, page 26 of 26.
14 Essentially, the weighting factors shown on page 4 of 26,
15 column 3, plus the equivalent availability points and the
16 heat rate points shown on page 4 of 26, column 4, are
17 substituted within the equation. The resulting value,
18 -0.182, is then entered into the GPIF table on page 2 of
19 26. Using linear interpolation, the penalty amount is
20 \$99,791.

21
22 **Q.** Does this conclude your testimony?

23
24 **A.** Yes, it does.
25

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2 PREPARED DIRECT TESTIMONY

3 OF

4 WILLIAM A. SMOTHERMAN

5
6 Q. Please state your name, business address, occupation and
7 employer.

8
9 A. My name is William A. Smotherman. My mailing and business
10 address is 702 N. Franklin Street, Tampa, Florida 33602. I am
11 employed by Tampa Electric Company ("Tampa Electric" or
12 "company") as Director of the Resource Planning Department.

13
14 Q. Please provide a brief outline of your educational background
15 and business experience.

16
17 A. I received a Bachelor of Electrical Engineering degree in 1986
18 from the University of South Florida. In May 1986, I joined
19 Tampa Electric as an associate engineer, and I have worked in
20 the areas of system planning, commercial/ industrial account
21 management and wholesale power marketing. In February 2001, I
22 was promoted to Director, Resource Planning. My present
23 responsibilities include the areas of system reliability,
24 generation expansion and system fuel and purchased power
25 forecasting and related economic analyses.

1 Q. What is the purpose of your testimony?

2
3 A. My testimony describes Tampa Electric's maintenance planning
4 processes and presents Tampa Electric's methodology for
5 determining the various factors required to compute the
6 Generating Performance Incentive Factor ("GPIF") as ordered by
7 the Commission.

8
9 Q. Have you prepared any exhibits to support your testimony?

10
11 A. Yes, Exhibit ^{WAS-Z}~~WAS-1~~, consisting of two documents, was prepared
12 under my direction and supervision. Document No. 1 contains
13 the GPIF schedules. Document No. 2 is a summary of the GPIF
14 targets for the 2007 period.

15
16 **GPIF Calculations**

17 Q. Which generating units on Tampa Electric's system are included
18 in the determination of the GPIF?

19
20 A. Four of the company's coal-fired units, one integrated
21 gasification combined cycle unit and one natural gas combined
22 cycle unit are included. These are Big Bend Station units 1
23 through 4, Polk Power Station unit 1 and Bayside unit 1.

24
25 Q. Do the exhibits you prepared comply with Commission-approved

1 GPIF methodology?

2
3 A. Yes, the documents are consistent with the GPIF Implementation
4 Manual previously approved by the Commission, with the
5 exception of the criterion that the company shall include
6 generating units that will represent at least 80 percent of
7 projected system net generation.

8
9 Q. Please explain why does Tampa Electric does not include units
10 that represent 80 percent of projected system net generation?

11
12 A. Due to the repowering of Gannon unit 6 to H. L. Culbreath
13 Bayside ("Bayside") unit 2, the remaining GPIF units do not
14 represent 80 percent of projected system net generation.
15 Although Bayside unit 2 began commercial operation in 2004 the
16 repowered unit is not included in the GPIF calculations
17 because the company does not have the historical operational
18 data required by the GPIF Implementation Manual to set GPIF
19 targets. In addition, Tampa Electric has no other base load
20 generating unit to substitute for Gannon unit 6. Section 3.2
21 of the GPIF Implementation Manual states that the Commission
22 will approve exclusion of units from the calculation of the
23 GPIF on a case-by-case basis, and the Commission previously
24 approved this exception for Tampa Electric's projected GPIF
25 filings. Therefore, Tampa Electric requests approval of its

1 2007 GPIF calculation excluding the repowered Bayside unit 2.

2
3 Q. Has Tampa Electric modified its GPIF methodology to account
4 for the concerns expressed in Staff's testimony in the 2006
5 fuel hearing?

6
7 A. Yes. As requested by the Commission, Tampa Electric has worked
8 with the Commission Staff and other interested parties to
9 reach a mutually agreeable alternative proposal.

10
11 Q. Please describe the change in methodology.

12
13 A. Tampa Electric Company has agreed to remove the outage hours
14 related to any forced outage that is identified as an outlier.
15 The process of identifying outlying outages includes reviewing
16 three years of historical performance and determining the
17 average length (mean) and variation (standard deviation) of
18 all forced outages. If a forced outage within the current
19 sample period (July 2005 through June 2006) is greater than
20 two standard deviations above the three year average outage
21 duration (mean) its associated hours are removed from the GPIF
22 calculations.

23
24 Q. As a result of the methodology change, were any outages
25 identified as outliers?

1 A. Yes. An outage on Big Bend unit 3 was identified as an
2 outlying outage; therefore, its associated forced outage hours
3 were removed from the study.
4

5 Q. How will the methodology impact the true-up process?
6

7 A. The agreed upon methodology will not impact the true-up
8 process, since no adjustments will be made to exclude
9 outliers.
10

11 Q. Is this methodology consistent with the GPIF Implementation
12 Plan?
13

14 A. Yes. Section 3.3 of the GPIF Implementation Manual allows for
15 removal of outliers in the calculation.
16

17 Q. Please describe how Tampa Electric developed the various
18 factors associated with the GPIF.
19

20 A. Targets were established for equivalent availability and heat
21 rate for each unit considered for the 2007 period. A range of
22 potential improvements and degradations were determined for
23 each of these parameters.
24

25 Q. How were the target values for unit availability determined?

1 A. The Planned Outage Factor or POF and the Equivalent Unplanned
 2 Outage Factor or EUOF were subtracted from 100 percent to
 3 determine the target Equivalent Availability Factor or EAF.
 4 The factors for each of the six units included within the GPIF
 5 are shown on page 5 of Document No. 1.

6
 7 To give an example for the 2007 period, the projected
 8 Equivalent Unplanned Outage Factor for Big Bend unit 2 is
 9 17.74 percent, and the Planned Outage Factor is 5.75 percent.
 10 Therefore, the target equivalent availability factor for Big
 11 Bend unit 2 equals 76.51 percent or:

$$100\% - [(17.74 + 5.75\%)] = 76.51\%$$

12
 13
 14
 15 This is shown on page 4, column 3 of Document No. 1.

16
 17 Q. How was the potential for unit availability improvement
 18 determined?

19
 20 A. Maximum equivalent availability is derived by using the
 21 following formula:

$$22$$

$$23 \quad \text{EAF}_{\text{MAX}} = 100\% - [0.8 (\text{EUOF}_T) + 0.95 (\text{POF}_T)]$$

24
 25 The factors included in the above equations are the same

1 factors that determine the target equivalent availability. To
2 determine the maximum incentive points, a 20 percent reduction
3 in Equivalent Forced Outage Factor or EUOF and Equivalent
4 Maintenance Outage Factor or EMOF, plus a five percent
5 reduction in the Planned Outage Factor are necessary.
6 Continuing with the Big Bend unit 2 example:

$$7 \quad \text{EAF}_{\text{MAX}} = 100\% - [0.8 (17.74\%) + 0.95 (5.75\%)] = 80.34\%$$

9
10 This is shown on page 4, column 4 of Document No. 1.

11 Q. How was the potential for unit availability degradation
12 determined?

13
14 A. The potential for unit availability degradation is
15 significantly greater than the potential for unit availability
16 improvement. This concept was discussed extensively during
17 the development of the incentive. To incorporate this biased
18 effect into the unit availability tables, Tampa Electric uses
19 a potential degradation range equal to twice the potential
20 improvement. Consequently, minimum equivalent availability is
21 calculated using the following formula:

$$22 \quad \text{EAF}_{\text{MIN}} = 100\% - [1.4 (\text{EUOF}_T) + 1.10 (\text{POF}_T)]$$

23
24
25 Again, continuing with the Big Bend unit 2 example,

1 EAF_{MIN} = 100% - [1.4 (17.74%) + 1.10 (5.75%)] = 68.83%

2
3 The equivalent availability maximum and minimum for the other
4 four units are computed in a similar manner.

5
6 Q. How did Tampa Electric determine the Planned Outage,
7 Maintenance Outage, and Forced Outage Factors?

8
9 A. The company's planned outages for January through December
10 2007 are shown on page 19 of Document No. 1. Three GPIF units
11 have a major outage (28 days or greater) in 2007; therefore,
12 three Critical Path Method diagrams are provided. Planned
13 Outage Factors are calculated for each unit. For example, Big
14 Bend unit 4 is scheduled for a planned outage from February 1,
15 2007 to April 30, 2007. There are 2,136 planned outage hours
16 scheduled for the 2006 period, and a total of 8,760 hours
17 during this 12-month period. Consequently, the Planned Outage
18 Factor for Big Bend unit 4 is 24.38 percent or:

19
20 $\frac{2,136}{8,760} \times 100 = 24.38\%$
21

22
23 The factor for each unit is shown on pages 5 and 13 through 18
24 of Document No. 1. Big Bend unit 1 has a Planned Outage
25 Factor of 3.84 percent. Big Bend unit 2 has a Planned Outage

1 Factor of 5.75 percent. Big Bend 3 has a Planned Outage
 2 Factor of 8.49 percent. Polk unit 1 has a Planned Outage
 3 Factor of 3.29 percent and Bayside unit 1 has a Planned Outage
 4 Factor of 9.59 percent.

5
 6 Q. How did you determine the Forced Outage and Maintenance Outage
 7 Factors for each unit?

8
 9 A. Graphs for both factors, adjusted for planned outages, versus
 10 time were prepared. Monthly data and 12-month rolling average
 11 data were recorded. For each unit the most current 12-month
 12 ending value, June 2006, was used as a basis for the
 13 projection. All projected factors are based upon historical
 14 unit performance unless adjusted for outlying forced outages.
 15 These target factors are additive and result in an Equivalent
 16 Unplanned Outage Factor of 16.12 percent for Big Bend unit 4.
 17 The Equivalent Unplanned Outage Factor for Big Bend unit 4 is
 18 verified by the data shown on page 16, lines 3, 5, 10 and 11
 19 of Document No. 1 and calculated using the following formula:

$$20$$

$$21 \quad \text{EUOF} = \frac{(\text{EFOH} + \text{EMOH})}{\text{Period Hours}} \times 100$$

$$22$$

23 Or

24

25

$$\text{EUOF} = \frac{(1,129 + 284)}{8,760} \times 100 = 16.12\%$$

Relative to Big Bend unit 4, the EUOF of 16.12 percent forms the basis of the equivalent availability target development as shown on pages 4 and 5 of Document No. 1.

Big Bend Unit 1

The projected Equivalent Unplanned Outage Factor for this unit is 35.47 percent. The unit will have a planned outage in 2007, and the Planned Outage Factor is 3.84 percent. Therefore, the target equivalent availability for this unit is 60.69 percent.

Big Bend Unit 2

The projected Equivalent Unplanned Outage Factor for this unit is 17.74 percent. The unit will have a planned outage in 2007, and the Planned Outage Factor is 5.75 percent. Therefore, the target equivalent availability for this unit is 76.51 percent.

Big Bend Unit 3

The projected Equivalent Unplanned Outage Factor for this unit is 34.15 percent. The unit will have a planned outage in 2007, and the Planned Outage Factor is 8.49 percent.

1 Therefore, the target equivalent availability for this unit is
2 57.36 percent.

3
4 Big Bend Unit 4

5 The projected Equivalent Unplanned Outage Factor for this unit
6 is 16.12 percent. The unit will have a planned outage in
7 2007, and the Planned Outage Factor is 24.38 percent.
8 Therefore, the target equivalent availability for this unit is
9 59.50 percent.

10
11 Polk Unit 1

12 The projected Equivalent Unplanned Outage Factor for this unit
13 is 8.36 percent. The unit will have a planned outage in 2007,
14 and the Planned Outage Factor is 3.29 percent. Therefore, the
15 target equivalent availability for this unit is 88.35 percent.

16
17 Bayside Unit 1

18 The projected Equivalent Unplanned Outage Factor for this unit
19 is 9.39 percent. The unit will have a planned outage in 2007,
20 and the Planned Outage Factor is 9.59 percent. Therefore, the
21 target equivalent availability for this unit is 81.02 percent.

22
23 Q. Please summarize your testimony regarding Equivalent
24 Availability Factor.

25

1 A. The GPIF system weighted Equivalent Availability Factor of
2 64.3 percent is shown on Page 5 of Document No. 1. This
3 target is similar to the July 2005 through June 2006 GPIF
4 period. Contributing to the system EAF are the planned outages
5 at Big Bend unit 4 to install SCR equipment.

6
7 Q. Why are Forced and Maintenance Outage Factors adjusted for
8 planned outage hours?

9
10 A. The adjustment makes the factors more accurate and comparable.
11 Obviously, a unit in a planned outage stage or reserve
12 shutdown stage will not incur a forced or maintenance outage.
13 Since the units in the GPIF are usually base load units,
14 reserve shutdown is generally not a factor.

15
16 To demonstrate the effects of a planned outage, note the
17 Equivalent Unplanned Outage Rate and Equivalent Unplanned
18 Outage Factor for Big Bend unit 4 on page 16 of Document No.
19 1. During the months of January and May through December, the
20 Equivalent Unplanned Outage Rate and the Equivalent Unplanned
21 Outage Factor are equal. This is because no planned outages
22 are scheduled during these months. During the months of
23 February through April, the Equivalent Unplanned Outage Rate
24 exceeds Equivalent Unplanned Outage Factor due to the
25 scheduling of a planned outage. Therefore, the adjusted

1 factors apply to the period hours after the planned outage
2 hours have been extracted.

3
4 Q. Does this mean that both rate and factor data are used in
5 calculated data?

6
7 A. Yes. Rates provide a proper and accurate method of
8 determining the unit parameters, which are subsequently
9 converted to factors. Therefore,

$$10 \qquad \qquad \qquad \text{FOF} + \text{MOF} + \text{POF} + \text{EAF} = 100\%$$

11
12
13 Since factors are additive, they are easier to work with and
14 to understand.

15
16 Q. Has Tampa Electric prepared the necessary heat rate data
17 required for the determination of the GPIF?

18
19 A. Yes. Target heat rates and ranges of potential operation have
20 been developed as required and have been adjusted to reflect
21 the aforementioned agreed upon GPIF methodology.

22
23 Q. How were these targets determined?

24
25 A. Net heat rate data for the three most recent July through June

1 annual periods formed the basis of the target development.
2 The historical data and the target values are analyzed to
3 assure applicability to current conditions of operation. This
4 provides assurance that any periods of abnormal operations or
5 equipment modifications having material effect on heat rate
6 can be taken into consideration.
7

8 Q. How were the ranges of heat rate improvement and heat rate
9 degradation determined?
10

11 A. The ranges were determined through analysis of historical net
12 heat rate and net output factor data. This is the same data
13 from which the net heat rate versus net output factor curves
14 have been developed for each unit. This information is shown
15 on pages 29 through 34 of Document No. 1.
16

17 Q. Please elaborate on the analysis used in the determination of
18 the ranges.
19

20 A. The net heat rate versus net output factor curves are the
21 result of a first order curve fit to historical data. The
22 standard error of the estimate of this data was determined,
23 and a factor was applied to produce a band of potential
24 improvement and degradation. Both the curve fit and the
25 standard error of the estimate were performed by computer

1 program for each unit. These curves are also used in post-
2 period adjustments to actual heat rates to account for
3 unanticipated changes in unit dispatch.

4
5 Q. Please summarize your heat rate projection (Btu/Net kWh) and
6 the range about each target to allow for potential improvement
7 or degradation for the 2007 period.

8
9 A. The heat rate target for Big Bend unit 1 is 10,971 Btu/Net
10 kWh. The range about this value, to allow for potential
11 improvement or degradation, is ± 497 Btu/Net kWh. The heat rate
12 target for Big Bend unit 2 is 10,484 Btu/Net kWh with a range
13 of ± 361 Btu/Net kWh. The heat rate target for Big Bend unit 3
14 is 11,090 Btu/Net kWh, with a range of ± 908 Btu/Net kWh. The
15 heat rate target for Big Bend unit 4 is 10,828 Btu/Net kWh
16 with a range of ± 651 Btu/Net kWh. The heat rate target for
17 Polk unit 1 is 10,428 Btu/Net kWh with a range of $\pm 1,011$
18 Btu/Net kWh. The heat rate target for Bayside unit 1 is 7,378
19 Btu/Net kWh with a range of ± 277 Btu/Net kWh. A zone of
20 tolerance of ± 75 Btu/Net kWh is included within the range for
21 each target. This is shown on page 4, and pages 7 through 12
22 of Document No. 1.

23
24 Q. Do the heat rate targets and ranges in Tampa Electric's
25 projection meet the criteria of the GPIF and the philosophy of

1 the Commission?

2
3 A. Yes.

4
5 Q. After determining the target values and ranges for average net
6 operating heat rate and equivalent availability, what is the
7 next step in the GPIF?

8
9 A. The next step is to calculate the savings and weighting factor
10 to be used for both average net operating heat rate and
11 equivalent availability. This is shown on pages 7 through 12.
12 The baseline production costing analysis was performed to
13 calculate the total system fuel cost if all units operated at
14 target heat rate and target availability for the period. This
15 total system fuel cost of \$1,079,796.6 is shown on page 6,
16 column 2.

17
18 Multiple production cost simulations were performed to
19 calculate total system fuel cost with each unit individually
20 operating at maximum improvement in equivalent availability
21 and each station operating at maximum improvement in average
22 net operating heat rate. The respective savings are shown on
23 page 6, column 4 of Document No. 1.

24
25 After all of the individual savings are calculated, column 4

1 totals \$58,301,700 which reflects the savings if all of the
2 units operated at maximum improvement. A weighting factor for
3 each parameter is then calculated by dividing individual
4 savings by the total. For Big Bend unit 1, the weighting
5 factor for equivalent availability is 12.26 percent as shown
6 in the right-hand column on page 6. Pages 7 through 12 of
7 Document No. 1 show the point table, the Fuel Savings / (Loss)
8 and the equivalent availability or heat rate value. The
9 individual weighting factor is also shown. For example, on
10 Big Bend unit 2, page 8, if the unit operates at 80.3 percent
11 equivalent availability, fuel savings would equal \$4,148,500
12 and ten equivalent availability points would be awarded.

13
14 The GPIF Reward/Penalty Table on page 2 is a summary of the
15 tables on pages 7 through 12. The left-hand column of this
16 document shows the incentive points for Tampa Electric. The
17 center column shows the total fuel savings and is the same
18 amount as shown on page 6, column 4, or \$58,301,700. The
19 right hand column of page 2 is the estimated reward or penalty
20 based upon performance.

21
22 Q. How was the maximum allowed incentive determined?

23
24 A. Referring to page 3, line 14, the estimated average common
25 equity for the period January through December 2007 is

1 \$1,473,616,457. This produces the maximum allowed
2 jurisdictional incentive of \$5,829,646 shown on line 21.

3
4 Q. Are there any other constraints set forth by the Commission
5 regarding the magnitude of incentive dollars?

6
7 A. Yes. Incentive dollars are not to exceed 50 percent of fuel
8 savings. Page 2 of Document No. 1 demonstrates that this
9 constraint is met.

10
11 Q. Please summarize your testimony on the GPIF.

12
13 A. Tampa Electric has complied with the Commission's directions,
14 philosophy, and methodology in its determination of the GPIF.
15 The GPIF is determined by the following formula for
16 calculating Generating Performance Incentive Points (GPIP):

17
18 GPIF: = (0.1226 EAP_{BB1} + 0.0712 EAP_{BB2}
19 + 0.1713 EAP_{BB3} + 0.1300 EAP_{BB4}
20 + 0.0559 EAP_{PK1} + 0.0040 EAP_{BAY1}
21 + 0.0512 HRP_{BB1} + 0.0408 HRP_{BB2}
22 + 0.0730 HRP_{BB3} + 0.0627 HRP_{BB4}
23 + 0.0727 HRP_{PK} + 0.1446 HRP_{BAY1})

1 Where:

2 GPIIP = Generating Performance Incentive Points.

3 EAP = Equivalent Availability Points awarded/deducted for
4 Big Bend units 1, 2, 3, and 4, Polk unit 1 and Bayside
5 unit 1.

6 HRP = Average Net Heat Rate Points awarded/deducted for
7 Big Bend units 1, 2, 3, and , Polk unit 1 and Bayside
8 unit 1.

9
10 Q. Have you prepared a document summarizing the GPIIF targets for
11 the January through December 2007 period?

12
13 A. Yes. Document No. 2 entitled "Summary of GPIIF Targets"
14 provides the availability and heat rate targets for each unit.

15
16 Q. Does this conclude your testimony?

17
18 A. Yes.
19
20
21
22
23
24
25

1 CHAIRMAN EDGAR: Captain Williams.

2 CAPTAIN WILLIAMS: We would call Witness Goins.

3 CHAIRMAN EDGAR: Witness Goins.

4 DENNIS GOINS

5 was called as a witness on behalf of the Federal Executive
6 Agencies and, having been duly sworn, testified as follows:

7 DIRECT EXAMINATION

8 BY CAPTAIN WILLIAMS:

9 Q Okay. Please state your name and business address
10 for the record.

11 A My name is Dennis Goins. My business address is
12 5801 Westchester Street, Alexandria, Virginia 22310.

13 Q And were you previously in the hearing room when,
14 when the other witnesses were sworn in?

15 A I was.

16 Q And what is your position and whom are you employed
17 by?

18 A I'm self-employed doing business as Potomac
19 Management Group. I have been since 1985.

20 Q Okay. And have you also filed testimony in this case
21 dated 22, September, 2006?

22 A I have.

23 Q And were there also exhibits attached to that
24 testimony?

25 A Yes, there were.

1 Q Okay. And are there any changes or corrections to
2 your testimony?

3 A No, not at this time.

4 Q And if asked the same questions that you were asked
5 in your testimony, would your responses be the same today?

6 A They would.

7 CAPTAIN WILLIAMS: We ask that the prefiled testimony
8 be entered as if read.

9 CHAIRMAN EDGAR: The prefiled testimony will be
10 entered into the record as if read.

11 CAPTAIN WILLIAMS: And we also ask that the attached
12 exhibits which are designated as a DWG-1, DWG-2 and DWG-3 and
13 identified in staff's exhibit list as 50 through 52 for ID also
14 be similarly admitted.

15 CHAIRMAN EDGAR: Let's go ahead and hear the
16 testimony, and then we'll enter the exhibits, if there's no
17 objection, at the end of the testimony.

18 CAPTAIN WILLIAMS: Okay.

19 (Exhibits 50 through 52 marked for identification.)
20
21
22
23
24
25

STATE OF FLORIDA
BEFORE THE
PUBLIC SERVICE COMMISSION

RE: FUEL AND PURCHASED POWER COST RECOVERY)
CLAUSE WITH GENERATING PERFORMANCE INCENTIVE)
FACTOR - FLORIDA POWER & LIGHT COMPANY)

Docket No. 060001-EI

DIRECT TESTIMONY OF
DR. DENNIS W. GOINS
ON BEHALF OF THE
FEDERAL EXECUTIVE AGENCIES

INTRODUCTION AND QUALIFICATIONS

1
2
3
4
5
6
7
8
9
10
11
12
13

Q. PLEASE STATE YOUR NAME, OCCUPATION, AND BUSINESS ADDRESS.

A. My name is Dennis W. Goins. I operate Potomac Management Group, an economics and management consulting firm. My business address is 5801 Westchester Street, Alexandria, Virginia 22310.

Q. PLEASE DESCRIBE YOUR EDUCATIONAL AND PROFESSIONAL BACKGROUND.

A. I received a Ph.D. degree in economics and a Master of Economics degree from North Carolina State University. I also earned a B.A. degree with honors in economics from Wake Forest University. Following graduate school I worked as a staff economist at the North Carolina Utilities Commission. During my tenure at the Commission I testified in numerous

1 cases involving electric, gas, and telephone utilities on such issues as cost
2 of service, rate design, intercorporate transactions, and load forecasting. I
3 also served as a member of the Ratemaking Task Force in the national
4 Electric Utility Rate Design Study sponsored by the Electric Power
5 Research Institute (EPRI) and the National Association of Regulatory
6 Utility Commissioners (NARUC).

7 Since leaving the Commission I have worked as an economic and
8 management consultant to firms and organizations in the private and
9 public sectors. My assignments focus primarily on pricing, market
10 structure, planning, and policy issues involving firms that operate in
11 energy markets. For example, I have conducted detailed analyses of
12 product pricing, cost of service, rate design, and interutility planning,
13 operations, and pricing; prepared analyses related to utility mergers,
14 transmission access and pricing, and the emergence of competitive
15 markets; evaluated and developed regulatory incentive mechanisms
16 applicable to utility operations; and assisted clients in analyzing and
17 negotiating interchange agreements and power and fuel supply contracts.
18 I have also assisted clients on electric power market restructuring issues in
19 Arkansas, New Jersey, New York, South Carolina, Texas, and Virginia.

20 I have participated in more than 100 proceedings before state and
21 federal agencies as an expert in cost of service, rate design, utility
22 restructuring, power market planning and operations, utility mergers,
23 utility planning and operating practices, regulatory policy, management
24 prudence, and competitive market issues. These agencies include the
25 Federal Energy Regulatory Commission (FERC), the General Accounting
26 Office (now the Government Accountability Office), the United States

1 Court of Federal Claims, the First Judicial District Court of Montana, the
2 Circuit Court of Kanawha County, West Virginia, and regulatory agencies
3 in Alabama, Arizona, Arkansas, Colorado, Florida, Georgia, Idaho,
4 Illinois, Kentucky, Louisiana, Maine, Massachusetts, Minnesota,
5 Mississippi, New Jersey, New York, North Carolina, Ohio, Oklahoma,
6 South Carolina, Texas, Utah, Vermont, Virginia, and the District of
7 Columbia. Details of my professional qualifications are presented in
8 Appendix A.

9 **Q. ON WHOSE BEHALF ARE YOU APPEARING IN THIS**
10 **PROCEEDING?**

11 **A.** I am appearing on behalf of the Federal Executive Agencies (FEA), which
12 is comprised of all Federal facilities served by Florida Power & Light
13 Company (FPL). Some of the largest FEA facilities include Patrick Air
14 Force Base, Cape Canaveral Air Station, and the Kennedy Space Center.

15 **Q. WHAT ASSIGNMENT WERE YOU GIVEN WHEN YOU WERE**
16 **RETAINED?**

17 **A.** I was asked to undertake two primary tasks:

- 18 1. Review FPL's proposed 2007 Fuel Cost Recovery (FCR) factors
19 and Capacity Cost Recovery (CCR) factors—including supporting
20 data and information. In particular, I was asked to focus on how
21 FPL develops CCR factors applicable to interruptible customers.
- 22 2. Identify any major deficiencies in FPL's proposed factors and
23 suggest recommended changes.

1 Q. WHAT INFORMATION DID YOU REVIEW IN CONDUCTING
2 YOUR EVALUATION?

3 A. I reviewed FPL's application, testimony, and exhibits. I also reviewed
4 documents and information found on web sites operated by the
5 Commission and FPL.

6 CONCLUSIONS

7 Q. WHAT CONCLUSIONS HAVE YOU REACHED?

8 A. On the basis of my review and evaluation, I have concluded the following:

- 9 1. In general FPL has followed past practices in developing its
10 proposed FCR and CCR factors—including factors for customers
11 served under its Commercial/Industrial Load Control (CILC) Rate.
12 Exceptions described by FPL's witnesses include a levelized bill
13 methodology proposal¹ and recovery of costs associated with the
14 Southeast Supply Header pipeline and the MoBay and BayGas
15 storage projects.
- 16 2. CILC customers buy interruptible² (nonfirm) service—that is, they
17 agree to curtail (through active load reductions) or displace
18 (through on-site generation) at least 200 kW of load during peak
19 periods when requested by FPL. In exchange for interrupting load
20 when FPL decides such interruptions are necessary, CILC
21 customers pay a discounted price for their nonfirm (that is, Load

¹ Under this proposed methodology, FPL attempts to mitigate the bill impacts of its new Generation Base Rate Adjustment (GBRA) for Turkey Point Unit 5.

² In my testimony I use *interruptible* and *curtailable* interchangeably in discussing nonfirm service.

- 1 Control) loads. This price discount reflects in part the cost of
2 production capacity that FPL avoids by not having to add or buy
3 capacity to serve interruptible load.
- 4 3. In developing CCR factors, FPL inappropriately assigned CILC
5 customers responsibility for *demand-related production costs*
6 associated with capacity purchases, even though they do not cause
7 FPL to incur these costs. Because FPL classifies more than 90
8 percent of its nonfuel purchased capacity costs as demand-related
9 costs, FPL's improper cost assignment results in grossly overstated
10 CCR factors for CILC customers.
- 11 4. FPL also classifies part of its nonfuel purchased capacity costs as
12 energy-related costs using the Commission-approved 12 CP and
13 1/13th methodology, and recovers them through CCR factors.
14 FPL's proposed CCR factors for CILC customers reflect a
15 reasonable assignment of these costs to CILC customers.
- 16 5. FCR factors for CILC customers reflect in part their assigned
17 responsibility for fuel costs associated with off-system purchases.
18 FPL's treatment of CILC customers in developing these factors
19 appears reasonable.

20

RECOMMENDATIONS

21 **Q. WHAT DO YOU RECOMMEND ON THE BASIS OF THESE**
22 **CONCLUSIONS?**

23 **A.** I recommend that the Commission:

- 1 1. Require FPL to exclude nonfirm (Load Control) demands in
2 calculating the *demand-related production cost component* of
3 Capacity Cost Recovery factors for CILC customers. Excluding
4 such demands is necessary to avoid charging CILC customers for
5 demand-related purchased capacity costs that they do not cause
6 and for which they should not be responsible.
- 7 2. Adopt my recommended CCR factors, the development of which I
8 describe in detail later in my testimony. The principal difference
9 between these CCR factors and those proposed by FPL is that my
10 recommended factors reflect no assignment to CILC customers of
11 demand-related production costs associated with off-system
12 purchases.

13 **FPL'S PROPOSED FCR AND CCR FACTORS**

14 **Q. HOW DID FPL DEVELOP ITS PROPOSED FUEL COST AND**
15 **CAPACITY COST RECOVERY FACTORS?**

16 **A.** In general, FPL followed past practices in developing its proposed FCR
17 and CCR factors. Instances in which FPL deviated from past practices—
18 for example, its levelized bill methodology proposal³ and recovery of costs
19 associated with the Southeast Supply Header pipeline and the MoBay and
20 BayGas storage projects—are described by FPL's witnesses.

³ As I noted earlier, FPL proposes using this methodology to mitigate the bill impacts of its new GBRA for Turkey Point Unit 5.

1 Q. DID FPL USE THE SAME APPROACH TO DEVELOP FCR AND
2 CCR FACTORS FOR INTERRUPTIBLE CUSTOMERS THAT IT
3 USED IN PRIOR CASES?

4 A. Yes. With respect to its interruptible CILC program, FPL followed its
5 traditional approach in developing FCR and CCR factors for customers
6 served under Rate CILC-1.⁴ For example, in developing FCR factors for
7 CILC customers, FPL assigned these customers responsibility for not only
8 a share of its on-system generation fuel costs, but also a share of fuel costs
9 associated with off-system purchases. Similarly, in developing CCR
10 factors, FPL classified part of its nonfuel purchased capacity costs as
11 energy-related costs using the Commission-approved 12 CP and 1/13th
12 methodology, and assigned a share of these costs to interruptible CILC
13 customers. These costs assignments are reasonable.

14 Q. DO YOU AGREE WITH HOW FPL ASSIGNED OTHER COSTS IN
15 DEVELOPING CCR FACTORS FOR CILC CUSTOMERS?

16 A. No. One element of FPL's traditional approach is problematic. More
17 specifically, in developing CCR factors, FPL continued its past practice of
18 assigning CILC customers responsibility for *demand-related production*
19 *costs* associated with capacity purchases, even though CILC customers do
20 not cause FPL to incur these costs. Because FPL classifies more than 90
21 percent of its nonfuel purchased capacity costs as demand-related costs,⁵

⁴ See FPL's September 1, 2006 filing in this docket, Appendixes III and IV. FPL's proposed FCR factors using its levelized bill methodology are shown in Appendix II.

⁵ Demand-related production costs account for the bulk of FPL's nonfuel purchased capacity expense.

1 FPL's improper cost assignment results in grossly overstated CCR factors
2 for CILC customers.

3 **Q. WHY SHOULD DEMAND-RELATED PRODUCTION COSTS**
4 **ASSOCIATED WITH FPL'S CAPACITY PURCHASES NOT BE**
5 **ASSIGNED TO CILC CUSTOMERS?**

6 **A.** The simple reason is FPL does not plan to install or buy firm capacity to
7 serve interruptible load. By excluding interruptible load from its peak-
8 load capacity requirements, FPL achieves capacity-cost savings by not
9 having to build or purchase capacity to serve the interruptible load. The
10 avoided capacity includes not only capacity required to serve the
11 interruptible load, but also reserve capacity that would have been built or
12 acquired to provide reliability if interruptible customers had chosen firm
13 service. Capacity-cost savings attributable to interruptible load include
14 avoided fixed costs—for example, capital costs (including return),
15 insurance, interest, taxes, and fixed nonfuel operation and maintenance
16 (O&M) expense—and avoided variable costs—for example, fuel and
17 variable O&M expense.

18 Interruptible load enables FPL to maximize the value of its existing
19 reserve capacity and to avoid installing and/or purchasing new capacity.
20 The available supply of interruptible service depends on the relationship
21 between available capacity and firm service demands. That is, if FPL's
22 demands command all available generating capacity, the supply of
23 interruptible service falls to zero. When firm demands are significantly
24 less than available capacity, the supply of interruptible service is
25 significantly greater.

1 Q. UNDER WHAT CONDITIONS CAN FPL INTERRUPT CILC
2 CUSTOMERS?

3 A. Under Rate CILC, FPL can interrupt load when necessary to:

- 4 ■ Alleviate a power supply or transmission emergency condition
5 or capacity shortage.
- 6 ■ Keep FPL from operating its generators above their
7 continuous rated output.

8 Q. DO BASIC ECONOMIC PRINCIPLES SUPPORT EXCLUDING
9 FIXED DEMAND-RELATED PRODUCTION COSTS FROM
10 PRICES FOR INTERRUPTIBLE SERVICE?

11 A. Yes. Fundamental economic theory demonstrates that interruptible
12 customers do not cause a utility to incur demand-related production and
13 bulk transmission costs. For example, Professor James C. Bonbright, a
14 recognized pricing authority, advocated pricing interruptible service to
15 reflect no capacity-related cost of service:

16 Interruptible service has been used by both gas and electric
17 companies for peak shaving. The costs cannot be accurately
18 determined because it is a byproduct resulting from generating
19 and bulk transmission facilities built and operated for firm
20 service (see Nissel, 1983). As a result, only the customer cost
21 (e.g., customer-connected spur lines and substations) and
22 energy costs (e.g., fuel and incremental maintenance cost)
23 actually incurred and *no capacity pricing cost should be*
24 *included in pricing interruptible service.*

1 While some feel that it is an impropriety to treat interruptible
2 customers as if they were firm customers, they still opine that it
3 would be fair and reasonable to obtain a small contribution from
4 them for capacity costs. This is debatable.⁶ (Emphasis added.)

5 **Q. ARE INTERRUPTIBLE CUSTOMERS “FREE RIDERS” IF THEY**
6 **PAY NO DEMAND-RELATED PRODUCTION COSTS?**

7 **A.** No. As noted by Professor Bonbright, eliminating fixed capacity costs
8 from interruptible prices might cause some to make the fallacious but
9 politically attractive argument that interruptible customers are “free
10 riders.” However, an efficient pricing scheme requires customers to pay
11 only for costs attributable to their demands. Since a utility does not build
12 or acquire generating capacity to serve interruptible load, only firm service
13 prices should include recovery of demand-related production costs.

14 Despite Professor Bonbright’s pricing rule, most interruptible rates—
15 including FPL’s Rate CILC and associated CCR factors—recover a large
16 portion of the utility’s fixed costs of capacity built or acquired to serve
17 only firm loads. This fact alone empirically demonstrates that
18 interruptible customers are not “free riders.”

19 **Q. ARE ANY FEA CUSTOMERS SERVED UNDER RATE CILC?**

20 **A.** Yes. At least one account for each of the major FEA customers I noted
21 earlier is served at transmission voltage under Rate CILC-1T.⁷

⁶ James C. Bonbright, Albert L. Danielsen, and David R. Kamerschen, *Principles of Public Utility Rates*, Arlington, Virginia: Public Utilities Reports, Inc., 1988, page 502.

⁷ FPL closed Rate CILC-1 to new customers in 2000.

1 Q. DO CILC CUSTOMERS PAY A LOWER PRICE FOR NONFIRM
2 DEMAND THAN THEY PAY FOR THEIR FIRM DEMAND?

3 A. Yes. In exchange for agreeing to interrupt load when FPL decides such
4 interruptions are necessary, CILC customers pay a discounted price for
5 their nonfirm (that is, Load Control) loads.

6 Q. DOES RATE CILC'S DISCOUNTED NONFIRM DEMAND PRICE
7 ALREADY COMPENSATE THEM FOR DEMAND-RELATED
8 PURCHASED CAPACITY COSTS THAT FPL AVOIDS?

9 A. No. The implicit price discount for nonfirm demands in Rate CILC and
10 the rate's CCR factors are determined in separate venues—the first in a
11 general rate case and the second in FPL's annual fuel proceeding. Rate
12 CILC's implicit price discount reflects only FPL's embedded demand-
13 related production costs—not FPL's combined embedded production costs
14 and purchased capacity costs. However, the basic premise underlying the
15 development of the implicit CILC price discount should also apply to Rate
16 CILC's CCR factors. That is, FPL does not build or buy firm capacity to
17 serve interruptible load. CILC customers should not be charged either
18 through base rates or purchased capacity CCR factors for demand-related
19 production costs they do not cause.

20 Q. IF FPL EXCLUDED NONFIRM DEMANDS IN CALCULATING
21 CCR FACTORS FOR RATE CILC, WOULD CILC CUSTOMERS
22 GET AN ADDITIONAL PRICE DISCOUNT TO WHICH THEY
23 ARE NOT ENTITLED?

24 A. No. CILC customers should not be charged for costs they do not cause.

1 Q. HAS THE COMMISSION PREVIOUSLY ADDRESSED
2 WHETHER LOAD CONTROL DEMANDS SHOULD BE USED TO
3 CALCULATE CCR FACTORS FOR CILC CUSTOMERS?

4 A. Yes. In FPL's last fuel case (Docket No. 050001-EI), the Commission
5 considered whether nonfirm demands should be included in calculating
6 CCR factors for CILC customers. The Commission's final order in that
7 case said in part:⁸

8 ...If the demands of CILC customers were excluded in
9 calculating the capacity cost recovery factors, these customers
10 would receive an additional discount that we do not believe is
11 justified. This additional discount of approximately \$21.8
12 million for the 2006 projection period would then
13 inappropriately be recovered from the remaining ratepayers.
14 Accordingly, we find that it is appropriate to include the full
15 demand responsibility of the CILC customers in determining
16 the appropriate factors. This is consistent with the method that
17 has been filed by FPL and we have approved in the past. *No*
18 *evidence was presented at the hearing that supports a change*
19 *in this method. Based on the evidence in the record, the*
20 *demands of the CILC customers shall continue to be included*
21 *when calculating the appropriate capacity cost recovery*
22 *factors.* (Emphasis added.)

⁸ Order No. PSC-05-1252-FOF-EI at 20.

1 Q. DOES YOUR TESTIMONY ADDRESS CONCERNS RAISED BY
2 THE COMMISSION IN ITS FINAL ORDER?

3 A. Yes. As I stated earlier, Professor Bonbright agrees that interruptible
4 prices should exclude capacity costs. CILC customers are currently
5 charged for demand-related purchased capacity costs they do not cause
6 FPL to incur. In calculating CCR factors, CILC nonfirm demands should
7 be excluded to prevent CILC customers from being unfairly assigned
8 demand-related production costs from FPL's off-system purchases.

9 **ALTERNATIVE APPROACH**

10 Q. HAVE YOU DEVELOPED CCR FACTORS THAT REFLECT
11 YOUR RECOMMENDED TREATMENT OF CILC NONFIRM
12 DEMANDS?

13 A. Yes. In developing these CCR factors, I used the same basic approach as
14 FPL⁹ except that I excluded nonfirm CILC demands in calculating each
15 rate schedule's assigned share of *demand-related production costs* from
16 FPL's off-system purchases. My approach used a simple 2-step
17 calculation in which I first assigned the following costs to all classes
18 (including CILC customers):

19 ■ Fixed purchased capacity costs classified as energy-related
20 costs using the Commission-approved 12 CP and 1/13th
21 methodology. I assigned these costs on the basis of each rate
22 group's kWh use.

⁹ See FPL's September 1, 2006 filing in this docket, Appendix III at 4-5.

1 ■ Plant security costs as requested by FPL.¹⁰ I assigned these
2 costs on the basis of each rate group's coincident peak
3 demands.

4 ■ Transmission-related costs (including revenue credits)
5 associated with off-system transactions. I also assigned these
6 costs on the basis of each rate group's coincident peak
7 demands.¹¹

8 I treated all other nonfuel purchased capacity costs as demand-related
9 production costs. I then assigned these costs to all rate groups except
10 CILC customers using their coincident peak demands as allocation factors.
11 (See Exhibits DWG-1 and DWG-2.)

12 **Q. DID YOU COMPARE CCR FACTORS DEVELOPED USING**
13 **YOUR RECOMMENDED APPROACH TO THOSE DEVELOPED**
14 **UNDER FPL'S APPROACH?**

15 **A.** Yes. As shown in Exhibit No. DWG-3, the CCR factor under my
16 recommended approach for all CILC customers is \$0.31 per kW versus
17 \$2.09 per kW for CILC-1D/G customers and \$2.01 per kW for CILC-1T
18 customers under FPL's approach.

¹⁰ See FPL's witness Korel M. Dubin, direct testimony at 22-24. I take no position regarding whether these costs should be recovered through the Capacity Cost Recovery Clause.

¹¹ While Professor Bonbright asserts that bulk transmission costs should be excluded from interruptible prices, I have assigned these transmission-related costs to CILC customers.

1 Q. DOES FPL OFFER INTERRUPTIBLE RATE OPTIONS OTHER
2 THAN RATE CILC?

3 A. Yes. In addition to Rate CILC-1, FPL offers interruptible service to
4 customers under several other rate (or rider) options—for example, the CS
5 and CST rates and Rider CDR.

6 Q. ARE YOU RECOMMENDING SIMILAR CHANGES IN FPL'S
7 PROPOSED CCR FACTORS APPLICABLE TO THESE OTHER
8 NONFIRM RATE OPTIONS?

9 A. No. Unlike Rate CILC, FPL's filing does not identify relevant data (for
10 example, kWh sales and kW demands) necessary to calculate revised CCR
11 factors applicable to customers served under its CS and CST rates and
12 CDR rider. As a result, at this time I am not recommending that CCR
13 factors applicable to these options be calculated in the same manner as I
14 have recommended for Rate CILC-1.

15 Q. DOES THIS COMPLETE YOUR DIRECT TESTIMONY?

16 A. Yes.

1 BY CAPTAIN WILLIAMS:

2 Q Dr. Goins -- it is appropriate to call you Doctor; is
3 that correct?

4 A That will be fine.

5 Q Okay. Could you please summarize your testimony.

6 A Yes. My testimony focuses on one aspect of Florida
7 Power & Light's filing with respect to the development and
8 application of the capacity cost recovery factors.
9 Specifically my recommendation is that the nonfirm loads, CILC
10 interruptible customers be excluded from the calculation of
11 those CCR factors.

12 The basis for my recommendation is that FP&L neither
13 builds nor acquires capacity to serve interruptible customers
14 served under the CILC rate. And as a result, the cost
15 efficient pricing mechanism that should be applicable to
16 interruptible service would exclude demand-related production
17 costs from prices set for the interruptible component of
18 service.

19 Moreover, I think that my proposal is, is quite fair.
20 It's been criticized by some as unfair. In my opinion, it is
21 fair in particular because of the millions of dollars in costs
22 that many of these, over two-thirds, of the loads served under
23 the CILC rate is backed up by customer-owned generation.

24 Customers expended millions of dollars investing in
25 generating plant to qualify for this rate, and to charge them

1 for services which, the cost of which they do not cause in my
2 opinion is unfair. Moreover, I believe that the bill impacts
3 on other customers that would result from my proposal are both
4 reasonable and equitable.

5 CAPTAIN WILLIAMS: Okay. We'll submit the witness
6 for questions.

7 CHAIRMAN EDGAR: Questions on cross for this witness?

8 MR. ANDERSON: Yes, Madam Chairman.

9 CHAIRMAN EDGAR: You're recognized.

10 MR. ANDERSON: Thank you very much.

11 CROSS EXAMINATION

12 BY MR. ANDERSON:

13 Q Good morning, Dr. Goins.

14 A Good morning.

15 Q Can you hear me?

16 A Yes.

17 Q Very good. My name is Bryan Anderson. I'm an
18 attorney representing the Florida Power & Light Company.

19 You've submitted testimony in this case concerning
20 capacity cost recovery allocations to customers served on FPL's
21 commercial and industrial load control tariff; is that right?

22 A That's correct.

23 Q You'll understand me if I refer to CILC as an
24 abbreviation; right?

25 A Yes.

1 Q First off, a moment ago in your summary I think you
2 referred to your proposal being consistent with the
3 Commission's rules. Did you say that?

4 A Yes, I did.

5 Q You were intending to provide a summary of your
6 testimony; is that right?

7 A Yes.

8 Q Would you please point out for us and the Commission
9 the portion of your testimony that says your proposal is
10 consistent with the Commission's rules? I don't see one.

11 A You're correct.

12 Q Thank you.

13 MR. ANDERSON: Chairman Edgar, we'd move to strike
14 that portion of the statement of Dr. Goins.

15 CHAIRMAN EDGAR: Captain Williams.

16 CAPTAIN WILLIAMS: I think that the testimony that
17 was elicited would abbreviate these proceedings. We will
18 simply go back and redirect and ask these same questions. But
19 if this board would like to strike those since they are not
20 actually in his, his testimony, you can do so, and we will ask
21 the question later.

22 MR. ANDERSON: We would object to that also because
23 we don't intend to interrogate on that point. It's a
24 portion -- it's new matter raised only in the summary of the
25 witness's testimony. It's inappropriate. It should be

1 stricken.

2 CHAIRMAN EDGAR: Ms. Helton?

3 MS. HELTON: Madam Chairman, the purpose of the
4 summary of the prefiled testimony is to just give a brief
5 summary of what it is that the customers -- the witness has
6 prefiled before the Commission. Any information outside the
7 scope of that is inappropriate. So I believe that FPL is
8 correct that that can be stricken from the record. And if
9 someone does open the door to asking questions of the witness
10 about what he stated in his summary, then the FEA may ask those
11 questions on redirect.

12 CHAIRMAN EDGAR: Thank you, Ms. Helton.

13 CAPTAIN WILLIAMS: Madam Chairman, if I may be heard
14 just briefly.

15 CHAIRMAN EDGAR: Yes, Captain Williams, you may.

16 CAPTAIN WILLIAMS: As part of these proceedings, and
17 there's all this anticipated testimony that we've provided and
18 that have been submitted, and part of that which is, which the
19 response was to is that we anticipate that FPL will also place
20 Ms. Morley on the stand. And in her testimony this is
21 addressed as part of being consistent. So instead of just
22 bringing him back up here after she testifies or asking that he
23 be brought back up here, he's simply answering her question
24 that she has stated in her testimony, which we anticipate will
25 be filed or admitted in these proceedings. If you would tell

1 us the proper procedure for doing that and getting his response
2 in without having to call this witness back and doing that,
3 we'll be glad to do it. But we didn't want to waste this
4 board's time.

5 CHAIRMAN EDGAR: Ms. Helton?

6 MS. HELTON: I don't have all the background perhaps
7 that I should. Has Dr. Goins been deposed and that has come
8 out in a deposition transcript?

9 CAPTAIN WILLIAMS: He is responding to something that
10 Ms. Morley has said in her rebuttal testimony that we
11 anticipate will be entered here today.

12 MS. HELTON: Unfortunately, Madam Chairman, we don't
13 have a process set up where witnesses or intervenors can rebut
14 the rebuttal testimony that has already been filed. The way we
15 have it set up is someone sets out their direct case and then
16 the company can respond in rebuttal.

17 Presumably what -- I'm not sure that there is a
18 process by which the FEA can get to what he's trying to get to.

19 CHAIRMAN EDGAR: Okay. Then this is my ruling. The
20 court reporter is instructed, when the record is prepared, to
21 strike the comments of the witness as requested by FPL. And on
22 the lunch break, Captain Williams, if you would get with our
23 staff and let's see if there is another way under our rules to
24 accommodate the request. And, if so, we will attempt to do so.
25 But that's where it stands right now. Thank you.

1 MR. ANDERSON: May I proceed?

2 CHAIRMAN EDGAR: You may.

3 BY MR. ANDERSON:

4 Q Dr. Goins, your testimony seeks a \$16 million
5 increase to the \$30 million in annual discounts already
6 received by CILC customers, which discounts are funded by all
7 of FPL's other customers. Isn't that right?

8 A No.

9 Q Was that a yes?

10 A That's a no.

11 Q What part of that do you disagree with, sir?

12 A My testimony does not seek an additional discount for
13 the CILC customers. My testimony focuses on identifying a
14 proper method in which to assign costs to the CILC customers
15 for any costs that they may impose on FPL and its purchase of
16 capacity on an off-system basis.

17 It is my contention that FP&L neither buys nor
18 acquires capacity in any form in order to serve nonfirm load,
19 in particular on a firm basis.

20 If that, in fact, is true, then assigning those costs
21 to the CILC customers as a matter of fact is improper and an
22 improper application of pricing principles, enunciated, for
23 example, by Professor Bonbright in his treatise when he spoke
24 about pricing interruptible service and excluding from that all
25 capacity-related costs.

1 STATE OF FLORIDA)
): CERTIFICATE OF REPORTER
2 COUNTY OF LEON)

3

4 I, LINDA BOLES, CRR, RPR, Official Commission
Reporter, do hereby certify that the foregoing proceeding was
5 heard at the time and place herein stated.


6 IT IS FURTHER CERTIFIED that I stenographically
reported the said proceedings; that the same has been
7 transcribed under my direct supervision; and that this
transcript constitutes a true transcription of my notes of said
8 proceedings.

9 I FURTHER CERTIFY that I am not a relative, employee,
attorney or counsel of any of the parties, nor am I a relative
10 or employee of any of the parties' attorneys or counsel
connected with the action, nor am I financially interested in
11 the action.

12 DATED THIS 8th day of November, 2006.

13

14



LINDA BOLES, CRR, RPR
FPSC Official Commission Reporter
(850) 413-6734

15

16

17

18

19

20

21

22

23

24

25

1 cross-examining the witness, that might help a little.

2 MR. ANDERSON: That would be fine.

3 CAPTAIN WILLIAMS: May we also add in that we have no
4 knowledge of how this thing was prepared, who it's prepared by,
5 if it's actually testimony. We have no testimony. It doesn't
6 seem like it's going to be indicated or admitted into the
7 record. To cross-examine Dr. Goins on this matter seems to be
8 unfair to Dr. Goins and to FEA; to know the source of this
9 document and to cross-examine the person who actually prepared
10 this to find out if it's actually accurate.

11 MS. HELTON: And, Madam Chairman, if I could add that
12 I also agree with the FEA about that.

13 CHAIRMAN EDGAR: Yes, take a few moments. And for
14 planning purposes let me go ahead and ask how many of the
15 parties will also have questions on cross for this witness?

16 Mr. Twomey.

17 MR. TWOMEY: Very briefly, however.

18 CHAIRMAN EDGAR: Okay. Okay. We're going to take an
19 informal couple of minutes very brief recess. Please stay
20 close.

21 (Recess taken.)

22 (Transcript continues in sequence with Volume 5.)

23

24

25

1 interruptions and what year they are is not going to help him
2 remember something that he never had any knowledge of. There's
3 no point to this line of questioning. We object. The witness
4 has no personal knowledge and this goes beyond his testimony.

5 MR. ANDERSON: This is cross-examination subject to
6 check, as is the Commission's practice.

7 CHAIRMAN EDGAR: Ms. Helton?

8 MS. HELTON: It sounds to me as if the FEA is
9 suggesting that this line of questioning is outside the scope
10 of the witness's testimony. And just as the witness cannot
11 give a summary of something outside the scope of his testimony,
12 I don't believe he can testify to something that's outside the
13 scope of his testimony.

14 MR. ANDERSON: The purpose of their testimony is to
15 talk about essentially being undercompensated for providing
16 interruptions. I'm trying to lay out some information
17 concerning how infrequently those interruptions are called and
18 then move on to his own client's performance in relation to the
19 discounts that they receive. It's all directly pertinent to
20 the claim that his clients are undercompensated in relation to
21 the interruption they provide.

22 CHAIRMAN EDGAR: Ms. Helton.

23 MS. HELTON: Can I have a minute to look at his
24 testimony? I haven't seen that. And maybe if Mr. Anderson
25 could direct me to the lines of testimony about which he is

1 A It says, "Force majeure equipment failure."

2 Q This document should be Load Management Customer
3 Control 1985 to Present.

4 A Then we're looking at different documents.

5 Q Okay. Yeah. It's a different document.

6 (Pause.)

7 All right. Dr. Goins, I'm very sorry for having the
8 wrong document before you.

9 Directing your attention to the document called Load
10 Management Customer Control 1985 to Present, looking down to
11 the bottom and just counting up four lines, January 25, 2003,
12 cold weather extremes. Do you see that?

13 A Yes, I do.

14 Q And then in September and October 2004 there's a
15 reference to the load management customer control interruptions
16 for purposes of Hurricane Jeanne damage. Do you see those two?

17 A What was that date? I'm sorry.

18 Q September 27, 2004, and October 1, 2004.

19 A Yes.

20 Q And then August 30, 2005 --

21 CAPTAIN WILLIAMS: Ma'am, I'm going to object to this
22 line of questioning. Dr. Goins has no knowledge about what
23 interruptions there have been. I believe there was a question
24 asked whether or not he knew the number of interruptions that
25 there were and he indicated no. Going down this list of

1 firm contract power and demand. The difference between those
2 two multiplied by the nonfirm or load control load under CILC
3 is approximately equal to \$30 million.

4 Q CILC customers pay about \$30 million per year less in
5 aggregate in exchange for promising to interrupt when required;
6 right?

7 A That's correct.

8 Q Isn't it true in the past five years CILC customers
9 have only been asked to interrupt four times?

10 A That I can't say yes or no to.

11 MR. ANDERSON: Mr. Diaz, would you please distribute
12 the document called Load Management Customer Control?

13 CHAIRMAN EDGAR: Mr. Anderson, do we need to mark it?

14 MR. ANDERSON: I'm sorry?

15 CHAIRMAN EDGAR: Do we need to identify?

16 MR. ANDERSON: I'm not going to offer it in evidence.

17 BY MR. ANDERSON:

18 Q Dr. Goins, have you had a chance to look at the
19 document in front of you?

20 A Yes.

21 Q I'd just like to call your attention to the last four
22 lines of the document and see if I have this right, if you'll
23 accept this subject to check, that in 2003 CILC was implemented
24 one time due to cold weather extremes. Do you see that?
25 Fourth line from the bottom, January 25, 2003.

1 So I am not proposing, as you term it, an additional
2 discount. I am simply saying that the proper method for
3 setting the CCR factor for the CILC classes is as I have
4 proposed in my testimony.

5 Q Let me try a different way. CILC customers are
6 allocated about \$19 million worth of demand-related costs; is
7 that right?

8 A In what form?

9 Q Per your testimony. You're seeking a reduction in
10 the allocation from about \$19 million to \$3 million of
11 demand-related costs; is that right?

12 A That would be the result of my testimony as filed.

13 Q That would be the result of your testimony?

14 A Of a CCR factor.

15 Q Right. You're not proposing that that \$16 million be
16 disallowed at all, are you?

17 A No.

18 Q It would be shifted to nonCILC customers; isn't that
19 right?

20 A That's correct.

21 Q You agree with me the rate CILC customers are
22 presently provided is about \$30 million in discounts?

23 A The difference -- I'm not sure how you define
24 discounts. There is a stated demand charge for CILC nonfirm
25 demand or load control demand. There's a stated price for CILC