


BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 060635-EU

In the Matter of

PETITION FOR DETERMINATION OF NEED FOR  
ELECTRICAL POWER PLANT IN TAYLOR COUNTY  
BY FLORIDA MUNICIPAL POWER AGENCY, JEA,  
REEDY CREEK IMPROVEMENT DISTRICT, AND  
CITY OF TALLAHASSEE.



VOLUME 8

Pages 791 through 885

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE  
A CONVENIENCE COPY ONLY AND ARE NOT  
THE OFFICIAL TRANSCRIPT OF THE HEARING,  
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS:            HEARING

BEFORE:                 CHAIRMAN LISA POLAK EDGAR  
                             COMMISSIONER MATTHEW M. CARTER, II  
                             COMMISSIONER KATRINA J. TEW

DATE:                     Friday, January 12, 2007

TIME:                     Commenced at 10:00 a.m.

PLACE:                   Betty Easley Conference Center  
                             Room 148  
                             4075 Esplanade Way  
                             Tallahassee, Florida

REPORTED BY:            JANE FAUROT, RPR  
                             MARY A. NEEL, RPR

APPEARANCES:           (As heretofore noted.)

## I N D E X

## WITNESSES

NAME:	PAGE NO.
GARY BRINKWORTH	
Continued Cross-Examination by Mr. Jacobs	794
Cross-Examination by Ms. Fleming	799
Redirect Examination by Mr. Raepple	801
Direct Examination by Mr. Raepple (Rebuttal)	804
PAUL HOORNAERT	
Direct Examination by Mr. Perko	808
Prefiled Direct Testimony Inserted	811
Prefiled Supplemental Direct Testimony Inserted	821
Cross-Examination by Ms. Brownless	827
Cross-Examination by Mr. Jacobs	835
Cross-Examination by Ms. Brubaker	840
Redirect Examination by Mr. Perko	840
DANIEL LASHOF	
Direct Examination by Mr. Simms	845
Prefiled Direct Testimony Inserted	853
Cross-Examination by Mr. Jacobs	866
Cross-Examination by Mr. Paben	875
Cross-Examination by Mr. Perko	879
Cross-Examination by Ms. Brubaker	881
CERTIFICATE OF REPORTER	885

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## EXHIBITS

NUMBER:		ID.	ADMTD.
19 and 20			806
23, 24, and 25			843
61, 62, and 63			882
65, 66, 67, 68, and 70			807
105, 106 and 107			807
108	Applicants' Responses to NRDC's First Interrogatories	828	844
109	NRDC's Responses to Staff's First Interrogatories	848	
110	NRDC's Responses to Applicants' First Interrogatories	849	

## P R O C E E D I N G S

(Transcript follows in sequence from Volume 7.)

CHAIRMAN EDGAR: We will call this hearing back to order. And I believe when we stopped for some nourishment, Mr. Jacobs, you were continuing your cross. And if you are ready, we are ready.

MR. JACOBS: Thank you, Madam Chair.

GARY BRINKWORTH

continues his testimony under oath from Volume 7:

## CONTINUED CROSS-EXAMINATION

BY MR. JACOBS:

Q Hi, Mr. Brinkworth. Earlier we were discussing the process that the City of Tallahassee used to assess your DSM portfolio, and I referred you to your deposition, and that page number is 77, and beginning at Line 14. And basically we talked about there that in your assessment you used something called hourly load shapes.

A Yes, that's correct.

Q Could you explain what that means for us?

A Certainly. When we get to the point in our process of having screened applicable DSM measures, we want to now start putting them together in a way that we can use in our production costing analysis, we have to prepare an hourly load shape. And, so what Navigant did for us was to build those hourly chronological shapes in such a way that what that shape

1 represents is the savings of that particular bundle of DSM  
2 measures on an hourly basis for each hour of the year. So you  
3 would get an annual shape that represented energy savings for  
4 that DSM bundle, then you take all of those bundles and add  
5 them together and that produces the savings in each hour for  
6 the total portfolio.

7 Q Now, in that analysis, basically you had to do some  
8 kind of -- and I want to kind of paraphrase, and you can  
9 correct me if I'm wrong, some of kind of the assumptions that  
10 you would have to look at in constructing that load shape. You  
11 would have to look at the end user's consumption profiles?

12 A Yes, you would have to know what end use you were  
13 targeting with that particular bundle.

14 Q And so you would look at multi-family, single family,  
15 and so forth and so on?

16 A That would be correct, yes.

17 Q And I notice that you did commercial measures, so you  
18 would have to look at some of the commercial uses and those  
19 load profiles and use consumption patterns also, would you not?

20 A Yes, that's true.

21 Q Is that different than what the FIRE model does?

22 A It is.

23 Q And could you describe that difference?

24 A Well, we don't use the FIRE Model directly, so I  
25 would have to go from what I generally understand about that

1 model. The FIRE Model is a spreadsheet based, what I would  
2 characterize as a static calculation of cost-effectiveness that  
3 uses measure costs and performance associated with a DSM  
4 program compared to an avoided unit. That methodology, as I  
5 understand it, does not involve any kind of load shapes or  
6 chronological analysis of any type, which makes it distinctly  
7 different from the hourly method that we used.

8 Q And to summarize, essentially, the value of a measure  
9 under the FIRE model looks at how a particular unit that is  
10 going to be operating, how it can shut down that unit, whereas  
11 you look at the uses of your customers and figure out how they  
12 can benefit from this demand reduction?

13 A Let me see if I can say it a little bit differently.

14 Q Thank you.

15 A The way I characterized that is that the FIRE model  
16 looks at the cost of a DSM measure compared to an avoided unit  
17 and tries to identify whether that measure is more or less  
18 expensive than serving that same amount of energy with the  
19 avoided unit, whatever unit that happens to be identified in  
20 the model. Our methodology looks at hourly energy savings from  
21 the DSM package on an hour-by-hour basis, and it does reflect  
22 end use patterns and other sorts of things that you described  
23 because those DSM measures are targeted at particular end uses.

24 Q Okay. And then you describe that you then took and  
25 put these measures into bundles. Do you have access to the

1 petition for need application in front of you?

2 A Yes, I have got the sections here.

3 Q And it is Volume E?

4 A Yes.

5 Q What I particularly want to look at -- and the page  
6 numbers that I have here are E, Volume E. -- let me get to the  
7 bottom here -- 7-11, and on that it is Table E.7-2. And, as I  
8 can understand, this table is actually telling you that over --  
9 in each year when and how your DSM measures are going to give  
10 you relief from your summer peak, your winter peak, and so  
11 forth. Is that a correct statement?

12 A The table is an annual table, and I should probably  
13 point out that I didn't sponsor this portion of our Volume E,  
14 but I can talk generally about what's here. The table does  
15 show the annual contribution to the summer peak and winter peak  
16 and the annual energy reduction for the entire portfolio over  
17 that period from 2007 through 2025.

18 Q And is that how you derived your estimate of your  
19 cost savings from the implementation of your DSM portfolio?

20 A Well, the cost savings is actually done on that  
21 hourly annual basis because we actually use a chronological  
22 production costing model. Actually, I should say  
23 Black & Veatch runs that for us. But the savings are  
24 calculated on an hourly basis and then summed up for the year.

25 Q On the very next page is another table, Table E.7-3,

1 and here it looks like you have described all the particular  
2 bundles that you have used. And I'm not going into particulars  
3 of any of them, but I just want to kind of, again, generally  
4 characterize the table. Now you are saying here is how these  
5 bundles perform?

6 A Generally, that's correct. This table is intended to  
7 show how the bundles contribute to the annual demand and energy  
8 savings that is shown on the proceeding table. So, for  
9 example, I know we weren't going to go through all of these,  
10 but just in the way of clarification, if you look at our first  
11 bundle here on commercial space conditioning. What the table  
12 is telling you is that of the total summer peak demand  
13 reduction by 2025 that particular bundles contributes  
14 22 percent of that demand savings, and it contributes  
15 20 percent of that winter demand savings, and 24 percent of the  
16 projected annual energy savings by 2025.

17 Q Thank you. Now, I note that you don't have any  
18 industrial bundles on here, and I think we discussed at your  
19 deposition that you don't have any industrial customers, is  
20 that correct?

21 A That's correct.

22 Q But if this were complete and you did have industrial  
23 customers, you would expect that there would be a bundle on  
24 here for industrial, correct?

25 A We would have targeted all of our end uses, so, yes,



1 there would have been an industrial bundle here.

2 MR. JACOBS: Just one moment. I think I may be done.

3 BY MR. JACOBS:

4 Q And your rationale in looking at -- we've heard the  
5 term bantered about today of aggressive DSM versus  
6 non-aggressive DSM, and I won't go into what was understood,  
7 but your operational and approach in doing this was targeted to  
8 your users, is that a fair statement? And so there was  
9 symmetry between what you were trying to accomplish in your DSM  
10 and what actually happens on your system?

11 A Yes. Our city commission particularly directed us to  
12 adopt a more ambitious DSM program that could bring perhaps  
13 additional benefit to our customers, because that was one of  
14 their policy objectives, and so that is what led us ultimately  
15 to the development of this portfolio.

16 MR. JACOBS: Thank you. No further questions.

17 CHAIRMAN EDGAR: Questions from staff?

18 MS. FLEMING: Just a few, Madam Chair.

19 CROSS-EXAMINATION

20 BY MS. FLEMING:

21 Q Good afternoon, Mr. Brinkworth.

22 A Good afternoon.

23 Q Earlier you discussed the demand savings from the  
24 City's new DSM measures, do you recall that?

25 A Yes.

1 Q If the demand savings from these new DSM measures are  
2 less than anticipated, could the city use the capacity from TEC  
3 to meet its higher than expected load?

4 A Absolutely. In fact, that's one of the things that  
5 we pointed out to our own city commission is that having TEC in  
6 our mix allows us to fall back kind of, if you will, on less  
7 expensive coal power if for some reason our DSM bundles didn't  
8 perform like we hope that they will.

9 Q And earlier you stated that the City has approval in  
10 TEC through the permitting process, but not the construction  
11 phase. The City will have another opportunity to decide if  
12 they want to proceed with the Taylor Energy Center at the  
13 construction phase?

14 A That is my understanding. All the participants have  
15 that same, what is called go/no go option.

16 Q At that time where the City determines whether they  
17 want to move forward or not, what factors will the City review  
18 to determine if it is still cost-effective or in the best  
19 interest to participate in TEC?

20 A Well, I expect that we would do a refresh of our  
21 economic analysis. I hope we won't do another three-year IRP  
22 study like we just finished, but it would be our intention to  
23 update our IRP analysis. I'm sure our commission would want to  
24 look at all the economic factors as well as weigh any other  
25 issues related to permit conditions or something like that

1 before we made a decision.

2 Q Would you agree that it is prudent for utilities to  
3 continuously evaluate whether participating in a particular  
4 generation plant continues to be cost-effective for that  
5 utility?

6 A Yes, I would, presuming that we mean continuous. At  
7 some point when we make a commitment to either finance the  
8 project or begin to break ground on the project, I think you  
9 stop at that point. But, yes, you would continuously evaluate  
10 until you made that commitment to construct.

11 MR. FLEMING: Thank you, Mr. Brinkworth.

12 REDIRECT EXAMINATION

13 BY MS. RAEPPLE:

14 Q Mr. Brinkworth, you were asked some questions related  
15 to the performance of your DSM portfolios, and I think you  
16 responded with regard to your expectation of the DSM  
17 performance. Could you explain to us what that expectation  
18 level is?

19 A Yes. Our DSM portfolio was built on the assumption  
20 of what is called maximum achievable potential. That basis, as  
21 described by Navigant, is a basis that identifies DSM that is  
22 possible recognizing the actual end uses of the customer and  
23 certain economic factors related to the age of appliances that  
24 might be replaced and then also the willingness of the customer  
25 to participate. That maximum achievable potential, we believe,

1 represents the most DSM we could realistically pursue given  
2 those end use market conditions.

3 Q Do you have any guarantee that the City will actually  
4 achieve that maximum achievable DSM?

5 A No, we don't.

6 Q Are any other utilities in the state of Florida using  
7 the DSM methodology used by the City of Tallahassee?

8 A Not that I'm aware of.

9 Q Ms. Brownless asked you earlier about the case, the  
10 one case where the Taylor Energy Center was more expensive than  
11 a gas plant. Do you remember that line of questioning?

12 A Yes, I do.

13 Q In how many cases was the Taylor Energy Center found  
14 to be the least cost plan?

15 A Forty-six.

16 Q For the case that Ms. Brownless pointed out, was the  
17 Synapse high CO2 allowance price estimate integrated with the  
18 fuel price estimates?

19 A No, it was not. The CO2 estimates provided by  
20 Synapse were developed independent of any fuel forecast. We  
21 believe that in order to properly capture the CO2 benefit it  
22 should have been an integrated analysis that allowed fuel  
23 prices to respond to those assumed CO2 allowance costs.

24 Q Ms. Brownless also asked you to look at some exhibits  
25 that are attached to Mr. Urse's testimony. I believe those are

1 Exhibits 65 through 68 and Exhibit 70. Do all of those charts  
2 represent the current analysis conducted by the city?

3 A Not all of them, no. Several of those slides are  
4 actually extracted from presentations we made to the Commission  
5 at various points in our IRP study. Two of them, in fact, are  
6 from September of 2005, and represent earlier levels of  
7 analysis that would no longer be representative of where the  
8 city is now currently in our cases.

9 Q Are the Progress Energy transmission rates regulated  
10 by FERC?

11 A Yes, they are.

12 Q Ms. Brownless also asked you about the possibility  
13 for the variation in the costs of the Taylor Energy Center  
14 depending on the SCA process. Can the costs vary depending on  
15 the results of the SCA process for any proposed power plant  
16 under the Power Plant Siting Act?

17 A Certainly they can.

18 Q She also asked you about whether or not the city had  
19 done an internal sensitivity analysis reflecting the 20 percent  
20 in addition to the new capital costs for the Taylor Energy  
21 plant, do you remember those questions?

22 A Yes, I do.

23 Q Do you know whether a sensitivity analysis adding  
24 20 percent to those new capital costs was done as part of this  
25 need application process?

1           A       Yes, the project, in fact, did do such a sensitivity,  
2 and I believe the results are part of Mr. Kushner's testimony.

3           MS. RAEPPLE: Thank you. I have nothing further.

4           MS. BROWNLESS: Madam Chair, may I just get Mr.  
5 Brinkworth to identify the two exhibits he believes were done  
6 in 2005?

7           THE WITNESS: Certainly.

8           CHAIRMAN EDGAR: If you can answer that, then that  
9 would be fine.

10          THE WITNESS: In Mr. Urse's testimony it would be the  
11 exhibit that is marked as SU-7. Pages 1 and 2 actually  
12 represent material that we presented in September of 2005.

13          MS. BROWNLESS: Thank you, sir.

14          MS. RAEPPLE: Madam Chairman, while Mr. Brinkworth is  
15 here, I would request an opportunity to also present his  
16 redirect, which is very brief. I don't mean redirect, I mean  
17 rebuttal.

18          CHAIRMAN EDGAR: And I knew what you meant, but thank  
19 you for that clarification, as well. Okay. Everybody take a  
20 deep breath. That seems logical to me. Is there an objection?

21          MS. BROWNLESS: No objection.

22          CHAIRMAN EDGAR: All right. Then let's go ahead and  
23 do that. Thank you.

24                         DIRECT EXAMINATION (Rebuttal)

25 BY MS. RAEPPLE:0

1           Q     Mr. Brinkworth, did you hear Doctor Bellamy's  
2 testimony during the public hearing?

3           A     Yes, I did.

4           Q     Could you please explain the City's electric rate  
5 structure and the influence that tax exempt government  
6 customers have on those rates?

7           A     Yes, I'll be glad to. The City of Tallahassee's  
8 electric rate structure is built very much the same way any  
9 electric rate utility's rate structure is constructed. Doctor  
10 Bellamy was particularly identifying a component of our rate  
11 structure that allows us to transfer funds to the City of  
12 Tallahassee's general fund as part of a way, as he properly  
13 described, to offset the loss of tax revenues from tax exempt  
14 entities. However, he mischaracterized how large a component  
15 of our rates that particular factor represents. In fact, if  
16 you look at our 2007 revenue requirement models, you would see  
17 that our rate design recovery requires -- almost 65 percent of  
18 our rate revenue is related to fuel and purchased power while  
19 less than 6 percent is related to the transfer to the general  
20 fund. So it's clear that our rising electric rates are driven  
21 primarily by the cost of fuel and not by the transfer to the  
22 general government.

23           MS. RAEPPLE: Thank you. I have nothing further.

24           CHAIRMAN EDGAR: Okay. Good. Let's take up  
25 exhibits.

1 MS. RAEPPLER: At this time I would move Exhibits 19  
2 and 20 into the record.

3 CHAIRMAN EDGAR: Exhibits 19 and 20 will be moved  
4 into the record.

5 (Exhibits 19 and 20 admitted into the record.)

6 MS. BROWNLESS: And at this time, Madam Chair, we  
7 would offer Exhibits 65 through 68, 70 -- let me get these in  
8 order -- 104, 105, 106, and 107.

9 MS. BRUBAKER: May I just ask for clarification. I  
10 had originally thought that we might take up the earlier  
11 exhibits with that testimony. If everybody is in agreement to  
12 do it now, that is fine.

13 CHAIRMAN EDGAR: Again, I want to maintain some  
14 consistency of the process because it helps me think and follow  
15 along, but yet we are trying to get as much done as we can, so  
16 if we can go ahead and do that. Is there any objection to --  
17 and actually I'm going to ask you, Ms. Brownless, to read the  
18 numbers again for the exhibits from Witness Urse.

19 MS. BROWNLESS: 65, 66, 67, 68, and Exhibit 70.

20 CHAIRMAN EDGAR: Okay. 65, 66, 67, 68 and 70. Any  
21 objection?

22 MS. RAEPPLER: Madam Chairman, we would object to  
23 Exhibit 70 on grounds of relevance as Mr. Brinkworth has  
24 testified that that is outdated information.

25 CHAIRMAN EDGAR: Ms. Brubaker.



1 MS. BRUBAKER: To the extent that it was used for the  
2 purpose of cross examination, it is something that is used for  
3 Mr. Urse's testimony, I think it is appropriate to include that  
4 in the record.

5 CHAIRMAN EDGAR: Then I will go ahead and admit and  
6 we will enter the just listed exhibits by number into the  
7 record.

8 (Exhibits 65, 66, 67, 68, and 70 admitted into the  
9 record.)

10 MS. BROWNLESS: And 105 to 107.

11 CHAIRMAN EDGAR: Are we up to that? Okay. 105, 106,  
12 and 107. Any objection?

13 MS. RAEPPLE: No objection.

14 CHAIRMAN EDGAR: Okay, thank you. So Exhibits 105,  
15 106, and 107 will also be moved into the record.

16 (Exhibits 105 through 107 admitted into the record.)

17 MS. BROWNLESS: Thank you, Your Honor.

18 CHAIRMAN EDGAR: Okay. And the witness can be  
19 excused. Thank you. And I believe that we are, in order to  
20 try to accommodate schedules, going to take the next witness  
21 out of order. Mr. Perko.

22 MR. PERKO: Paul Hoornaert.

23 **PAUL HOORNAERT**  
24 **was called as a witness on behalf of the Applicants, and** having  
25 **been duly sworn, testified as follows:**

**DIRECT EXAMINATION**1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. PERKO:

Q Please state your name and business address for the record?

A Paul Hoornaert, H-O-O-R-N-A-E-R-T, 55 East Monroe, Chicago, Illinois.

Q Mr. Hoornaert, have you been sworn?

A Yes, I have.

Q Mr. Hoornaert, did you submit prefiled direct testimony in this proceeding consisting of ten pages on September 19th, 2006?

A Yes, I did.

Q Do you have any changes or additions to that testimony?

A There is one change, and that was covered by supplemental testimony submitted December 26th.

Q And would that be the estimated capital cost revealed on Page 7, Line 5?

A That is correct.

Q Other than that change, are there any other changes to your testimony submitted on September 19th, 2006?

A No.

Q And other than that, with that change, if I were to ask you the questions in your testimony today, would the answers be the same?

1 A Yes.

2 Q Mr. Hoornaert, are you sponsoring any exhibits with  
3 your original prefiled direct testimony?

4 A Yes, I am, several sections in A.3 as identified in  
5 the prefiled testimony.

6 Q And those sections are identified as Exhibit Number  
7 24 in this proceeding?

8 A Correct.

9 Q Are you sponsoring any other exhibits?

10 A My one exhibit is my resume, PH-1.

11 Q And that has been identified as Exhibit Number 23?

12 A Correct.

13 Q Do you have any changes or additions to that exhibit?

14 A No, I do not.

15 Q Mr. Hoornaert, did you also present supplemental or  
16 submit supplemental testimony in this proceeding consisting of  
17 four pages on December 26th, 2006?

18 A Yes, I did.

19 Q Are there any changes or additions to that testimony?

20 A No.

21 Q Are you sponsoring any exhibits with that testimony?

22 A One exhibit, the updated capital cost summary, PH-1R.

23 Q And has that exhibit been identified as Number 25?

24 A Yes.

25 Q And I may have asked you this, but do you have any

1 changes or additions to that exhibit?

2 A No, I do not.

3 Q If I were to ask you the same questions in your  
4 supplemental testimony as set forth therein today, would your  
5 answers be the same?

6 A Yes, they would.

7 MR. PERKO: At this time, Madam Chairman, we would  
8 request that the prefiled direct testimony and supplemental  
9 testimony of Mr. Hoornaert be inserted into the record as  
10 though read.

11 CHAIRMAN EDGAR: The prefiled testimony will be  
12 entered into the record as though read.

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

DIRECT TESTIMONY OF PAUL HOORNAERT

ON BEHALF OF

FLORIDA MUNICIPAL POWER AGENCY

JEA

REEDY CREEK IMPROVEMENT DISTRICT

AND

CITY OF TALLAHASSEE

DOCKET NO. \_\_\_\_\_

SEPTEMBER 19, 2006

**Q. Please state your name and business address.**

A. My name is Paul Hoornaert. My business address is 55 East Monroe Street,  
Chicago, Illinois 60603.

**Q. By whom are you employed and in what capacity?**

A. I am employed by Sargent & Lundy, LLC as a Senior Project Manager, Fossil  
Power Technologies.

**Q. Please describe your responsibilities in that position.**

A. As Senior Project Manager I am responsible for the overall planning,  
coordination, and performance monitoring of Sargent & Lundy, LLC project  
work. These projects include coal fired unit design, combined cycle unit design,  
power plant conceptual design, technology assessments, and plant betterments.

1 In performing these projects, I coordinate engineering activities across all  
2 engineering disciplines and work directly with our clients. I am currently  
3 managing the preliminary engineering and design work for the Taylor Energy  
4 Center (TEC) on behalf of the Florida Municipal Power Agency (FMPA), JEA,  
5 Reedy Creek Improvement District (RCID), and the City of Tallahassee (City)  
6 (collectively referred to as the Participants).

7

8 **Q. Please describe your educational background and professional experience.**

9 A. I have a Bachelor of Science degree in Mechanical Engineering from Purdue  
10 University. I am a registered professional engineer in Illinois, Florida,  
11 Michigan, Utah, and Wyoming. I have expertise in project management,  
12 conceptual designs, technology assessment, coal fired power plant design,  
13 selective catalytic reduction (SCR) design, combined cycle design, repowering,  
14 plant betterment, heat exchangers, pumps, and other power plant systems. I  
15 have over 34 years of experience in electric power facilities.

16

17 **Q. What is the purpose of your testimony in this proceeding?**

18 A. The purpose of my testimony is to discuss the technical aspects of TEC, and  
19 projected capital costs, operation and maintenance (O&M) costs, plant  
20 performance, availability, and schedule. My testimony will also include a  
21 discussion of advanced technology features that will be incorporated into the  
22 design of TEC.

23

1 **Q. Are you sponsoring any exhibits to your testimony?**

2 A. Yes. Exhibit \_\_\_\_ [PH-1] is a copy of my résumé.

3

4 **Q. Are you sponsoring any sections of the Taylor Energy Center Need for**  
5 **Power Application, Exhibit \_\_ [TEC-1]?**

6 A. Yes. I am sponsoring Sections A.3.2, A.3.3 through A.3.3.6, A.3.3.8, A.3.5,  
7 A.3.6, A.3.7, A.3.8, and A.3.9, all of which were prepared under my direct  
8 supervision.

9

10 **Q. Please describe TEC.**

11 A. TEC will be an advanced supercritical pulverized coal unit that will be  
12 constructed on a 3,000 acre greenfield site located approximately 5 miles from  
13 Perry, in Taylor County, Florida. The boiler will be designed for 3,600 pounds  
14 per square inch gauge pressure (psig), 1,050° F main steam, and 1,100° F reheat  
15 steam temperature, which will make it a supercritical unit. The higher steam  
16 pressure in comparison to subcritical boilers, which generally operate in the  
17 2,400 psig range or lower, will improve efficiency and, therefore, reduce overall  
18 fuel consumption per unit of output. TEC will include one boiler, one steam  
19 turbine generator with efficient steam cycle, cooling system with mechanical  
20 draft cooling towers, water and wastewater treatment systems, material  
21 handling, air quality control systems, electrical systems, and other balance-of-  
22 plant systems. A 3.5 mile Georgia-Florida rail extension to the proposed site  
23 and an onsite rail loop will be constructed to provide delivery of fuel to the  
24 plant.

1

2 Water will be supplied from a system of wells. The average use is estimated to  
3 be approximately 8 million gallons per day (MGD) with a maximum use of  
4 10 MGD.

5

6 TEC will be electrically interconnected to the Progress Energy Florida (PEF)  
7 system at 230 kV. Transmission lines of approximately 5.5 miles in length will  
8 connect the plant to the Perry Substation. An additional 230 kV transmission  
9 line will also likely be required. The exact location of this additional  
10 transmission line is under evaluation. Transmission system studies are  
11 discussed in the testimony of Gary Brinkworth.

12

13 A more detailed description of TEC is presented in Section A.3 of Exhibit \_\_\_\_  
14 [TEC-1], the TEC Need for Power Application.

15

16 **Q. Will TEC include best available control technologies to minimize**  
17 **environmental impacts?**

18 **A.** Yes. TEC will be designed to include the most advanced pollution control  
19 systems to minimize plant emissions. Low nitrogen oxide (NO<sub>x</sub>) burners, over-  
20 fire air ports, and SCR will be used to limit NO<sub>x</sub> emissions. A wet flue gas  
21 desulfurization (FGD) system will be utilized to reduce sulfur dioxide (SO<sub>2</sub>)  
22 emissions, and a reverse air baghouse will be used to control particulate  
23 emissions. A wet electrostatic precipitator (WESP) will further reduce  
24 particulate matter, hazardous air pollutants in particulate form, and acid mists.



1 Mercury (Hg) emissions will be reduced through the co-benefits of these  
2 systems. Collectively, these pollution control systems will control TEC  
3 emissions to very low levels in compliance with all applicable regulatory  
4 standards.

5  
6 In addition, process wastewaters generated from the plant will either be recycled  
7 within the plant or processed in a zero liquid discharge facility to eliminate  
8 process wastewater flows from the plant.

9  
10 **Q. Does the base capital cost estimate developed for TEC include appropriate**  
11 **costs for all these control systems?**

12 A. Yes. The base capital cost estimate for TEC includes costs for all the control  
13 systems discussed above.

14  
15 **Q. Are there other important features that will be included in the design of**  
16 **TEC?**

17 A. Yes. TEC will be unique among solid fuel plants in its ability to burn a wide  
18 variety of fuel types. The TEC boiler, material handling, and other systems will  
19 be designed to burn up to 30 percent petroleum (petcoke) blended with a variety  
20 of coals. In addition, TEC will be capable of burning coals from Latin America,  
21 the Powder River Basin (PRB) region in Wyoming, and Central Appalachia  
22 regions. This will provide fuel diversity and flexibility, producing additional  
23 benefits to the Participants including the ability to competitively bid coal

1 suppliers and transportation among multiple suppliers, and increased fuel supply  
2 reliability resulting from the ability to source from multiple geographic regions.

3  
4 TEC will also include space to accommodate up to approximately 90 days of  
5 fuel storage for increased reliability by reducing the impact resulting from the  
6 unlikely event of a short-term fuel supply disruption. Startup fuel will be low  
7 sulfur No. 2 fuel oil, or ultralow sulfur No. 2 fuel oil if available.

8  
9 **Q. Please describe the construction costs for TEC.**

10 **A.** The construction costs include direct costs for purchased equipment and  
11 materials, construction contract costs, and indirect costs. Construction costs are  
12 based on a multiple construction contracts contracting approach, which is the  
13 planned construction approach for the project. The construction cost estimate  
14 also includes costs for training, contractor general and administrative (G&A),  
15 and contractor contingency. Allowances have also been included for escalation,  
16 labor per diem, overtime differential for 50 hour workweeks, transmission lines  
17 to Perry Substation, spare parts, sacrificial coal bed, and commissioning  
18 consumables and initial fills.

19  
20 Owner's costs have been separately estimated and include staffing, construction  
21 management, consultants, travel, insurance, services, supplies, rentals, one-time  
22 set-up costs, and energy and fuel for startup. Costs have also been included for  
23 land purchase and an allocation for an upfront community contribution.

24 Ongoing community contributions are discussed in the testimony of Bradley

1           Kushner. An allowance for funds used during construction is also included in  
 2           the estimate based on an assumed 5.0 percent interest rate, which is consistent  
 3           with the economic assumptions.

4  
 5           The total capital cost is estimated to be \$1,743,399,000 in 2012 dollars, and is  
 6           summarized in Table A.3-5 of Exhibit \_\_\_\_ [TEC-1], the TEC Need for Power  
 7           Application.

8  
 9           **Q.    Please provide the estimated fixed O&M costs.**

10          A.    Fixed O&M costs are estimated to be \$17,710,227 in 2005 dollars, and are based  
 11          on a full-time staff level of 149. Payroll costs of \$11.36 million for the 149 full-  
 12          time staff are included in the \$17,710,227 fixed O&M costs. Fixed O&M is  
 13          assumed to increase at the assumed inflation rate.

14  
 15          Ongoing capitalized expenditures are an additional aspect of fixed O&M  
 16          expenses that have been included in the TEC estimates. These have been  
 17          estimated to be \$2.50/kW-yr in 2005 dollars. The escalation rate for ongoing  
 18          capital expenditures is conservatively estimated to be 2.0 percent per year over  
 19          the assumed inflation rate to account for increasing capital expenditures as the  
 20          unit ages.

21  
 22          **Q.    Please provide the estimated variable O&M expenses.**

23          A.    Variable O&M includes FGD reagent, water treatment chemicals, ammonia for  
 24          the SCR, an allocation for SCR catalyst replacement, allocation for baghouse

1 bag replacements, and other variable costs incurred during plant operation.  
2 Variable O&M expenses will also vary depending on the fuel blend being used.  
3 Assuming a 28 percent petroleum coke and 72 percent coal blend, the variable  
4 O&M estimates in 2005 dollars are \$1.36/MWh for the Latin American coal  
5 blend, \$1.37/MWh for the PRB coal blend, and \$1.15/MWh for the Central  
6 Appalachia coal blend. Variable O&M is also assumed to escalate at the  
7 assumed inflation rate.  
8

9 **Q. Are emissions allowance costs included in the variable O&M expense**  
10 **estimates?**

11 A. No. These were modeled separately as discussed in Bradley Kushner's  
12 testimony.  
13

14 **Q. What outage rates have been assumed for TEC?**

15 A. TEC is assumed to have an annual forced outage rate of 5.23 percent over the  
16 analysis period. TEC is assumed to have an annualized scheduled outage rate of  
17 16 days per year or 4.38 percent.  
18

19 **Q. Please describe the estimated performance for TEC.**

20 A. Actual plant performance (including net plant output and net plant heat rate) will  
21 be a function of ambient conditions, fuel characteristics, and other factors.  
22 Estimated performance was developed for a summer condition, winter  
23 condition, and average annual condition. Part load performance was also  
24 developed for 35 percent load, 50 percent load, and 75 percent load. These

1 performance points were developed with three fuel blends consisting of  
2 28 percent petcoke and 72 percent coal for each of the three coals, including  
3 Latin American, PRB, and Central Appalachia. For the base case fuel blend of  
4 petcoke and Latin American coal, the valves wide open net plant output is  
5 estimated to be 765.5 MW, and the net plant heat rate is estimated to be  
6 9,238 Btu/kWh at average ambient conditions. The heat rate has been increased  
7 by a 1.5 percent allowance for degradation. Additional performance data is  
8 provided in Table A.3-7 of Exhibit \_\_\_\_ [TEC-1], the TEC Need for Power  
9 Application.

10

11 **Q. What is the overall schedule for construction completion of the project?**

12 A. The schedule is based on TEC achieving commercial operation on April 27,  
13 2012. An air permit for the plant is expected to be received by April 1, 2008,  
14 which will allow for site construction activities to commence. Approximately  
15 49 months will be required for construction of the plant after receipt of the air  
16 permit. To support this schedule, preliminary engineering and specification of  
17 major plant components will commence during the second half of 2006. These  
18 activities will primarily consist of development of specifications, identification  
19 of potential suppliers, prebid meetings with potential suppliers, and  
20 commencement of the procurement process for major long lead equipment items  
21 such as the turbine generator and steam generator (boiler).

22

1 Q. How many construction workers are estimated to be required for the  
2 construction of TEC?

3 A. Construction of TEC is estimated to require 1,500 construction workers during  
4 the peak construction period.

5

6 Q. Does this conclude your testimony?

7 A. Yes.

**ORIGINAL**

1                   BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION  
2                   **SUPPLEMENTAL TESTIMONY OF PAUL HOORNAERT**  
3                                   ON BEHALF OF  
4                                   FLORIDA MUNICIPAL POWER AGENCY  
5                                   JEA  
6                                   REEDY CREEK IMPROVEMENT DISTRICT  
7                                   AND  
8                                   CITY OF TALLAHASSEE  
9                                   DOCKET NO. 060635  
10                                  **DECEMBER 26, 2006**

11  
12   **Q.    Please state your name and business address.**

13   A.    My name is Paul Hoornaert. My business address is 55 East Monroe Street,  
14           Chicago, IL, 60603.

15  
16   **Q.    By whom are you employed and in what capacity?**

17   A.    I am employed by Sargent & Lundy, LLC as a Senior Project Manager, Fossil  
18           Power Technologies.

19  
20   **Q.    Have you previously submitted testimony in this proceeding?**

21   A.    Yes.  
22

1 **Q. What is the purpose of your supplemental testimony?**

2 A. The purpose of my testimony is to provide updated capital cost estimates for the  
3 TEC project.

4

5 **Q. Are you sponsoring an exhibit with your testimony?**

6 A. Yes. I am sponsoring Exhibit No. \_\_\_ (PH-1R), which provides an update to the  
7 capital cost estimate summary included in Table A.3.5 in Section A.3.0 of the  
8 TEC Need for Power Application (Exhibit No. \_\_ (TEC-1).

9

10 **Q. Have you developed updated capital cost estimates for the TEC?**

11 A. Yes. In light of changing market conditions observed nationwide, we have  
12 updated the TEC capital cost estimates to account for market impacts on the  
13 costs of major equipment and labor. We also have included cost estimates for  
14 mercury controls and certain additional items that the TEC Participants have  
15 selected since the filing of my original testimony. We also have adjusted the  
16 initial Community Contribution to account for changes in the structure of the  
17 contribution that were agreed upon with Taylor County after my pre-filed  
18 testimony was submitted.

19

20 **Q. How do the updated costs compare to the cost estimates presented in your  
21 pre-filed testimony?**

22 A. As shown in Table A.3-5 of the TEC Need for Power Application, Exhibit No.  
23 \_\_\_ (TEC-1), the total capital costs for the TEC were originally estimated to be  
24 \$1,713,399,000 in 2012 dollars. (My pre-filed testimony included a



1 typographical error on page 7, line 5, which states that the cost estimates were  
2 \$1,743,399,000). As shown in Exhibit No. \_\_ (PH-1R), which presents an  
3 Updated Table A.3-5 of Exhibit No. \_\_ (TEC-1), as a result of market impacts  
4 and scope changes discussed above, the updated cost estimate is  
5 \$2,039,074,000, which reflects an increase of approximately 19.01 percent from  
6 the original estimate.

7

8 **Q. Why does your updated cost estimate include costs for mercury controls?**

9 A. As stated in my pre-filed testimony, mercury emissions from the TEC will be  
10 reduced through the co-benefits of selective catalytic reduction (SCR), flue gas  
11 desulfurization (FGD), and a wet electrostatic precipitator (WESP). Because  
12 mercury controls for electric generation plants are relatively untested, however,  
13 it is possible that additional controls may be necessary to comply with the  
14 second phase of the Clean Air Mercury Rule (CAMR) discussed in pre-filed  
15 testimony of Mr. Rollins. For that reason, the TEC Participants have agreed to  
16 install additional controls if necessary to achieve a 90% reduction in TEC  
17 mercury emissions by 2018, when CAMR's second phase begins. Although the  
18 TEC Participants will implement a research program to determine if  
19 SCR/FGD/WESP or other more cost-effective controls can achieve this level of  
20 reduction, we have assumed that the only currently available mercury-specific  
21 control, activated carbon injection (ACI), will be installed. My updated capital  
22 cost estimate assumes that costs for ACI (approximately \$40,000,000) will be  
23 incurred when the plant is constructed even though the TEC Participants

1           anticipate that additional mercury controls, if any, will not be needed until the  
2           second phase of CAMR.

3

4   **Q.   Does this conclude your rebuttal testimony?**

5   **A.   Yes.**

1 BY MR. PERKO:

2 Q Mr. Hoornaert, have you prepared a summary of your  
3 prefiled direct and supplemental testimony?

4 A Yes, I have.

5 Q Would you please provide that now?

6 A Sargent & Lundy is the designing engineer for the  
7 Taylor Energy Center. As project manager, I am responsible for  
8 the overall planning and coordination of the engineering  
9 aspects of the design. The purpose of my testimony is to  
10 review the technical aspects of the Taylor Energy Center  
11 design.

12 The Taylor Energy Center will use proven highly  
13 reliable supercritical pulverized coal technology. The  
14 supercritical pressure and temperatures and the higher cycle  
15 efficiencies result in less fuel consumption and lower emission  
16 levels. The nominal plant output will be 765 megawatts net.  
17 This unit will be equipped with the best available control  
18 technology to minimize environmental impacts. We will include  
19 an SCR for NOX control, wet FGD for SO2 control, a bag house  
20 and wet ESP for particulate control, and activated carbon  
21 injection as a contingency if that proves necessary for mercury  
22 control. The wastewater generated by the station will be  
23 recycled and processed. If needed, the processing of remaining  
24 wastewater will go through a zero liquid discharge system.

25 The Taylor Energy Center will be capable of burning a

1 wide range of solid fuels, including coals from Latin America,  
2 Central America, and the Powder River Basin, as well as up to  
3 30 percent petroleum coke. The capital costs were developed to  
4 include equipment, materials, construction, and indirect costs.  
5 The capital costs have been updated to account for recent  
6 changes in market conditions. O&M costs, both fixed and  
7 variable, have also been estimated. That concludes my summary.

8 MR. PERKO: I tender the witness for  
9 cross-examination.

10 CHAIRMAN EDGAR: I apologize, but I need to take a  
11 five-minute break. So everybody relax for just a few minutes.  
12 Please don't go far, and we will start back in five minutes.  
13 Thank you.

14 (Short recess.)

15 CHAIRMAN EDGAR: I'm sorry. That was more than five  
16 minutes. And I want you all to know I do actually have  
17 excellent time management skills, although perhaps today it's  
18 not showing.

19 I need to step away for just a few more minutes, so  
20 Commissioner Carter is going to go ahead and chair the hearing.  
21 You're in very capable hands, and I'll be back very shortly.

22 Commissioner Carter, you have the gavel.

23 COMMISSIONER CARTER: I'm reminded of the beginning  
24 of *A Tale of Two Cities*. Dickens said it was the best of times  
25 and the worst of times. But that's just free.

1 Ms. Brubaker, we were --

2 MS. BRUBAKER: I believe Mr. Perko has a small  
3 clarification to make, and then I think we are at the point of  
4 tendering the witness, if I remember correctly.

5 MR. PERKO: Yes, Commissioner. I just want to  
6 clarify with Mr. Hoornaert.

7 We spoke about the application sections that you're  
8 sponsoring. Have those been updated in the errata sheet that  
9 has been submitted into evidence as Exhibit Number 3?

10 THE WITNESS: Yes, they have.

11 MR. PERKO: Thank you. We tender the witness for  
12 cross-examination.

13 COMMISSIONER CARTER: Okay.

14 MS. BROWNLESS: Thank you.

15 COMMISSIONER CARTER: Ms. Brownless, you're  
16 recognized.

17 CROSS-EXAMINATION

18 BY MS. BROWNLESS:

19 Q. Good afternoon, Mr. Hoornaert.

20 A. Good afternoon.

21 Q. We're handing out the responses of the applicants to  
22 NRDC's first set of interrogatories, and if you could just look  
23 at those when you get it and see if you provided the responses  
24 to numbers 18 and 19.

25 A. Okay.

1 MS. BROWNLESS: And I think that needs to be marked  
2 as an exhibit, which I think is 108; is that right?

3 MS. BRUBAKER: That's right. I'm sorry. Would you  
4 repeat the caption, please, the title?

5 MS. BROWNLESS: Sure. It's applicant's responses to  
6 NRDC's first set of interrogatories, numbers 1 through 26.

7 (Exhibit Number 108 was marked for identification.)

8 BY MS. BROWNLESS:

9 Q. And I'm sorry. Did you provide the responses to 18  
10 and 19?

11 A. Yes, I did.

12 Q. Thank you. And are they true and correct to the best  
13 of your knowledge and belief?

14 A. Yes, they are.

15 Q. Thank you. Will you look at your updated Table  
16 A.3-5, which is your Exhibit PH-1R on your -- I think it's --

17 A. Okay. I have that.

18 Q. All right. And is that the updated capital cost  
19 summary to which you referred?

20 A. Yes, it is.

21 Q. Okay. On that updated capital cost summary, where it  
22 says base estimate --

23 A. Yes.

24 Q. Does that include the transmission costs that  
25 Mr. Brinkworth identified as directly assigned transmission

1 costs to TEC?

2 A. It includes the 5.5 miles to the Perry substation,  
3 which is what I believe Mr. Brinkworth was referring to.

4 Q. Okay. And those are the ones that solely benefit  
5 TEC?

6 A. That is correct.

7 Q. Okay. So you're not expecting to get those  
8 reimbursed by anybody?

9 A. I wouldn't expect so.

10 Q. Now, your revised cost estimate on your chart, does  
11 that include activated carbon injection for mercury removal in  
12 phase 2 of the CAMR regulation?

13 A. Yes, it does.

14 Q. And is that cost approximately \$40 million?

15 A. Yes, it is.

16 Q. Okay. And I believe at your deposition, you  
17 testified there were approximately 2 to \$4 million of variable  
18 O&M costs associated with that?

19 A. As an O&M cost, that's our estimate, yes.

20 Q. Okay. And that's a variable O&M cost; correct?

21 A. Yes, it would be.

22 Q. Okay. And that variable O&M cost was not included in  
23 the revised cost estimate that we just discussed?

24 A. That's correct.

25 Q. Now, as I understand it, TEC is projecting a need for

1 a 90-day coal supply; is that right?

2 A. Correct.

3 Q. Okay. And also, a 90-day limestone storage for  
4 inactive and a 10-day active limestone storage on-site?

5 A. Correct.

6 Q. Okay. Now, this is approximately a 3,000-acre site;  
7 is that correct?

8 A. Correct.

9 Q. And this site will accommodate or can accommodate  
10 another 800-megawatt size coal plant; is that correct?

11 A. It could.

12 Q. Okay. Are you aware of whether any site  
13 certification application has been filed in this case?

14 A. It has not been.

15 Q. Thank you. And are you aware of whether the  
16 applicants will ask -- or what amount of capacity the  
17 applicants will ask for under the ultimate site certification?

18 A. The SCA site certification application will be based  
19 on one unit of approximately 800-megawatt gross size.

20 Q. Okay. So they're not asking for any more than  
21 800 megawatts for ultimate site certification at this time?

22 A. That is correct.

23 Q. With regard to the TEC unit, I believe your testimony  
24 at deposition was that at a minimum, there should be 30 days of  
25 coal supply on-site; is that correct?



1           **A.**    That's correct.

2           **Q.**    And that anything over 30 days was basically at the  
3 discretion of the utility?

4           **A.**    Correct.

5           **Q.**    Is it true that a 45-day coal supply would be  
6 sufficient for an 800-megawatt coal plant?

7           **A.**    It could certainly be adequate.  It's a matter of the  
8 utility's choice on how much coal they want to stockpile.

9           **Q.**    Okay.  So the 90-day, is that also true for the  
10 limestone storage?

11          **A.**    That's correct.

12          **Q.**    And just so I'm clear and the record is clear, the  
13 limestone storage is an operating expense, not a capital cost;  
14 is that correct?

15          **A.**    That's correct.

16          **Q.**    So the 90-day coal supply would be sufficient to  
17 accommodate two 800-megawatt coal plants on this site  
18 ultimately; is that correct?

19          **A.**    If the utility elected to have half as much active or  
20 ultimate storage on-site, that would be correct.

21          **Q.**    And that would be within the realm of reasonable  
22 utility practice; right?

23          **A.**    It would be reasonable.

24          **Q.**    If the second unit sited on this site was an IGCC  
25 plant, it could also take advantage of this coal, could it not?

1           **A.**    Yes, it could.

2           **Q.**    Is limestone required for an IGCC unit to operate?

3           **A.**    No.

4           **Q.**    Are there any technologies of which you are currently  
5 aware that will allow TEC to be retrofitted with CO<sub>2</sub> capture  
6 equipment should CO<sub>2</sub> be regulated during the 40-year life of  
7 this plant?

8           **A.**    The CO<sub>2</sub> capture technology is an emerging technology,  
9 and there are technologies available. But as I mentioned,  
10 they're emerging. It's relatively new.

11          **Q.**    Okay. Is it relatively expensive as well?

12          **A.**    I really am not able to comment on the cost.

13          **Q.**    Thank you. Should CO<sub>2</sub> be regulated in a fashion  
14 similar to SO<sub>2</sub> and NO<sub>x</sub> under a cap and trade program, the net  
15 effect -- is it true that the net effect in order for TEC to  
16 operate would be that it would either have to purchase CO<sub>2</sub>  
17 emission allowances or turn off the plant?

18          **A.**    Again, I'm really not in a position to comment on  
19 that. It's not my area of expertise.

20          **Q.**    Is it true that current IGCC technology allows CO<sub>2</sub> to  
21 be captured and sequestered?

22          **A.**    Again, it's emerging, but I believe that's accurate.

23          **Q.**    And by sequestered, I mean not released into the  
24 atmosphere.

25          **A.**    Right.

1           Q.    So if that's the case, IGCC units would not  
2 necessarily be forced to use allocated allowances or to  
3 purchase them; is that correct?

4           A.    I can't comment on that.

5           Q.    This TEC plant is designed such that it can burn up  
6 to 30 percent petcoke; is that right?

7           A.    That is correct.

8           Q.    And it can also burn several types of domestic and  
9 international coal?

10          A.    Yes.

11          Q.    Okay.  So is it fair to say that the fuel diversity  
12 that's demonstrated in this particular plant is as to coal type  
13 rather than as to fuel type?  In other words, it isn't coal  
14 versus natural gas, coal versus diesel, it's different types of  
15 coal?

16          A.    That is correct.

17          Q.    An IGCC plant can burn natural gas as well as coal;  
18 is that right?

19          A.    In an IGCC, if it's burning natural gas, that's  
20 typically a backup fuel when the gasification process is not  
21 available.

22          Q.    All right.  But the purpose of an IGCC plant is it  
23 produces synthetic gas from coal; correct?

24          A.    Correct.

25          Q.    So it can utilize natural gas in lieu of synthetic

1 gas?

2 **A.** If the combustion turbines are so designed.

3 **Q.** So in that sense, if the combustion turbines are  
4 correctly designed, an IGCC plant has dual fuel capability?

5 MR. PERKO: Commissioner Carter --

6 COMMISSIONER CARTER: I think you're right. He never  
7 said whether it was correct or not, so let's just stay focused.

8 MS. BROWNLESS: Okay.

9 MR. PERKO: Commissioner Carter, I have another  
10 objection. I've let this -- I've been somewhat patient, but --

11 MS. BROWNLESS: We're moving on, Gary. That's the  
12 last one.

13 MR. PERKO: Okay.

14 BY MS. BROWNLESS:

15 **Q.** You were asked at your deposition with regards to  
16 emissions and the difference between petcoke and coal. Do they  
17 -- does petcoke produce more or less SO<sub>2</sub> than coal?

18 **A.** The petcoke has a higher sulfur level, but we would  
19 be designing for the same outlet SO<sub>2</sub> level irregardless of the  
20 fuel, which coal or the blend.

21 **Q.** All I'm trying to do is just get a straight  
22 comparison. If one were to burn 100 percent petcoke versus  
23 burning 100 percent coal, would it produce more or less SO<sub>2</sub>?

24 **A.** 100 percent petcoke is higher in sulfur, so it would  
25 be higher in SO<sub>2</sub> emissions.

1 Q. Does petcoke produce the same or greater or lesser  
2 amounts of NO<sub>2</sub> for the same volume?

3 A. I believe the NO<sub>x</sub> is comparable.

4 Q. Okay. And do you know how petcoke compares with coal  
5 with regard to CO<sub>2</sub> emissions?

6 A. I do not.

7 Q. Do you know whether an IGCC unit of similar size  
8 would emit more or less SO<sub>2</sub> per ton of coal?

9 A. Could you repeat that question, please?

10 Q. Do you know whether an IGCC unit of similar size  
11 would emit more or less SO<sub>2</sub> per ton?

12 A. I'm not sure. I can't comment on that.

13 Q. Okay. The same question for NO<sub>2</sub>, NO<sub>x</sub>?

14 A. The same response.

15 Q. CO<sub>2</sub>?

16 A. Same response.

17 MS. BROWNLESS: Thank you so much, Mr. Hoornaert.

18 MR. PABEN: I have nothing.

19 COMMISSIONER CARTER: No questions?

20 Mr. Jacobs, you're recognized.

21 MR. JACOBS: Thank you.

22 CROSS-EXAMINATION

23 BY MR. JACOBS:

24 Q. Good afternoon.

25 A. Good afternoon.

1           **Q.**    Let me just touch on a couple of brief points.  I  
2 believe in your deposition when you discussed the revised  
3 capital costs, you indicated that it would not be expected that  
4 these present projections would increase any further.  Is that  
5 still your opinion?

6           **A.**    That is correct.

7           **Q.**    And that is based on what factors?

8           **A.**    The estimate, the way we have developed it, does  
9 include escalation rates to get us through the construction  
10 period, and those are our best estimates as to the way the  
11 market will react.

12           **Q.**    Are you familiar with present projects to design and  
13 construct supercritical pulverized plants in other areas of the  
14 country?

15           **A.**    I'm not sure what specific ones.

16           **Q.**    Okay.  Let me direct you to two in particular.  One  
17 would be the Big Stone project in South Dakota, and the other  
18 would be the Cliffside project in North Carolina.

19           **A.**    The Cliffside project?

20           **Q.**    Yes.

21           **A.**    Is that the Duke project?

22           **Q.**    Yes, that's the Duke plant.

23           **A.**    I have read about those projects.

24           **Q.**    And you're aware that in both those instances, they  
25 had a parallel experience as yours, where they came in with

1 original projections and then had to come back with  
2 substantially modified projections, are you not?

3 **A.** I'm aware of that.

4 **Q.** Without going too far afield -- and you can just  
5 indicate to me if you have familiarity with this. Let's talk  
6 specifically about the Duke instance. In that particular case,  
7 the company filed official pleadings with the State Commission  
8 in North Carolina indicating that an important part of the  
9 reason for their increase was due to market factors. And if  
10 you would like, I could read it to you, but are you aware  
11 generally of that concept?

12 **A.** I'm aware of that.

13 **Q.** And my question simply is this: In your statement  
14 today that you think you've captured all those potential  
15 escalation factors, you believe you've accounted for all the  
16 prevailing market factors that are in play in the design and  
17 construction of supercritical plants?

18 **A.** Yes, I have.

19 **Q.** Okay. You may be aware of the testimony we had  
20 earlier yesterday regarding the whole status of the technology  
21 in pulverized supercritical plants, supercritical pulverized  
22 plants. Let me restate the question then, if I may. Are you  
23 aware of any supercritical pulverized plants that are presently  
24 being designed and -- that are presently operational in the  
25 United States?

1           **A.**    There are many supercritical pulverized coal units in  
2 operation in the United States.

3           **Q.**    And have any of those been constructed and become  
4 operational within the last five years?

5           **A.**    I think there's one in Iowa that's soon to come  
6 online. I think that's the newest. Within the last five  
7 years, I can't recall any specific ones that have come online.

8           **Q.**    Okay. Let me move on to another item, and this is  
9 kind of under the general category of capital costs to  
10 construct a plant still. Are you aware of the market  
11 circumstances with regard to delivered coal? And in  
12 particular, I'm speaking to the rail difficulties with the  
13 delivery of coal in the United States.

14          **A.**    That's outside of the area that I'm testifying to.

15          **Q.**    Okay. Very well. And then it is the case that in  
16 Taylor Energy, the primary analysis that has been done assumes  
17 that the plant will burn primarily Latin American coal with up  
18 to a 30 percent mixture of petcoke; is that correct?

19          **A.**    That was determined out of the fuel analyses that we  
20 did to be the lowest cost option.

21          **Q.**    Okay. And then there was a sensitivity analysis done  
22 that would assume Powder River Basin would be the fuel; is that  
23 correct?

24          **A.**    There's Central Appalachian and Powder River Basin;  
25 correct.



1           **Q.**    In the event that there are regulations -- I'm not  
2 now arguing that there will be, but in the event that carbon is  
3 regulated, would that assumption still hold true, i.e., that  
4 the plant will primarily use Latin American and petcoke and not  
5 Powder River Basin as a base case?

6           **A.**    Since the CO<sub>2</sub> regulations haven't been defined, I  
7 guess that piece of it I'll put to the side. But relative to  
8 those three fuels, I don't think there's any real difference.

9           **Q.**    In terms of --

10          **A.**    In terms of CO<sub>2</sub>, I wouldn't think there's any  
11 significant difference.

12          **Q.**    So if there are carbon allowances, you wouldn't see  
13 any preference amongst the owners to want to use Powder River  
14 Basin to address some of their allowance costs?

15          **A.**    That would have to be reviewed, but I don't see that  
16 as a big impact.

17          **Q.**    Okay. Just one moment. I think that may be it.

18                Oh, one final question. There was already a  
19 discussion of the flexibility in fuels at Taylor Energy. As  
20 one of those items of flexibility, could Taylor Energy burn  
21 biomass, or could it be designed to burn biomass?

22          **A.**    At this point, it has not been incorporated into the  
23 conceptual design.

24                MR. JACOBS: Okay. Thank you.

25                COMMISSIONER CARTER: Staff?

## CROSS-EXAMINATION

1  
2 BY MS. BRUBAKER:

3 Q. Just a quick question or two, if I may, please. Mr.  
4 Hoornaert, at your deposition, you made reference -- it was at  
5 page 18, line 20 of your deposition, and I'll just read it for  
6 the sake of brevity. "The advantage of petcoke is an  
7 opportunity fuel that comes out of the refining industry, and  
8 it has a lower cost compared to coal." Can you explain for me  
9 what is meant by the term "opportunity fuel"?

10 A. As an opportunity fuel, it's a by-product of the  
11 refining industry, so the availability of petcoke varies,  
12 depending upon what other companies want to use petcoke as a  
13 fuel, along with what the output of the refining industry is.  
14 So it's almost like a spot market type arrangement for petcoke  
15 purchase.

16 MS. BRUBAKER: I think that actually concludes my  
17 questions there. Thank you.

18 COMMISSIONER CARTER: Okay. You want to --

19 MR. PERKO: Very briefly.

20 COMMISSIONER CARTER: Okay.

## REDIRECT EXAMINATION

21  
22 BY MR. PERKO:

23 Q. Mr. Hoornaert, with regard to the transmission lines  
24 between the Taylor Energy Center and the Perry substation that  
25 you referred to in response to Ms. Brownless, will Progress

1 Energy Florida make the determination whether these lines are  
2 properly categorized as direct assigned or as network upgrades  
3 as part of the ongoing facilities study?

4 **A.** I believe that's the case, based on Mr. Brinkworth's  
5 testimony.

6 **Q.** And, Mr. Hoornaert, you mentioned the potential O&M  
7 costs associated with activated carbon injection. Can you tell  
8 me why you did not include those in your cost estimates for the  
9 Taylor Energy Center?

10 **A.** The reason those have not been included, as earlier  
11 stated, the capital cost for the ACI equipment has been  
12 included as a contingency item, if in fact it's determined to  
13 be needed. We are -- there will be mercury removal  
14 capabilities based on the existing planned pollution control  
15 equipment in the neighborhood of 70 to 90 percent.

16 But since mercury capture is an emerging issue,  
17 exactly how those systems will react to mercury removal has not  
18 really been determined, and it isn't an item that we can get a  
19 guarantee from our equipment suppliers for. So therefore,  
20 there is some amount of uncertainty relative to how much  
21 co-benefit capture we'll get from the existing pollution  
22 control equipment. So the ACI equipment has been included as a  
23 backup, and the O&M costs have not been included, because it  
24 really isn't defined whether that's going to be needed or not  
25 or when that would be needed throughout the plant life.

1           **Q.** Mr. Hoornaert, you answered some questions from Ms.  
2 Brownless regarding CO<sub>2</sub> capture. Can CO<sub>2</sub> also be captured and  
3 sequestered at supercritical pulverized coal plants?

4           **A.** Yes, it can.

5           **Q.** And Mr. Jacobs asked you some questions regarding the  
6 Duke Energy plant that I believe was the Cliffside units.

7           **A.** Correct.

8           **Q.** And you're aware that Duke Energy had filed with the  
9 North Carolina Utilities Commission some updated costs. Do you  
10 know what those updated costs were?

11          **A.** It's my understanding that the costs for two  
12 800-megawatt units were originally estimated at \$2 million and  
13 are now estimated at \$3 million. And if you compare that to  
14 the original Taylor Energy Center cost, we were considerably  
15 more conservative to begin with than the Duke project, and at  
16 this point, we continue to be much more conservative than even  
17 the revised Duke numbers.

18          **Q.** I just wanted to make sure. What were the revised  
19 Duke numbers? I believe you said it was 2 billion; is that  
20 correct?

21          **A.** I may have said million. Correct. It's 2 billion up  
22 to 3 billion.

23          **Q.** The original was 2 billion?

24          **A.** That is correct.

25          **Q.** And now what's the revised?

1           A.    Three billion.

2           Q.    And for how many units was that?

3           A.    Two 800s.

4           Q.    And the original estimate for Taylor County was what?

5           A.    The original estimate for Taylor was 1 billion --  
6 1.7 billion, and we're now at over 2 billion for one  
7 800-megawatt unit.

8           MR. PERKO: Thank you. No further questions.

9           COMMISSIONER CARTER: Okay. Let's see. We have an  
10 exhibit. Is this exhibit already part of our packet, or do we  
11 need to renumber this one?

12          MS. BRUBAKER: No, sir. Mr. Perko I think can walk  
13 us through Mr. Hoornaert's exhibits.

14          COMMISSIONER CARTER: Okay. You're recognized.

15          MR. PERKO: Yes, Commissioner. At this time, we  
16 would offer Exhibits -- I believe they're 23, 24, and 25.

17          MS. BROWNLESS: We have no objection, sir.

18          COMMISSIONER CARTER: Okay. No objections. Show it  
19 done.

20                 (Exhibits Number 23, 24, and 25 were admitted into  
21 evidence.)

22          MS. BROWNLESS: And at this time we would like to  
23 offer what has been identified for the record as Exhibit 108.

24          MS. BRUBAKER: No objection.

25          MS. BROWNLESS: His portions that he sponsored, which

1 are 18 and 19.

2 COMMISSIONER CARTER: No objections; right?

3 MR. PERKO: (Shaking head negatively.)

4 COMMISSIONER CARTER: This means yes, this means no  
5 (indicating.) No objections. Okay. It's in, 108. I'm just  
6 trying to keep track here.

7 (Exhibit Number 108 was admitted into evidence.)

8 MS. BRUBAKER: And, Commissioner Carter, if the  
9 witness is ready to be excused, we had a request to take  
10 Mr. Lashof out of turn to accommodate a travel schedule, and  
11 certainly staff has no objection to doing so as the next  
12 witness.

13 COMMISSIONER CARTER: Okay. Does anyone have any  
14 further questions for this witness?

15 Thank you, sir. You are excused.

16 The next witness will be -- give me a second here.  
17 Mr. Daniel Lashof; is that right?

18 MR. SIMMS: Yes, Commissioner. NRDC would call  
19 Dr. Lashof.

20 COMMISSIONER CARTER: Okay. Give us a chance. Just  
21 a moment here.

22 MR. SIMMS: Sure.

23 MS. BRUBAKER: And actually, Commissioner Carter, if  
24 I may, while everyone is getting the relevant documents and  
25 whatnot, apparently there has also been a request to take

1 Mr. Powell up after Dr. Lashof, so I think everybody is in  
2 agreement that there's no objection to doing so.

3 COMMISSIONER CARTER: While we're coordinating, let's  
4 coordinate that too.

5 You're recognized.

6 MR. SIMMS: Thank you, Commissioner.

7 Thereupon,

8 DANIEL LASHOF

9 was called as a witness and, having been first duly sworn, was  
10 examined and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. SIMMS:

13 Q. Good afternoon, Dr. Lashof.

14 A. Good afternoon.

15 Q. Could you please state your name for the record?

16 A. It's Daniel Lashof.

17 Q. And could you state your position and your business  
18 address, please?

19 A. I'm the science director of the NRDC Climate Center.  
20 My business address is 1200 New York Avenue Northwest,  
21 Washington, D.C., 20005.

22 Q. Thank you. Did you file testimony in this case on  
23 November 2, 2006, consisting of 12 pages?

24 A. I did.

25 Q. And do you have any changes that you wish to make to

1 your testimony?

2 **A.** No.

3 **Q.** If you were asked these same questions today, would  
4 your answers be the same?

5 **A.** Yes.

6 MR. SIMMS: I would like to ask that Dr. Lashof's  
7 testimony be placed in the record as though read.

8 COMMISSIONER CARTER: The testimony will be entered  
9 into the record as though read.

10 BY MR. SIMMS:

11 **Q.** Did you include any exhibits with your testimony?

12 **A.** Yes.

13 **Q.** And did these include an overview of your  
14 professional experience and qualifications?

15 **A.** Yes.

16 **Q.** A copy of the Stern Report, Summary of Conclusions?

17 **A.** Yes.

18 **Q.** A copy of "What To Do About Coal," a Scientific  
19 American article dated September 2006, of which you were an  
20 author?

21 **A.** Yes.

22 MR. SIMMS: For the record, those are identified as  
23 DAL-1, DAL-5, and DAL-6, identified for the hearing, I believe,  
24 as Numbers 61, 62, and 63.

25 BY MR. SIMMS:



1           **Q.** Dr. Lashof, did you provide answers to the staff's  
2 first set of interrogatories to NRDC?

3           **A.** Yes, I did, to numbers 1 through 5.

4           **Q.** Do you have a copy of those with you?

5           **A.** Yes.

6           **Q.** Is that true and correct, to the best of your  
7 knowledge and belief?

8           **A.** Let's see. The one I've been provided, it looks like  
9 the response to the applicants' interrogatories.

10           MR. SIMMS: I'm sorry. One second. We'll give you  
11 the staff's interrogatories. I apologize.

12           MS. BRUBAKER: Commissioner Carter, may we go off the  
13 record for a moment?

14           COMMISSIONER CARTER: Okay, everybody, let's take  
15 five.

16           (Discussion off the record and short recess.)

17           COMMISSIONER CARTER: We are back on the record.  
18 Ms. Brubaker.

19           MS. BRUBAKER: I suppose I'll let things fall  
20 naturally.

21           COMMISSIONER CARTER: Okay.

22           MR. SIMMS: I would like to just identify them for  
23 the record at this point, and then if it makes sense  
24 procedurally, deal with objections when we offer them.

25           MS. BRUBAKER: Okay. That's fine. Then I suppose

1 we're at the part where we have the opening statement from the  
2 witness then.

3 MR. SIMMS: I just wanted to make sure we get the  
4 identification on the record, and then I'll let him provide a  
5 summary, if that's procedurally -- if that's okay.

6 MS. BRUBAKER: Okay. With that, it would be  
7 identified as Exhibit 109 by my count.

8 BY MR. SIMMS:

9 Q. I'll make sure we're speaking about the same ones.  
10 The first was the answers to staff's first set of  
11 interrogatories. Dr. Lashof, do you have those now?

12 A. Yes, I do.

13 Q. And which of those interrogatories did you prepare  
14 the answers for?

15 A. One through 5.

16 Q. Thank you. And is that a true and correct copy that  
17 you have before you to the best of your knowledge and  
18 understanding?

19 A. Yes, it is.

20 MR. SIMMS: And if we could identify that as Exhibit  
21 109.

22 (Exhibit Number 109 was marked for identification.)

23 BY MR. SIMMS:

24 Q. Dr. Lashof, did you provide answers to the  
25 applicants' first set of interrogatories to NRDC?

1           **A.**    Yes, I did.

2           **Q.**    For which of those interrogatories did you prepare  
3 answers?

4           **A.**    One, 3, 4, and 6 through 12.

5           **Q.**    Thank you.  And do you have a copy of those before  
6 you?

7           **A.**    I do.

8           **Q.**    And is that a true and correct copy to the best of  
9 your knowledge and belief?

10          **A.**    Yes, it is.

11                   MR. SIMMS:  And could we identify that as Exhibit  
12 110?  Thank you.

13                               (Exhibit Number 110 was marked for identification.)

14 BY MR. SIMMS:

15          **Q.**    Did you prepare a short summary of your testimony?

16          **A.**    I did.

17          **Q.**    Would you read that for the record, please?

18          **A.**    Yes.  Thank you.

19                   Coal-fired power plants are the single largest source  
20 of heat-trapping carbon dioxide emissions in the United States.  
21 It has become abundantly clear that such emissions are creating  
22 a serious threat of dramatic climate disruptions, and as a  
23 result, many states have adopted or are in the process of  
24 adopting laws and regulations that will limit emissions of  
25 carbon dioxide from power plants.  These include the Regional

1 Greenhouse Gas Initiative adopted in the Northeast and laws  
2 enacted last year in California to limit statewide emissions of  
3 greenhouse gases and to require that new long-term investments  
4 in baseload generation have CO<sub>2</sub> emissions no higher than those  
5 from state-of-the-art natural gas combined cycle power plants.

6 I'm also aware that the Florida Department of  
7 Environmental Protection is currently developing a white paper  
8 that will recommend that the State implement a program to limit  
9 carbon emissions. Among other things, the white paper  
10 acknowledges that costs associated with CO<sub>2</sub> mitigation --

11 MR. PERKO: Commissioner, I need to --

12 COMMISSIONER CARTER: I think we've already ruled on  
13 that, so I think this is out of bounds. Did we not rule on  
14 that white paper yesterday or two days ago?

15 MR. PERKO: And beyond that, it goes beyond his  
16 direct testimony.

17 MS. BRUBAKER: That's correct.

18 COMMISSIONER CARTER: So I would -- why don't we just  
19 take a minute, and you can get with your witness and just kind  
20 of let him know, just in case he's not aware of what we've  
21 already ruled on so it can all go smoothly for everyone. Okay?  
22 Let's just take five on that.

23 MR. SIMMS: Okay. Thank you, Commissioner.

24 (Short recess.)

25 COMMISSIONER CARTER: Okay. We are back on the

1 record. And the last we left, there was an objection that was  
2 sustained. Where are we?

3 MR. SIMMS: Thank you, Commissioner. I think we are  
4 ready to resume, and we will resume with the witness's summary.  
5 And we have discussed with him keeping the summary within the  
6 scope of his direct testimony.

7 Dr. Lashof.

8 THE WITNESS: Should I continue from where I left off  
9 or --

10 BY MR. SIMMS:

11 Q. I think that will be fine, if you will remain within  
12 the scope of the direct testimony.

13 A. Thank you. In 2005, the U.S. Senate passed a  
14 resolution calling for a, quote, comprehensive and effective  
15 national program of mandatory market-based limits and  
16 incentives on emissions of greenhouse gases that slow, stop,  
17 and reverse the growth of such emissions.

18 Based on these and other factors, it is my judgment  
19 that it is virtually certain that carbon dioxide emissions from  
20 the Taylor Energy Center will be regulated during the life of  
21 the proposed facility. It is reasonably foreseeable that TEC  
22 would incur substantial costs associated with obtaining carbon  
23 dioxide emission allowances.

24 It would therefore be prudent to adopt a moderate CO<sub>2</sub>  
25 emission allowance price forecast as part of the base case for

1 evaluating whether TEC is the least cost option for the  
2 participants and conduct sensitivity analysis with higher and  
3 lower forecasts. Consistent with assumptions adopted by  
4 utilities in many other jurisdictions, a reasonable estimate  
5 for CO<sub>2</sub> costs under expected U.S. regulation range from about 8  
6 to about \$40 per ton of CO<sub>2</sub>.

7 In my judgment, the applicants have not included  
8 reasonably foreseeable CO<sub>2</sub> allowance costs in their economic  
9 evaluation. Therefore, I conclude the applicants have not  
10 demonstrated that TEC is the least cost option.

11 That concludes my summary.

12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**Q: Please state your name, occupation, and business address.**

A: My name is Daniel Lashof, I am the Science Director for the Natural Resources Defense Council's Climate Center, and my business address is 1200 New York Avenue, NW, Suite 400, Washington, D.C., zip code 20012.

**Q: Please summarize your education and experience.**

A: I hold a PhD in Energy and Resources from the University of California, Berkeley, and an undergraduate degree in physics and mathematics from Harvard. I am now the Science Director and Deputy Director for the Natural Resources Defense Council's Climate Center, and I have worked for NRDC for over 8 years. Prior to joining NRDC, among other things, I worked at the U.S. EPA as an environmental scientist, with the Bruce Company as a senior analyst in the climate change center, and with Lawrence Berkeley Laboratory as a research assistant. I have authored or co-authored more than 25 major publications, many directly relating to climate change, and have given testimony in dozens of instances in a variety of settings. I also have been the recipient of numerous honors and have held several climate-related appointments. My CV is attached as Exhibit A.

**Q: What is the purpose of your testimony today?**

A: This testimony is submitted in support of NRDC's intervention to advocate for the best and least cost option for meeting Florida's power needs, and in particular to explain why it is absolutely necessary to consider the likely costs associated with carbon dioxide *emission in the context of decisions about the development of new capacity* – especially for proposals involving coal-fired electricity generation. The regulation of carbon dioxide (CO<sub>2</sub>) will have a significant impact on the relative economics of coal-based electricity generation, and should be taken into account when determining whether a particular project is the most cost-effective and least risky alternative available, whether other cost-effective alternatives exist, and whether efficiency and other demand-side

1 management ("DSM") measures are reasonably available to mitigate the need for the  
2 proposed plant.

3 **Q: Why are Carbon Dioxide emissions so important?**

4 A: Carbon dioxide is a potent heat-trapping (also known as "greenhouse") gas. As we  
5 burn fossil fuels, we release more and more CO<sub>2</sub> into the atmosphere – CO<sub>2</sub> that  
6 otherwise would have remained trapped in the coal, oil, or other fossil fuel source. By  
7 dramatically increasing the rate of such emissions over the past 200 years, we have  
8 significantly changed the concentration of CO<sub>2</sub> in the atmosphere, leading to changes in  
9 climate, including a pronounced increase in global temperatures, increased melting of sea  
10 ice, ice sheets, and glaciers, and alterations in weather patterns (and according to some  
11 scientists the generation of larger, more powerful hurricanes).

12 There is virtual unanimity within the scientific community that human activities  
13 have contributed significantly to global climate change and that if left unchecked the  
14 continued release of global warming pollutants (primarily CO<sub>2</sub>) will result is dramatic  
15 climate disruption by the end of this century. The science tells us that each year  
16 emissions from burning fossil fuels and destroying forests puts about twice as much  
17 carbon dioxide (CO<sub>2</sub>) into the atmosphere as natural sources can remove. As a result, the  
18 amount of carbon dioxide in the atmosphere is rising worldwide and the rate of growth is  
19 increasing. The average CO<sub>2</sub> concentration in Earth's atmosphere is now over 380 parts  
20 per million by volume (ppm), which is higher than it has been for at least 650,000 years.<sup>1</sup>  
21 In 2005 the concentration of carbon dioxide in the atmosphere increased by 2.5 ppm, the  
22 third largest annual increase ever recorded.<sup>2</sup> Although there is considerable variation  
23 from year to year in the rate of increase in atmospheric carbon dioxide, the rise has been

24 <sup>1</sup> Siegenthaler, U., T.F. Stocker, E. Monnin, D. Luthi, J. Schwander, B. Stauffer, D. Raynaud, J. Barnola, H.  
25 Fischer, V. Masson-Delmotte, and J. Jouse (2005) Stable Carbon Cycle-Climature During the Late  
Pleistocent, *Science*, 310, p. 1313-1317.

<sup>2</sup> Tans, P. (2006) Trends in Atmospheric Carbon Dioxide, NOAA ESRL, available at:  
<http://www.cmdl.noaa.gov/ccgg/trends/>



1 more than 2 ppm in 3 of the last 4 years and preliminary 2006 data indicate that this trend  
2 is continuing.

3 The unprecedented buildup of carbon dioxide in our atmosphere endangers our  
4 environment, our health, and our economy. Carbon dioxide traps heat in the earth's  
5 atmosphere, preventing it from escaping into space. So the imbalance in the carbon cycle  
6 has also thrown the earth's energy balance out of whack, which means that each year the  
7 earth absorbs more energy from the sun than it radiates back into space. Global warming  
8 is the inevitable result and the human fingerprint on Earth's climate is now clearly visible.

9 As a result, the control of carbon emissions (especially CO<sub>2</sub>) is being widely  
10 recognized as vital to protect against catastrophic public health, environmental, and  
11 economic consequence of global warming. Indeed, a study release just this week,  
12 produced by Sir Nicholas Stern, former chief economist of the World Bank and currently  
13 the Head of the UK Government Economic Service, concludes, among other things, that  
14 the levelized costs of global warming could range from 5 to 20% of global GDP.<sup>3</sup> The  
15 report also concludes that many or most of the worst consequence of global warming can  
16 still be avoided at much lower cost, but doing so will require immediate and dramatic  
17 action.

18 In particular, because energy production is the single largest anthropogenic  
19 contributor of CO<sub>2</sub> emissions, and because coal-fired electricity generation is the largest  
20 single source of these energy-related emissions, controlling CO<sub>2</sub> from coal-fired power  
21 plants will necessarily become a major component of any program to reduce CO<sub>2</sub>  
22 emission.

23 **Q: Why is regulation of CO<sub>2</sub> a virtual certainty during the life of this proposed**  
24 **power plant?**

25 <sup>3</sup> The Summary of Conclusions from this report is included as an attachment to this testimony, and the full report is available at: [www.sternreview.org.uk](http://www.sternreview.org.uk).

1 A: It has become abundantly clear that CO<sub>2</sub> emissions, from sources such as coal-fired  
2 power generation, are creating a serious threat of dramatic climate disruption. The  
3 international community has already begun to take action to curb such emissions – 190  
4 countries have joined the United Nation’s Framework Convention on Climate Change,  
5 and most have ratified the Kyoto Protocol (the U.S. and Australia alone among the  
6 industrialized countries have not). More recently certain States have also taken concrete  
7 steps to reduce their carbon footprint – for example, several Northeast States have formed  
8 the Region Greenhouse Gas Initiative (RGGI) to reduce carbon emission in that part of  
9 the country.<sup>4</sup> The state of California also has passed legislation to limit the state’s  
10 greenhouse gas emissions, and to require that new long-term investments in baseload  
11 generation meet a minimum standard for greenhouse gas emissions, and several Western  
12 and Midwest States are now contemplating action to limit greenhouse gases. Moreover,  
13 members of Congress have introduced numerous bills, amendments, and resolutions  
14 specifically addressing global warming, and the Senate last year passed a resolution  
15 calling for a “comprehensive and effective national program of mandatory, market-based  
16 limits and incentives on emissions of greenhouse gases that slow, stop, and reverse the  
17 growth of such emissions”<sup>5,6</sup> Studies continue to show that such regulation is the only  
18 responsible and economically sensible course of action; for example the Stern Report  
19 referenced above concluded that while the cost of inaction could range from 5-20% of  
20 GDP, the cost of stabilizing ambient concentrations at 450 to 550 ppm CO<sub>2</sub>-equivalent  
21 can be accomplished for about 1% of GDP. According to the report, the key policies

---

22  
23 <sup>4</sup> See [www.rggi.org](http://www.rggi.org).

24 <sup>5</sup> Senate Amendment 866 a Sense of the Senate climate change resolution proposed by Senators Bingaman,  
25 Specter, Domenici, Alexander, Cantwell, Lieberman, Lautenberg, McCain, Jeffords, Kerry, Snowe, Collins  
and Boxer adopted by a vote of 53 to 44 on June 22, 2005. Congressional Record, Vol. 151, June 22 2005,  
S7033 – S7037, S7089.

<sup>6</sup> See [www.aip.org/fvi/2005/114.html](http://www.aip.org/fvi/2005/114.html). In May of this year the House Appropriations Committee approved  
similar language. See [www.pewclimate.org/what\\_s\\_being\\_done/in\\_the\\_congress/index.cfm](http://www.pewclimate.org/what_s_being_done/in_the_congress/index.cfm) for more  
information on Congressional action on global warming.

1 require to meet the goal are the implementation of carbon emission regulation (such as  
2 cap and trade measures), the deployment of low carbon-technologies and further low-  
3 carbon innovation, and the removal of barriers to energy efficiency.

4 As the momentum to regulate greenhouse gas emissions continues to grow around  
5 the country and internationally, businesses are increasingly recognizing the risk  
6 associated with carbon emissions. For example:

- 7 • PacifiCorp and Idaho Power Company have explicitly addressed the financial risk  
8 associated with carbon emissions in their recent IRPs. Idaho Power's draft IRP,  
9 for example, explains that the utility analyzed the financial risk of carbon  
10 emissions because "it is likely that carbon dioxide emissions will be regulated  
11 within the thirty year timeframe addressed in the 2004 IRP."<sup>7</sup>
- 12 • PG&E's long-term plan recognizes the risk of increasing costs for carbon  
13 emissions.
- 14 • Last year, the Coalition for Environmentally Responsible Economies (CERES)  
15 convened a Dialogue among experts from the power sector, environmental  
16 groups, and the investment community focusing on climate change. The Dialogue  
17 participants found that greenhouse gas emissions will be regulated in the U.S.,  
18 and that the "issue is not whether the U.S. government will regulate these  
19 emissions, but when and how."<sup>8</sup>
- 20 • Utility shareholders are recognizing that the likelihood of regulation of carbon  
21 *emissions represents a real financial risk, and are asking utilities to disclose those*  
22 *risks. Thirteen major public pension funds, which manage \$800 billion in assets,*  
23 *recently asked the Securities and Exchange Commission to require companies to*

---

24 <sup>7</sup> See PacifiCorp. "2003 Integrated Resource Plan." [www.pacificorp.com](http://www.pacificorp.com). Idaho Power Company. "Draft  
25 2004 Integrated Resource Plan." [www.idahopower.com/energycenter/2004irpdraft.htm](http://www.idahopower.com/energycenter/2004irpdraft.htm).

<sup>8</sup> Coalition for Environmentally Responsible Economies. "Electric Power, Investors, and Climate Change." June 2003. p. 4 ([www.ceres.org/reports/main.htm](http://www.ceres.org/reports/main.htm)).

1 disclose the financial risks they face from climate change.<sup>9</sup> Meanwhile, in 2004  
2 alone institutional shareholder groups filed 29 proposals asking individual  
3 companies to outline their response to global warming.

4 There is overwhelming evidence that carbon emissions will likely be regulated in the near  
5 future, and accordingly, businesses in the U.S. are taking this financial risk quite  
6 seriously. We urge the Commission and Florida's utilities to recognize formally that  
7 carbon dioxide emissions pose a real and substantial financial risk to customers and  
8 shareholders.

9 The general consensus in the U.S. is that federal CO<sub>2</sub> emission controls are  
10 inevitable. Notably, the utility industry as well has begun to recognize that national  
11 carbon emission limits are both necessary and desirable – for example, executives from  
12 Duke Energy and NRG have recently made statements strongly supporting the idea of  
13 national carbon limits, and emphasizing the responsibility of the electric power sector to  
14 take action to address global warming.<sup>10</sup> Because power generation is the single most  
15 significant source of CO<sub>2</sub> in the United States (accounting for nearly 40% of U.S.  
16 emission), this industry – and coal-fired power generation in particular – is certain to be  
17 among the first industry sectors affected by carbon-related regulation.

18 Based on the growing consensus and concern about global warming, it is my view  
19 that national regulation of CO<sub>2</sub> is imminent, and is virtually certain to occur within the  
20 operational life of this proposed facility.

21 **Q: Why would regulation of CO<sub>2</sub> have such a significant impact on the cost of coal-**  
22 **fired power generation?**

23 A: Unlike other pollutant emissions, it is not economically feasible to capture CO<sub>2</sub> from  
24 conventional coal fired power plants. As a result, when a facility like the proposed TEC

25  

---

<sup>9</sup> Margaret Kriz, "Measuring The Climate For Change," Congress Daily, April 22 2004.

<sup>10</sup> See, e.g., <http://www.cleartheair.org/proactive/newsroom/release.vtml?id=25835>.

1 is built, its carbon emissions are effectively "locked in" for the plant's operational life,  
2 making an overall reduction of aggregated CO<sub>2</sub> emissions that much more difficult.

3 However, because coal-fired power plants are the largest single contributors to  
4 CO<sub>2</sub> emissions, they represent the low-hanging fruit when it comes to CO<sub>2</sub> regulation. As  
5 a result, any strategy aimed at reducing CO<sub>2</sub> in order to address the impending global  
6 warming crisis will need to achieve significant reductions in emissions from such  
7 facilities. Because it is considered the most cost-effective way to ensure these reductions,  
8 a carbon trading scheme is likely to be established (much like the one now operating in  
9 Europe), which will assign a cost for CO<sub>2</sub> emission credits that large emitters of CO<sub>2</sub> (like  
10 power plants) will need to purchase. One result of this kind of regulatory scheme is a  
11 significant increase in the cost of generating electricity using carbon intensive-  
12 technology.

13 When carbon reduction requirements emerge they will make the operation of  
14 carbon intensive power generation units – like the one proposed here – much more  
15 expensive (requiring either the purchase of CO<sub>2</sub> credits to offset emissions, or the direct  
16 control of CO<sub>2</sub> output). To minimize costs of meeting Florida's power needs, the PSC  
17 should require exploration of other options (including conservation, efficiency, and other  
18 demand-side strategies, renewable energy sources, and alternative technologies such as  
19 IGCC).

20 **Q: Why do you believe that the proposed Taylor Energy Center is not the least cost**  
21 **option and is a risky proposition for Florida's electricity customers?**

22 A: As indicated in other testimony it appears that there are real opportunities to address  
23 future capacity needs through conservation, efficiency and other demand-side  
24 management options, and there are other potentially more cost-effective alternatives to  
25 the proposed project, such as renewable energy resources (such as biomass-fired power  
plants), and more advanced and more efficient coal technologies such as integrated

1 gasification combined cycle (IGCC), which can allow for the capture and permanent  
2 disposal of CO<sub>2</sub>.<sup>11</sup> Indeed, an analysis of energy options available to the City of  
3 Tallahassee found that a resource plan based on increased investment in demand side  
4 management (DSM) and a biomass-fired power plant would be lower cost than a plan in  
5 which the City invests in its proposed share of the Taylor Energy Facility. In addition,  
6 however, because the applicants here have not evaluated the true cost of a pulverized  
7 coal-fire power plant, including costs associated with future carbon regulation, their  
8 analysis is incomplete.

9           The Taylor Energy Center project has chosen a coal-based technology for  
10 generating electricity that will create huge volumes of CO<sub>2</sub> emissions that will be  
11 effectively uncontrollable for the foreseeable future. We estimate that the proposed 800  
12 MW facility will emit about 5.8 million tons of CO<sub>2</sub> pollution annually. The facility will  
13 likely operate for at least 50 years – adding over 290 million tons of CO<sub>2</sub> to the  
14 atmosphere during its operational life. (Assuming the generating unit has an approximate  
15 heat rate of 9000 BTUs per kWh, that means about 1,850 pounds of CO<sub>2</sub> per MWH. An  
16 800 MW plant running at approximately 90% capacity factor would produce 6.3 million  
17 MWH per year (800 \* 8760 \* 0.9). That equates to (1850\*6,300,000/2000) or 5,827,500  
18 million annual tons of CO<sub>2</sub>.) Because CO<sub>2</sub> emission will likely be regulated over most  
19 of this plant's operating life, these carbon emissions will add significantly to the cost of  
20 operating this facility.

21           There are various cost estimates related to future carbon dioxide emissions control  
22 that span a range from \$8 per ton to \$40 per ton. For example, there is currently a carbon  
23 dioxide trading program in Europe that serves as one component of European efforts to

---

24  
25 <sup>11</sup> For a description of IGCC see: <http://www.gasification.org/gasproc.htm>. More information is also  
available at: <http://www.netl.doe.gov/technologies/coalpower/gasification/index.html>. Presentations from  
vendors and others from the recent gasification technologies conference in Washington D.C. are available  
on-line at: <http://www.gasification.org/Presentations/2006.htm>.

1 address global warming. In that trading program, carbon dioxide emissions have reached  
 2 a high of about \$42 per ton.<sup>12</sup> Several states in the U.S. have specifically required  
 3 consideration of future carbon costs as a part of their energy planning processes. In  
 4 particular, the California Public Utilities Commission requires that the utilities use a  
 5 "greenhouse gas adder" of \$8 per ton CO<sub>2</sub>, beginning in 2004 and escalated at 5% per  
 6 year, in long-term planning and procurement for purposes of evaluating new long-term  
 7 resource investments.<sup>13</sup> The Montana Public Service Commission has a similar  
 8 requirement.<sup>14</sup> Idaho Power is using a carbon cost of \$14/ton starting in 2012.<sup>15</sup> As a  
 9 result, reasonable estimates for CO<sub>2</sub> costs under expected U.S. regulations range from  
 10 about \$8 to about \$40 per ton.

11 Even assuming a relatively low carbon cost, of say \$12 per ton, it is clear that  
 12 emission from a facility like the one proposed here could create a significant financial  
 13 burden. At this rate to fully account for the facility's emission, for example, it would cost  
 14 TEC almost 70 million dollar per year. Given the growing consensus regarding the need  
 15 for quick and decisive action to control global warming, and the clear indication that  
 16 carbon emission restriction of some kind are a virtual certainty, there is simply no good  
 17 reason not to include consideration of such costs in the planning process. Failing to do  
 18 so, in fact, does a material disservice to Florida's electricity consumers.

19 The fact that there is uncertainty about the timing and the specific cost impact of  
 20 carbon dioxide regulation is no excuse to ignore the issue entirely. Assuming no cost for  
 21 carbon emissions over the life-time of the plant is equivalent to assuming there is 100%

---

22  
 23 <sup>12</sup> See [http://pubs.acs.org/subscribe/journals/esthag-v/2006/jul/business/mb\\_carbonprices.html](http://pubs.acs.org/subscribe/journals/esthag-v/2006/jul/business/mb_carbonprices.html).  
 24 <sup>13</sup> California Public Utilities Commission. Decision No. 04-12-048, and Decision 05-04-024.  
 25 <sup>14</sup> Montana Public Service Commission. "Written Comments Identifying Concerns Regarding Northwestern  
 Energy's Compliance with A.R.M. 38.5.8201-8229." Docket No. N2004.1.15. *In the Matter of the  
 Submission of Northwestern Energy's Default Electricity Supply Resource Procurement Plan*. August 17,  
 2004.  
<sup>15</sup> See <http://www.idahopower.com/energycenter/irp/2006/2006IRPFinal.htm>.

1 certainty that carbon will not be regulated, clearly an imprudent assumption. Indeed,  
2 there is an entire industry – the insurance industry – whose business it is to quantify  
3 uncertain risks, and despite profound uncertainty about whether and when we might  
4 experience significant costs, most of us make monthly payments to insure ourselves and  
5 our families against risks related to sickness, auto accidents, fire, disability and death.  
6 We do so because it is the responsible thing to do. The PSC owes no lesser responsibility  
7 to the people of Florida.

8 In addition to the purely energy cost-related issues described above, Florida sits  
9 on the front-lines of the battle against global warming and its potentially devastating  
10 effects, and therefore should have a particular interest in recognizing the importance of  
11 addressing global warming and leading the charge to reduce carbon emissions. The  
12 overwhelming consensus among climate scientists is that global warming, if it remains  
13 unchecked, will cause serious climate disruption including more intense hurricanes, more  
14 frequent and more severe floods, and potentially catastrophic sea level rise – effects that  
15 the citizens of Florida are likely to feel acutely. Certainly a strong policy that recognizes  
16 the likelihood and importance of controlling CO<sub>2</sub> emissions would be consistent with the  
17 PSC’s mission to serve the public welfare, especially in a state with 2,276 miles of tidal  
18 coastline and a mean elevation of only 100 feet above sea level.

19 **Q: Are you sponsoring any exhibits?**

20 A: Yes. There are 7 exhibits attached to my testimony.



1 MR. SIMMS: I would tender the witness for  
2 cross-examination.

3 MR. PERKO: Commissioner, I think that it would  
4 probably be more appropriate for the other intervenors to go  
5 first. Depending on whether and the extent to which friendly  
6 cross-examination is allowed, my cross-examination may be very  
7 limited.

8 COMMISSIONER CARTER: So you want to cross-examine  
9 your own witness? Is that what you're saying?

10 MS. BROWNLESS: No, sir. Here's --

11 MR. PERKO: No, I'm speaking of --

12 MS. BROWNLESS: -- the problem, Your Honor. The  
13 problem is this concept of, quote, friendly cross, close quote.  
14 There is no such concept under the Florida Rules of Civil  
15 Procedure, which are the rules that apply to administrative  
16 proceedings and proceedings before this body.

17 So to the extent Mr. Perko would like to go last,  
18 he's certainly welcome to go last. But, you know, I do not  
19 acknowledge or accept, and would strongly contest that there is  
20 any such thing as friendly cross, so I think the order is up to  
21 my colleagues. It's not a matter of friendly cross.

22 MR. JACOBS: And I think that's who Mr. Perko is  
23 really addressing, is our opportunity to cross-examine the  
24 witness of NRDC. And I think Mr. Perko's -- we had  
25 discussed -- we were already in agreement that we would go

1 first, but I think his concern is that we would operate in  
2 tandem as one party in our questioning of these witnesses, and  
3 I too would disagree with that assumption. They're not totally  
4 unified interests. We have interests that are distinct.

5 COMMISSIONER CARTER: Well, let's not get far afield.  
6 Let's stay focused on why we're here, and let's stay focused on  
7 the issue. We'll allow some, but I'll expect us to really --  
8 you know, let's don't turn this into more than what it really  
9 is, and let's adhere to some modicum of professionalism. This  
10 is a situation where we're dealing with something that's  
11 significant to the people of Florida, so let's keep it on that  
12 level.

13 Ms. Brubaker.

14 MR. JACOBS: We can assure you, Commissioner Carter,  
15 that --

16 COMMISSIONER CARTER: Wait, wait, wait, wait.  
17 Ms. Brubaker.

18 MS. BRUBAKER: I don't really have anything in  
19 particular to add. I would just note that the direct case is  
20 the direct case. I think cross-examination is probably most  
21 appropriate to try the direct case, to get clarification where  
22 clarification is needed, to challenge where challenging is  
23 appropriate, depending on one's position in the proceeding.

24 I don't think it's appropriate to -- and I'm not -- I  
25 don't mean to infer that this is what the intervenors intend to

1 do or will do, but I don't think it's appropriate to wholesale  
2 enlarge, expand upon the case in chief when that opportunity  
3 was already provided through prefiling in your direct case.

4 I don't think that cross-examination, in any event,  
5 should be irrelevant, immaterial, unduly repetitious. That's  
6 in Section 120.569, Florida Statutes. So I would expect  
7 everyone to be mindful of time and to be professional.

8 COMMISSIONER CARTER: Thank you, Ms. Brubaker.

9 Mr. Jacobs, you were about to say?

10 MR. JACOBS: I would like to move on, but I feel I  
11 have to at least be very clear. Unless there have been some  
12 modifications of the Florida Rules of Civil Procedure or --

13 COMMISSIONER CARTER: Are you going to make a speech,  
14 or are you going to move on? Okay. Let's move on. Let's move  
15 on.

16 MR. JACOBS: I would like to move on. Very well,  
17 sir.

18 COMMISSIONER CARTER: Let's move on.

19 MR. JACOBS: And what I would like to say is that we  
20 intend to be bound --

21 COMMISSIONER CARTER: This is not a forum to discuss  
22 whether or not the Florida Rules of Civil Procedure are  
23 appropriate or not. That's a different forum. That's across  
24 the street at the Supreme Court. So let's move on with our  
25 case.

1 MR. JACOBS: Very well.

2 CROSS-EXAMINATION

3 BY MR. JACOBS:

4 Q. Good afternoon, Mr. Lashof.

5 A. Good afternoon.

6 Q. How are you? I want to be very clear and very  
7 specific. I want to direct you to your testimony. And I want  
8 to go to page -- I'm sorry. Let me get to the bottom here.

9 Page 10.

10 A. Yes, sir.

11 Q. And I want to begin at line 9. And here you indicate  
12 that the Taylor Energy Center would generate substantial  
13 volumes of carbon emissions.

14 A. Yes. I provide an estimate of the lifetime emissions  
15 from the plant over 50 years.

16 Q. And on what do you base those estimates?

17 A. I base the estimates on my knowledge of the carbon  
18 content, average carbon content of coals and an estimate of the  
19 heat rate of the plant.

20 Q. And the baseline assumptions for your analysis comes  
21 from the application that was generated by the applicants; is  
22 that correct?

23 A. I don't recall whether these specific numbers for the  
24 heat rate come directly from the application. The size of the  
25 plant comes from the application.

1           **Q.**    Okay.  Now, there is clear indication in your  
2 testimony that there is an economic cost associated -- real  
3 economic cost associated with generating carbon; is that  
4 correct?

5           **A.**    I believe it's virtually certain that over the life  
6 of the facility, there will be economic costs associated with  
7 emissions of CO<sub>2</sub> from the plant, yes.

8           **Q.**    And that is based on your understanding of what the  
9 start date, the operational date of this plant is?

10          **A.**    Yes, based on the expected start date and the  
11 lifetime of the facility.

12          **Q.**    Okay.  And so the idea here is that in evaluating  
13 this plant, the true O&M costs of the plant when it comes  
14 online will be affected by a carbon regulatory regime; is that  
15 correct?

16          **A.**    Yes.

17          **Q.**    You in your testimony on page 11 -- actually, it  
18 begins on page 10 at line 21, and you talk about several  
19 proxies for what a cost might be.  Over on the next page, you  
20 cite some examples of regulatory regimes that are in place  
21 today and other regulatory agencies.  Do you see that?

22          **A.**    Yes.

23          **Q.**    You also cite a regulatory regime that exists in  
24 Europe; correct?

25          **A.**    Yes, I do.

1           Q.    And would it be reasonable to use these proxies as  
2 evidence of an emerging trend that exists today for a carbon  
3 regulatory regime?

4           MR. PERKO:  Objection.  I believe Mr. --

5           COMMISSIONER CARTER:  Let's focus.  Look, everyone is  
6 entitled to their day, and we want to have that, but let's stay  
7 focused.  If you want to get information in the record, the  
8 proper way to do it is to do it properly, so let's stay  
9 focused.  We're not here litigating what they're doing in  
10 Europe or anything like that.  We're talking about this project  
11 as planned and our the needs determination, so let's stay  
12 focused.

13          MR. JACOBS:  Yes, sir.

14 BY MR. JACOBS:

15          Q.    Mr. Lashof, we're looking at your testimony still,  
16 the same page.  You cite the Idaho -- I'm sorry.  You cite a  
17 carbon price that is in existence today that applies to Idaho  
18 Power.  You cite a price that is in today that has been  
19 required by the Montana Public Service Commission; is that  
20 true?

21          A.    That's correct.

22          Q.    You cite a price that is in existence today that has  
23 been implemented by the California Public Utilities Commission;  
24 is that correct?

25          MR. PERKO:  Commissioner, I'm sorry.  I need to

1 object. I think we're just reading through the testimony. And  
2 furthermore, I don't believe Mr. Jacobs is allowed to ask  
3 leading question, since this witness is clearly not adverse to  
4 the party he's representing.

5 COMMISSIONER CARTER: Ms. Brubaker, you know, I --

6 MS. BRUBAKER: I suppose if --

7 COMMISSIONER CARTER: I don't want to delete the  
8 entire information, but I do see that we're just getting far  
9 afield here.

10 MS. BRUBAKER: If Mr. Jacobs could -- I suppose -- I  
11 understand that he's probably laying a foundation. If there's  
12 any way to accelerate that process and get to the  
13 questioning --

14 MR. JACOBS: I would love to do that.

15 MS. BRUBAKER: Okay. Asking leading questions of a  
16 witness is generally more appropriate when it is an adverse  
17 witness. I would not consider Mr. Lashof an adverse witness to  
18 the Sierra Club and the other inventors that Mr. Jacobs  
19 represents.

20 MR. JACOBS: Ms. Bru -- I'm sorry to interrupt. Go  
21 ahead.

22 MS. BRUBAKER: I've completed.

23 MR. JACOBS: If I may, Commissioner Carter, the way  
24 that I was anticipating doing that was having him read his  
25 testimony into the record, which I thought was more

1 inappropriate than simply quoting to him what was in his  
2 testimony. If that's more appropriate, I would be happy to do  
3 that. That would not be leading; is that correct?

4 MS. BRUBAKER: Well, I suppose my concern would be  
5 that the testimony is in the record at this point. Perhaps if  
6 there's a way to accelerate to the actual questioning --

7 MR. JACOBS: I think we can. Let me try that.

8 MS. BRUBAKER: Thank you.

9 BY MR. JACOBS:

10 Q. Dr. Lashof, based on your testimony that has been  
11 prefiled, is it your view -- strike that. What is your opinion  
12 as to an emerging standard for carbon regulatory costs in the  
13 United States?

14 MR. PERKO: Objection. First of all, it calls for  
15 speculation. And secondly, the opportunity to file testimony  
16 for this witness came and passed on November 2nd. He has  
17 provided expert opinions. Those are in the testimony, and they  
18 stand for themselves. I think all we're getting into here is  
19 supplementing the record inappropriately.

20 COMMISSIONER CARTER: Mary Anne?

21 MS. HELTON: I'm sorry. I just -- I find myself at  
22 the point where I just can't keep my mouth shut.

23 COMMISSIONER CARTER: I'm listening.

24 MS. HELTON: First I would like to read you the  
25 Florida Statutes, because I think that's what is applicable



1 here. "Irrelevant, immaterial, or unduly repetitious evidence  
2 shall be excluded, but all other evidence of a type commonly  
3 relied upon by reasonably prudent persons in the conduct of  
4 their affairs shall be admissible whether or not such evidence  
5 would be admissible in a trial in the courts of Florida."

6 So I think one thing we need to think about today is,  
7 we're trying to get through this massive number of witnesses  
8 and get finished with the hearing so you all can actually make  
9 your decision.

10 I would also -- if I could just beg your indulgence  
11 and read a paragraph from the 2004-2005 edition of *Florida*  
12 *Civil Practice* by Judge Padovano. He is talking about civil  
13 trial practice, which is not exactly on point, but I think it's  
14 interesting, in that he disagrees with Ms. Brownless with  
15 respect to which parties are entitled to cross-examine  
16 witnesses.

17 MS. BROWNLESS: With all due respect, and I'll make  
18 this very brief, I know Judge Padovano. He's an excellent  
19 appellate judge. It's his treatise. It's his opinion. With  
20 that caveat, please read.

21 MS. HELTON: I would be happy to. Section 19.6  
22 concerning cross-examination: "If there is one party on each  
23 side of the case, each would have the right to cross-examine  
24 the witnesses called by the other. Likewise, if there are  
25 multiple parties on one side of the case, all parties on one

1 side would have a right to cross-examine a witness called by a  
2 party on the other side.

3 "It is more difficult, however, to determine whether  
4 a party has a right to cross-examine a witness called by  
5 another party on the same side of the case. A party who is  
6 aligned on the same side of the litigation as the party calling  
7 the witness should be allowed to cross-examine the witness if  
8 the interests of the parties are adverse to each other.

9 "On the other hand, a party who is aligned on the  
10 same side of the litigation with a party having a common  
11 interest should not allowed to cross-examine a witness called  
12 by that party. Co-parties having common interests in the  
13 litigation shouldn't be allowed to cross-examine witnesses  
14 called by each other."

15 I agree with Ms. Brownless that this is a treatise.  
16 However, it's a treatise written by, I believe, a respected  
17 judge in the State of Florida, one who presided over circuit  
18 court and now is presiding in appellate court. I know that I  
19 think he takes a pretty hard line, one that the Commission does  
20 not follow in its practice strictly.

21 However, I do think that we need to all be aware of  
22 the time that we have in this case. We have to be aware that  
23 we have certain prehearing procedures here at the Commission  
24 which involve parties prefiling their direct case by way of  
25 prefiled testimony. It should not be, and I do not believe is,

1 proper Commission practice for another party to bolster a case  
2 filed by that party by way of cross-examination. And I would  
3 hope that all parties here today could keep that in mind so  
4 that we can move along in a quick and deliberate manner.

5 MS. BRUBAKER: If I might also just weigh in, from a  
6 quick review of the issues, while not necessarily word for word  
7 identical, there is a certain amount of similarity in the  
8 positions take by the party whom the witness represents and the  
9 counsel who is currently asking questions, and perhaps if  
10 there's a way to focus on whatever differences there may be in  
11 those positions, that might be a more effective and useful use  
12 of our time.

13 COMMISSIONER CARTER: Thank you. I am fairly close  
14 to disallowing this whole process, but I was hoping that if we  
15 were to just stay focused, we could go down it. I gave you  
16 some leeway, Mr. Jacobs, and it seemed like it's a figurative  
17 slap in the face.

18 You must take the proceedings serious before this  
19 tribunal. I mean, every lawyer that I know of in Florida, and  
20 practically any other state, has taken an oath of office. And  
21 in that oath of office, we have three responsibilities, to our  
22 client, to the lawyers on the other side, that is, the process,  
23 and to the judicial tribunal before which we're appearing. And  
24 I don't need to lecture to any of your lawyers about that,  
25 because those are the rules that we all adhere to over and

1 above what's written in the books.

2 And I was willing to allow some leeway. And I'm  
3 telling you, I'm going to take two minutes, and then when I  
4 come back in two minutes, I'm going to make a ruling. So I  
5 would hope that this is not the way that we reward the process  
6 when I say I'm willing to allow some leeway. You can't have it  
7 your way just because you want it a certain way. I can't have  
8 it my way.

9 So I'm going to take about two minutes, and I suggest  
10 that those of you that have similar interests get your act  
11 together.

12 We are in recess.

13 (Short recess.)

14 COMMISSIONER CARTER: We are back on the record. And  
15 the last time, there was an objection pending, and I shall  
16 sustain the objection, and will most happily pass the gavel on  
17 to our distinguished chairman.

18 CHAIRMAN EDGAR: Okay. My understanding is that,  
19 Mr. Jacobs, you are questioning; is that correct?

20 MR. JACOBS: Yes.

21 CHAIRMAN EDGAR: Okay.

22 MR. JACOBS: Yes, Madam Chair.

23 BY MR. JACOBS:

24 Q. Dr. Lashof, if I recall, my last question was  
25 objected to.

1           Off the record for a moment. The objection was as to  
2 speculation; is that correct?

3           MR. PERKO: I believe the objection was to reading  
4 the testimony and getting him to try to supplement the  
5 testimony through additional opinions, and speculation.

6 BY MR. JACOBS:

7           **Q.** Dr. Lashof, would you give us your statement and the  
8 basis of your statement in your testimony on page 11, beginning  
9 at line 2 to line 10?

10          **A.** Yes. In my testimony, I review the practice of a  
11 number of other states in requiring utilities in their  
12 integrated resource plans to quantitatively incorporate  
13 expected carbon dioxide emission allowance costs for the  
14 purposes of determining what a least cost option is, as  
15 required in their base cases, and I conclude that a reasonable  
16 range based on that practice is 8 to \$40 per ton.

17           MR. JACOBS: No further questions.

18           CHAIRMAN EDGAR: Okay. Thank you. Mr. Paben, did  
19 you have questions?

20           MR. PABEN: Just a few.

21                           CROSS-EXAMINATION

22 BY MR. PABEN:

23           **Q.** Mr. Lashof, did you complete the response to NRDC's  
24 response to applicants' first set of interrogatories, number  
25 one?

1           **A.**    Yes.

2           **Q.**    In that response, did you provide a chart which  
3 compared different CO<sub>2</sub> prices?

4           **A.**    Yes, I did.

5           **Q.**    Let me ask you -- is this a true and correct copy of  
6 that chart?

7           **A.**    Yes, it is.

8           **Q.**    And can you briefly describe what this chart shows  
9 and your basis?

10           MR. PERKO:  Objection.  Madam Chairman, we're trying  
11 to supplement the record here.  This is not in the witness's  
12 testimony, nor does he speak about it.

13           MR. PABEN:  Well, you know, my client has his own  
14 witness that speaks about potential future carbon dioxide  
15 costs, and it doesn't coincide with this chart.

16           CHAIRMAN EDGAR:  Mr. Perko.

17           MR. PABEN:  And I just wanted to ask him to explain  
18 the difference.

19           MR. PERKO:  Ms. Deevey's testimony is in the record,  
20 and it speaks for itself, as does Mr. Lashof's.

21           CHAIRMAN EDGAR:  I think we need to move on.  I will  
22 concur with the objection.

23 BY MR. PABEN:

24           **Q.**    Mr. Lashof, the last question then.  Mr. Preston  
25 based his carbon dioxide sensitivity analysis on the

1 McCain-Lieberman bill, the Climate Stewardship Act of 2005; is  
2 that correct?

3 **A.** Yes.

4 **Q.** Is that the most recent version of the  
5 McCain-Lieberman Act?

6 MR. PERKO: Objection, Your Honor. Again, it's  
7 outside his direct testimony.

8 CHAIRMAN EDGAR: Mr. Paben.

9 MR. PABEN: Well, his direct testimony is on the  
10 likelihood of various federal legislation passing. That's what  
11 his direct testimony is pretty much about. He states fairly  
12 often that he's virtually certain that, you know, federal  
13 legislation will pass.

14 CHAIRMAN EDGAR: Ms. Brubaker, or Ms. Helton?

15 MS. BRUBAKER: If we could have just a moment.

16 CHAIRMAN EDGAR: Just a moment, yes, of course.

17 (Pause.)

18 MS. BRUBAKER: Could I trouble counsel for  
19 Mr. Whitton to repeat his grounds for continuing this line of  
20 questioning?

21 MR. PABEN: It's based on Mr. Lashof's -- trying to  
22 understand his basis for his virtual certainty, which he  
23 repeatedly states, that there will be -- you know, there's  
24 federal legislation regarding these CO<sub>2</sub> costs, you know, which  
25 stems from page 5 of his testimony.

1 MS. HELTON: And did your question go to whether  
2 there is a certainty or not? I'm sorry. I didn't hear your  
3 full question.

4 MR. PABEN: This question goes to the applicants'  
5 expert, Mr. Preston, based his analysis on the McCain-Lieberman  
6 bill, Senate 342, you know, the Climate Stewardship Act of  
7 2005, and I was just wondering if that was the most recent.

8 MR. PERKO: Madam Chair, I would just point out that  
9 Mr. Lashof's testimony does not even reference Mr. Preston nor  
10 the McCain-Lieberman bill.

11 MR. PABEN: I was just going to Mr. Lashof's  
12 testimony about the virtual certainty of CO<sub>2</sub> --

13 CHAIRMAN EDGAR: Ms. Brubaker?

14 MS. BRUBAKER: I'm inclined to agree that it's  
15 outside the scope of the direct testimony. If you want to  
16 allow some very limited questioning to see where it goes, but  
17 I'm afraid I don't see it in the testimony at this time.

18 CHAIRMAN EDGAR: Okay. Because of the previous  
19 ruling about allowing some latitude, but I think we have done  
20 that, and for consistency, again, I think we need to move  
21 along, so I will agree with the objection.

22 BY MR. PABEN:

23 Q. Let me just ask then, Mr. Lashof, what is the basis  
24 of your virtual certainty that carbon dioxide regulation will  
25 be passed?



1           **A.**    It stems from the developments in the states, where a  
2 number of states have recently passed laws or adopted or are in  
3 the process of adopting regulations, as well as the  
4 developments in Congress, which include a series of bills that  
5 have been introduced recently, the resolution, as I discussed  
6 in my testimony, passed by the Senate last year, and additional  
7 legislation, many of which include much deeper reductions than  
8 the McCain-Lieberman bill.

9           MR. PABEN:   That's all.   Thank you.

10          CHAIRMAN EDGAR:   Thank you.   Mr. Perko.

11          MR. PERKO:   Just very briefly, Madam Chairman.

12                                    CROSS-EXAMINATION

13   BY MR. PERKO:

14          **Q.**    Mr. Lashof, on page 11 of your testimony -- I believe  
15 Mr. Jacobs referenced this.   On line 8, you state that Idaho  
16 Power is using a carbon cost of \$14 per ton starting in 2012.  
17 And there's a footnote referencing a website, and I believe  
18 that is to the Idaho Power 2006 Integrated Resource Plan; is  
19 that correct?

20          **A.**    Yes.

21          **Q.**    Now, in that 2006 Integrated Resource Plan, it states  
22 that Idaho Power expects to add approximately 250 megawatts of  
23 pulverized coal generation in 2013; is that correct?

24          **A.**    I don't recall that specifically.   I don't recall  
25 whether that's what it states in the resource plan.   I don't

1 have the document with me.

2 MR. PERKO: If we could just have a moment, Madam  
3 Chairman, while that document is distributed to counsel.

4 CHAIRMAN EDGAR: Yes, sir.

5 (Documents distributed.)

6 BY MR. PERKO:

7 Q. Dr. Lashof, do you see the document that I gave to  
8 you entitled "2006 Integrated Resource Plan, Idaho Power"?

9 A. Yes, I do.

10 Q. Is that the document referenced in your testimony?

11 A. Yes, it is.

12 Q. And I would refer you to page 97 of that document,  
13 the first full paragraph. Does that refresh your recollection  
14 as to whether Idaho Power expects to add approximately 250  
15 megawatts of pulverized coal generation in 2013?

16 A. Yes. The Integrated Resource Plan calls for 150  
17 megawatts of wind in 2012, followed by 250 megawatts of  
18 pulverized coal in 2013.

19 Q. Thank you. Now, Mr. Lashof, beginning on page 9,  
20 line -- it looks like it's after 25, but the last word starts,  
21 "integrated gasification combined cycle." And the gist of the  
22 sentence is that integrated gasification combined cycle or IGCC  
23 can allow for the capture and permanent disposal of CO<sub>2</sub>.

24 Is it technically feasible to permanently capture and  
25 sequester carbon dioxide from pulverized coal units?

1           **A.**    As addressed in my article, "What To Do About Coal,"  
2           yes, it's technically feasible.  But it's more expensive and  
3           requires approximately 30 percent of the energy output of a  
4           pulverized coal unit to capture carbon dioxide, and therefore  
5           it's more expensive and requires more energy than with an  
6           integrated gasification combined cycle unit.

7           **Q.**    Are there any integrated gasification combined cycle  
8           units currently in operation that capture and sequester carbon  
9           dioxide?

10          **A.**    I'm aware of a proposed unit by BP that is expected  
11          to be online in 2011 or 2012 in Carson, California, but not any  
12          currently in operation.

13                   MR. PERKO:  Thank you.  No further questions.

14                   CHAIRMAN EDGAR:  Are there questions from staff?

15                   MS. BRUBAKER:  Just one, please.

16                                   CROSS-EXAMINATION

17           BY MS. BRUBAKER:

18           **Q.**    Dr. Lashof, are you aware of any particular  
19           methodology that has been approved by either the EPA or DEP  
20           expressly for the purpose of evaluating source-specific costs  
21           associated with controlling SO<sub>2</sub> and NO<sub>x</sub> and CO<sub>2</sub> air emissions?

22           **A.**    I'm not aware of any formally approved methodology.  
23           I'm aware that the Environmental Protection Agency uses various  
24           models to make estimates.

25                   MS. BRUBAKER:  Thank you.

1 CHAIRMAN EDGAR: Ms. Brownless?

2 MS. BROWNLESS: I think at this time we would like to  
3 move Dr. Lashof's exhibits into the record, and they are --

4 CHAIRMAN EDGAR: So no redirect?

5 MS. BROWNLESS: No, ma'am.

6 CHAIRMAN EDGAR: Okay. Before we do that, do we need  
7 to mark this document that Mr. Perko distributed?

8 MR. PERKO: No, ma'am.

9 CHAIRMAN EDGAR: Okay. Thank you.

10 Okay. The exhibits.

11 MS. BROWNLESS: Give me a minute, and I'll make sure  
12 I have the right numbers for you.

13 CHAIRMAN EDGAR: Okay. From my list, 61, 62, and 63.

14 MS. BROWNLESS: Yes, ma'am. And I believe that there  
15 would also be -- well, why don't we do these first.

16 CHAIRMAN EDGAR: Yes, let's start with those. Are  
17 there any objections to the exhibits marked as 61, 62, or 63?

18 MR. PERKO: Madam Chairman, I understand that we had  
19 previously had an objection to 62 as hearsay, and we understand  
20 that that will be admitted, but I just would like to preserve  
21 that objection to the extent that it's uncorroborated hearsay.

22 CHAIRMAN EDGAR: So noted. With that objection,  
23 Exhibits 61, 62, and 63 will be entered the record.

24 (Exhibits Number 61, 62, and 63 were admitted into  
25 evidence.)

1 CHAIRMAN EDGAR: And then that brings us to --

2 MS. BROWNLESS: And that brings us to Exhibit 109 and  
3 110.

4 CHAIRMAN EDGAR: Yes, ma'am.

5 MR. PERKO: And, Madam Chairman, we would object to  
6 those as supplementation of the record outside the witness's  
7 direct testimony.

8 CHAIRMAN EDGAR: And my understanding is that those  
9 exhibits do go beyond the direct testimony, so unless I hear  
10 something different, I am inclined to not admit at this time.

11 MS. BROWNLESS: Thank you, Your Honor. And I'm just  
12 going to put this on the record. With regard to Exhibits 109  
13 and 110, we don't think they go beyond direct.

14 We would say that there's no prejudice to either the  
15 staff or the applicants, because these responses were provided  
16 prior to the hearing. They've had plenty of time to review  
17 them. They can cross-examine on them. They could do whatever  
18 they needed to do. So there's no prejudice to admitting them  
19 into the record.

20 Thank you.

21 CHAIRMAN EDGAR: Okay. That objection is also noted  
22 for the record, and my ruling remains to not enter them.

23 MS. BROWNLESS: Thank you, Your Honor.

24 CHAIRMAN EDGAR: Thank you. And I believe that  
25 concludes where we are with this section and witness Lashof.

1 Thank you. And you are excused.

2 THE WITNESS: Thank you.

3 (Transcript follows in sequence in Volume 9.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## CERTIFICATE OF REPORTER


STATE OF FLORIDA:

COUNTY OF LEON:

WE, JANE FAUROT and MARY ALLEN NEEL, Registered Professional Reporters, do hereby certify that the foregoing proceedings were taken before us at the time and place therein designated; that our shorthand notes were thereafter transcribed under our supervision; and the foregoing pages numbered 791 through 884 are a true and correct record of the aforesaid proceedings.

WE FURTHER CERTIFY that we are not a relative, employee, attorney or counsel of any of the parties, nor relative or employee of such attorney or counsel, nor are we financially interested in the foregoing action.

DATED THIS 16th day of January, 2006.



JANE FAUROT, RPR  
FPSC Official Commission  
Reporter  
(850) 413-6732



MARY ALLEN NEEL, RPR, FPR  
2894-A Remington Green Lane  
Tallahassee, Florida 32308  
(850) 878-2221