


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 050958-EI

In the Matter of:

PETITION FOR APPROVAL OF NEW
ENVIRONMENTAL PROGRAM FOR COST
RECOVERY THROUGH ENVIRONMENTAL
COST RECOVERY CLAUSE BY TAMPA
ELECTRIC COMPANY.



VOLUME 1
Pages 1 through 177

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN LISA POLAK EDGAR
COMMISSIONER MATTHEW M. CARTER, II
COMMISSIONER KATRINA J. MCMURRIAN

DATE: Monday, March 5, 2007

TIME: Commenced at 9:35 a.m.
Concluded at 12:00 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: LINDA BOLES, CRR, RPR
Official FPSC Reporter
(850) 413-6734

DOCUMENT NUMBER-DATE

FLORIDA PUBLIC SERVICE COMMISSION

02200 MAR 12 5

FPSC-COMMISSION CLERK

1 PARTICIPATING:

2 JAMES D. BEASLEY, ESQUIRE, and LEE L. WILLIS,
3 ESQUIRE, Ausley & McMullen Law Firm, Post Office Box 391,
4 Tallahassee, Florida 32302, appearing on behalf of Tampa
5 Electric Company.

6 PATRICIA CHRISTENSEN, ESQUIRE, Office of Public
7 Counsel, C/o The Florida Legislature, 111 West Madison Street,
8 Room 812, Tallahassee, Florida 32399-1400, appearing on behalf
9 of the Citizens of the State of Florida.

10 MARTHA BROWN, ESQUIRE, and KEINO YOUNG, ESQUIRE, FPSC
11 General Counsel's Office, 2540 Shumard Oak Boulevard,
12 Tallahassee, Florida 32399-0850, appearing on behalf of the
13 Commission Staff.

14

15

16

17

18

19

20

21

22

23

24

25

I N D E X

WITNESSES

NAME:	PAGE NO.
HOWARD T. BRYANT	
Direct Examination by Mr. Beasley	16
Prefiled Direct Testimony Inserted	18
Cross Examination by Ms. Christensen	33
LAURA R. CROUCH	
Direct Examination by Mr. Beasley	37
Prefiled Direct Testimony of Gregory M. Nelson as adopted by Laura R. Crouch Inserted	39
Cross Examination by Ms. Christensen	51
Cross Examination by Ms. Brown	59
Redirect Examination by Mr. Beasley	61
JOHN V. SMOLENSKI	
Direct Examination by Mr. Beasley	62
Prefiled Direct Testimony Inserted	64
Cross Examination by Ms. Christensen	85
Redirect Examination by Mr. Beasley	92
PATRICIA W. MERCHANT	
Direct Examination by Ms. Christensen	93
Prefiled Direct Testimony Inserted	96
Cross Examination by Ms. Brown	108
Redirect Examination by Ms. Christensen	111
THOMAS A. HEWSON, JR.	
Direct Examination by Ms. Christensen	112
Prefiled Direct Testimony Inserted	119
Cross Examination by Ms. Brown	136
Redirect Examination by Ms. Christensen	140

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

NAME: PAGE NO.

JOHN B. STAMBERG

Direct Examination by Ms. Christensen	144
Prefiled Direct Testimony Inserted	150
Cross Examination by Ms. Brown	170
Redirect Examination by Ms. Christensen	172

CERTIFICATE OF REPORTER 177

EXHIBITS

	NUMBER :		ID.	ADMTD.
1				
2				
3				
4	1	Exhibit List - 1	7	7
5	2	Staff Consolidated Exhibit	7	7
6	3	GMN-1	7	62
7	4	JVS-1	7	92
8	5	JVS-2	7	
9	6	PM-1	7	112
10	7	TAH-1	7	144
11	8	TAH-2	7	144
12	9	TAH-3	7	144
13	10	TAH-4	7	144
14	10A	TAH-5	144	144
15	11	JSB-1	7	176
16	12	JSB-2	7	176
17	13	JSB-3	7	176
18	14	JSB-4	7	176
19				
20				
21				
22				
23				
24				
25				

P R O C E E D I N G S

1
2 CHAIRMAN EDGAR: Good morning. I call this hearing
3 to order, and we'll begin by asking staff to read the notice.

4 MS. BROWN: By notice issued January 29th, 2007, this
5 time and place was set for a hearing in Docket Number
6 050958-EI. The purpose of the hearing is set out in the
7 notice.

8 CHAIRMAN EDGAR: Thank you. And we'll go ahead and
9 take appearances.

10 MR. BEASLEY: Good morning, Commissioners.
11 James D. Beasley and Lee L. Willis, both of the law firm of
12 Ausley & McMullen in Tallahassee, Florida, representing Tampa
13 Electric Company.

14 CHAIRMAN EDGAR: Thank you.

15 MS. CHRISTENSEN: Patty Christensen on behalf of the
16 Office of Public Counsel.

17 CHAIRMAN EDGAR: Thank you. And staff.

18 MS. BROWN: Martha Carter Brown and Keino Young on
19 behalf of the Commission.

20 CHAIRMAN EDGAR: Thank you.

21 Okay. Ms. Brown, any preliminary matters?

22 MS. BROWN: I'm not aware of any, Madam Chairman.

23 CHAIRMAN EDGAR: Anybody else?

24 MS. BROWN: I don't know about the parties.

25 CHAIRMAN EDGAR: No? Okay. Then let's take up the

1 exhibits.

2 MS. BROWN: We have a comprehensive exhibit list that
3 we've passed out to the parties and to the Commission and the
4 clerk. It includes staff's stipulated composite exhibit and
5 all exhibits prefiled with the parties' testimony. We ask that
6 the exhibit list be marked as Exhibit 1 and all other exhibits
7 be marked as identified on the list. We would like to ask that
8 the list and Exhibit 2, that's staff's stipulated composite
9 exhibit, be admitted into the record at this time, and the
10 remaining exhibits on the list will be admitted after the
11 witness has testified.

12 CHAIRMAN EDGAR: Okay. Thank you. Then we will mark
13 the exhibit list as Exhibit 1 with the other exhibits as
14 included and described in the list; 2 through 14 will be so
15 marked and described. And Exhibit 1 and Exhibit 2 will be
16 entered into the record.

17 (Exhibits 1 through 14 marked for identification.)

18 (Exhibits 1 and 2 admitted into the record.)

19 MS. BROWN: I would like to mention at this time
20 also, Madam Chairman, that OPC has some corrections to their
21 testimony that they passed out to you all at this time, but
22 they'll deal with them when the witness takes the stand.

23 CHAIRMAN EDGAR: Fine. Any other matters?

24 MS. BROWN: Nothing until -- I think TECO has an
25 opening statement to give.

1 CHAIRMAN EDGAR: Okay. Then, as per the prehearing
2 order, ten minutes per side per opening statement. And, OPC,
3 are you going to take advantage of the opportunity for an
4 opening statement?

5 MS. CHRISTENSEN: Yes, very briefly.

6 CHAIRMAN EDGAR: Okay.

7 MS. CHRISTENSEN: And I guess I proceed first as the
8 petitioning party.

9 CHAIRMAN EDGAR: Oh, I guess so. Mr. Beasley, does
10 that work for you?

11 MR. BEASLEY: I'll be happy to proceed.

12 CHAIRMAN EDGAR: I don't feel strongly, so whichever.
13 Ms. Christensen, do you have a preference?

14 MS. CHRISTENSEN: That's fine. He can proceed and
15 then I'll follow.

16 CHAIRMAN EDGAR: Okay. All right. Mr. Beasley.

17 MR. BEASLEY: Thank you.

18 Good morning, Commissioners. On behalf of Tampa
19 Electric, I want to thank you for convening this hearing to
20 consider once again the propriety of Tampa Electric Company's
21 Big Bend FGD Flue Gas Desulfurization System Reliability
22 Program.

23 As you know, on June 20th of last year the Commission
24 unanimously voted to approve the program together with Tampa
25 Electric's cost recovery of prudently incurred costs in

1 implementing this program. That decision was later embodied in
2 your July 10, 2006, order, Proposed Agency Action order in
3 which you found that the program will maintain system unit
4 reliability and is an economically justified and beneficial
5 environmental compliance option for Tampa Electric's customers.
6 You also found that this program will allow for better
7 utilization of the SO2 scrubbers at Big Bend Station and help
8 maintain unit availability of Big Bend Units 1 through 3 at
9 existing levels. Your staff carefully studied that
10 environmental program the first time around and presented you
11 with a well-thought-out, well-reasoned recommendation that you
12 approve it, which you did.

13 The Office of Public Counsel did not oppose or even
14 address this program prior to your first approval of it, and
15 instead they filed a request for hearing on the last day of the
16 PAA protest period, something we do not contest their right to
17 do but something we're prepared to deal with here today.

18 In light of Public Counsel's protest, we are before
19 you again with what we consider not to be a burden but instead
20 the opportunity to reestablish for the record the propriety of
21 your earlier vote to approve this program for ECRC cost
22 recovery. We will present direct testimony of three Tampa
23 Electric witnesses today establishing the following facts that
24 support the reaffirmance of your prior PAA decision.

25 First, our witnesses will explain that prior to the

1 Consent Decree the generators at Big Bend Units 1 through 3
2 could be operated in an unscrubbed mode, that's without the FGD
3 scrubbers operating, at any time those scrubbers serving the
4 units were not operable. The evidence will also indicate that
5 the Consent Decree imposes a phased-in reduction and later the
6 total elimination of Tampa Electric's ability to run these
7 units when the scrubbers serving them are not operational.

8 The evidence will also reveal that from the effective
9 date of the Consent Decree through January 1 of 2010, and
10 that's for Big Bend Unit 3, and through January 1, 2013, for
11 Big Bend Units 1 and 2, the company has a certain number of
12 days a year when these units can be operated when the scrubber
13 serving them is out of order or out of service. Our witnesses
14 will also explain that after the 2010 and 2013 deadlines these
15 highly efficient coal-fired baseload economical units must be
16 shut down at any time the scrubbers serving them are shut down
17 for whatever reason.

18 Our witnesses will also explain that Tampa Electric
19 utilized over 22 years of scrubber operating experience out at
20 Big Bend Station and the expertise of its own in-house
21 engineers, planners and other experts as well as the resources
22 of outside expert consultants to develop the optimum components
23 of the most cost-effective plan for meeting the 2010 and 2013
24 deadlines imposed by the Consent Decree.

25 Our witnesses will also explain that the goal behind

1 that effort was to provide the same level of reliable,
2 cost-effective electric service that the company has been able
3 to provide prior to the effective date of those deadlines in
4 the Consent Decree. The record will show that all of the costs
5 of these projects for which Tampa Electric has requested ECRC
6 cost recovery as opposed to base rate recovery, which some of
7 them are, fully qualify to be recovered by Tampa Electric as
8 proposed by the company. This is made clear in Section
9 366.8255 concerning ECRC and prior decisions of the Commission
10 through numerous ECRC orders.

11 The evidence will also establish that but for the
12 2010 and 2013 deadlines in the Consent Decree, none of the
13 costs of any of these 13 projects that make up the program
14 would have to be incurred by Tampa Electric Company.

15 Finally, our witnesses will explain that based on
16 conservative estimates the Big Bend FGD System Reliability
17 Program will not only pay for itself, but it'll also provide
18 Tampa Electric's customers approximately \$34 million in
19 additional savings over and above the cost of the program on a
20 cumulative net present value basis compared to the base case of
21 not implementing the program in advance of the 2010 and 2013
22 deadlines.

23 Commissioners, our rebuttal case will point out
24 significant deficiencies in the testimony of OPC's witness
25 Ms. Merchant and in the testimonies of OPC's outside

1 consultants Mr. Stamberg and Mr. Hewson. Those include the
2 fact that Section 366.8255 and the Commission's decisions
3 implementing that statute provide a solid basis for the
4 Commission's approval of the company's proposal to recover
5 non-base rate portions of the Big Bend FGD System Reliability
6 Program through the ECRC cost recovery mechanism, contrary to
7 the suggestions to the contrary expressed in Ms. Merchant's
8 testimony.

9 Our rebuttal witnesses also will address the critical
10 fact that Mr. Stamberg has attempted to use operating data from
11 prior to the Consent Decree deadlines to project post 2010 and
12 2013 deadline operating needs, something that is the epitome of
13 an apples and oranges comparison that completely ignores the
14 fact that Tampa Electric will not be able to operate
15 Big Bend Units 1 through 3 unscrubbed after the deadline has
16 passed; whereas, the company has been able to do so prior to
17 those deadlines.

18 They will also address the fact that Mr. Stamberg has
19 other serious deficiencies in his analysis including his
20 confusing the use of military time for the commencement of an
21 outage, for the duration of an outage expressed in total hours,
22 something which totally undermines all that follows in his
23 analysis and in his conclusion.

24 Our witnesses will also address the fact that
25 Mr. Hewson fails to recognize the difference between the phased

1 requirements of the Consent Decree. As Ms. Crouch will explain
2 for Tampa Electric, Mr. Hewson confuses projects that relate to
3 the earlier requirements of the Consent Decree when a
4 limited number of days of unscrubbed operation of Big Bend
5 Units 1 through 3 are permitted with those projects that relate
6 to later phases of the Consent Decree which come into play in
7 2010 and 2013 when the company can no longer operate the units
8 unscrubbed.

9 Commissioners, these are fundamental defects that are
10 symptomatic of what clearly is only a superficial review by
11 OPC's witnesses of what Tampa Electric is proposing.

12 In the final analysis, the record in this proceeding
13 will show that Tampa Electric has used its best efforts and
14 resources to develop the most cost-effective means of meeting
15 the 20,000 or, excuse me, 2010 and 2013 deadlines imposed in
16 the Consent Decree, and at the same time continuing to provide
17 safe, adequate, reliable and reasonably priced electric service
18 to its customers. Our evidence will establish that the
19 projects that comprise the Big Bend FGD System Reliability
20 Program are essential if we are to meet this challenge, and
21 that these projects qualify for cost recovery in the manner the
22 company has proposed. We are prepared to proceed with the
23 evidence today and we thank you in advance for your time and
24 consideration.

25 CHAIRMAN EDGAR: Thank you, Mr. Beasley.

1 Ms. Christensen.

2 MS. CHRISTENSEN: Good morning, Commissioners.

3 TECO's petition for recovery of its Big Bend
4 Reliability Programs for the ECRC clause requires only one
5 determination to be made, and that is whether the activities
6 that they're requesting for recovery through the ECRC are
7 required to comply with the governmentally imposed law or
8 regulation. And if those activities are not required, then
9 they are not eligible for recovery through the clause. And
10 TECO's petition fails fundamentally on that point and no
11 further inquiry needs to be made.

12 Citizens has examined TECO's Big Bend Reliability
13 Program and has found that four of the proposed projects failed
14 to meet the standard for ECRC recovery; that is, the activity
15 is legally required to comply with an environmental law or
16 regulation. The proposed electric isolation project, the split
17 inlet duct and outlet duct projects and the gypsum fines filter
18 projects are not necessary or required to comply with the
19 Consent Decree or any other environmental law or regulation.
20 There is no nexus or but for relationship between those
21 projects and the deadlines in the Consent Decree; therefore,
22 these costs are not eligible for recovery through the ECRC
23 clause.

24 As the Commission noted in its Order
25 PSC-94-0044-FOF-EI, projects which may be warranted and even

1 desirable for other reasons but which are not necessary to
2 comply with any governmentally imposed environmental compliance
3 mandate cannot be passed through the ECRC clause. In other
4 words, even discretionary environmentally related projects are
5 not eligible through the ECRC clause even if they might be
6 eligible for base rate recovery.

7 TECO's claim that these projects are needed to meet
8 the new source performance standard deadlines that Big Bend
9 Units 1 and 3 run scrubbed at all times is unfounded.
10 Currently Big Bend Units 1 through 3 have all the equipment
11 needed to run scrubbed and meet the requirement to remove
12 90 percent or 95, excuse me, percent of the SO2 emissions.
13 Even in their quarterly reports to the EPA, TECO placed these
14 projects under the modifications to the Big Bend units not
15 required by the Consent Decree. And these projects were not
16 identified as part of the Phase I and Phase II optimization
17 plans required by the Consent Decree, nor has TECO sought, as
18 witnesses will testify, to modify this plan. So based on
19 TECO's own words to the EPA and the Florida DEP these projects
20 are not required by the Consent Decree.

21 Because of the potential for abuse of the special
22 mechanism due to shifting of costs which ought to be absorbed
23 in base rates, vigilance is warranted to keep only those costs
24 that are required to meet environmental law or regulations
25 flowing through the clause. Thank you.

1 CHAIRMAN EDGAR: Thank you. Okay. I think we're
2 ready to go ahead and swear in the witnesses. I believe we
3 have six. We'll do it as a group. If the six witnesses will
4 stand with me and raise your right hand.

5 (Witnesses collectively sworn.)

6 CHAIRMAN EDGAR: Thank you.

7 MR. BEASLEY: We would call Mr. Bryant.

8 HOWARD T. BRYANT

9 was called as a witness on behalf of Tampa Electric Company
10 and, having been duly sworn, testified as follows:

11 DIRECT EXAMINATION

12 BY MR. BEASLEY:

13 Q Sir, would you please state your name, address,
14 occupation and your employer.

15 A My name is Howard D. Bryant. Excuse me. My business
16 address is 702 North Franklin Street in Tampa. The zip code is
17 33602. I'm employed by Tampa Electric Company as the Manager
18 of Rates in the Regulatory Affairs Department.

19 Q Mr. Bryant, did you prepare and submit in this
20 proceeding a document entitled "Prepared Direct Testimony of
21 Howard T. Bryant" dated November 17, 2006?

22 A Yes, I did.

23 Q If I were to ask you the questions contained in that
24 direct testimony, would your answers be the same?

25 A Yes, they would.

1 MR. BEASLEY: I would ask that Mr. Bryant's testimony
2 be inserted into the record as though read.

3 CHAIRMAN EDGAR: The prefiled direct testimony will
4 be entered into the record as though read.

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2 PREPARED DIRECT TESTIMONY

3 OF

4 HOWARD T. BRYANT

5
6 **Q.** Please state your name, address, occupation and employer.7
8 **A.** My name is Howard T. Bryant. My business address is 702
9 North Franklin Street, Tampa, Florida 33602. I am
10 employed by Tampa Electric Company ("Tampa Electric" or
11 "company") as Manager, Rates in the Regulatory Affairs
12 Department.13
14 **Q.** Please provide a brief outline of your educational
15 background and business experience.16
17 **A.** I graduated from the University of Florida in June 1973
18 with a Bachelor of Science degree in Business
19 Administration. I have been employed at Tampa Electric
20 since 1981. My work has included various positions in
21 Customer Service, Energy Conservation Services, Demand
22 Side Management ("DSM") Planning, Energy Management and
23 Forecasting, and Regulatory Affairs. In my current
24 position I am responsible for the company's Energy
25 Conservation Cost Recovery ("ECCR") clause, the

1 Environmental Cost Recovery Clause ("ECRC"), and retail
2 rate design.

3
4 **Q.** Have you previously testified before the Florida Public
5 Service Commission ("Commission")?

6
7 **A.** Yes. I have testified before this Commission on
8 conservation and load management activities, DSM goals
9 and setting and DSM plan approval dockets, and other
10 ECCR dockets since 1993, and ECRC activities since 2001.

11
12 **Q.** What is the purpose of your testimony in this proceeding?

13
14 **A.** My testimony supports approval of Tampa Electric's Big
15 Bend Flue Gas Desulfurization System Reliability Program
16 ("FGD Reliability Program") for cost recovery through the
17 ECRC. I describe the program in general terms, why the
18 company is pursuing it and how the project qualifies for
19 cost recovery through the ECRC, and the three ways the
20 company is seeking to recover the costs of the project.
21 Finally, I address the timing of the recovery. I will
22 also introduce the other Tampa Electric witnesses
23 participating in this matter and briefly describe what
24 they will address.

25

1 Q. What is the purpose of the FGD Reliability Program?

2

3 A. This program is designed to maximize the reliability of
4 the flue gas desulfurization systems ("scrubbers") that
5 serve Tampa Electric's Big Bend Units 1, 2 and 3. Such
6 improvements are necessary in order for Tampa Electric to
7 comply with environmental requirements of the United
8 States Environmental Protection Agency Consent Decree
9 ("CD"), issued February 29, 2000, and the Florida
10 Department of Environmental Protection Consent Final
11 Judgment ("CFJ"), entered December 16, 1999. Under these
12 orders, Tampa Electric is prohibited from operating Big
13 Bend Units 1, 2 and 3 unscrubbed at any time beginning in
14 2010 (for Big Bend Unit 3) and 2013 (for Big Bend Units 1
15 and 2). The reliability of these generating units, as
16 well as Unit 4 that shares the Unit 3 FGD system, is
17 limited by the reliability of their respective FGD
18 systems.

19

20 Q. What does the FGD Reliability Program consist of?

21

22 A. The FGD Reliability program consists of 13 separate
23 additions to and modifications of the FGD systems to
24 maximize reliability of the individual scrubbers and to
25 isolate scrubber components. Mr. John Smolenski, a

1 Senior Consultant for Tampa Electric and witness in this
2 proceeding, will describe the components of the
3 reliability program in greater detail. The individual
4 activities are centered on improvements to FGD components
5 which the company has identified as most likely to cause
6 scrubber failure and, thus, generating unit outages.
7

8 **Q.** When do you propose to implement the FGD Reliability
9 Program?
10

11 **A.** Tampa Electric performed modeling and cost benefit
12 analyses to determine whether it would be more cost
13 effective to implement this project in conjunction with
14 already planned plant outages needed for the installation
15 of selective catalytic reductions systems ("SCR") during
16 the 2006 through 2009 period or wait until 2010 and 2013
17 when the deadlines for not operating the Big Bend units
18 unscrubbed occur. The analysis showed it is more cost
19 effective and beneficial to customers to implement the
20 FGD Reliability Program and the SCR installations
21 simultaneously to avoid additional generating unit
22 outages and additional replacement fuel costs that would
23 have to be incurred if these projects were implemented
24 separately.
25

1 Q. What qualifies the FGD Reliability Program for cost
2 recovery through the ECRC?

3

4 A. The costs Tampa Electric will incur for the FGD
5 Reliability Program meet the ECRC recovery criteria
6 established by this Commission in Docket No. 930613-EI,
7 Order No. PSC-94-004-FOF-EI in that:

8 (a) all expenditures will be prudently
9 incurred after April 13, 1993;

10 (b) the activities are legally required
11 to comply with a governmentally
12 imposed environmental regulation
13 enacted, became effective, or whose
14 effect was triggered after the
15 company's last test year upon which
16 rates are based; and

17 (c) none of the expenditures are being
18 recovered through some other cost
19 recovery mechanism or through base
20 rates.

21 All expenditures associated with the FGD Reliability
22 Program clearly will occur after April 13, 1993. These
23 expenditures would not have to be incurred but for the
24 2010 and 2013 deadlines imposed by the CD and CFJ. Tampa
25 Electric is not recovering and will not recover any of

1 the requested ECRC expenditures through base rates or any
2 other cost recovery mechanism.

3
4 **Q.** Has the Commission previously addressed the issue of
5 whether costs of complying with the CD and CFJ qualify
6 for cost recovery under the ECRC?

7
8 **A.** Yes it has. In Order No. PSC-05-0502-PAA-EI, issued May
9 9, 2005 in Docket No. 041376-EI, the Commission approved
10 for ECRC cost recovery prudently incurred costs for the
11 Big Bend Units 1 through 3 SCR and alkali injection
12 systems. In so doing the Commission observed:

13 The costs of complying with the settlement
14 agreements [approved in the CD and CFJ]
15 qualify as environmental compliance costs
16 under Sections 366.8255(1)(c) and (2)
17 because the settlement agreements are
18 court orders. The Commission has
19 previously approved cost recovery for
20 activities required by the settlement
21 agreements.

22 Order No. 05-0502 went on to set forth a table listing ten
23 other prior orders of the Commission approving CD and CFJ
24 compliance projects for cost recovery under the ECRC.

1 Q. What costs do you seek to recover through the ECRC in
2 connection with the FGD Reliability Program?

3
4 A. The total estimated capital costs of the Big Bend FGD
5 Reliability Program are \$21,651,000. These program costs
6 are allocated into three components for cost recovery: 1)
7 an estimated \$11,929,000 of capital investment costs
8 associated with Big Bend Units 3 and 4 as the new ECRC
9 Big Bend FGD Reliability Program; 2) an estimated
10 \$7,096,000 of incremental capital costs associated the
11 scrubber that is the major component of the company's
12 existing ECRC Big Bend Units 1 and 2 FGD Program; and 3)
13 an estimated \$2,626,000 in Big Bend Units 3 and 4 FGD
14 costs which will be recovered through base rates. Only
15 the incremental costs of this project, not already being
16 recovered through base rates or through an existing ECRC
17 program, are being sought for recovery through the ECRC.

18
19 Q. How do you propose to calculate depreciation for the
20 proposed capital investments?

21
22 A. The depreciation rates used to calculate the depreciation
23 expense for the proposed environmentally required capital
24 investments should be the rates that are in effect during
25 the period the capital investment is in service. Since

1 the proposed capital investments will have no salvage
2 value once the generating plant retires, the controlling
3 depreciable life is the remaining life of the generating
4 plant. The proposed plant additions will be recovered on
5 a schedule consistent with the remaining life of the Big
6 Bend generating station.

7
8 Q. How do you propose to allocate the FGD Reliability
9 Program costs?

10
11 A. Tampa Electric proposes that the FGD Reliability Program
12 costs be allocated to all rate classes on an energy basis
13 consistent with Commission policy set by Order No. PSC-
14 94-0044-FOF-EI, issued January 12, 1994, in Docket No.
15 930613-EI, In Re: Petition to establish an environmental
16 cost recovery clause pursuant to Section 366.8255,
17 Florida Statutes by Gulf Power Company. In that docket,
18 the Commission ordered that costs associated with
19 compliance with the Clean Air Act Amendments of 1990
20 ("CAAA") be allocated to the rate classes in the ECRC on
21 an energy basis, due to the strong nexus between the
22 level of emissions which the CAAA seeks to reduce and the
23 number of kilowatt hours generated.

24
25 Q. Please identify the other witnesses for Tampa Electric

1 testifying in support of the company's petition in this
2 proceeding.

3
4 **A.** Gregory M. Nelson, Director, Environmental Policy and
5 Compliance, will present testimony demonstrating that the
6 activities for which Tampa Electric seeks cost recovery
7 through the ECRC for the FGD Reliability Program are
8 activities necessary for the company to comply with the
9 CD and the CFJ. Mr. Nelson's testimony will discuss the
10 background of the CAAA, the company's agreement with EPA
11 and DEP requirements, and details of the CD with a
12 particular focus on the requirements and deadlines in
13 2010 and 2013.

14
15 Mr. John Smolenski, Senior Consultant II - Advanced
16 Technology, Engineering and Construction Services for
17 Tampa Electric will present testimony regarding the cost
18 effectiveness evaluations performed in the Big Bend
19 Station FGD System Reliability Study. He will discuss
20 the various alternatives that the company considered to
21 comply with the CD and CFJ, the results of the analysis
22 and the net savings to customers by following the
23 selected approach. Mr. Smolenski will also provide an
24 update on the progress the company has made with the FGD
25 Reliability Program.

1 Q. Please summarize your testimony.

2

3 A. Tampa Electric entered into the CD and the CFJ with the
4 United States Environmental Protection Agency and the
5 Florida Department of Environmental Protection,
6 respectively. Under these orders, Tampa Electric is
7 prohibited from operating Big Bend Unit 3 unscrubbed at
8 any time beginning in 2010. Furthermore, the prohibition
9 of operating Big Bend Units 1 and 2 unscrubbed begins in
10 2013. In 2005, the company undertook a study and
11 determined the most cost effective manner to meet these
12 environmental requirements and associated deadlines was
13 through the Big Bend FGD Reliability Program. This
14 program would not have occurred but for the CD and CFJ.
15 The Commission has previously approved for recovery
16 through the ECRC prudent expenditures the company has
17 incurred in meeting the CD and CFJ requirements. It is
18 appropriate for the Commission to reaffirm its five-zero
19 decision made at the June 20, 2006 Agenda Conference that
20 approved the company's prudent costs associated with the
21 Big Bend FGD Reliability Program for cost recovery
22 through the ECRC.

23

24 Q. Does this conclude your testimony?

25

1 A. Yes it does.

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 BY MR. BEASLEY:

2 Q Thank you. Mr. Bryant, would you please summarize
3 your direct testimony?

4 A Yes.

5 Good morning, Commissioners. My direct testimony
6 addresses the support for approval by this Commission of Tampa
7 Electric Company's cost recovery for the Big Bend Flue Gas
8 Desulfurization System Reliability Program through the ECRC.
9 Flue gas desulfurization, as we use it throughout the course of
10 this proceeding, may also be identified as FGD System or it may
11 also be identified as a scrubber. So as you hear those terms,
12 they will be synonymous or the same as we go through the
13 process.

14 Tampa Electric entered into a consent final judgment
15 issued by the Florida Department of Environmental Protection in
16 December of 1999 and a subsequent Consent Decree issued by the
17 United States Environmental Protection Agency in February of
18 2000. Under these orders, and specifically the Consent Decree,
19 Tampa Electric cannot operate the Big Bend coal-fired
20 generating units unscrubbed at any time beginning in
21 January 2010 for Big Bend Unit 3 and January 2013 for Big Bend
22 Units 1 and 2.

23 In order to comply with the Consent Decree, Tampa
24 Electric undertook a study to determine the most cost-effective
25 way to meet the Consent Decree requirements. The study result

1 defined 13 specific and integrated projects that comprise the
2 Big Bend FGD System Reliability Program, a program designed to
3 maximize the reliability of the two scrubbers that serve
4 Big Bend Units 1 through 4 by addressing the most likely
5 components that cause scrubber failure and, therefore,
6 significant outages of highly efficient coal-fired generating
7 units.

8 Additionally, the study clearly demonstrated the
9 prudence Tampa Electric -- of Tampa Electric implementing the
10 Big Bend FGD System Reliability Program in conjunction with a
11 previously approved ECRC program, the Big Bend Selective
12 Catalytic Reduction Program or SCR as it's come to be known.
13 In essence, it's the two birds with one stone approach. System
14 outages for the installation of the SCRs are occurring from
15 2006 through 2009 and, therefore, implementing the Big Bend FGD
16 System Reliability Program concurrently with the SCR Program
17 will avoid additional outages and will also avoid expensive
18 replacement fuel purchases.

19 As Tampa Electric witness John Smolenski will
20 explain, by using conservative estimates the company will save
21 customers some \$34 million over the next available option.

22 Tampa Electric petitioned this Commission for
23 approval of the Big Bend FGD System Reliability Program on
24 December 27th, 2005. The Commission approved the program at
25 the June 20, 2006, Agenda Conference by a five-zero vote. The

1 subsequent order from that Agenda was issued on July 10 of
2 2006, and in that order the Commission found two key facts.
3 First, the costs incurred for the program will meet the
4 criteria established by this Commission in what's been termed
5 now the Gulf order back from 1994 and, therefore, will qualify
6 for cost recovery through the ECRC.

7 The three criteria for ECRC cost recovery established
8 in that Gulf order are as follows. First, the expenditures
9 will be prudently incurred after April 13 of 1993. That's
10 indeed the case because the work for this particular program
11 under consideration today has begun in 2006.

12 Second, the activities are legally required to comply
13 with a governmentally imposed environmental regulation enacted,
14 became effective or whose effect was triggered after the
15 company's last test year upon which rates are based. Again,
16 for Tampa Electric we meet that criterion because our test year
17 was 1994, so we're certainly past that hurdle.

18 And, third, none of the expenditures are being
19 recovered through some other cost recovery mechanism or through
20 base rates. As we have filed and supported throughout this
21 proceeding, all of our expenditures we're asking for recovery
22 of are incremental above and beyond what's already being
23 incurred by Tampa Electric Company. That was the first fact.

24 The second fact is that the company's methodology for
25 cost recovery of the total --

1 CHAIRMAN EDGAR: Mr. Bryant, I'm sorry. I'm going to
2 have to interrupt you. It's two minutes for a summary and
3 we're at four and a half. So I will show some latitude, but I
4 will need to ask a summary to be a summary. Can you, can you
5 sum up your summary?

6 THE WITNESS: Sure. Uh-huh.

7 CHAIRMAN EDGAR: Thank you.

8 THE WITNESS: Quickly, the second fact that was a
9 part of that order was the fact that our costs were
10 demonstrated to be appropriate for cost recovery, the total of
11 \$21.6 million. We clearly identified three methods of
12 recovery: One through base rates, 2.6 of the total 21.6; two,
13 through an existing ECRC program, about 7.1 million of that
14 total 21.6; and then the third is the new program, the Big Bend
15 FGD System Reliability Program, or an approximate 11.9 million
16 of that total. That comprises the total.

17 But for the Consent Decree, Tampa Electric would not
18 be engaged in the Big Bend FGD System Reliability Program.
19 This Commission has issued some 13 previous orders approving
20 Consent Decree and consent final judgment compliance programs
21 for cost recovery under the clause, and based on your findings
22 we ask the Commission today to apply again consistent judgment
23 in the hearing of this matter before you. And that concludes
24 the summary of my direct testimony.

25 MR. BEASLEY: Thank you. Mr. Bryant is available for

1 questions.

2 CHAIRMAN EDGAR: Thank you.

3 Ms. Christensen.

4 CROSS EXAMINATION

5 BY MS. CHRISTENSEN:

6 Q Good morning, Mr. Bryant. You would agree the Big
7 Bend Flue Gas Desulfurization Reliability Program is made up of
8 13 projects; correct?

9 A That is correct.

10 Q And of those 13 projects, four remain at issue in
11 this proceeding; right?

12 A There are four at issue. Yes.

13 Q And would you agree those four projects are the
14 electric isolation project, split inlet duct project, the split
15 outlet duct project and the gypsum fines filter project?

16 A Yes.

17 Q Now TECO claims that none of the Big Bend FGD
18 Reliability Programs would have been done but for the 2010 and
19 2013 deadlines in the Consent Decree; is that correct?

20 A Yes.

21 Q Would you agree that in PSC Order Number 94-0044-FOF
22 it states that activities which are legally required to comply
23 with a governmentally imposed environmental regulation are
24 eligible for recovery through the ECRC?

25 A Yes. As I read, yes.

1 Q And you would agree that the Consent Decree requires
2 that you run Big Bend Units 1 through 2, or through 3, excuse
3 me, scrubbed when in operation after 2010 and 2013 dates?

4 A Correct.

5 Q And currently Big Bend Unit 4 must run scrubbed when
6 in operation; correct?

7 A Yes.

8 Q Big Bend Units 3 and 4 share the same FGD system;
9 correct?

10 A Yes, they do.

11 Q And Big Bend Unit 4 meets the requirement that it run
12 scrubbed while in operation; correct?

13 A Well, we are required to do that and that's the only
14 way we do operate Unit 4.

15 Q So to answer my question, yes, it does run scrubbed
16 at all times; correct?

17 A Yes. Uh-huh.

18 Q And you would agree that Big Bend Units 1, 2 and 3
19 currently have operational FGD systems.

20 A They are tied into FGD systems, yes.

21 Q Okay. And those FGD systems allow Big Bend Units 1,
22 2 and 3 to run scrubbed now; is that correct?

23 A When they need to run scrubbed, they do. Yes. But
24 also there is the provision for the unscrubbed days available
25 to us up until the 2010 and 2013 deadlines for Units 1,

1 2 and 3.

2 Q But you would also agree that Big Bend Units 1,
3 2 and 3 have the FGD systems to require them to run scrubbed
4 currently.

5 A Yes.

6 Q In your direct testimony on Pages 5 through 6 you
7 claim that TECO will not recover any of these requested ECRC
8 expenditures through base rates or any other cost recovery
9 mechanism. Is that a correct summary of your testimony?

10 A Could you tell me specifically where you're pointing
11 so I can read that?

12 Q Pages 5 through 6 of your direct testimony.

13 A Okay.

14 Q Starting at Line 24.

15 A Okay.

16 Q You state, "Tampa Electric is not recovering and will
17 not recover any of the requested ECRC expenditures through base
18 rates or any other cost recovery mechanism."

19 A Right. That's correct.

20 Q Would you agree that the Big Bend Units 3 and 4 FGD
21 booster fan capacity expansion project and a portion of the
22 mist eliminator upgrades will be recovered through base rates?

23 A If I'm not mistaken, subject to check, the booster
24 fan was filed, I believe, as the program where we would want it
25 to be recovered through base rates, and so it's not a part of

1 what we are requesting for recovery through the clause.

2 Q As well as a portion of the mist eliminator projects;
3 is that correct?

4 A That is correct.

5 Q Okay. And that means that the company will recoup
6 the cost of those projects through the revenue it receives from
7 the collection of base rates; is that correct?

8 A Yes.

9 Q So the projects recovered through the base rates,
10 through base rates, the cost of those projects are, in fact,
11 being recovered.

12 A The anticipation from the company's perspective is as
13 we install them, those monies will go through the normal
14 surveillance process and they will be handled as any other
15 expenditure at Big Bend Station on base rate type expenditures.

16 Q And you will be recovering the cost of those projects
17 through base rates; correct?

18 A Correct.

19 MS. CHRISTENSEN: Okay. No further questions.

20 CHAIRMAN EDGAR: Are there questions from staff?

21 MS. BROWN: Staff has no questions.

22 CHAIRMAN EDGAR: Mr. Beasley?

23 MR. BEASLEY: No redirect, ma'am.

24 CHAIRMAN EDGAR: Okay. And I see no exhibits;
25 correct? Okay.

1 Then, Commissioners, any questions for this witness?

2 No.

3 All right. The witness is excused. Thank you.

4 CHAIRMAN EDGAR: Mr. Beasley.

5 MR. BEASLEY: Call Ms. Crouch.

6 LAURA R. CROUCH

7 was called as a witness on behalf of Tampa Electric Company

8 and, having been duly sworn, testified as follows:

9 DIRECT EXAMINATION

10 BY MR. BEASLEY:

11 Q Could you please state your name, your address, your
12 occupation and your employer.

13 A My name is Laura R. Crouch. My business address is
14 702 North Franklin Street, Tampa, Florida 33602. My employer
15 is Tampa Electric Company, and my title is Manager, Land and
16 Water Programs.

17 Q Ms. Crouch, have you read the prepared direct
18 testimony of Tampa Electric witness Gregory M. Nelson that was
19 filed in this proceeding on November 17, 2006?

20 A Yes, I have.

21 Q Have you assumed the duties and responsibilities that
22 were assigned to Mr. Nelson prior to his departure from Tampa
23 Electric Company?

24 A Yes, I have.

25 Q Do you adopt Mr. Nelson's direct testimony as your

1 own for purposes of this proceeding?

2 A I do.

3 Q I would ask that Mr. Nelson's testimony as adopted by
4 Ms. Crouch be inserted into the record as though read.

5 CHAIRMAN EDGAR: The prefiled testimony of Mr. Crouch
6 as adopted by -- excuse me -- of Mr. Nelson as adopted by
7 Ms. Crouch will be entered into the record as though read.

8 MR. BEASLEY: Thank you.

9 BY MR. BEASLEY:

10 Q Ms. Crouch, do you also wish to adopt and sponsor
11 Mr. Nelson's Exhibit GMN-1 that accompanied his direct
12 testimony?

13 A I do.

14 Q And I believe that, Madam Chairman, has been marked
15 as Exhibit 3.

16 CHAIRMAN EDGAR: Number 3, yes.

17

18

19

20

21

22

23

24

25

TAMPA ELECTRIC COMPANY
DOCKET NO. 050958-EI
FILED: November 17, 2006

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2 PREPARED DIRECT TESTIMONY

3 OF

4 GREGORY M. NELSON

5
6 **Q.** Please state your name, address, occupation and employer.

7
8 **A.** My name is Gregory M. Nelson. My business address is 702
9 North Franklin Street, Tampa, Florida 33602. I am
10 employed by Tampa Electric Company ("Tampa Electric" or
11 "company") as Director, Environmental Policy and
12 Compliance in Regulatory Affairs.

13
14 **Q.** Please provide a brief outline of your educational
15 background and business experience.

16
17 **A.** I received a Bachelors Degree in Mechanical Engineering
18 from the Georgia Institute of Technology in 1982 and a
19 Masters of Business Administration from the University of
20 South Florida in 1987. I am a registered Professional
21 Engineer in the State of Florida. I began my engineering
22 career in 1982 in Tampa Electric's Engineering
23 Development Program. In 1983, I worked in the Production
24 Department where I was responsible for power plant
25 performance projects. In 1986, I moved to the

1 environmental department were I held various
2 environmental permitting and compliance positions. In
3 1997, I was promoted to Administrator - Air Programs in
4 the Environmental Planning Department. In this position,
5 I was responsible for all air permitting and compliance
6 programs. In 1998, I was promoted to Manager,
7 Environmental Planning and in 2000 I became Director,
8 Environmental Affairs. In 2003, I became Director,
9 Environmental, Health and Safety where my
10 responsibilities included the management of Tampa
11 Electric's environmental permitting and compliance
12 programs as well as generation safety programs. In 2006,
13 I joined the Regulatory Affairs Department as Director,
14 Environmental Policy and Compliance.

15
16 **Q.** Have you previously testified before the Florida Public
17 Service Commission ("Commission")?

18
19 **A.** Yes, I have provided testimony regarding environmental
20 projects and their associated environmental requirements
21 in various Environmental Cost Recovery Clause ("ECRC")
22 proceedings before this Commission.

23
24 **Q.** Did you prepare any exhibits in support of your
25 testimony?

1 **A.** Yes. Exhibit ____ (GMN-1) consists of three documents.
2 Document No. 1 contains a copy of paragraphs 29 and 30 of
3 the United States Environmental Protection Agency ("EPA")
4 Consent Decree ("CD") which define operating
5 characteristics of the Flue Gas Desulfurization ("FGD" or
6 "scrubber") systems at Big Bend Station. Document No. 2
7 is a copy of Tampa Electric's declaratory letter to EPA
8 stating the company's decision to continue combusting
9 coal at Big Bend Station. Document No. 3 contains a copy
10 of paragraph 40 of the CD which requires Tampa Electric
11 to further restrict the operation of Big Bend Units 1, 2
12 and 3 should the company decide to continue combusting
13 coal at Big Bend Station.

14
15 **Q.** What is the purpose of your testimony in this proceeding?
16

17 **A.** The purpose of my testimony is to demonstrate that the
18 activities for which Tampa Electric seeks cost recovery
19 through the ECRC for the Big Bend Flue Gas
20 Desulfurization System Reliability Program ("FGD
21 Reliability Program") are activities necessary for the
22 company to comply with environmental requirements of the
23 EPA CD and the Florida Department of Environmental
24 Protection ("DEP") Consent Final Judgment ("CFJ"). I
25 will also provide a summary of Tampa Electric's programs

1 to comply with the SO₂ emission reductions requirements of
2 the Clean Air Act Amendments of 1990 ("CAAA") and compare
3 these requirements to the SO₂ emission reductions
4 requirements of the CD.

5
6 The FGD Reliability Program was previously approved for
7 ECRC cost recovery by the Commission in Docket No.
8 050598-EI, Order No. PSC-06-0602-PAA-EI, issued July 10,
9 2006. By a five-zero vote, the Commission granted cost
10 recovery approval for prudent costs associated with this
11 project. However, on July 21, 2006, the Office of Public
12 Counsel ("OPC") requested an evidentiary hearing.

13
14 **Q.** Please briefly describe how Tampa Electric met the SO₂
15 emissions reduction requirements of the CAAA.

16
17 **A.** The Acid Rain Program of 1990 set as its primary goal the
18 nation-wide reduction of annual SO₂ emissions by 10
19 million tons below 1980 levels. To achieve these
20 reductions, the law required a two-phase program which
21 established annual SO₂ tonnage emission limits for fossil
22 fuel-fired power plants. Compliance with Phase I was
23 required by January 1, 1995 and compliance with Phase II
24 was required by January 1, 2000.

25

1 Tampa Electric's compliance with Phase I was accomplished
2 through a combination of fuel blending, allowance
3 purchases and integrating the flue gas from Big Bend Unit
4 3 into the Big Bend Unit 4 scrubber. The Commission
5 approved the company's cost of compliance with Phase I
6 for cost recovery as part of its ECRC in Docket No.
7 960688-EI.

8
9 Tampa Electric's compliance with Phase II was
10 accomplished through the installation of a scrubber that
11 was designed to treat the flue gas from Big Bend Units 1
12 and 2. The Commission approved the company's cost of
13 compliance with Phase II for cost recovery as part of its
14 ECRC in Docket No. 980693-EI.

15
16 It is important to note that the scrubbers associated
17 with compliance for both Phases I and II of the CAAA were
18 designed to ensure SO₂ emissions were limited to the
19 number of credits available under the approved compliance
20 plans. The scrubbers were not designed to operate
21 continuously whenever Big Bend Units 1, 2 and 3 were in
22 operation.

23
24 Q. Please provide a brief overview of the litigation with EPA
25 and DEP that resulted in the CD and CFJ.

1 **A.** On December 16, 1999, Tampa Electric and the DEP entered
2 into the CFJ. On February 29, 2000, the EPA initiated a
3 CD with Tampa Electric in the Federal District Court.
4 Both the CD and CFJ embody the resolutions between the
5 agencies and Tampa Electric stemming from disputed issues
6 surrounding Tampa Electric's maintenance practices to its
7 Big Bend and Gannon Stations that were alleged to be in
8 violation of the EPA's New Source Review rules and New
9 Source Performance Standards currently codified in Title
10 I of the CAAA. The CD and CFJ have been previously
11 provided to the Commission in Docket No. 000685-EI and
12 have been referred to in numerous environmental
13 proceedings before the Commission in the past six years.

14
15 **Q.** What does the CD require of Tampa Electric with regard to
16 the scrubbers?

17
18 **A.** Paragraphs 29, 30, 36 and 40 of the CD require Tampa
19 Electric to operate the FGD system for each of the units
20 at Big Bend Station at all times subject to certain
21 specifically defined exceptions contained in Paragraphs
22 29 and 30, as reflected in Document No. 1 of my Exhibit.

23
24 Paragraph 36 of the CD requires Tampa Electric to declare
25 in writing whether the Big Bend Station units will

1 continue combustion of coal, repower or shutdown. The
2 declaration date for Big Bend Units 1 through 3 is May 1,
3 2007. Tampa Electric has already complied with this
4 requirement by submitting a declaratory letter to EPA
5 dated August 19, 2004 indicating Big Bend Station will
6 continue to be fired by coal. Document No. 2 of my
7 Exhibit provides a copy of the declaratory letter.

8
9 **Q.** What are the environmental requirements as a result of
10 Tampa Electric's declaration to the EPA that Big Bend
11 Station will remain coal-fired?

12
13 **A.** With Tampa Electric having declared that it will continue
14 to burn coal at Big Bend Station, Paragraph 40 of the CD
15 identifies operational requirements relative to SO₂
16 emissions for the Big Bend Units 1 through 3. Those
17 operational requirements are set out in Document No. 3 of
18 my Exhibit.

19
20 According to Paragraph 40 of the CD, Tampa Electric is
21 required to operate the FGD systems at Big Bend Station
22 whenever coal is combusted in the units with few
23 exceptions. Under this paragraph, the currently allowed
24 unscrubbed days will no longer be allowed beginning
25 January 1, 2010 for Big Bend Unit 3 and January 1, 2013

1 for Big Bend Units 1 and 2. In other words, beginning in
2 2010, anytime the scrubber for Big Bend Unit 3 is off-
3 line, unit 3 must also be taken off-line. The same
4 requirement applies to Big Bend Units 1 and 2 starting in
5 2013 - anytime the scrubber is off-line, both units 1 and
6 2 must be taken off-line. Therefore, the reliability of
7 the units at Big Bend Station is limited to the
8 reliability of their respective scrubbers.

9
10 **Q.** What other requirements are contained in the CD and CFJ
11 related to SO₂ emission reductions?

12
13 **A.** Both the CD and CFJ require Tampa Electric to create a
14 plan for optimizing the availability and removal
15 efficiency of the scrubbers. This plan was submitted to
16 the EPA in two phases and both were approved.

17
18 Phase I of the plan requires that Tampa Electric work
19 scrubber outages around the clock and with contract
20 labor, when necessary, in order to speed the return of a
21 malfunctioning scrubber to service. In addition, Phase I
22 requires Tampa Electric to review all critical scrubber
23 spare parts and increase the number and availability of
24 spare parts to ensure a speedy return to service of a
25 malfunctioning scrubber.

1 Phase II of the plan outlines capital projects that Tampa
2 Electric must perform to upgrade each scrubber at Big
3 Bend Station. It also addresses the use of environmental
4 dispatching in the event of a scrubber outage.

5
6 All of the preliminary SO₂ emissions reduction projects
7 have been completed. However, additional work must be
8 performed in 2007 associated with the FGD Reliability
9 Program to comply with the elimination of the allowed
10 scrubber outage days starting in 2010 and 2013.

11
12 **Q.** How do the SO₂ emissions reduction requirements of the CD
13 vary from the SO₂ emissions reduction requirements of the
14 CAAA?

15
16 **A.** As previously stated, the scrubbers associated with
17 compliance for both Phases I and II of the CAAA were
18 designed to ensure SO₂ emissions were limited to the
19 number of credits available to Tampa Electric. However,
20 the scrubbers were not designed, nor ever intended, to
21 operate continuously whenever Big Bend Units 1, 2 and 3
22 were in operation. The compliance plans associated with
23 the CAAA have already been approved and implemented.

24
25 The CD requires that the scrubber for Big Bend Unit 3

1 operate at the specified removal efficiencies anytime
2 that the unit is operating beginning on January 1, 2010.
3 The CD also requires that the scrubber for Big Bend Units
4 1 and 2 operate at the specified removal efficiencies
5 anytime either of those two units is operating beginning
6 on January 1, 2013.

7
8 **Q.** Please summarize your testimony.

9
10 **A.** Tampa Electric's CD with EPA requires significant
11 reductions in SO₂ emissions from Tampa Electric's Big Bend
12 Station - reductions beyond those ever contemplated in the
13 company's efforts to comply with the requirements of the
14 CAAA. The CD established definite requirements and time
15 frames in which these reductions must be made and result
16 in reasonable and fair outcomes for Tampa Electric, its
17 community and customers, and the environmental agencies.

18
19 If not for the CD, Tampa Electric would not need to
20 implement the FGD Reliability Program. However,
21 implementation of the FGD Reliability Program is essential
22 and required for Tampa Electric to comply with the 2010
23 and 2013 SO₂ emissions reduction requirements delineated
24 in the CD.

25

1 Q. Does this conclude your testimony?

2

3 A. Yes it does.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 BY MR. BEASLEY:

2 Q Would you please summarize Mr. Nelson's direct
3 testimony.

4 A Okay. Good morning, Commissioners. The direct
5 testimony of Mr. Gregory M. Nelson of which I am adopting
6 demonstrates that the activities for which Tampa Electric seeks
7 cost recovery through the ECRC are necessary for the company to
8 comply with the environmental requirements set forth by the
9 Environmental Protection Agency Consent Decree and the Florida
10 Department of Environmental Protection consent final judgment.
11 The Consent Decree stemmed from disputed issues surrounding
12 Tampa Electric's maintenance practices of its Big Bend and
13 Gannon Stations that were alleged to be in violation of the
14 EPA's new source review rules and new source performance
15 standards currently codified in Title I of the Clean Air Act
16 Amendments of 1990. Compliance with the provisions of the
17 Consent Decree related to reductions in sulfur dioxide
18 emissions are to be achieved in stages.

19 The intermediate compliance stage was addressed in
20 the Big Bend Phase I and Phase II FGD optimization plans which
21 consisted of projects to achieve the minimization of unscrubbed
22 days. The final compliance stage is being addressed by the Big
23 Bend FGD System Reliability Program which consists of the 13
24 projects before you today that are necessary to comply with the
25 Consent Decree deadlines of 2010 and 2013 and the continued

1 operation of Big Bend thereafter.

2 On August 19th, 2006, the company committed to
3 continue to burn coal at its Big Bend Station, thereby
4 accepting the deadlines of Paragraph 40 which require that in
5 2010 for Unit 3 and 2013 for Units 1 and 2 Big Bend cannot
6 operate unscrubbed. The Big Bend FGD System Reliability
7 Program is solely the result of the company's compliance with
8 the final stage of sulfur dioxide emission reductions required
9 by the Consent Decree in 2010 and 2013. The Big Bend FGD
10 System Reliability Program was previously approved for ECR cost
11 recovery by the Commission on June 20th, 2006, by a
12 five-zero vote and is the most cost-effective way for Tampa
13 Electric to comply with the Consent Decree. But for the
14 Consent Decree, Tampa Electric would not have considered,
15 studied or initiated this program in its 13 component projects.
16 This concludes my summary of Mr. Nelson's direct testimony that
17 I have adopted.

18 MR. BEASLEY: Ms. Crouch is available for questions.

19 CROSS EXAMINATION

20 BY MS. CHRISTENSEN:

21 Q Good morning, Ms. Crouch.

22 A Good morning.

23 Q I would like to start with asking you some questions
24 about the Consent Decree. Do you have a copy of that in front
25 of you?

1 A Yes, I do.

2 Q Okay. The Consent Decree was entered into between
3 TECO and the U.S. government to address its SO2 emissions at
4 the Big Bend units; is that correct?

5 A In part.

6 Q And the part that we're talking about with the FGD
7 addresses the SO2 emissions; is that correct?

8 A That's correct.

9 Q And the Big Bend Reliability Program focuses on SO2
10 emissions; correct?

11 A That's correct.

12 Q Okay. And Paragraph 29 of the Consent Decree creates
13 a transition period to new, new source performance standards
14 for Units 1 and 2; is that correct?

15 A That's not correct. Units 1 and 2 will not be at new
16 source performance standards during the interim period.

17 Q But it creates a transition period from what they
18 were before you signed the Consent Decree to when you will have
19 to meet the deadlines in -- I think it's 2013 for Units 1 and
20 2.

21 A 2010, and 2013 for Units 1 and 2. That's correct.
22 It allows us unscrubbed days during that time frame.

23 Q Right. But that creates a transition from --

24 A Uh-huh.

25 Q -- the period from when you signed the Consent Decree

1 until when the deadlines become effective.

2 A Yes.

3 Q Okay. And in Paragraph 30 it creates the same
4 transition period to the final new source performance standards
5 for Units 3 and 4; is that correct?

6 A For Unit 3.

7 Q Oh, for Unit 3. Correct. Because Unit 4 currently
8 is already meeting the new source performance standards;
9 correct?

10 A That's correct.

11 Q And Paragraph 40 sets out the deadlines for Units 1,
12 2 and 3 when the transition to new source performance standards
13 must be completed; that's correct?

14 A That's correct. Should we decide to remain on coal,
15 which we have, then that becomes effective.

16 Q Okay. And unit or, excuse me, Paragraph 40 was in
17 the Consent Decree when TECO signed it originally; is that
18 correct?

19 A That's correct.

20 Q And you accepted that term and the condition that if
21 you chose to continue to burn coal, that you would have those
22 deadlines and that would be the final dates for the end of the
23 transition period to new source performance standards; correct?

24 A Well, that would be the time when we would no longer
25 have unscrubbed days.

1 Q After the January 10th, 2010, transition date
2 completion deadline, excuse me, for Unit 3 and the January 2013
3 transition completion deadline for Units 1 and 2, those units
4 will operate under the same parameters as Unit 4 does
5 currently; is that correct?

6 A That's correct.

7 Q Okay. And under the availability criteria it
8 specifically states, "Notwithstanding the preceding sentence,
9 to the extent that the Clean Air Act new source performance
10 standards identify circumstances during which Big Bend Unit 4
11 may operate without its scrubber, this Consent Decree shall
12 allow Big Bend Units 1, 2 and/or 3 to operate when those same
13 circumstances are present at the Big Bend Units 1, 2 and/or 3."
14 Is that correct?

15 A That's correct.

16 Q So you would agree that under Paragraph 40 there are
17 some circumstances that even after the 2010 and 2013 deadlines
18 that the Big Bend units may run unscrubbed?

19 A There may be circumstances but they would be
20 extremely limited.

21 Q Okay. And you would agree that the new source
22 performance standards would allow the units to run unscrubbed
23 under certain circumstances such as if it needs to meet demand
24 because all other units are being run and the current purchase
25 power is being used. So if it needs to meet current demand

1 under emergency type situations --

2 A You're saying after 2010 and 2013?

3 Q Correct.

4 A No, that would not be the case.

5 Q The case would be that it would be allowed to run
6 under certain circumstances? Can you explain what those
7 circumstance, excuse me, certain circumstances would be?

8 A For Unit 4 to run unscrubbed at this point in time or
9 any point in time going forward because it's an NSPS unit, you
10 would have to ask permission of the administrator in order for
11 that to happen and you would have to demonstrate a severe
12 hardship for that to happen.

13 Q Okay. And then that would be the same standard that
14 would apply to Units 1, 2 and 3.

15 A Right. You would have to actually ask the
16 administrator for permission.

17 Q Okay.

18 A Unlike now where we actually have days that we have
19 an ability to use as necessary if the unit, if the scrubber is
20 down.

21 Q Okay. But you can ask the administrator after those
22 deadlines. And under other, under -- excuse me. Other than
23 those certain circumstances outlined in the new performance
24 standards, another way that TECO could meet the transition
25 period deadline is to operate all the operable FGD systems and

1 bring back into operation any malfunctioning FGD system as soon
2 as repairs are finished; would that be correct?

3 A I'm not sure I understand your question.

4 Q In other words, you could continue to use the Big
5 Bend Station by operating all of the FGD systems which are
6 functioning and put in emergency type maintenance towards the
7 one FGD system that is down. Would that be correct?

8 A I think what you're referring to is environmental
9 dispatch, which is a procedure which is in place during the
10 interim period when we have unscrubbed days, and that procedure
11 is that when we have a unit that is down or a scrubber that is
12 down and the unit is operating, we have to get the scrubber
13 back up as soon as possible. But that's an interim phase.
14 That will no longer be applicable after the 2010 and 2013
15 deadlines. There will not be a need for an environmental
16 dispatch procedure because we will not be running those units
17 when they are not scrubbed.

18 Q Right. But you could apply the same principle to get
19 those units which are down back up as soon as possible after
20 the deadlines; correct?

21 A You know, I mean, you would be wanting to get those
22 units back up. But, I mean, you wouldn't be in a situation
23 where those units were still running. They'd be off.

24 Q Currently TECO has FGD systems and scrubbers in place
25 that meet the requirements of Paragraph 29 and 30; correct?

1 A Yes.

2 Q And the requirements that TECO recover 95 percent of
3 its SO2 emissions will not change after the 2010 or 2013
4 deadline; is that correct?

5 A That's correct.

6 Q And when TECO's current FGD system is in operation,
7 they meet the requirement of removing 95 percent of the SO2 for
8 the units' emissions; is that correct?

9 A That's correct.

10 Q In your testimony you claim that the scrubber system
11 was not designed to operate continuously whenever Big Bend
12 Units 1, 2 and 3 were in operation; is that correct?

13 A That's correct.

14 Q And TECO entered into the Consent Decree with the EPA
15 which had the transition deadlines to do source performance
16 standards which required that the scrubber units for 1, 2 and 3
17 operate continuously whenever the units are in operation; is
18 that correct?

19 A With the exception of the unscrubbed days, yes.

20 Q But you entered into the Consent Decree knowing that
21 there would be a deadline date and you would have to eventually
22 meet those new source performance standards; correct?

23 A That's true.

24 Q Okay. In the Consent Decree TECO was to create a
25 plan of optimizing the availability and removal efficiency of

1 the scrubbers, which TECO submitted in two phases; correct?

2 A That's correct.

3 Q And in Phase I TECO identified all the critical
4 scrubber spare parts to ensure speedy return to service of
5 malfunctioning scrubbers; correct?

6 A That's correct.

7 Q And in Phase II TECO identified the capital projects
8 that had to be performed to upgrade each scrubber at the
9 Big Bend to meet the Consent Decree; is that correct?

10 A That's not correct, no. The Phase I and 2 plans were
11 specifically to address the requirements of Paragraphs 29 and
12 30 of the Consent Decree. There were capital projects
13 involved, but it was primarily to deal with that intermediate
14 time frame in order -- during which we had unscrubbed days.

15 Q Referring to --

16 A It did not identify all projects.

17 Q Okay. Referring to Mr. Nelson's --

18 A Nelson.

19 Q -- nelson's testimony, Page 9, Line 1 through 3, is
20 it correct that it states, "Phase II of the plan outlines
21 capital projects that Tampa Electric must perform to upgrade
22 each scrubber at Big Bend Station"; is that correct?

23 A Right. In order to comply with Paragraphs 29 and 30
24 of the Consent Decree, which are the intermediate time frame or
25 the intermediate requirements of the Consent Decree.

1 Q Okay. But you would agree that the Phase II
2 optimization plans that TECO did submit to the EPA did not have
3 the electric isolation, split inlet and outlet duct projects or
4 the gypsum fines filter project listed in it; is that correct?

5 A That's correct. And that's because those two first,
6 those -- the Phase I and II FGD optimization plans were
7 specifically to deal with Paragraphs 29 and 30 of the Consent
8 Decree, which were the paragraphs that allowed Tampa Electric
9 to have unscrubbed days. So those plans were really meant to
10 minimize our use of those unscrubbed days. These other
11 projects that we're talking about today deal with Paragraph 40
12 of the Consent Decree, which is the point in time where we will
13 no longer have those unscrubbed days.

14 MS. CHRISTENSEN: Can you point to me -- well, I have
15 no further questions at this time.

16 CHAIRMAN EDGAR: Are there questions from staff?

17 MS. BROWN: Yes, Commissioner, we have a few
18 questions.

19 CROSS EXAMINATION

20 BY MS. BROWN:

21 Q Good morning, Ms. Crouch. I'm Martha Brown with the
22 Commission.

23 A Good morning.

24 Q We have a couple of questions that have to do with
25 some time lines regarding the Consent Decree.

1 When did TECO submit its Phase II plan?

2 A It's Phase II plan -- let me see if I have the date
3 in front of me here. They were submitted early in the
4 compliance window of the Consent Decree. I don't have the
5 exact date in front of me.

6 Q How about 2001? Would you accept that, subject to
7 check?

8 A Yeah. We're talking 2000, 2001. Uh-huh. Subject to
9 check.

10 Q And when did TECO make its declaration to the EPA
11 that it would continue using coal at Big Bend?

12 A We made that declaration August 19th, 2004.

13 Q And which paragraph of the Consent Decree required
14 that declaration?

15 A Let's see. I don't have the paragraph right in front
16 of me, but I believe -- let's see.

17 Q Do you, Ms. Crouch, do you have that blue book in
18 front of you?

19 A Yes.

20 Q That's staff's composite exhibit, and the first
21 exhibit there is the full Consent Decree. If you'll look at
22 Page 24.

23 A Yes. Paragraph 36.

24 Q Thank you. Was that declaration the event that
25 triggered the operation of Paragraph 40 of the Consent Decree?

1 A Yes, it was.

2 Q And is it fair to say that the operation of Paragraph
3 40 triggered a change in the scope of TECO's activities to
4 comply with the Consent Decree?

5 A Yes, it did.

6 Q Is it also fair to say that the Consent Decree
7 contemplates a time line of phased compliance culminating in
8 the stricter SO2 emission requirements of Paragraph 40?

9 A Yes, it does.

10 MS. BROWN: Thank you. No further questions.

11 CHAIRMAN EDGAR: Commissioners? No?

12 Mr. Beasley.

13 MR. BEASLEY: Brief redirect.

14 REDIRECT EXAMINATION

15 BY MR. BEASLEY:

16 Q Ms. Crouch, Ms. Christensen asked you some questions
17 regarding your ability to operate the Big Bend baseload
18 coal-fired units unscrubbed on a going-forward basis after the
19 deadlines in 2010 and 2013. Do you recall those?

20 A Yes.

21 Q And you said that you would have to apply to the
22 administrator to get a special circumstances hardship type
23 permission.

24 A That's correct.

25 Q Is that -- are those types of requests routinely

1 approved or rubber stamped?

2 A No, they're not. They're extremely rare. They
3 typically have to go beyond the administrator for approval, and
4 the only one I have in my recollection actually was related to
5 hurricane activity. So it's extremely rare.

6 Q In your view would it be prudent to rely on a special
7 circumstances permission from the administrator for day-to-day,
8 year in, year out operation of your Big Bend baseload
9 coal-fired units?

10 A Absolutely not.

11 MR. BEASLEY: Thank you. That's all I have. I'd
12 like to move the admission of Mr. Nelson's exhibit.

13 CHAIRMAN EDGAR: Okay. The exhibit marked 3 will be
14 entered into the record. And the witness is excused. Thank
15 you.

16 (Exhibit 3 admitted into the record.)

17 MR. BEASLEY: Call Mr. Smolenski.

18 JOHN V. SMOLENSKI

19 was called as a witness on behalf of Tampa Electric Company
20 and, having been duly sworn, testified as follows:

21 DIRECT EXAMINATION

22 BY MR. BEASLEY:

23 Q Sir, would you please state your name, your address,
24 your occupation and your employer.

25 A My name is John Victor Smolenski. I work for Tampa

1 Electric Company at 702 North Franklin Street, Tampa, Florida
2 33602. I'm a Senior Consultant II, Advanced Technology, in the
3 Engineering and Construction Services Department.

4 Q Mr. Smolenski, did you prepare and submit a document
5 entitled "Prepared Direct Testimony of John V. Smolenski" dated
6 November 17th, 2006?

7 A Yes, I did.

8 Q If I were to ask you the questions contained in that
9 prepared testimony, would your answers be the same?

10 A Yes, they would.

11 Q I'd ask that Mr. Smolenski's testimony be inserted
12 into the record as though read.

13 CHAIRMAN EDGAR: The prefiled direct testimony will
14 be entered into the record as though read.

15 BY MR. BEASLEY:

16 Q Sir, did you also prepare the Exhibit JVS-1 that
17 accompanied your prepared direct testimony?

18 A Yes, I did.

19 MR. BEASLEY: Madam Chairman, I believe that's the
20 document identified as hearing Exhibit 4 in the composite
21 exhibit list.

22 CHAIRMAN EDGAR: Yes.
23
24
25

TAMPA ELECTRIC COMPANY
DOCKET NO. 050958-EI
FILED: NOVEMBER 17, 2006

1 BEFORE THE PUBLIC SERVICE COMMISSION

2 PREPARED DIRECT TESTIMONY

3 OF

4 JOHN V. SMOLENSKI

5
6 **Q.** Please state your name, address, occupation and employer.

7
8 **A.** My name is John V. Smolenski. My business address is 702
9 North Franklin Street, Tampa, Florida 33602. I am
10 employed by Tampa Electric Company ("Tampa Electric" or
11 "company") as Senior Consultant II - Advanced Technology,
12 in the Engineering and Construction Services Department.

13
14 **Q.** Please provide a brief outline of your educational
15 background and business experience.

16
17 **A.** I graduated from the Rutgers University in May 1974 with
18 a Bachelor of Science degree in Environmental Science. I
19 completed all of the course work towards a Master of
20 Science degree in Environmental Engineering from the New
21 Jersey Institute of Technology. I was employed at
22 Combustion Engineering's Krisinger Development Laboratory
23 as a Research and Product Development Engineer from May
24 1974 through January 1977 working on flue gas
25 desulfurization and coal gasification. I was employed at

1 Research-Cottrell Inc, as a Research and Product
2 Development Engineer from January 1977 through January
3 1978 working on flue gas desulfurization. I was employed
4 at Stone & Webster Engineering Corp. as Lead
5 Environmental Engineer and Flue Gas Desulfurization
6 Specialist from January 1978 through October 1989. In
7 1989, I joined Tampa Electric Company as a Consultant in
8 the Generation Engineering Department. In my current
9 position as Senior Consultant II, I am a technical
10 consultant to the project engineering groups responsible
11 for the company's air pollution control projects. I am a
12 member of the American Institute of Chemical Engineers,
13 past Chairman of the Electric Power Research Institute's
14 SO₂ Control Program Committee and have published over a
15 dozen papers on air pollution control technology.

16
17 Q. Did you prepare any exhibits in support of your
18 testimony?

19
20 A. Yes. Exhibit _____ (JVS-1) consists of one document which
21 is Tampa Electric's Big Bend Flue Gas Desulfurization
22 System Reliability Study.

23
24 Q. What is the purpose of your testimony in this proceeding?
25

1 **A.** The purpose of my testimony is to present, for the
2 Commission's review and approval for cost recovery
3 through the Environmental Cost Recovery Clause the Big
4 Bend Flue Gas Desulfurization System Reliability Program
5 ("FGD Reliability Program") based upon the process Tampa
6 Electric used to determine the individual project
7 components that are necessary to meet the 2010 and 2013
8 requirements of the Consent Decree ("CD") as discussed in
9 the testimony of Tampa Electric's witness Gregory M.
10 Nelson. I will discuss each component of the FGD
11 Reliability Program and describe the methodology employed
12 to determine its cost-effectiveness. Finally, I will
13 address why Tampa Electric chose to perform the
14 installation of the FGD Reliability Program concurrently
15 with the ongoing installation of the selective catalytic
16 reduction ("SCR") systems at Big Bend Station and provide
17 the associated benefits.

18
19 **Q.** Why are the SCRs being installed at Big Bend Station?
20

21 **A.** The installation of the SCRs at Big Bend Station is a
22 requirement of the CD based upon the company's decision
23 to remain coal-fired at the generating facility. Tampa
24 Electric made that declaration on August 19, 2004 in a
25 letter to the United States Environmental Protection

1 Agency. A discussion and copy of the declaratory letter
2 can be found in the testimony of Tampa Electric's witness
3 Gregory M. Nelson. Additionally, the Commission has
4 approved prudent expenditures associated with the SCR
5 installations in Docket Nos. 040750-EI and 041376-EI.

6
7 **Q.** Did Tampa Electric conduct a study to determine the
8 appropriate actions necessary for Big Bend Station to
9 meet the more stringent 2010 and 2013 SO₂ emissions
10 requirements of the CD?

11
12 **A.** Yes. Document No. 1 of my Exhibit is Tampa Electric's
13 Big Bend Flue Gas Desulfurization System Reliability
14 Study ("Study"). The Study had three main purposes which
15 were to: 1) determine the specific projects that could
16 provide reliability improvements to the FGD systems at
17 Big Bend Station to meet the more stringent 2010 and 2013
18 requirements of the CD; 2) determine the cost-
19 effectiveness of the proposed reliability improvements;
20 and 3) determine the cost-effectiveness of performing
21 several of the projects earlier than required to meet the
22 2010 and 2013 deadlines in the CD. This early work would
23 coincide with the construction activities associated with
24 the installation of SCRs occurring at Big Bend Station.

25

1 Q. Please summarize the results of the Study.

2

3 A. The Study determined 13 specific projects Tampa Electric
4 must complete in order to meet the more stringent 2010
5 and 2013 requirements of the CD. Additionally, the Study
6 examined the cost-effectiveness of these projects and
7 found the range of cost-benefit-ratios to be from 1.2 to
8 21 while the net benefit to customers was estimated to be
9 \$34 million. Lastly, the Study provided an analysis that
10 demonstrated the benefit of implementing the projects
11 associated with Big Bend Units 1 and 2 concurrent with
12 the installation of SCRs on those units. This benefit to
13 customers is estimated to be \$2.7 million. The FGD
14 Reliability Program is the culmination of Tampa
15 Electric's decision to implement the recommendations of
16 the Study in order to meet the 2010 and 2013 requirements
17 of the CD.

18

19 Q. Was an outside consultant used in the development of the
20 projects associated with the FGD Reliability Program?

21

22 A. Yes. Tampa Electric engaged an experienced consulting
23 firm, Sargent and Lundy, to provide costs and conceptual
24 designs for a number of the projects associated with the
25 FGD Reliability Program. However, Tampa Electric

1 performed the cost-effectiveness analyses of the various
2 projects and determined the related benefits.

3
4 **Q.** How did you identify the projects that could provide the
5 needed reliability improvements to the FGD systems at Big
6 Bend Station?

7
8 **A.** As part of the Study process, Tampa Electric identified
9 and evaluated specific maintenance needs, outage
10 requirements and previous or potential equipment failures
11 on the FGD systems which would require a generating unit
12 to come off line. These determinations were made from a
13 combination of actual operating experiences and empirical
14 knowledge of the FGD systems. From these determinations,
15 corrective actions were devised to prevent, minimize or
16 mitigate the detrimental effects of the identified
17 occurrences. Once these corrective actions were
18 identified, Tampa Electric established the reliability
19 projects that were necessary to meet the 2010 and 2013
20 requirements in the CD.

21
22 **Q.** Please describe the various components of the FGD
23 Reliability Program.

24
25 **A.** There are 13 individual projects that comprise the FGD

1 Reliability Program. A detailed description and an
2 estimated cost of each project can be found in Document
3 No. 1 of my Exhibit, pages 16 through 24 of the Study.
4

5 **Q.** How were the costs of the projects determined?
6

7 **A.** Project costs were estimated by either the company's
8 outside consultant, Sargent and Lundy, or Tampa Electric.
9 The estimation process began with conceptual engineering
10 designs of the proposed projects. Once the designs were
11 rendered, costs were assigned to each project using
12 standard in-house cost estimating tools. These
13 estimating tools used a combination of currently known
14 commodity costs, vendor supplied estimates and currently
15 known labor rates which were applied to the material
16 estimates and construction man-hour forecasts derived
17 from the conceptual engineering designs.
18

19 **Q.** How were the benefits determined for each project?
20

21 **A.** The benefits for each project were determined in several
22 steps. First, the time necessary to complete repairs or
23 perform necessary maintenance was established as if the
24 project did not exist. Next, the unit outage duration was
25 determined based on the time requirement from the first

1 step. Finally, the associated purchased power and fuel
2 costs associated with the unit outage was determined.
3 These costs were then identified as being avoided due to
4 the implementation of the various reliability projects and
5 thus became the benefits for the projects.

6

7 **Q.** How was the cost-effectiveness of the reliability
8 projects determined?

9

10 **A.** In order to determine the economic viability of the
11 projects, the following steps were utilized:

12

- 13 • Establish a baseline by creating a base case;
- 14 • Modify the base case with the project specific
15 improvements to Big Bend Station's availability to
16 create a change case;
- 17 • Subtract the change case from the base case to provide
18 the total system savings;
- 19 • Layer the total system savings into the capital costs
20 of the project; and
- 21 • Calculate the net present value ("NPV") of the cases.

22

23 If NPV is positive for the impact of all projects, the FGD
24 Reliability Program is determined to be beneficial to
25 Tampa Electric customers.

1 Q. What were the results of the cost-effectiveness analysis
2 on the FGD Reliability Program?

3
4 A. The results of the analysis performed by Tampa Electric
5 demonstrated that all of the projects that comprise the
6 FGD Reliability Program have positive benefits for the
7 customers with cost-benefit-ratios ranging from 1.2 to
8 21. These favorable results were obtained by using
9 conservatively estimated benefits. By utilizing the
10 conservatively estimated benefits, the net savings to the
11 customers is estimated to be \$34 million.

12
13 Q. Why were some of the reliability projects grouped
14 together as one item for the cost benefit analysis?

15
16 A. Some reliability projects were grouped together because
17 of their interdependent functionality. For example, to
18 improve the reliability of scrubbing flue gas, the entire
19 absorber module must remain on line. Therefore,
20 improvements to only one internal part of the module will
21 not keep the module on line if the other parts are
22 allowed to fail. This is analogous to a watch. If the
23 function of the watch is defined strictly as the ability
24 to display the time in hours, minutes and seconds and
25 that all three time elements must be correctly displayed

1 or the watch is to be considered inoperative, then each
2 of the three independent mechanisms driving the three
3 arms on the watch's dial must be made more reliable
4 because the failure of any one mechanism would constitute
5 the failure of all three.

6
7 **Q.** Why were some of the projects evaluated for early
8 implementation as opposed to a later date that coincided
9 with the applicable operating changes required by the CD?

10
11 **A.** The components of the FGD Reliability Program associated
12 with Big Bend Units 1 and 2 were evaluated for early
13 implementation for two reasons. First, there were
14 obvious cost savings that would be realized by
15 coordinating their construction activities in conjunction
16 with the construction activities occurring for the Big
17 Bend Station SCR projects. There would be cost savings
18 realized by having a single site mobilization and
19 demobilization of construction equipment and labor, and a
20 shared construction management team and services.
21 Second, maintaining the FGD de-integration days to the
22 end of their calendar life would have required the
23 expenditure of additional capital to accommodate the boiler
24 draft modifications occurring in conjunction with the Big
25 Bend Station SCR projects. This additional capital

1 equipment would have been operational for only two to
2 three years and then rendered inoperable in order to
3 comply with the CD. Furthermore, the company would have
4 incurred the additional capital and fuel costs to
5 accommodate the very low sulfur coal requirements of the
6 CD which would be in effect any time Big Bend Units 1 and
7 2 were operating unscrubbed from 2010 through 2012.

8
9 **Q.** How did you determine the cost-effectiveness of
10 performing some of the reliability projects earlier than
11 the deadlines defined in the CD?

12
13 **A.** Tampa Electric utilized ProMOD, the company's resource
14 planning model, to calculate the net fuel and purchase
15 power cost difference between the cases to account for
16 the five additional days of maintenance outage per unit
17 required with the early retirement of de-integration
18 days. In addition, Tampa Electric accounted for the
19 timing difference of the capital expenditures for the
20 reliability projects and the value of the SO₂ credits that
21 the company would lose by emitting more SO₂ when running
22 the units un-scrubbed. The analysis also included the
23 premium paid for very low sulfur coal as well as the
24 capital costs to modify the duct work, add dampers and
25 modify the generating units to accommodate for the

1 burning of the low sulfur coal and thus allow for
2 continued de-integration operation.

3
4 **Q.** Please describe the results of the analyses.

5
6 **A.** The result of the analyses performed by Tampa Electric to
7 determine the cost-effectiveness of implementing certain
8 components of the FGD Reliability Program early
9 demonstrated a benefit to customers over \$2.7 million.
10 Again, this favorable result was obtained with
11 conservatively estimated component benefits. Also, some
12 benefits were not included, most notably the potential
13 savings from equipment and labor site mobilization and
14 demobilization costs achieved by performing the work
15 simultaneously with the SCR construction.

16
17 **Q.** What alternatives were considered for inclusion in the
18 FGD Reliability Program?

19
20 **A.** There were no specific alternatives extensively evaluated
21 for each of the projects. Those measures that were
22 identified with any potential for consideration were
23 immediately dismissed for either technical or economic
24 reasons. However, one general alternative was considered
25 early in Tampa Electric's discussions and evaluations.

1 The alternative was to build a spare absorber tower of
2 the same size as the Big Bend Units 1 and 2 absorber
3 tower. But this alternative was quickly dismissed once
4 it was determined that it would not provide as much
5 reliability as the individual components of the FGD
6 Reliability Program and the estimated cost would be in
7 excess of \$40 million, well in excess of the total
8 estimated cost for the FGD Reliability Program.

9
10 **Q.** Would Tampa Electric perform the FGD Reliability Program
11 but for the requirements of the CD?

12
13 **A.** No. In the absence of the CD Tampa Electric would be
14 able to operate Big Bend Units 1, 2 and 3 without
15 scrubbing the flue gas for an unlimited number of days
16 per year. Consequently, reliability of the FGD system
17 would have virtually no impact on the generating
18 capability of the units. Therefore, increasing the
19 reliability of the FGD systems would have virtually no
20 beneficial economic impact to customers. It is solely
21 the requirements of the CD that absolutely and directly
22 tie unit generating capability to FGD system reliability.
23 As for Big Bend Unit 4, FGD scrubbing has been a
24 requirement since commercial operation began for that
25 unit.

1 Q. If the CD had existed prior to the purchase and
2 installation of the FGD system on Big Bend Units 1 and 2
3 and the integration of Big Bend Unit 3 into the FGD
4 system on Big Bend Unit 4, would Tampa Electric have
5 specified and purchased FGD systems of a different design
6 for these units than those that currently exist at Big
7 Bend Station?

8
9 A. Yes. The creation of a generating unit's operational
10 dependency being tied to the uninterrupted functionality
11 of its FGD system would have a definitive impact upon the
12 design of the FGD systems for these units. This is
13 clearly demonstrated by examining the design of the Big
14 Bend Unit 4 FGD system where such a dependency has always
15 existed. The Big Bend Unit 4 FGD system was designed
16 with a spare absorber module, redundant rotating
17 equipment for internal system functionality, spare
18 tankage, redundant limestone preparation systems,
19 redundant gypsum dewatering systems and a host of other
20 spare and back up systems none of which exist on the
21 other FGD systems.

22
23 Q. When are the individual projects of the FGD Reliability
24 Program scheduled to be completed?

25

- 1 **A.** The individual projects of the FGD Reliability Program
2 are scheduled to be completed by the following dates:
- 3 • Big Bend Units 1 through 4 Electric Isolation - 2010
 - 4 • Big Bend Units 3 and 4 Split Inlet Duct - 2007
 - 5 • Big Bend Units 3 and 4 Split Outlet Duct - 2007
 - 6 • Big Bend Units 1 and 2 Gypsum Blow Down Line Addition
7 - 2010
 - 8 • Controls Additions - 2010
 - 9 • Big Bend Units 3 and 4 FGD Booster Fan Capacity
10 Expansion - 2008
 - 11 • Big Bend Units 1 through 4 Mist Eliminator Upgrades -
12 2010
 - 13 • Big Bend Units 1 through 4 On-line Mist Eliminator
14 Wash System Addition - 2010
 - 15 • Big Bend Units 1 though 4 On-line Nozzle Wash System
16 Addition - 2007
 - 17 • Big Bend Units 1 and 2 Recycle Pump Discharge
18 Isolation Bladders Addition - 2008
 - 19 • Big Bend Units 1 and 2 Inlet Duct C-276 Wallpaper
20 Addition - 2006
 - 21 • Gypsum Fines Filter Addition - 2009
 - 22 • Gypsum Filter Vacuum Pump Upgrades - 2009
- 23 Start times for each of the projects have been
24 identified. At the start, a Project Scope Authorization
25 will be produced and a project team will be assembled

1 from various departments throughout Tampa Electric. The
2 project team is responsible for the detailed design,
3 engineering, project management, construction and cost
4 containment of the project.

5

6 **Q.** Describe how the projects will be monitored and progress
7 reported.

8

9 **A.** Tampa Electric has a proven methodology to provide
10 quality assurance and control on its construction
11 activities. Specifically, a project administrator is
12 selected for each project. The administrators monitor
13 projects and lead the various project teams from project
14 inception to completion and equipment start-up.
15 Competitive bidding is integral to the process. Monthly
16 expenditure and schedule reports are produced and
17 reviewed for variances with adjustments made to maintain
18 project budget and progress.

19

20 **Q.** What is the present status of the active projects?

21

22 **A.** There are already several active projects and their
23 status are listed below.

24

25

- Big Bend Units 1 through 4 Electric Isolation -
Detailed design and engineering has been initiated for

- 1 this project and it is proceeding on schedule.
- 2 • Big Bend Units 3 and 4 Split Outlet Duct - The detailed
3 design and engineering for this project has been
4 completed. Also, the materials have been purchased,
5 fabrication of components completed and delivery of
6 product to the plant site has commenced with
7 construction scheduled to occur during the fall 2006
8 outage of Big Bend Unit 4. The project completion is
9 projected to be on time and under budget.
- 10 • Control Additions - For this project, preliminary
11 design and engineering has begun and is proceeding on
12 schedule.
- 13 • Big Bend Units 1 through 4 Mist Eliminator Upgrades -
14 The detailed design and engineering, material purchases
15 and fabrication of the new mist eliminators for Big
16 Bend Units 3 and 4 have been completed. Product
17 delivery to the plant site has begun and the
18 installation is scheduled to occur during the fall 2006
19 outage of Big Bend Unit 4. The work associated with
20 the new mist eliminators for Big Bend Units 1 and 2 is
21 scheduled to commence next year.
- 22 • Big Bend Units 1 through 4 On-Line Nozzle Wash System -
23 The preliminary design and engineering has begun for
24 this project and is proceeding on schedule.
- 25 • Big Bend Units 1 and 2 Inlet Duct C-276 Wallpaper -

1 This project is complete and final costs are being
2 compiled. The project is expected to be on budget.

3
4 **Q.** Please summarize your testimony.

5
6 **A.** Tampa Electric conducted a study with the assistance of
7 an experienced consulting firm, Sargent and Lundy, to
8 determine the appropriate actions necessary for Big Bend
9 Station to meet the more stringent 2010 and 2013 SO₂
10 emissions requirements of the CD. After thorough
11 evaluations, the company identified 13 specific projects
12 that will cost effectively maximize the reliability of
13 the generating units at Big Bend Station. These projects
14 have cost-benefit-ratios ranging from 1.2 to 21 with an
15 estimated net savings to customers of \$34 million.
16 Furthermore, the evaluations conducted by the company
17 demonstrate that implementing some these projects earlier
18 than required by the CD and in conjunction with the SCR
19 installations occurring on the Big Bend generating units
20 will result in additional savings to customers of
21 approximately \$2.7 million. The Commission has
22 previously approved for recovery through the ECRC prudent
23 expenditures the company has incurred in meeting the CD
24 and CFJ requirements. It is appropriate for the
25 Commission to reaffirm its five-zero decision made at the

1 June 20, 2006 Agenda Conference that approved the
2 company's prudent costs associated with the Big Bend FGD
3 Reliability Program for cost recovery through the ECRC.
4

5 **Q.** Does this conclude your testimony?
6

7 **A.** Yes it does.
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 BY MR. BEASLEY:

2 Q Mr. Smolenski, can you please summarize your direct
3 testimony.

4 A Good morning, Commissioners. My direct testimony
5 focuses on the Consent Decree deadlines when the generating
6 units will have to be shut down whenever the FGD systems are
7 unavailable and the projects that we are implementing to enable
8 us to comply with those deadlines in a prudent and
9 cost-effective manner. Those projects, 13 in number, make up
10 the Big Bend FGD System Reliability Program. The intention of
11 the FGD System Reliability Program is to improve the FGD system
12 reliability such that the negative impacts of the Consent
13 Decree requirements of 2010 and 13 upon the generating units'
14 availability are cost-effectively minimized. This reliability
15 improvement is necessary as a direct result of the Consent
16 Decree requirement that Tampa Electric shut down Big Bend Units
17 1, 2 and 3 whenever the FGD systems are incapable of scrubbing
18 all of the flue gas coming from the generating unit, and the
19 Consent Decree requirement for, of January 1st, 2010, is for
20 Big Bend Unit 3 and January 1st, 2013, for Big Bend
21 Units 1 and 2.

22 Tampa Electric used its 22 years of FGD operating
23 experience in combination with sound engineering judgment to
24 identify the modifications necessary to the FGD system to
25 minimize forced and maintenance outage time of the generating

1 units once the Consent Decree requirements went into effect.
2 Tampa Electric used the same combination of experience and
3 judgment to forecast the amount of forced and maintenance
4 outage time that would be saved by these modifications. These
5 time savings became the basis for the determination of the
6 monetary value of the benefits of the 13 projects that comprise
7 the Big Bend FGD System Reliability Program. Tampa Electric
8 developed the cost of these 13 projects through a combination
9 of internal cost estimation using data from our latest capital
10 projects and estimates developed by Sargent & Lundy, the
11 engineering firm employed by Tampa Electric for the ECRC
12 approved selective catalytic reduction programs.

13 These costs and benefits were then analyzed by Tampa
14 Electric using our production cost model to develop the
15 cost-benefit-ratios of the projects. The 13 projects all had
16 positive cost-benefit-ratios of between 1.2 to 21, indicating
17 their beneficial nature to the customers of approximately
18 \$34 million after paying for themselves.

19 Tampa Electric has demonstrated that the Big Bend FGD
20 System Reliability Program is the most cost-effective way to
21 comply with the Consent Decree deadlines of 2010 and 13.
22 Further, Tampa Electric has demonstrated that the FGD
23 Reliability Program will save our customers over \$34 million
24 after paying for itself. And it's important to note that but
25 for the Consent Decree requirements that go into effect in

1 2010 and 13, the projects that make up the reliability program
2 would not be necessary. That concludes my summary of my direct
3 testimony.

4 MR. BEASLEY: Mr. Smolenski is available for
5 questions.

6 CROSS EXAMINATION

7 BY MS. CHRISTENSEN:

8 Q Good morning, Mr. Smolenski.

9 A Good morning.

10 Q You would agree that a project is legally -- a
11 project that is legally mandated by a governmentally imposed
12 regulation or law is appropriate for recovery through the ECRC?

13 A Yes.

14 Q And you would also agree that if a project costs
15 customers money and has no cost savings benefits to customers,
16 if the activity is mandated by a governmental law or
17 regulation, it is recoverable through the ECRC?

18 A Yes.

19 Q And isn't it also correct that any cost-benefit
20 analysis is a secondary issue which is addressed only after you
21 determine that an activity is legally required to comply with
22 an environmental law or regulation?

23 A I don't know whether that's a secondary issue or
24 whether it's one of the primary issues.

25 Could you repeat the question?

1 Q Certainly.

2 A The last part of the question.

3 Q Would you agree that any cost-benefit analysis is an
4 issue that you address after you address whether or not that
5 activity is legally required to comply with an environmental
6 law or regulation?

7 A Yes.

8 Q And would you agree that if a cost is to be recovered
9 through base rates and the company is still earning a fair rate
10 of return once that cost is expended, that the cost has been
11 recovered through base rates?

12 A Yes.

13 Q And would you agree that a cost-benefit analysis is
14 important for management to make its determination of whether
15 to commit funds for a project when those funds are coming
16 through base rate, base rate revenues?

17 A Yes.

18 Q Okay. And so it would be appropriate for TECO's
19 management to use the cost-benefit analysis done by
20 Sargent & Lundy to determine the timing of projects recovered
21 through base rates; correct?

22 A I'm not aware of any cost-benefit analysis done by
23 Sargent & Lundy.

24 The cost-benefit analysis was done in-house by us.
25 The estimates of construction costs and some, and some other

1 issues were done by Sargent & Lundy, but the cost-benefit
2 analysis was done internally at Tampa Electric.

3 Q Okay. And you would agree that it would be
4 appropriate to look at that cost-benefit analysis to determine
5 the timing of certain projects to be recovered through base
6 rate revenues.

7 A Or through, through any recovery.

8 Q Okay. Referring to TECO's electric isolation
9 project, TECO's electric isolation project proposes to put a
10 13.8 kVA input voltage transformer in; is that correct?

11 A That's one of the things it proposes to do.

12 Q Okay. And isn't it correct that the new transformer
13 will not serve any electrical load for Big Bend Units 1, 2 or
14 4?

15 A That's correct.

16 Q Okay. So it would be correct to conclude that the
17 only units served by the transformer will be Big Bend Unit 3?

18 A That's correct.

19 Q And the new transformer will serve the electric load
20 for two new induced draft fans; is that correct?

21 A That's part of the load that they will serve, yes.

22 Q Okay. And those new fans will replace the function,
23 the function of the current fans which are pulling air into the
24 boiler system; correct?

25 A Incorrect. There are two forced draft fans at the

1 head of the system, you might say, that are pushing combustion
2 air and coal into the boiler and this will partially relieve
3 some of their duty. But the majority of their duty is now to
4 pull that air through, through the boiler and through the SCR
5 system which is going in as part of the SCR project. The
6 existing fan system there cannot accommodate the SCR project.
7 So something has to be done to supply the additional amount of
8 energy necessary to drive the flue gas through the system,
9 including the SCR, and there were several approaches to doing
10 that. The approach that Tampa Electric determined was, to be
11 the most cost-effective was to go ahead and use ID fans or
12 induced draft fans for that service.

13 Q And the two other projects or the two other
14 suggestions proposed by Sargent & Lundy would not have required
15 putting in a new transformer; is that correct?

16 A I don't know.

17 Q Would you agree that there are other reasons other
18 than environmental laws which could cause TECO to decide to put
19 in the ID fans?

20 A There are other benefits to having ID fans or an
21 induced draft system or a balanced draft system; however, they
22 are not the reasons that the ID fans went in. The ID fans went
23 in solely because of the SCR project because the other reasons
24 have existed since the first day of operation or inception of
25 Big Bend's 1, 2 and 3, the beneficial reasons associated with

1 ID fans. And we've never made the change for those reasons in,
2 what, some, over 20 years of operation. So it wasn't those
3 reasons but the, the Consent Decree requirement that we put
4 SCRs on those units that caused the need for the additional
5 fans leading to the choice of using ID fans.

6 Q Well, let me refer you to the gypsum project. Gypsum
7 is a byproduct of the coal burning and environmental process;
8 is that correct?

9 A Gypsum?

10 Q Yes.

11 A Yeah. It's, it's the reaction product of the sulfur
12 dioxide that you scrub out of the flue gas. It's reacted with
13 a ground pulverized slurried limestone, and the sulfur dioxide,
14 once its absorbed, reacts with the calcium carbonate in the
15 limestone to finally form calcium sulfite, which is gypsum.

16 Q Okay. And you have, or TECO has two choices for
17 disposing of the gypsum that's produced; is that correct? It
18 could either put them in a landfill; is that correct?

19 A You could put it in a landfill or you could sell it.
20 Those would be the two general overall choices.

21 Q Okay. And if you put it in the landfill, that would
22 cost money; is that true?

23 A Yes. That would cost money to dispose of it.

24 Q And otherwise you sell the gypsum byproduct to
25 commercial interests such as wallboard companies?

1 A Yes.

2 Q And TECO then receives money for the gypsum
3 byproduct?

4 A Yes.

5 Q Okay. And it's correct that the existing gypsum
6 equipment was designed to create disposable gypsum byproduct?

7 A No. All of the FGD systems were designed to produce
8 commercial grade gypsum. Ever since the Big Bend 4 FGD system
9 that went in service January of 1985 -- it was designed to
10 produce commercial grade gypsum, as were the scrubbing of 1,
11 2 and 3.

12 Q Okay. Originally they -- well, let me ask you this.
13 By adding the new gypsum fines filter, you'll end, is it
14 correct to say that you'll end up removing more moisture from
15 the gypsum byproducts, thereby making the new gypsum byproduct
16 more commercially marketable?

17 A We won't sell anymore because the scrubber makes all
18 of the gypsum and not the fines filter. There is potential
19 that the value of the gypsum could increase as a result of
20 being dryer.

21 Q Okay. And by lowering that moisture content in the
22 gypsum, it's more commercially viable for the wallboard
23 industry rather than a moister content gypsum; is that correct?

24 A It's already all sold to the wallboard industry.
25 They take it all. And so it's not going to make it anymore

1 commercially viable. Again, as I said, the only thing it may
2 change is the, the price per ton that we might get for it.

3 Q Okay. And you said that, that would, is likely to
4 increase. It'll make it more valuable.

5 A That could, that could increase, yes.

6 Q Okay. Let me refer you to the split inlet and outlet
7 duct projects. Currently Big Bend Units 3 and 4 share common
8 ductwork for their FGD system; is that correct?

9 A That's correct.

10 Q And you would agree that the Units 3 and 4 current
11 FGD system meets the removal of the SO2 requirement set forth
12 in the Consent Decree; correct?

13 A It meets the removal efficiency requirements. Yes.

14 Q Okay. And the Units 3 and 4 FGD system removes
15 95 percent of the SO2 from the flue gas as it is currently
16 configured; correct?

17 A Yes.

18 Q Okay. And if the, and if the split ductwork projects
19 were not done, the current FGD system would still remove
20 95 percent of the SO2; correct?

21 A Yes.

22 Q Okay. And if the split ductwork projects were done,
23 the FGD system would still remove 95 percent of the SO2.

24 A Yes.

25 MS. CHRISTENSEN: I have no further questions of this

1 witness.

2 MS. BROWN: Staff has no questions.

3 CHAIRMAN EDGAR: Commissioners? No?

4 Mr. Beasley.

5 MR. BEASLEY: One redirect.

6 REDIRECT EXAMINATION

7 BY MR. BEASLEY:

8 Q Mr. Smolenski, do your customers benefit from your
9 gypsum sales?

10 A Yes, they do.

11 MR. BEASLEY: Thank you.

12 CHAIRMAN EDGAR: Okay. Let's take up the exhibit.

13 MR. BEASLEY: Move the admission of Exhibit 4.

14 CHAIRMAN EDGAR: Okay. Exhibit 4 will be entered
15 into the record. The witness is excused.

16 (Exhibit 4 admitted into the record.)

17 MR. BEASLEY: That concludes our direct case.

18 CHAIRMAN EDGAR: And, Ms. Christensen, are you, are
19 you ready to go?

20 MS. CHRISTENSEN: At the Chairman's pleasure, I
21 believe we are.

22 CHAIRMAN EDGAR: Okay. We're ready.

23 MS. CHRISTENSEN: The first witness the Office of
24 Public Counsel would like to call is Ms. Patricia Merchant.

25 PATRICIA W. MERCHANT

1 was called as a witness on behalf of the Citizens of the State
2 of Florida and, having been duly sworn, testified as follows:

3 DIRECT EXAMINATION

4 BY MS. CHRISTENSEN:

5 Q Can you please state your name and address for the
6 record, please.

7 A Yes. My name is Patricia W. Merchant. My address is
8 111 Madison Street, West Madison Street, Tallahassee, Florida
9 32399, and I'm employed with the Office of Public Counsel.

10 Q And, Ms. Merchant, did you cause to be prefiled in
11 this docket direct testimony dated January 24th, 2007,
12 consisting of 13 pages?

13 A Yes, I did.

14 Q And do you have any corrections to make to your
15 testimony today?

16 A No, I don't.

17 Q Okay. And if I were to ask you the same questions
18 today, would your answers be the same?

19 A Yes.

20 Q And did you also have prefiled exhibits PMW-1 (sic.)
21 attached to your testimony?

22 A Yes. PWM-1.

23 Q Okay. And do you have any corrections to make to
24 your exhibit?

25 A No, I do not.

1 Q Ms. Merchant, can you please summarize your
2 testimony.

3 A Yes. My testimony addresses the proper regulatory
4 treatment of costs associated with the FGD System Reliability
5 Program which TECO seeks to recover through the ECRC. Of the
6 13 projects identified, TECO has requested that 12 be recovered
7 through the ECRC and one through base rates. Citizens'
8 witnesses Stamberg and Hewson testify about the specific
9 projects and whether the projects are legally required by
10 environmental regulation. I testify about the regulatory
11 theory of base rate treatment as opposed to clause recovery.

12 OPC agrees with TECO that eight of the 12 projects
13 are appropriate to be recovered through the ECRC. We believe
14 that recovery of four of the 12 projects belongs in base rates.
15 Since inception the cost recovery clauses have created
16 financial incentives to steer as many costs as possible through
17 recovery clauses. To allow normal base rate type costs to flow
18 through a clause results in an unwarranted rate increase, an
19 unwarranted increase in overall rates borne by customers, and
20 this increase in earnings directly benefits shareholders to the
21 detriment of ratepayers and can amount to double recovery of
22 costs. For this reason the Commission should be vigilant for
23 claims that new or unusual costs belong in a cost recovery
24 clause as opposed to being absorbed in base rates.

25 The ECRC statute states that the environmental costs

1 have to be incurred after 1993, the activity has to be legally
2 required to comply with a governmentally imposed environmental
3 regulation and the cost cannot be recovered by any other rate
4 mechanism. The Commission outlined its ECRC recovery policy in
5 Order Number 94-0044 and specifically disallowed discretionary
6 nonmandated environmental projects in the ECRC even though
7 those projects were commendable. Whether a company needs to
8 file a base rate case is a management decision based on its
9 analysis of its company's risk or its projected earnings. I'm
10 not suggesting that a base rate case should be triggered by
11 making these plant improvements or that TECO should be denied
12 recovery of any of its requested costs. And this concludes my
13 summary.

14 MS. CHRISTENSEN: We would ask to have Ms. Merchant's
15 prefiled testimony inserted into the record as though read.

16 CHAIRMAN EDGAR: The prefiled testimony will be
17 entered into the record as though read.

18
19
20
21
22
23
24
25

DIRECT TESTIMONY**OF****PATRICIA W. MERCHANT, CPA**

On Behalf of the Office of Public Counsel

Before the

Florida Public Service Commission

Docket No. 050958-EI

Introduction

10 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

11 A. My name is Patricia W. Merchant. My business address is Room 812, 111
12 West Madison Street, Tallahassee Florida, 32399-1400.

14 **Q. BY WHOM ARE YOU EMPLOYED AND WHAT IS YOUR
15 POSITION?**

16 A. I am a Certified Public Accountant licensed in the State of Florida and
17 employed as a Senior Legislative Analyst with the Office of Public Counsel
18 (OPC). I began my employment with OPC in March, 2005.

20 **Q. PLEASE DESCRIBE YOUR EDUCATIONAL BACKGROUND AND
21 PROFESSIONAL EXPERIENCE.**

22 A. In 1981, I received a Bachelor of Science degree with a major in accounting
23 from Florida State University. In that same year, I was employed by the
24 Florida Public Service Commission (PSC) as an auditor in the Division of
25 Auditing and Financial Analysis. In 1983, I joined the PSC's Division of

1 Water and Sewer as an analyst in the Bureau of Accounting. From May, 1989
2 to February, 2005 I was a regulatory supervisor in the Division of Water and
3 Wastewater which evolved into the Division of Economic Regulation.

4

5 **Q. HAVE YOU PREVIOUSLY TESTIFIED BEFORE THE FLORIDA**
6 **PUBLIC SERVICE COMMISSION?**

7 A. Yes, I have testified numerous times before the PSC. I have also testified
8 before the Division of Administrative Hearings as an expert witness.

9

10 **Q. ARE YOU SPONSORING AN EXHIBIT IN THIS CASE?**

11 A. Yes. I am sponsoring one exhibit, which is attached to my testimony. Exhibit
12 PWM-1 is a summary of my regulatory experience and qualifications.

13

14 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

15 A. The purpose of my testimony is to discuss the proper regulatory treatment of
16 costs associated with the Big Bend Flue Gas Desulfurization ("FGD") System
17 Reliability Program which Tampa Electric Company ("TECO") seeks to
18 recover through the Environmental Cost Recovery Clause ("ECRC").

19

20 **Q. HAVE YOU REVIEWED TECO'S PETITION FOR APPROVAL OF**
21 **THE FGD SYSTEM RELIABILITY PROGRAM COSTS THROUGH**
22 **THE ECRC?**

23 A. Yes. TECO is requesting \$11,929,000 that it refers to as Big Bend FGD
24 System Reliability (New ECRC Program) Costs should be recovered through
25 the ECRC. It also has requested recovery of \$7,096,000 in costs referred to as

1 the Big Bend Units 1&2 FGD (Existing Program) through the ECRC. The
2 company has also identified \$2,626,000 in costs that it is requesting to be
3 recovered through base rates.

4

5 **Q. ARE YOU PROVIDING TESTIMONY AS TO WHAT COSTS ARE**
6 **PROPERLY RECOVERED IN THE ECRC?**

7 A. Yes. Citizen's witnesses Stamberg and Hewson testify about the specific
8 requested projects and whether those costs are required by new environmental
9 law, regulation or mandate. I am testifying as to the proper regulatory theory
10 of base rate treatment as opposed to clause recovery, specifically through the
11 ECRC in this case.

12

13 **Q. WHAT ARE THE TWO MAIN TYPES OF RATE RECOVERY**
14 **MECHANISMS AVAILABLE TO ELECTRIC UTILITIES?**

15 A. The principal rate recovery mechanisms available for regulated electric
16 utilities are base rates and special cost recovery clauses. Each recovery
17 method has its defined role, and they are designed to work together to provide
18 the utility with rates that are fair, just, reasonable and not unduly
19 discriminatory.

20

21 **Q. PLEASE DESCRIBE THE BASE RATE RECOVERY MECHANISM.**

22 A. Base rates are designed to allow the utility the opportunity to recover its
23 prudent operating costs and a reasonable rate of return on its investment in
24 utility plant. In a base rate case, a test year is used to examine the levels of
25 plant investment and operating costs that represent the levels that will be

1 incurred when the rates go into effect. Adjustments are made to remove any
2 unreasonable amounts and to normalize nonrecurring or extraordinary
3 amounts in the test year. By analyzing the data included in the utility's rate
4 request, the Commission determines the total amount of revenues the utility
5 should be allowed to collect and then designs rates that will generate that
6 revenue figure.

7
8 **Q. HOW DOES THE COMMISSION ALLOW THE UTILITY THE**
9 **OPPORTUNITY TO RECOVER A REASONABLE RATE OF**
10 **RETURN ON ITS INVESTMENT?**

11 A. In setting rates, the Commission determines the overall rate of return on the
12 utility's investment in its utility plant. This overall cost of capital is based on
13 the weighted average cost of debt, equity and other sources of capital. The
14 cost of debt and other sources of capital are determined based on stated cost
15 rates, and the cost of equity is based on the level of profit and business risk for
16 which utility shareholders should be compensated.

17
18 **Q. HOW DOES REGULATORY THEORY ADDRESS THE ISSUE OF**
19 **DESIGNING RATES TO BE SUFFICIENT FOR FUTURE PERIODS?**

20 A. Ratemaking principles recognize that after rates are set, the prospective
21 relationships between costs and revenues will change from those levels used
22 in setting the rates. The level of a particular cost may increase, decrease, or
23 the cost may go away altogether. Costs that were non-existent during the test
24 period may arise after the rates take effect. Projected revenue levels will also
25 vary based on customer growth or changes in consumption or a combination

1 of both. A particular expense level increase does not automatically cause a
2 utility to earn less than its fair rate of return on its investment or to not recover
3 the expense. In order to determine whether an increase in a single cost is
4 affecting a utility adversely, it is necessary to consider the overall relationship
5 of total revenues and total costs.

6

7 **Q. HOW ELSE DOES THE COMMISSION PROVIDE A SAFETY NET**
8 **FOR EARNINGS LEVELS FOR REGULATED UTILITY**
9 **COMPANIES?**

10 A. The Commission sets rates using the mid-point of the authorized rate of return
11 on equity (ROE) and then establishes a range for the ROE. If the utility earns
12 within the range, generally set at 100 basis points on either side of the mid-
13 point, then the utility is earning a fair return on its investment and is
14 recovering its prudent operating costs. If the utility is earning above or below
15 the range on its ROE, then it is over- or under-earning, respectively.

16

17 **Q. PLEASE DESCRIBE THE VARIOUS COST RECOVERY CLAUSES**
18 **AVAILABLE TO ELECTRIC COMPANIES.**

19 A. The cost recovery clauses available to electric companies are the Fuel and
20 Purchased Power Cost Recovery Clause with generating performance
21 incentive factor (Fuel Clause), the Energy Conservation Cost Recovery Clause
22 (ECCR), and the Environmental Cost Recovery Clause (ECRC). The clauses
23 enable companies to recover specific costs on a current basis outside of base
24 rate considerations. Clauses provide guaranteed rate recovery of the specific
25 costs identified for inclusion. They are a departure from the traditional base

1 rate mechanism, under which the rates are designed to provide the utility an
2 opportunity, not a guarantee, to recover its prudent costs and to earn a fair
3 return.

4
5 The fuel clause provides recovery to the utility for the day to day fluctuations
6 in the cost of fuel and other volatile fuel-related costs that cannot be
7 anticipated in base rates. Pursuant to Section 366.82, Florida Statutes, the
8 conservation clause allows utilities to recover costs to implement cost-
9 effective demand side conservation programs. In the case of environmental
10 costs, Section 366.8255, Florida Statutes, mandates the use of a cost recovery
11 clause for qualifying expenditures. All of the cost recovery factors are
12 reestablished annually and include projections for the prospective year. The
13 factors also include a true-up of the current year projections based on actual
14 expenses incurred, with over or under recoveries included in the next year's
15 factor.

16
17 **Q. DO THE COST RECOVERY MECHANISMS CREATE AN**
18 **INCENTIVE FOR THE UTILITY TO REQUEST RECOVERY OF**
19 **NORMAL BASE RATE TYPE COSTS THROUGH A CLAUSE?**

20 **A.** Yes. The reason is simple. If a cost does not legitimately meet the definition
21 of costs that qualify for a recovery clause, to allow the cost to flow through
22 the clause will result in an unwarranted increase in overall rates borne by
23 customers. This increase in revenues directly benefits shareholders to the
24 detriment of ratepayers. Further, if the utility is earning within the range of its

1 authorized rate of return, allowing recovery through a clause would amount to
2 double recovery.

3

4 **Q. CAN YOU GIVE AN EXAMPLE TO MAKE THIS POINT?**

5 A. Yes. Assume a utility has a rate base (a utility's net investment in utility plant)
6 of \$1 billion, a Commission-authorized fair rate of return with a range of 9%
7 to 11%, and net income of \$100 million. Assume that the Commission must
8 consider the following: a) allow the utility to collect an additional \$1 million
9 expense normally recovered in base rates through the fuel clause or b) require
10 the utility to absorb the expense in earnings achieved from base rates. The
11 achieved rate of return before the additional expense will be 10%, which is in
12 the middle of the authorized range.

13

14 If the utility is allowed to collect the additional expense through the fuel
15 clause, base rates will not change; but the customers will pay additional fuel
16 revenues of \$1 million. However, if the Commission denies the request to
17 recover the expense through the clause, the utility will recover the expense
18 through revenues generated by base rates. The customers' overall bill will not
19 go up—both fuel revenues and base rate revenues will be unchanged. The
20 income for the period becomes \$99 million instead of \$100 million and the
21 return falls from 10% to 9.9%. Inasmuch, the return is still well within the
22 range of the return that the Commission established as fair and reasonable.

23

24 Because special cost recovery clause treatment enables the utility to avoid
25 absorbing the expense through base rate earnings, the utility has a powerful

1 financial incentive to steer as many costs as possible through recovery clauses.
2 For this reason, the Commission should be ever vigilant for claims that new or
3 unusual costs belong in a cost recovery clause as opposed to being absorbed in
4 base rates.

5 **Q. HAS THE COMMISSION ADDRESSED THE APPROPRIATE WAY**
6 **TO DETERMINE WHAT TYPES OF COSTS ARE ALLOWED TO BE**
7 **RECOVERED THROUGH THE ECRC?**

8 A. Yes. By Order No. PSC-94-0044-FOF-EI¹, the Commission outlined the most
9 appropriate way to implement the intent of the ECRC statute as follows:

10 Upon petition, we shall allow the recovery of costs associated
11 with an environmental compliance activity through the
12 environmental cost recovery factor if:

- 13 1. such costs were prudently incurred after April 13, 1993;
- 14 2. the activity is legally required to comply with a
15 governmentally imposed environmental regulation enacted,
16 became effective, or whose effect was triggered after the
17 company's last test year upon which rates are based; and,
- 18 3. such costs are not recovered through some other cost
19 recovery mechanism or through base rates.

20
21 In addition, we shall consider that all costs associated with
22 activities included in the test year of the utility's last rate case are
23 being recovered in base rates unless there have been new legal

¹ Order No. PSC-94-0044-FOF-EI, issued January 12, 1994, in Docket No. 930613-EI, In re: Petition to establish an environmental cost recovery clause pursuant to Section 366.0825, Florida Statutes, by Gulf Power Company.

1 environmental requirements which change the scope of
2 previously approved activities and caused costs to change from
3 the level included in the test year. If new legal requirements
4 cause an increase, or decrease, in costs from the level included in
5 the test year of the utility's last rate case, the amount recovered
6 through base rates should be determined to be the amount
7 included in the test year. (Order at page 6-7.)
8

9 **Q. DID THE COMMISSION'S ORDER ADDRESS PROJECTS THAT**
10 **WERE IMPLEMENTED AT MANAGEMENT'S DISCRETION?**

11 A. Yes. The Commission found that capital projects that were implemented at
12 management's discretion, but were not necessary to comply with any
13 governmentally imposed environmental compliance mandate, were not
14 appropriate to be included in the ECRC even though the projects were
15 commendable. Nor were projects allowed for compliance with future
16 environmental amendments as the impacts were premature and could not be
17 determined at that time. (Order at page 9)
18

19 **Q. WHAT IS YOUR TESTIMONY AS TO THE REQUESTED**
20 **RECOVERY OF TECO'S BIG BEND FGD SYSTEM RELIABILITY**
21 **PROGRAM COSTS THROUGH THE ECRC?**

22 A. Based on the testimony of OPC witnesses Stamberg and Hewson, five² of the
23 thirteen projects included in TECO's request are not appropriate to be

² TECO requested that one of the projects, the Big Bend Units 3-4 FGD Booster Fan Capacity Expansion, be recovered through base rates not the ECRC. The cost reflected in TECO's petition was \$1.849 million.

1 included in the ECRC. Those projects are not required by any new
 2 environmental regulation or environmental mandate and are projects to be
 3 implemented at management's discretion. The projects that are inappropriate
 4 for recovery through the ECRC are as follows:

5

<u>Project Description</u>	<u>Amounts</u>
Big Bend Units 3-4 Split Inlet Duct	\$116,000
Big Bend Units 3-4 Split Outlet Duct	\$4,829,000
Gypsum Fines Filter	\$2,866,000
Big Bend Units 1-4 Electric Isolation	<u>\$6,600,000</u>
Total Reduction to ECRC Requested Costs	\$14,411,000

6

7 **Q. ARE YOU TESTIFYING AS TO WHETHER TECO'S BASE RATES**
 8 **ARE SUFFICIENT TO RECOVER THESE COSTS WHEN THEY ARE**
 9 **INCURRED?**

10 A. No, I am not. The purpose of my testimony is to delineate the distinct
 11 differences between collecting revenues through base rates or clauses. I
 12 believe that to exceed the intended purpose and scope of any of the special
 13 cost recovery clauses distorts the overall purpose of cost recovery to the
 14 detriment of customers. In as much, the Commission should keep the
 15 relationships between these rate categories in mind as it considers TECO's
 16 request. In the instant case, either the costs qualify for ECRC or they do not.
 17 The Citizen's have provided testimony that some of the requested costs do not
 18 belong in the ECRC and as such can only be considered base rate costs.
 19 Whether a company needs to file a base rate case is a management decision

1 based on each company's assessment of its levels of investment, projected
2 earnings and perceived business risk. Further, I am by no means suggesting
3 that a base rate case should be triggered by making these plant improvements.

4

5 **Q. ARE YOU RECOMMENDING THAT TECO BE DENIED RECOVERY**
6 **OF ANY OF THE REQUESTED COSTS?**

7 A. No. If TECO has a sufficient level of earnings through base rates to recover
8 these costs, then placing the costs in rate base and operating income allows
9 full recovery by TECO. The argument that not allowing costs that normally
10 are recovered through base rates to be recovered through any clause revenues
11 somehow denies recovery to the utility is false.

12

13 Revenues and expenses are not static. Basic ratemaking assumes that, after the
14 typical test year is constructed and rates are designed, a utility's costs,
15 investment, and revenues will vary over time. In contrast to special cost
16 recovery clauses, base rates are intended to operate generally and on an
17 overall basis. Full cost recovery of a base rate-related item occurs if, after the
18 expenditure is added to the ratemaking equation, the utility's operating
19 revenues continue to exceed expenses and the utility has a positive net
20 income. This is true whether or not the particular item was built into
21 Minimum Filing Requirements or test year assumptions when base rates were
22 last designed.

23

24 **Q WOULD YOUR VIEW OF THE PROPER FUNCTIONS OF BASE**
25 **RATES AND COST RECOVERY CLAUSES CHANGE IF THE**

1 **UTILITY WAS EARNING LESS THAN A FAIR RATE OF RETURN**
2 **AT THE TIME IT INCURS THE COST FOR WHICH IT SEEKS**
3 **RECOVERY THROUGH A CLAUSE?**

4 A. No. If the utility is earning less than the bottom of the range of its authorized
5 rate of return, then its appropriate recourse is to avail itself of the opportunity
6 afforded it by statute to seek an adjustment in base rates. If it does so, then
7 customers and the Commission will have an opportunity to assess the
8 company's condition on an overall basis. Ultimately, the responsibility
9 belongs solely with the utility's management to consider the need to seek base
10 rate relief.

11

12 **Q. DOES THIS COMPLETE YOUR TESTIMONY?**

13 A. Yes, it does.

1 MS. CHRISTENSEN: And at this time we tender
2 Ms. Merchant for cross-examination.

3 CHAIRMAN EDGAR: Mr. Beasley.

4 MR. BEASLEY: We have no questions.

5 CHAIRMAN EDGAR: Are there questions from staff?

6 MS. BROWN: Staff has just a few questions.

7 CROSS EXAMINATION

8 BY MS. BROWN:

9 Q Good morning, Ms. Merchant.

10 A Good morning.

11 Q You state in your testimony that you worked primarily
12 on water and wastewater rate cases at the Commission; is that
13 correct?

14 A I did for the majority of my career, but I was an
15 auditor for two years and then I worked on a few electric cases
16 toward the end.

17 Q Were you ever assigned to an environmental cost
18 recovery clause docket?

19 A No, I was not.

20 Q Any of the clause dockets?

21 A No. But I worked a lot on rate cases and for water
22 and wastewater companies, which is very similar to base rate
23 cases for electric companies. The issues are very similar.

24 Q On Page 8, Lines 14 through 22, you provide a
25 hypothetical there. Is that hypothetical a case involving the

1 environmental cost recovery clause or the fuel clause?

2 A I don't think it matters. It could be either way.
3 It's an example of a clause recovery as opposed to base rate
4 recovery.

5 Q There is no statute that governs the scope and
6 application of the fuel clause though like there is in the
7 environmental clause; correct?

8 A There is no statute, but there's a lot of orders
9 that, that dictate the policy for the fuel clause.

10 Q But there is no statute that dictates the policy;
11 correct?

12 A That's correct.

13 Q On Page 12 of your testimony, Lines 5 through 22, are
14 you describing the regulatory tool sometimes referred to as an
15 earnings test there?

16 A It could be an earnings test or a rate case type
17 analysis.

18 Q Are you testifying that the Commission should use an
19 earnings test to determine whether any new environmental costs
20 should be recovered through the environmental cost recovery
21 clause?

22 A No. What I'm testifying to is that the statute and
23 the Commission's Order 94-0044 dictate how, what types of costs
24 are appropriate to be recovered through the ECRC. And if
25 they're not recovered through the ECRC, then they have to be

1 recovered through base rates. And my testimony here is that a
2 company has to look at their own earnings to see if they can
3 recover, if they can absorb these items in base rates, whether
4 they need to seek relief from the Commission through a rate
5 case to recover costs that are not approved to be in the ECRC.

6 Q And you just mentioned the Gulf order. Would you
7 agree that the Gulf order addresses whether an earnings test is
8 appropriate for considering recovery of costs through the
9 environmental cost recovery clause?

10 A Yes, it does.

11 Q And what does it say about that?

12 A It has quite a lot of discussion on it, but one of
13 the items, it says if that item was not specifically identified
14 in the last rate case, as a line item in the last rate case,
15 that it assumes that it wasn't recovered.

16 But my testimony today is that -- does it meet the
17 statute? Does it comply -- is the project mandated by
18 governmental -- is it legally required by governmental
19 regulation? So if it's not required by governmental
20 regulation, then it has to go through base rates. It's just
21 one or the other. I think that an earnings test for the
22 statute is not appropriate, but it's -- once it's determined
23 that it's not, it goes into base rates.

24 MS. BROWN: All right. Thank you. No further
25 questions.

1 CHAIRMAN EDGAR: Ms. Christensen.

2 MS. CHRISTENSEN: Yes, a few redirect.

3 REDIRECT EXAMINATION

4 BY MS. CHRISTENSEN:

5 Q I want to make sure, Ms. Merchant, that we're clear.
6 Your testimony is not -- can you clarify whether or not you're
7 testifying regarding whether or not an earnings test should be
8 applied to the ECRC clause analysis?

9 A No, it does not need to. You don't have to have an
10 earnings test to determine whether something goes through the
11 ECRC.

12 Q Okay. And referring back to your hypothetical
13 situation, you said that it was appropriate to apply that to
14 either a fuel clause or an ECRC clause analysis; is that
15 correct?

16 A Right. My, my example is a cost that doesn't belong
17 in a clause. If you put it -- if it doesn't belong in the
18 clause and you put it in the clause, then it can, it can give a
19 double recovery. If it, if it belongs in the clause, it
20 belongs in the clause. If it doesn't belong and it's
21 inappropriately put in the clause, then you've got the double
22 recovery situation.

23 MS. CHRISTENSEN: Okay. Thank you. No further
24 questions.

25 CHAIRMAN EDGAR: Let's go ahead and take up the

1 exhibit.

2 MS. CHRISTENSEN: I would ask to have Ms. Merchant's
3 exhibit be --

4 CHAIRMAN EDGAR: Number 6.

5 MS. CHRISTENSEN: I'm sorry?

6 CHAIRMAN EDGAR: Number 6.

7 MS. CHRISTENSEN: Number 6 entered into the record.

8 CHAIRMAN EDGAR: Okay. Exhibit Number 6 will be
9 entered into the record, and the witness is excused. Thank
10 you.

11 (Exhibit 6 admitted into the record.)

12 MS. CHRISTENSEN: The next witness that the Office of
13 Public Counsel would like to call is Mr. Tom Hewson, please.

14 THOMAS A. HEWSON, JR.

15 was called as a witness on behalf of the Citizens of the State
16 of Florida and, having been duly sworn, testified as follows:

17 DIRECT EXAMINATION

18 BY MS. CHRISTENSEN:

19 Q Can you please state your name and business address
20 for the record.

21 A My name is Thomas A. Hewson, Jr. I work at Energy
22 Ventures Analysis, which is located at 1901 North Moore Street,
23 Suite 1200 in Arlington, Virginia.

24 Q Mr. Hewson, did you cause to be filed in this docket
25 prefiled testimony filed January 24th consisting of, excuse me,

1 20 pages or, I'm sorry, 19 pages?

2 A I think with the exhibits it was rather hefty.

3 Q The exhibits. I'm sorry. 17 pages.

4 A 17 pages of testimony, yes.

5 Q Okay. And did you have any corrections to your
6 testimony?

7 A I did.

8 MS. CHRISTENSEN: Okay. And, Madam Chairman, for
9 clarity we handed out a single page. The single page
10 correction addresses, I think, most of the corrections that
11 Mr. Hewson has. He may have one other minor correction to make
12 to his testimony. I would ask that Mr. Hewson go ahead and
13 make those corrections for the record.

14 THE WITNESS: Yes. On the page that was handed out
15 on Page 13 on Line 10 there was a recalculation of the forced
16 outage rate, which is contained also in Mr. Stamberg's
17 testimony. And as he, Mr. Stamberg, recalculated the outage
18 rate, I made those changes to be consistent with his.

19 It now reads, beginning on Line 9, "Based upon
20 Big Bend FGD operational history, the project may reduce the
21 forced outage rate by only 0.013 to 0.078 days per year." That
22 was one change.

23 The second change which was not contained in that,
24 it's on Page 5, Line 14. This refers to Section 29 of the
25 Consent Decree dealing with Units Number 1 and 2. It says,

1 "outages for up to," it should read "45," not 60, "unit
2 calendar days per year until January 1st, 2009, if they combust
3 specified alternative coals during outages and have first
4 maximized capacity use of other scrubbed coal-fired capacity
5 units, Units 3 and 4. For the period," and then you should
6 strike out the "FGD bypass allowance is lowered to 45 calendar
7 days per year and." It should just simply read, "For the
8 period 2010 to 2012 a cleaner alternative coal must be used."
9 The 45 calendar days continues until obviously 2013.

10 MS. CHRISTENSEN: And for clarification, I believe
11 that may have started on Line 16 in the copy that was provided
12 to the Commission if it wasn't 14.

13 CHAIRMAN EDGAR: I'm sorry. I'm not sure I got that.
14 Could --

15 MS. CHRISTENSEN: In looking at the copy that I have
16 that we submitted, I believe the correction started on Line 16
17 rather than Line 14, but --

18 CHAIRMAN EDGAR: Okay. On Page 5?

19 MS. CHRISTENSEN: Correct.

20 CHAIRMAN EDGAR: Referring to the 60-unit calendar
21 days going to 45.

22 MS. CHRISTENSEN: Correct.

23 CHAIRMAN EDGAR: Okay. Commissioners, are you clear?

24 COMMISSIONER CARTER: Yes, ma'am.

25 CHAIRMAN EDGAR: Okay. All right. Thank you.

1 BY MS. CHRISTENSEN:

2 Q If I were to ask you the same questions today with
3 the corrections you made here today, would your answers be the
4 same?

5 A They would.

6 Q Okay. And did you prefile testimony consisting of
7 four exhibits, TAH-1, TAH-2, TAH-3 and TAH-4?

8 A I believe there was also a TAH-5.

9 Q And the TAH-5 attached to your testimony?

10 A That's correct.

11 Q And do you have any corrections to those exhibits?

12 A I do not.

13 Q Okay. Mr. Hewson, can you give a brief summary of
14 your testimony?

15 A I would be glad to.

16 The Office of Public Counsel asked EVA to review the
17 Tampa Electric petition that requested the approval of
18 \$21.6 million for 13 capital improvement projects that were
19 associated with the Big Bend FGD System Reliability Program.
20 Specifically, EVA was asked to provide an independent
21 assessment to determine if these projects were required to
22 comply with the February 2000 Consent Decree requirements. In
23 my testimony I review these capital projects and requirements
24 of the Consent Decree. Mr. -- my colleague, Mr. John Stamberg,
25 completed the engineering assessments of the 13 individual

1 capital improvement projects.

2 It should be important that the difference between
3 the current and final limits under the Consent Decree are
4 primarily focused on the phaseout of scrubber bypass events.
5 The percent of reduction limits do not change, and there is a
6 small change in the floor limit.

7 Our investigation concludes that several of the
8 requested projects in TECO's petition for cost recovery through
9 the ECRC are not required to comply with the terms of the
10 February 2000 Consent Decree or any other new environmental law
11 or regulation. As a result, these projects should not be
12 eligible for cost recovery under the ECRC. Specifically, these
13 noneligible projects totaled \$14.41 million that include the
14 electric isolation project for Units 1 through 4, which was
15 \$6.6 million. This project was to provide a new transformer
16 with a subelectrical circuit that would primarily service the
17 Big Bend Unit Number 3's two new large induced draft fans,
18 which would comprise 92.6 percent of the new circuit's load.
19 These large ID fans would not, were not, would not be dedicated
20 to the existing FGD system.

21 Secondly, the existing system configuration has been
22 and will likely continue to remain highly reliable so that the
23 electric isolation project should have no measurable effect on
24 the FGD system reliability.

25 Finally, TECO itself has listed in its first phase of

1 its electric isolation project as not being required by the
2 Consent Decree in its October 2006 Quarterly Compliance Report.

3 The second project and third project is the split FGD
4 outlet duct and inlet duct for Units 3 and 4. TECO originally
5 elected to combine Units 3 and 4 into one existing scrubber to
6 reduce its environmental compliance costs. Several other
7 utilities have also elected to combine units into a common
8 scrubber for the same reason. As discussed by Mr. Stamberg why
9 this project would allow maintenance on either inlet or outlet
10 duct without shutting down both units, it would not
11 significantly improve the FGD system reliability. Based upon
12 Big Bend FGD operational history, the project may reduce the
13 forced outage rate by only 0.013 to 0.078 days per year.

14 Finally, TECO acknowledges in its quarterly
15 compliance report that split inlet ductwork that was started
16 during the third quarter of 2006 is not associated with Consent
17 Decree requirements. TECO -- we would apply -- the same logic
18 for the inlet should also apply to the split outlet duct.

19 The fourth project is the gypsum fines filter, which
20 was \$2.9 million or \$2.866 million. The FGD systems were
21 originally designed to produce a gypsum byproduct for disposal.
22 The existing system is now operating within its original design
23 parameters. The new gypsum fines filter investment is
24 associated with a desire to produce a saleable byproduct and
25 avoid landfill disposal costs. While this may make economic

1 sense for TECO to invest in a filter to reduce landfill costs,
2 it is not specifically required by the Consent Decree.

3 FGD -- there was -- EVA concluded the remaining
4 requested projects outside the ones that were requested to be
5 handled under base rates were reasonable and prudent operation
6 maintenance projects that would improve and/or maintain the
7 overall operation reliability of the FGD systems. These
8 projects totaled \$5.391 million, including mist eliminator
9 upgrades, the online mist eliminator wash system for the Units
10 1 through 4, the online nozzle wash system for Units 1 through
11 4, the gypsum filter vacuum pump upgrade, the programmable
12 controllers for FGD systems feeding Units 1 through 4, gypsum
13 blowdown line for Units 1 through 2, Unit 1 through 2 recycle
14 pump discharge isolation bladders and the inlet duct
15 C-276 wallpaper.

16 That concludes my summary. Thank you.

17 MS. CHRISTENSEN: I would ask to have Mr. Hewson's
18 testimony entered into the record as though read.

19 CHAIRMAN EDGAR: The prefiled direct testimony with
20 the corrections noted will be entered into the record as though
21 read.

1
2
3
4
5
6
7

BEFORE THE FLORIDA PUBLIC UTILITIES COMMISSION

**Petition of Tampa Electric Company)
For approval of a new environmental)
program for cost recovery through)
the Environmental Cost Recovery Clause)**

Docket No: 050958-EI

8
9

PREFILED TESTIMONY OF THOMAS A. HEWSON JR.

I. INTRODUCTION

11

Q: Please state your name.

A: My name is Thomas A. Hewson Jr.

14

Q: On whose behalf are you submitting testimony?

A: State of Florida's Office of Public Council (OPC).

17

Q: How are you currently employed?

A: Since 1981, I have been a principal at Energy Ventures Analysis, Inc (EVA), an energy consulting firm located at 1901 North Moore Street in Arlington, Virginia. Between 1976-1981, I had been employed as a project manager at Energy and Environmental Analysis Inc in Arlington, Virginia.

23

Q: What are your qualifications for providing your testimony?

A: For 30 years, I have provided numerous reports and provided testimony on the effects of environmental requirements on the electric utility industry operations for the electric

1 utility industry, fuel suppliers, fuel transporters, electric utility commissions and
2 industrial trade groups. I have a Bachelor of Science in Engineering degree in Civil
3 Engineering from Princeton University (1976). My resume is attached as Exhibit TAH-1.

4

5 ~~Q: Have you previously testified before the Florida Public Service Commission?~~

6 A: No, although I have completed other prior work for the OPC, I have not
7 previously testified before the Florida Public Service Commission.

8

9 **Q: Have you previously testified as an environmental expert before other**
10 **regulatory bodies?**

11 A: Yes, I have. I have testified as an environmental expert in the energy industry in
12 proceedings before numerous other regulatory bodies in California, Delaware, Georgia,
13 Maine, Maryland, Massachusetts, Minnesota, Pennsylvania, South Dakota, Vermont, and
14 Virginia. I have also testified in legislative proceedings in Idaho, Massachusetts, New
15 Hampshire and Wisconsin as well as the US Congress. I have also testified in legal
16 judicial proceedings in West Virginia and Kentucky.

17

18 **Q: Please describe the assignment you were given by the Office of Public**
19 **Council.**

20 A: EVA was asked to review the Tampa Electric Company (TECO) petition dated
21 December 27, 2005 and revised March 16, 2006 as well as other information TECO has
22 submitted as part of Florida Public Service Commission Docket No: 050958-EI. This
23 petition requested approval for \$21.651 million for 13 capital improvement projects

1 associated with the Big Bend Flue Gas Desulfurization System (FGD) Reliability
2 Program for cost recovery through the Environmental Cost Recovery Clause. TECO
3 indicates in its petition that these 13 listed projects were required to improve the
4 reliability of the FGD scrubbers servicing Big Bend Units #1, #2 and #3 and were
5 ~~necessary to comply with the February 2000 Consent Decree between the US~~
6 Environmental Protection Agency (USEPA) and TECO. EVA was asked to provide an
7 independent assessment to determine if these listed projects were required to comply with
8 the Consent Decree requirements. I reviewed these capital projects and the requirements
9 of the Consent Decree. Mr. John Stamberg of EVA completed the engineering
10 assessments of the thirteen individual listed capital improvement projects.

11

12 II. SUMMARY

13

14 **Q: Please summarize your findings.**

15 **A:** EVA's investigation concludes that several requested projects in TECO's petition
16 for cost recovery through the Environmental Cost Recovery Clause (ECRC) are not
17 required to comply with the terms of the February 2000 Consent Decree or any other new
18 environmental law or regulation. As a result, these projects should not be eligible for cost
19 recovery under the ECRC. Specifically, these non-eligible projects totaled \$14.41
20 million¹ and include:

- 21 • Electric isolation project for units #1-4 (\$6.6 million),

¹ This amount excludes the \$1.849 million that TECO requested for expanding the unit #3-4 booster fan expansion that it requested would be recovered through base rates and therefore would be excluded from their ECRC request.

- 1 • Split FGD outlet duct for units #3-4 (\$4.829 million),
 - 2 • Split FGD inlet duct for units #3-4 (\$0.116 million).
 - 3 • Gypsum fines filter (\$2.866 million)
 - 4 • Unit 3&4 FGD booster fan capacity expansion (\$1.849 million- to be recovered
 - 5 through base rates)
-

6

7 EVA also concluded that the remaining requested projects in the TECO petition were
8 reasonable and prudent operation & maintenance projects that would improve and/or
9 maintain the overall operation and reliability of the FGD system. These \$5.391 million
10 FGD improvement projects include:

- 11 • Mist eliminator upgrades (\$2.387 million of which \$1.61 million would be
12 recovered through the ECRC and \$0.777 would be recovered through base rates)
- 13 • Online mist eliminator wash system for units #1-4 (\$0.669 million)
- 14 • Online nozzle wash system for units #1-4 (\$0.561 million)
- 15 • Gypsum filter vacuum pump upgrade (\$0.623 million)
- 16 • Programmable controllers for FGD units feeding units #1-4 ((\$0.406 million)
- 17 • Gypsum blowdown line for units #1-2 (\$0.284 million)
- 18 • Unit #1-2 recycle pump discharge isolation bladders (\$0.227 million) and
- 19 • Inlet duct C-276 wallpaper (\$0.234 million)

20

21 **III. FEBRUARY 2000 CONSENT DECREE REQUIREMENTS**

22

1 Q: In TECO's revised March 2006 petition, the company stated that thirteen
2 FGD capital projects were needed to comply with the requirements of the February
3 2000 Consent Decree between the USEPA and Tampa Electric Company. Could you
4 please identify the applicable sections of the Consent Decree that deal specifically
5 with the Big Bend FGD performance that are important to this proceeding?

6 A: The Consent Decree sets much tighter emission requirements for SO₂, NO_x and
7 particulates for the Big Bend Station. Since the FGD equipment is designed to meet only
8 the SO₂ emission requirements, the pertinent sections of the February 2000 Consent
9 Decree for this proceeding that deal specifically with the Big Bend FGD performance are
10 paragraphs 29, 30, 31, 40 and 44.

11

12 Section 29 sets the SO₂ emission limitation and reliability requirements for the FGD
13 scrubber that feeds Big Bend units #1-2 for the period of 2000-2012. Currently, the FGD
14 must maintain a minimum of 95 percent reduction of SO₂ contained in the inlet flue gas
15 during scrubber operation. During this transition period through 2012, TECO will be
16 allowed to bypass the FGD servicing units #1-2 during outages for up to ⁴⁵~~60~~ unit-calendar
17 days per year until January 1, 2009 if they combust specified alternative coals² during
18 outages and have first maximized capacity use of their other scrubbed coal-fired capacity
19 (units #3-4). For the period 2010-2012, ~~the FGD bypass allowance is lowered to 45 unit-~~
20 ~~calendar days per year and~~ a cleaner alternative coal must be used.

21

² The alternative coal is defined to be a coal with the sulfur content of no more than 2.2 #/MMBtu through 2009 (Section 4) and 1.2 #/MMBtu in calendar years 2010-2012 (Section 29.C- applies to units #1-2 only)

1 Section 30 sets the SO₂ emission rate limitation and reliability requirements for the FGD
2 servicing unit #3³ for the period 2000-2009. Currently, the FGD must achieve a minimum
3 of 95 percent reduction of SO₂, or alternatively, meet an emission rate limitation of
4 0.30#SO₂/MMBtu. During this transition period through 2009, TECO will be allowed to
5 ~~bypass the FGD during outages for up to 30 calendar days per year if they combust~~
6 specified alternative coals during outages and have first maximized capacity use of their
7 other scrubbed coal-fired capacity (units #1-2).

8
9 Section 40 sets the final Big Bend SO₂ emission rate limitations for as long as Big Bend
10 units #1-3 remain coal-fired. These final limits will require the FGD to achieve a
11 minimum of 95 percent reduction of SO₂, or alternatively, meet an emission rate
12 limitation of 0.25#SO₂/MMBtu. TECO will no longer be allowed to bypass the FGD
13 equipment during outages except for those permitted circumstances allowed under the
14 Clean Air Act's New Source Performance Standards (NSPS). *This no bypass requirement*
15 *unless under emergency conditions already applies to Big Bend unit #4 and is common to*
16 *many other NSPS scrubbed units*⁴. These final limitations will take effect on January 1,
17 2010 for Big Bend Unit #3 and on January 1, 2013 for Units #1-2. TECO's petition
18 identifies that these tighter SO₂ future requirements under section 40 are the primary
19 reason for its FGD Reliability Program's listed capital improvement projects.

20

³ One FGD services both units #3 and #4.

⁴ When existing coal units undergo "major modifications," they may become subject to the same requirements as new units. EPA in its litigation against TECO had alleged that TECO had made major modifications to their units and were required to retrofit additional environmental controls. The February 2000 Consent Decree was the settlement agreement to end this litigation.

1 Section 31 requires TECO to submit for approval its plans to identify all operation &
2 maintenance activities needed to optimize the availability of the FGD scrubbers servicing
3 Big Bend units #1, #2, and #3 to minimize the instances in which SO2 emissions are not
4 scrubbed. These required TECO Big Bend FGD optimization plans were submitted to
5 USEPA on May 31, 2000 (Phase 1) and February 20, 2001 (Phase II).

6

7 Finally, section 44 contains the parties' resolution of future claims and a covenant not to
8 sue. The pertinent part of Section 44 for this proceeding is a requirement 44.B(2) that
9 TECO must report all physical changes or changes in Big Bend method of operation not
10 required by the Consent Decree (emphasis added) until December 31, 2012 that meet all
11 the following criteria

- 12 1. TECO expects to spend more than \$250,000;
- 13 2. TECO considers as a capital expenditure; and
- 14 3. Meets applicable criteria under 40 CFR Section 52.21(b)(9).

15

16 IV. TECO FGD OPTIMIZATION PLANS

17

18 **Q: Under Section 31 of the Consent Decree, TECO was required to submit its**
19 **plans that all operation & maintenance activities needed to optimize the availability**
20 **of the FGD scrubbers servicing Big Bend units #1, #2 and #3 to minimize instances**
21 **in which SO2 emissions are not scrubbed. Did these TECO approved plans include**
22 **any of the listed thirteen FGD capital improvement projects listed in its December**
23 **2005 petition for cost recovery under ECRC?**

1 A: With two exceptions, the answer is no. The required TECO Big Bend FGD
2 optimization plans were submitted to USEPA on May 31, 2000 (Phase 1) and February
3 20, 2001 (Phase II) and are attached as Exhibits TAH-2 and TAH-3 respectively. The
4 approved plans listed capital projects that had already occurred as well those TECO had
5 ~~planned to implement in the future. These plans also addressed use of overtime labor and~~
6 identification of necessary spare parts as part of this program.

7
8 The February 2001 Phase II plan listed twelve completed FGD capital improvement
9 projects and sixteen yet-to-be completed FGD capital projects that TECO had planned to
10 complete primarily during 2001. These future listed projects included some mist
11 eliminator upgrades for units #3-4 (replace/redesign C tower absorber nozzles and D
12 tower demister packing) and replacement/repair of the inlet duct of the FGD scrubber
13 servicing units #1-2. These projects were designed to improve FGD system operation in
14 the same manner as two of TECO's March 2006 petition's listed projects: C-276
15 wallpaper on the inlet FGD duct work for units #1-2 and the mist eliminator upgrade
16 project.

17
18 Given that almost all the TECO's petition projects for ECRC cost recovery were not
19 included in the Phase 1 or Phase 2 plan for optimizing the Big Bend FGD system, one
20 must conclude that most of the petition's listed projects were not considered by TECO in
21 February 2001 as being necessary to comply with the Consent Decree requirements—a
22 full year after the initial start-up of the unit #1-2 scrubber and more than 6 years after the
23 integration of unit #3 into the station's other scrubber.

1

2 **V. TECO QUARTERLY COMPLIANCE REPORTS**

3

4 **Q: Under the Consent Decree, does TECO submit quarterly compliance reports**
5 ~~**to USEPA, Hillsboro County and Florida Department of Environmental Protection**~~
6 **to address compliance activities or progress with the Consent Decree provisions?**

7 **A: Yes, TECO does submit a quarterly report addressing the company's activities to**
8 **comply with the Consent Decree.**

9

10 **Q: Have you reviewed Tampa Electric's Quarterly Compliance reports, which**
11 **they filed with the EPA?**

12 **A: Yes, I have.**

13

14 **Q: Do these Quarterly Compliance Reports contain status reports and activities**
15 **that TECO is implementing to improve the FGD optimization and to minimize the**
16 **number of unscrubbed days?**

17 **A: Yes, they do. As illustrated in TECO's 3rd Quarter 2006 Compliance Report**
18 **(Exhibit-TAH-4), TECO response B.2 specifically identifies these activities undertaken**
19 **to improve FGD operation to minimize the number of bypass events and to quantify the**
20 **effectiveness of the measures taken to date.**

21

1 Q: Do any of TECO's B.2 responses in their Quarterly Compliance Reports
2 contain information that the FGD capital improvement projects listed in the
3 TECO's petition are required to minimize the number of unscrubbed days?

4 A: The TECO Quarterly Compliance Report responses consistently discuss
5 ~~implementation of the Phase 1 and Phase II FGD Optimization plans that I discussed~~
6 earlier. Through October 2006, no other additional FGD capital improvement projects
7 were identified in TECO B.2 responses. Since almost all the petition's projects were not
8 identified in the Phase 1 or Phase II reports, they have not been explicitly identified in
9 TECO's Quarterly Compliance Reports' response as a required element of their approved
10 plan to minimize the number of unscrubbed events.

11

12 TECO has stated in its October 26, 2006 Compliance Report for 3rd Quarter 2006 that
13 they have already "*performed significant amount of improvement work in the FGD area*
14 *to improve the reliability of the FGD systems and has stocked spare FGD parts for*
15 *scrubber systems serving the coal-fired units at Big Bend Station. Together these efforts*
16 *have reduced the number and duration of FGD outages at Big Bend Station and should*
17 *continue to show positive benefits*" (3rd Quarterly 2006 Report pg ii- --Exhibit-TAH-4)

18

19 I would have expected that TECO would have included the thirteen projects (that are
20 contained in their ECRC petition) as part of their Quarterly Compliance Report responses
21 if they had been essential elements in their Consent Decree compliance.

22

1 **Q: Do the Quarterly Compliance Reports contain a listing of capital**
2 **improvement projects that fall under section 44.B(2) of the Consent Decree?**

3 A: Yes, under section 44.B(2) of the Consent Decree, TECO does list capital
4 improvement projects in their Quarterly Compliance Report submissions to the USEPA
5 ~~as part of their response C.7 for all qualifying capital projects that have started and/or~~
6 been completed. Section 44.B(2) of the consent decree requires that TECO must report
7 all physical changes or changes in Big Bend method of operation not required by the
8 Consent Decree (emphasis added) until December 31, 2012 that meet all the following
9 criteria

- 10 • TECO expects to spend more than \$250,000,
- 11 • TECO considers as a capital expenditure
- 12 • Meets applicable criteria under 40 CFR Section 52.21(b)(9)

13 **Q: What Big Bend FGD related projects and petition-related projects does TECO**
14 **provide in their Quarterly Compliance Report C.7 responses?**

15 A: The Big Bend FGD related projects and petition-related projects that TECO listed
16 in their Quarterly Report C.7 responses as not being required by the Consent Decree are
17 attached as Exhibit-TAH-5.

18

19 **Q: Are any of the listed projects the same as projects listed in the cost recovery**
20 **petition?**

21 A: Yes, four Big Bend projects are listed on both the Quarterly Compliance Report
22 response C.7 as not being required by the Consent Decree and in the TECO December

1 2005 petition for cost recovery under the ECRC as being required under the Consent
2 Decree. These projects are:

- 3 • Split inlet duct for FGD feeding units #3-4 (started 3rd quarter 2006)
- 4 • Electric isolation work for units #3-4 (started 3rd quarter 2006)
- 5 • ~~Unit #1-2 FGD mist eliminator replacement (started 3rd quarter 2006)~~
- 6 • FGD Wallpaper inlet duct (started 3rd quarter 2006)

7 By placing these four projects on their Quarterly Compliance Report listing, TECO has
8 explicitly acknowledged that they are not associated with compliance with the Consent
9 Decree and therefore would not qualify for ECRC as a new environmental requirement.

10

11 VI. PROJECT ELIGIBILITY UNDER ECRC

12

13 **Q:** In EVA's assessment of the listed December 2005 petition projects, did it
14 conclude that any projects should not be eligible for cost recovery through the
15 ECRC clause?

16 **A:** EVA's investigation concludes that five requested projects in TECO's petition for
17 cost recovery through the Environmental Cost Recovery Clause (ECRC) are not required
18 to comply with the terms of the February 2000 Consent Decree. As a result, these
19 projects should not be eligible for cost recovery under the ECRC. Mr. Stamberg will
20 provide an engineering assessment for these projects. Specifically, these non-eligible
21 projects totaled \$14.11 million⁵ and include:

⁵ This amount excludes the \$1.849 million that TECO requested for expanding the unit #3-4 booster fan expansion that it requested would be recovered through base rates and therefore would be excluded from their ECRC request.

1 • Electric isolation project for units #1-4 (\$6.6 million)—This project would
 2 provide a new transformer with a separate electrical circuit that would primarily
 3 service the station's large Induced Draft (ID) fans which would comprise 92.6
 4 percent of new circuit's load (Stamberg testimony). These large ID fans are not
 5 ~~dedicated to the FGD system. Secondly, the electric system has been and will~~
 6 likely continue to remain highly reliable so that the electric isolation project
 7 should have no measurable effect on FGD system reliability. Finally, TECO itself
 8 has listed its first phase of this electric isolation project as not being required by
 9 the Consent Decree in its October 2006 Quarterly Compliance Report.

10 • Split FGD outlet duct (\$4.829 million) and inlet duct (\$0.116 million) for units
 11 #3-4—TECO originally elected to combine units #3-4 into one existing scrubber
 12 to reduce its environmental compliance costs. Several other utilities have also
 13 elected to combine units into a common scrubber for this same reason. As
 14 discussed by Mr. John Stamberg, while this project would allow maintenance on
 15 either inlet or outlet duct without shutting down both units #3-4, it would not
 16 significantly improve the FGD system reliability. Based upon Big Bend FGD
 17 operational history, the project may reduce the forced outage rate by only ~~0.014~~^{0.013}
 18 to ~~0.082~~^{0.078} days per year. Finally, TECO acknowledges in its Quarterly
 19 Compliance Report that the split inlet duct work that was started during the 3rd
 20 quarter 2006 is not associated with the Consent Decree requirements. TECO's
 21 same logic for the split inlet duct work should also apply to the split outlet duct
 22 work.

1 • Gypsum fines filter (\$2.866 million)—FGD systems were originally designed to
2 produce a gypsum byproduct for disposal. The existing system is operating
3 within its original design parameters. The new gypsum fines filter investment is
4 associated with the desire to produce a saleable byproduct and avoid landfill
5 disposal costs. While it may make economic sense for TECO to invest in the
6 filter to reduce landfill costs, it is not required by the Consent Decree.

7 • Unit 3&4 Booster fan capacity expansion (\$1.849 million- requested recovery in
8 base rates)- This project is being triggered because of the project to split the inlet
9 and outlet ducts. As discussed above, these projects were not required by the
10 Consent Decree, nor do they appreciably improve the system reliability. TECO's
11 petition identifies this project as being recovered through the base rate.

12

13 **Q: In your opinion, are the projects listed above required to comply with a new**
14 **requirement of an environmental law or regulation?**

15 A: No, for the reasons stated above, I do not believe that these projects are required
16 to comply with a new requirement of an environmental law or regulation.

17

18 **Q: In your opinion, are the projects listed above required to comply with**
19 **Section 40 of the Consent Decree?**

20 A: No, for the reasons stated above, I do not believe that these projects are required
21 to comply with Section 40 of the Consent Decree.

22

1 **Q: Is the Consent Decree's future 2010 and 2013 implement dates for the final**
2 **emission rate limitations a new environmental law or regulation?**

3 A: TECO, USEPA and State regulators have known about these final limitations
4 since the Consent Decree was finalized in February 2000. Being roughly 6 years old, the
5 ~~Consent Decree itself would not be considered a new law or regulation. However, like~~
6 the 1990 Clean Air Act, the Consent Decree requirements are phased in over a longer
7 period (13 years for the Consent Decree, 9 years for the Title IV Acid Rain program
8 under the 1990 Clean Air Act).

9
10 **Q: What about the remaining projects listed in TECO petition for ECRC?**

11 A: EVA concluded that based upon the information provided by TECO in this
12 proceeding that the remaining requested projects in the TECO petition were reasonable
13 and prudent operation & maintenance projects that would improve and/or maintain the
14 overall operation and reliability of the FGD system. These \$5.391 million FGD
15 improvement projects include:

16 • Mist eliminator projects for units #1-4 including mist eliminator upgrades
17 (\$2.387 million of which \$1.61 million was part of the ECRC request and \$0.777
18 million was part of a base rate request), online mist eliminator wash systems
19 (\$0.669 million) and online nozzle wash system (\$0.561 million)—Some past
20 mist eliminator upgrade projects were integral parts of the approved FGD
21 optimization plans submitted under Section 31 of the Consent Decree in February
22 2001. Secondly, plugging the mist eliminator system has historically caused
23 forced outages and derates. Before the permitted bypass days are phased out,

1 TECO will need to make the listed system improvements to better clean the mist
2 eliminators with a higher pressure system during ongoing operations and thereby
3 could significantly improve unit availability and performance.

4 • Gypsum filter vacuum pump upgrade (\$0.623 million)—When TECO started to
5 ~~use recycled water beginning in 2002, the vacuum seal water became more~~
6 corrosive and required the use of more corrosion resistant material for the pump
7 casing. In addition, the equipment supplier currently suggests more air-flow
8 capacity based upon their experience with newer FGD installations. EVA
9 concluded that these vacuum pump upgrades would likely improve future FGD
10 operation and reliability.

11 • Programmable controllers for FGD units feeding units #1-4 ((\$0.406 million)—
12 The reliability objective for this project could have been addressed several
13 different ways. However, it is one approach that could provide additional
14 reliability.

15 • Gypsum blowdown line addition for units #1-2 (\$0.284 million)—This project
16 would add a new gypsum blowdown line to the single existing line for the FGD
17 system servicing units #1-2. Given the potential for plugging, this project
18 appears to be reasonable, prudent and cost effective method to improve the FGD
19 system reliability.

20 • Unit #1-2 recycle pump discharge isolation bladders (\$0.227 million) – This
21 project was considered prudent. With the use of recycled water, the water could
22 become more corrosive and require different materials. This project would be a
23 logical engineering solution.

1 • Inlet duct C-276 wallpaper addition for FGD servicing units #1-2 (\$0.234
2 million)—This project appears similar to past wallpaper projects that were listed
3 in TECO's approved Phase II FGD optimization plan in February 2001. These
4 wallpaper projects are designed to use more corrosion resistant material to reduce
5 leakage and improve FGD performance. However, this project also appears to be
6 the same as or similar to a \$233,000 "FGD Wallpaper inlet duct project" that was
7 listed as capital improvement project under Consent Decree Section 44(B)(2) that
8 are for projects not specifically required by the Consent Decree. However, given
9 the need to reduce leakage, this project appears to be reasonable and prudent to
10 improving FGD operations and reliability.

11

12 **Q: Does this conclude your testimony?**

13 **A: Yes it does.**

1 MS. CHRISTENSEN: And the witness can be tendered for
2 cross-examination.

3 CHAIRMAN EDGAR: Thank you.

4 Mr. Beasley.

5 MR. BEASLEY: We have no questions for this witness.

6 CHAIRMAN EDGAR: Okay. Questions from staff.

7 MS. BROWN: Just a few, Madam Chairman.

8 CROSS EXAMINATION

9 BY MS. BROWN:

10 Q Good morning, Mr. Hewson. I'm Martha Brown for the
11 Commission.

12 A Good morning.

13 Q In your testimony at Page 7, Line 5, and Page 8,
14 Lines 2 and 3, you state that TECO's Phase I and Phase II plans
15 were filed with the EPA in 2000 and 2001.

16 A That's correct.

17 Q Those are the dates Ms. Crouch identified as well;
18 correct?

19 A I think she agreed with you on Phase II. She didn't
20 have it in front of her.

21 Q All right. On Page 7, Line 1, you state, "Section
22 31 requires TECO to submit for approval its plans to identify
23 all operation and maintenance activities needed to optimize the
24 availability of the FGD scrubbers."

25 A That's correct.

1 Q Am I reading that correctly?

2 A Uh-huh.

3 Q Does Paragraph 31 of the Consent Decree set any
4 specific scrubber availability requirements?

5 A It simply states to try to minimize the bypass
6 events.

7 Q But it does not set any other specific scrubber
8 availability project requirements; correct?

9 A No, it's not explicit.

10 Q Does Paragraph 31 set requirements to shut down any
11 of the Big Bend units if the scrubbers are not working?

12 A I believe that other than Section 4, Unit 4, it
13 allows a transition period in which it allows them to bypass
14 until the final limitations are implemented.

15 Q All right.

16 A Up to, you know, certain requirements.

17 Q All right. Paragraph 36 of the Consent Decree -- do
18 you see that blue book there by you? It should be flagged
19 there with a purple sticky note.

20 A Okay.

21 Q You're familiar with this paragraph, of course.

22 A Yes.

23 Q It allows TECO a period of time through May 2007 to
24 determine whether or not to continue using coal at Big Bend
25 Units 1, 2 and 3.

1 A That's correct.

2 Q And it's your understanding as well, isn't it, that
3 TECO did announce continued use of coal at Big Bend
4 August 19th, 2004?

5 A I didn't look up the date, but I think that's
6 correct.

7 Q So just, just to clarify for a minute, TECO submitted
8 it's Phase I and Phase II compliance plans in 2000 and 2001 as
9 Paragraph 31 required, but it didn't submit its decision to
10 continue burning coal at Big Bend units, at the Big Bend units
11 as Paragraph 36 required until 2004.

12 A That's correct.

13 Q But your testimony on Page 8, Lines 18 through 23 --

14 A What page? Excuse me.

15 Q Page 8.

16 A Lines?

17 Q 18 through 23. Seems to suggest that TECO's 2000 and
18 2001 plans should have included all future FGD compliance
19 projects under the assumption that TECO would decide to
20 continue using coal, even though it hadn't actually made that
21 decision yet. Is that a correct reading of your testimony?

22 A That as of February 2001 it was not considered
23 necessary. That's correct.

24 Q But does your testimony contain the assumption that
25 it would, that TECO would continue to decide using coal or am I

1 overreading that?

2 A When they decided to continue on August 19th, 2004,
3 in the, in the, under the, this particular section of the, of
4 this Consent Decree they could go and modify the plans in order
5 to optimize the scrubber. They're always free to add.

6 Q Okay. With respect to Paragraph 40 now, do you agree
7 that TECO's submission to the EPA in 2004 triggered the
8 operation of that paragraph of the Consent Decree?

9 A It became final, yes.

10 Q I'm sorry?

11 A Yes. It became final at that point in time.

12 Q Okay. Does Paragraph 40 of the Consent Decree set
13 further SO2 reductions on TECO once the decision to continue to
14 burn coal is made?

15 A What it does in the final limitations is it phases
16 out the use of bypass days as one change. It also had a slight
17 change in terms of the floor limit. They had the option of
18 doing 95 percent or 0.3 pounds of SO2 per million Btu. In
19 Paragraph 40 it goes to 0.25.

20 Q So what it really does is set specific scrubber
21 availability requirements for TECO once the decision to burn
22 coal is made. Is that --

23 A Well, at the end of the limitation as the, as the
24 allowance for bypass is eliminated to make it like any other
25 new source performance standard. And let's keep in mind that

1 the purpose of the whole litigation was concerning whether or
2 not it should be subject to new source performance standards.
3 And so as of when the transition period is completed, it is
4 subject to the same limitations in terms of allowance for
5 bypass as the other NSPS unit, which is Unit 4.

6 MS. BROWN: All right. Thank you very much. No
7 further questions.

8 CHAIRMAN EDGAR: Ms. Christensen.

9 REDIRECT EXAMINATION

10 BY MS. CHRISTENSEN:

11 Q Mr. Hewson, let me take you back to Paragraph 31,
12 Section A of the Consent Decree. Is it correct in reading that
13 paragraph that there -- that TECO would be allowed to modify
14 its Phase I or Phase II optimization plans if it so chose after
15 those plans had already been submitted to the EPA?

16 A Yes, it's very explicit. And Section 31(A)(1),
17 the last sentence, it says, "Such plan may be modified from
18 time to time with prior written approval of EPA."

19 Q And is the Consent Decree currently in effect?

20 A It is.

21 Q Okay. And in your opinion would TECO have had the
22 opportunity to modify its Phase II plan after it made its
23 decision to continue to burn coal at the Big Bend Units
24 1 through 3?

25 A It could change -- it can modify its plan at any

1 time.

2 Q And that would include after its decision to --

3 A Right. Could change it today.

4 Q Okay. And has TECO in any document that you're aware
5 of indicated whether or not it believed the projects that we're
6 talking about were required by the Consent Decree?

7 A As contained in my testimony, I specifically -- Tampa
8 submits each quarter a compliance report under the Consent
9 Decree as part of those requirements, part of those reports.
10 It reports those projects that aren't specifically required by
11 the Consent Decree. And as contained in my, in my testimony, I
12 identified some of those that were, on the surface appear to be
13 the same as what they're requiring for in this docket.

14 Q Okay. And, Mr. Hewson, in your reading of
15 Paragraph 40 is it your understanding that the deadlines that
16 are being set forth in Paragraph 40 are essentially the end of
17 the transition period for TECO to go to new source performance
18 standards?

19 A That's correct.

20 Q And would those new source performance standards in
21 your opinion have been known to TECO when it signed the Consent
22 Decree?

23 A Well, yes, I would say it was known to the parties at
24 the time that they signed and that it was written down.

25 Q Okay. And in your opinion was anything new or

1 different that was unknown to TECO triggered by their
2 declaration that they were going to maintain coal burning at
3 Big Bend Units 1 through 3?

4 A I think that the August 19th declaration was greatly
5 anticipated. We did not believe that they were going to shut
6 down the Big Bend Stations. I think it was just a verification
7 and, therefore, made it final in terms of the limitations under
8 Section 40 were going to be implemented.

9 Q Okay. And those limitations were well known to TECO
10 before that declaration date.

11 A It was known at the time that it was negotiated, and
12 all the parties signed on the dotted line.

13 Q And, Mr. Hewson, can you explain a little bit further
14 what the purpose of the litigation was regarding the Consent
15 Decree?

16 A The litigation was one of a number done by the
17 electric -- by the Environmental Protection Agency. They had
18 alleged that there was, that Tampa Electric had made major
19 modifications which in their opinion were sufficient to trigger
20 new source performance standards limitations.

21 There was litigation that part of the agreement --
22 they came to a Consent Decree, which is the document that you
23 see that they signed in February 2000.

24 Q And in triggering those major modifications would it
25 have required TECO to meet the requirements that are set forth

1 in Paragraph 40 at the time those major modifications had been
2 done?

3 A At the time it would have been probably -- they would
4 have -- once it was a major modification there would likely
5 have been some sort of period to allow them to implement, to
6 put in the controls. If you had a major modification, you
7 would have had to have done the controls in order meet the new
8 source performance standards limitations. So there would
9 likely have been some time to allow them to implement all those
10 from the major modification.

11 Q And would you agree that that's essentially what this
12 Consent Decree does?

13 A That's the way I read it, yes.

14 MS. CHRISTENSEN: Okay. I have no further questions.

15 CHAIRMAN EDGAR: Okay. Let's look at the exhibits.
16 And, Ms. Brown, I think we need to add TAH-5; is that correct?

17 MS. BROWN: Yes, Madam Chairman. I apologize. It
18 got dropped off. We were thinking it could be 10A, marked as
19 10A perhaps.

20 CHAIRMAN EDGAR: Okay. We will mark it as 10A,
21 TAH-5, Summary of Listed FGD Projects From TECO Quarterly
22 Compliance Report. And with that, Ms. Christensen, you want to
23 go ahead and we will enter 7, 8, 9, 10 and 10A into the record?

24 MS. CHRISTENSEN: Yes. I would ask that those be
25 moved, so moved into the record.

1 CHAIRMAN EDGAR: Thank you. So moved.

2 (Exhibit 10A marked for identification.)

3 (Exhibits 7, 8, 9, 10 and 10A admitted into the
4 record.)

5 CHAIRMAN EDGAR: Okay. The witness is excused.
6 Thank you.

7 THE WITNESS: Thank you.

8 CHAIRMAN EDGAR: Let's go ahead and take up the next
9 witness.

10 MS. CHRISTENSEN: Correct. The Office of Public
11 Counsel would ask that Mr. John Stamberg please take the stand.

12 JOHN B. STAMBERG

13 was called as a witness on behalf of the Citizens of the State
14 of Florida and, having been duly sworn, testified as follows:

15 DIRECT EXAMINATION

16 BY MS. CHRISTENSEN:

17 Q Can you please state your name and business address
18 for the record.

19 A My name is John Stamberg. I work for Energy Ventures
20 Analysis at 1901 North Moore Street, Arlington, Virginia, zip
21 code 22209. I'm Vice President and I'm a Registered
22 Professional Engineer.

23 Q And, Mr. Stamberg, did you cause to be prefiled in
24 this matter testimony consisting of 20 pages on January 24th,
25 2007?

1 A Yes.

2 MS. CHRISTENSEN: And I would note for the record we
3 have paid -- excuse me -- passed out three pages with
4 corrections to a portion of Mr. Stamberg's testimony for the
5 ease of all of us to follow the numbers. I know it can get a
6 little confusing.

7 BY MS. CHRISTENSEN:

8 Q Mr. Stamberg, do you have any corrections to be made
9 to your testimony today?

10 A Yes.

11 Q Can you please state those?

12 A Excuse me? Do you want me to go over those?

13 Q Yes. Can you please state them for the record.

14 A Yes. On Page 8, 9 and 10, on Line 17 to 19, I
15 corrected the two attributable duct work events from
16 "1.33" hours in the number one to "1.5" hours. And I corrected
17 the first quarter of 2006 number to "7.82" hours. And then I
18 added those together and I got a total of "9.32" hours instead
19 of the "9.88" hours. And I corrected the arithmetic on Pages 9
20 and 10 respectively, and then the associated figure, Exhibit
21 JBS-3.

22 Q Okay. With those corrections, if I were to ask you
23 those questions today, would your answers be the same?

24 A Yes.

25 Q Okay. And you also have noted that you had exhibits

1 attached to your testimony. That would be four exhibits,
2 JBS-1, JBS-2, JBS-3 and JBS-4; is that correct?

3 A Yes.

4 Q And I think you had noted that you made a correction
5 to one of your exhibits. Could you please state that
6 correction again?

7 A Yes. Those are the corrections.

8 Q Okay. Do you have any other corrections to your
9 exhibits?

10 A No.

11 Q Okay. At this time I'd ask you to please summarize
12 your testimony. Can you please briefly summarize your
13 testimony?

14 A Yes. First I'll go over the project that is called
15 Big Bend Units 1 through 4 Electric Isolation. In the TECO
16 petition in the Big Bend Reliability Study they stated much of
17 the FGD equipment in Units 1 through 4 systems are fed from
18 a common -- is fed from common transformers and motor control
19 systems. It further goes on and says that, "Therefore, the
20 loss of one of these sensors or transformers will cause forced
21 outage of the entire FGD system, resulting in outages of Units
22 1 and 2 or Unit 3. In order to eliminate the possibility of
23 this occurrence, the equipment feeds will be divided up among
24 separate transformers and control centers to ensure that their
25 losses can only affect a single unit." That is incorrect. The

1 new transformer only serves Unit Number 3. The new transformer
2 does not serve the FGD system. It's 92.6 percent serving two
3 6,000-horsepower new proposed variable frequency drive
4 transformers, and then about 1 percent is divided between the
5 FGD system and SCR equipment, and the other 6 or so percent is
6 for miscellaneous motors and lights and equipment that wasn't
7 identified. These new ID fans are to be used instead of the
8 forced draft fans and the FGD booster fans that currently
9 exist.

10 The study in Mr. Smolenski's rebuttal testimony, in
11 the study that's called the "Tampa Bay Electric Big Bend Unit
12 Number 3 SCR Project Evaluation of Alternatives," which is
13 JVS-2, Document Number 3, that document says that the SCR
14 system will require 750 kVA, not the 6,000-horsepower units
15 that are being installed.

16 The fans themselves only cost about \$717,000
17 according to the study, but need a new transformer which
18 doesn't exist, which becomes the \$6,600,000 Big Bend
19 Units 1 to 4 isolation project.

20 Also, in the information that we collected there's
21 never been a transformer outage that has resulted in any FGD
22 problems, and the FGD system has backup equipment and
23 transformers for all their things.

24 So in summary, the project does not connect to the
25 FGD system. It is not correct that it serves -- because it

1 only serves Unit 3. The transformers are not a source of
2 forced outages. The new transformer does not need to be
3 installed for reliability purposes, it's not needed for
4 compliance with the Consent Decree, it is not cost-effective
5 when you add the cost of the transformer to the equipment, and
6 the variable frequency drive transformer is not the most
7 cost-effective alternative to supply the 750 kVA or the extra
8 horsepower or energy to supply the SCR system.

9 On the split duct, they were designed and the
10 rationale for those was the ducts must be offline at the same
11 time. The ductwork forced outages or derates amounts to the
12 9.32, which was a correction to the 9.8 hours in a five-year
13 period, which works out to be about two hours. The FGD system
14 is designed for --

15 CHAIRMAN EDGAR: Mr. Stamberg, I'm sorry, but you're
16 way, way over your two minutes. And although Mr. Bryant was
17 way over -- I'm going to show the same latitude on both sides,
18 of course, but I do need you to --

19 THE WITNESS: Okay. Can I just finish a couple --

20 CHAIRMAN EDGAR: -- finish up, please. Yes, sir.

21 THE WITNESS: Okay. So basically the Units 3 and
22 4 are off 2,300 to 1,700 hours a year, which gives plenty of
23 time to repair the ducts in downtime. And in looking at the
24 records, TECO has done that when there's other outages or
25 reasons for the units to be off. And then I'll real quickly go

1 over the gypsum fines filter is really to add commercial value
2 to the gypsum and gypsum sales.

3 CHAIRMAN EDGAR: Thank you, sir.

4 MS. CHRISTENSEN: I would ask that Mr. Stamberg's
5 prefiled testimony, excuse me, be entered into the record as
6 though read.

7 CHAIRMAN EDGAR: Okay. The prefiled testimony will
8 be entered into the record as though read with the corrections
9 noted.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

BEFORE THE FLORIDA PUBLIC UTILITIES COMMISSION

Petition of Tampa Electric Company)
For approval of a new environmental)
program for cost recovery through)
the Environmental Cost Recovery Clause) Docket No: 050958-EI

PREFILED TESTIMONY OF JOHN B. STAMBERG

I. INTRODUCTION

Q: Please state your name.

A: My name is John B Stamberg, P.E.

Q: On whose behalf are you submitting testimony?

A: State of Florida's Office of Public Council (OPC).

Q: How are you currently employed?

A: Since 1981, I have been a Vice President at Energy Ventures Analysis, Inc (EVA), an energy consulting firm located at 1901 North Moore Street in Arlington, Virginia. Between 1974-1981, I had been employed as a Principal at Energy and Environmental Analysis Inc in Arlington, Virginia. During 1967 to 1974, I worked at the US Environmental Protection Agency in the Office of Air and Water Programs.

Q: What are your qualifications for providing your testimony?

1 A: I have a Bachelor of Science in Civil Engineering from the University of Maryland
2 and a Master of Science Degree in Civil Engineering from Stanford University. I have
3 been a licensed professional engineer since the mid 1990's.

4
5 I have conducted engineering and environmental analyses of numerous powerplants,
6 industries and municipal systems. I have completed analyses of potential environmental
7 control systems and cost at over 150 coal-fired powerplants and done engineering site
8 visits of over 60 powerplants for various projects. My resume is attached as Exhibit JBS-
9 1.

10

11 **Q: Have you previously testified before the Florida Public Service Commission?**

12 A: Yes, I have. I testified in Docket No: 031033-E1 as an engineer on behalf of CSX
13 Transportation relating to potential rail car delivery versus the current barge delivery of
14 coal to TECO's Big Bend and Polk County powerplants.

15

16 **Q: Have you previously testified as an environmental expert before other**
17 **regulatory bodies?**

18 Yes, I have. I have testified in regulatory proceedings in Louisiana, New Jersey,
19 Maryland, North Carolina, South Carolina and Virginia.

20

21 **Q: Please describe the assignment you were given by the Office of Public Council.**

22 A: EVA was asked to review the Tampa Electric Company (TECO) petition dated
23 December 27, 2005 and revised March 16, 2006 that are part of Florida Public Service

1 Commission Docket No. 050958-EI and the materials that have been submitted by TECO
2 as part of this docket. This petition requested approval for \$21.651 million for 13 capital
3 improvement projects associated with the Big Bend Flue Gas Desulfurization System
4 (FGD) Reliability Program for cost recovery through the Environmental Cost Recovery
5 Clause. TECO indicates in its petition that these 13 listed projects were required to
6 improve the reliability of the FGD scrubbers servicing Big Bend Units #1, #2 and #3 and
7 were necessary to comply with the February 2000 Consent Decree between the US
8 Environmental Protection Agency (USEPA) and TECO. EVA was asked to provide an
9 independent assessment on if these listed projects were required to comply with the
10 Consent Decree requirements. I provided engineering assessments of the thirteen
11 individual listed capital improvement projects.

12

13 **Q: What is the purpose of your testimony?**

14 **A:** To provide the results of an engineering assessment of the thirteen projects listed
15 in the TECO petition and discuss their effect on FGD system operations and reliability.
16 Secondly, to provide an opinion on if these projects were needed to comply with the
17 future Consent Decree requirements.

18

19 **II. Big Bend Units 1-4 Electrical Isolation Project**

20

21 **Q: What is the capital cost of the "Big Bend Units 1-4 Electrical Isolation"**
22 **project that TECO has requested cost recovery through the Environmental Cost**
23 **Recovery Clause (ECRC)?**

1 A. TECO has requested that \$6,600,000 in capital cost be recovered under the ECRC
 2 per TECO's December 27, 2005 petition entitled "Petition of Tampa Electric Company
 3 for Approval of a New Environmental Program for Cost Recovery Through the
 4 Environmental Cost Recovery Program." TECO supported their request in Exhibit D
 5 "Tampa Electric Company – Big Bend Desulfurization System Reliability Study".

6

7 **Q: How was the \$6,600,000 estimate prepared?**

8 A. Per Bates Stamp page 5755 of Tampa Electric Company Response to OPC
 9 Production of Documents #5, the cost components for this project were:

10	Direct Cost	\$3,822,723
11	Indirect Cost	181,238
12	Administrative Cost	134,203
13	Adjustments/Escalation	<u>375,837</u>
14	Total	\$4,514,000

15

16 According to page 5732 of this same Tampa Electric Company response, this estimate
 17 was first rounded upward to \$5,000,000 and then added a \$1.6 million contingency (32%
 18 of \$5 million or alternatively 47.9% of the \$4.514 million original project cost estimate).

19

20 **Q: What equipment would be served by the new electric isolation project**
 21 **transformer 3B?**

22 A: Per Tampa Electric Company Response to OPC Interrogatory No. 38 (1/12/07),
 23 this transformer with about 20,522 KVA would serve 6 downstream smaller transformers
 24 (B3003A, B3003B, B3004A, B3004B, B3005A, and B3005B). Four of these
 25 downstream transformers are small and two are large (B3004A and B3004B).

26

1 The two large downstream transformers on the circuit created by this project would serve
2 variable frequency induced draft (I.D.) fans 3A and 3B that are part of the boiler system
3 (not directly part of environmental control equipment). The I.D. fans would comprise
4 92.6 percent of the load that would be serviced by the project's new proposed transformer
5 3B (see Exhibit JBS-2). The variable frequency I.D. fans drive system has a high capital
6 cost and is a deluxe I.D. fan feature that allows improved I.D. fan speed control that can
7 reduce onsite electrical use.

8

9 **Q: What is the load would be served by the proposed new transformer from**
10 **pollution control equipment and from other miscellaneous onsite uses?**

11 A: In comparison to the variable speed I.D. fans, the electricity load from pollution
12 specific equipment served through the proposed new transformer 3B is trivial at 0.4% of
13 the total projects load for FGD specific equipment and 0.6% for SCR specific equipment.
14 Unidentified "motors and lights and other equipment" accounts for an additional 6.4% of
15 the load. Without the two large I.D. fans, these smaller loads alone would not justify use
16 of a 20,522 KVA transformer.

17

18 **Q: What are the existing I.D. fans 3A and 3B electrical loads? Will the**
19 **transformer capacity that services these fans be considered surplus capacity and**
20 **could be available for other use?**

21 A. The existing loads for I.D. fans 3A and 3B are approximately 19,000 KVA but are
22 fixed frequency loads. Thus, if the proposed electric isolation project with a new
23 transformer 3B is built, approximately 19,000 KVA from existing transformers elsewhere

1 onsite will be freed up for other large electricity loads from other large onsite equipment
2 loads.

3

4 **Q: What was the frequency of forced outages caused by the existing I.D. fans 3A
5 and 3B failures due to transformer failure in the last 5 years?**

6 A. There were no recorded FGD related forced outages that have occurred within the
7 past 5 years because of failure of transformer(s) servicing I.D. fans 3A and 3B.

8

9 **Q: What was the extent of forced derates caused by I.D. fans 3A and 3B failures
10 due to transformer failure in the last 5 years?**

11 A. There were no recorded forced derates over the last 5 years because of
12 transformer failure or lack of transformer capacity of I.D. fans 3A and 3B.

13

14 **Q: In your opinion, is the \$6,600,000 electrical isolation project reasonable and
15 prudent under the ECRC clause?**

16 A. No, it is neither reasonable nor prudent under the ECRC clause. Given the
17 electrical systems demonstrated high availability and that it is designed to service
18 primarily the large I.D. fan load that is not part of the pollution control system, the
19 electrical isolation system project with its proposed new transformer is not necessary to
20 achieve compliance with the consent decree or any other known environmental law or
21 regulation. As discussed in Mr. Hewson's testimony, TECO concurs with this
22 assessment by including the first phase of this project in their Quarterly Report listing of
23 capital projects not required by the Consent Decree.

1

2 **Q: Are there other potential reasons outside of the environmental requirements**
3 **to justify the proposed electric isolation project?**

4 **A.** The variable frequency (variable speed) driven 3A and 3B I.D. fan motors should
5 provide energy efficiency benefits (lower onsite power consumption) and improved
6 operational control. By placing them on a separate circuit with a new transformer, TECO
7 would reduce the electrical loadings on other circuits and reduce the effect of any planned
8 maintenance events on other parts of the plant.

9

10 Given the TECO material submitted on this project, it is difficult to determine if there
11 may be other operational reasons outside environmental requirements to justify this
12 project.

13

14 **III. Group A--Big Bend Units 3-4 (Split Inlet Duct and Split Outlet**
15 **Duct)**

16

17 **Q: What is the capital cost of the “Group A Big Bend Units 3-4 Split Inlet and**
18 **Outlet Ducts” project that TECO has requested cost recovery through the**
19 **Environmental Cost Recovery Clause (ECRC)?**

20 **A.** TECO has requested that \$4,945,000 in capital cost be recovered under the ECRC
21 per TECO’s December 27, 2005 petition entitled “Petition of Tampa Electric Company
22 for Approval of a New Environmental Program for Cost Recovery Through the
23 Environmental Cost Recovery Program” imported with Exhibit D “Tampa Electric
24 Company – Big Bend Desulfurization System Reliability Study”.

1

2 **Q: What are the cost of each split duct project in Group A?**

3 **A.** The individual projects in TECO's petition are:

- 4 • Big Bend Units 3-4 Split Inlet Duct \$116,000
- 5 • Big Bend Units 3-4 Split Outlet Duct \$4,829,000

6

7 **Q: Would you agree with TECO's conclusion that the split duct projects will**
 8 **significantly improve the reliability of the environmental equipment?**

9 **A:** No, I do not.

10

11 **Q: Has there ever been a forced outage, forced derate or FGD bypass event(s)**
 12 **(a.k.a. de-integration events) of Big Bend Unit 3 or Unit 4 or both Units 3 and 4**
 13 **attributed to failures or problems with existing common inlet duct or outlet duct for**
 14 **the FGD?**

15 **A.** Yes, according to TECO quarterly reports, there have been two bypass events
 16 cited in the disintegration reports being attributable to duct work.

- 17 (1) First Quarter 2005: "^{1.50}~~1.33~~ hours for inspection and repair of duct work"
 18 with FGD bypass (de-integration)."
- 19 (2) First Quarter 2006: "^{7.82}~~8.55~~ hours for FGD system and duct work
 20 maintenance" with FGD bypass (de-integration).

21

22 **Q: Had TECO no longer been allowed to bypass (future limitation), would these**
 23 **events have required a forced outage?**

24 **A.** Given the limited descriptions provided, one cannot definitively determine if the
 25 two events under the future limitations would have triggered a forced outage or could
 26 have been delayed to the next scheduled maintenance period and therefore I am forced to

1 speculate. Based upon the little description provided, I would guess that the first quarter
 2 2005, ^{1.50}~~1.33~~-hour event would appear to cause an outage, ^{or derate,} while the first quarter 2006,
 3 ^{7.92}~~8.55~~-hour event appears to be a FGD system problem in which the duct maintenance may
 4 have been discretionary and coordinated with other FGD system maintenance during the
 5 event. If the duct maintenance was discretionary, it alone would likely have not triggered
 6 a forced outage.

7
 8 **Q: Based on the above history, what would the range of forced or maintenance**
 9 **outages be for the five year period?**

10 **A.** Based upon the five-year outage history provided by TECO, the lower range of
 11 the forced or maintenance outage rate would be ^{1.50}~~1.33~~ hours per 5 years or ^{0.30}~~0.266~~ hours per
 12 year, or ^{0.013}~~0.011~~ days per year for one unit (No. 3). The upper forced or maintenance
 13 outage rate would be a combined ^{9.32}~~9.88~~ hours (^{7.82}~~8.55~~ hours plus ^{1.50}~~1.33~~ hours) per 5 years or
 14 ^{1.864}~~1.976~~ hours per year or ^{0.078}~~0.082~~ days per year for one unit (No. 3).

15
 16 **Q: What rate of force or maintenance outages were assumed in the "Tampa**
 17 **Electric Company Big Bend Station Flue Gas Desulfurization System Reliability**
 18 **Study for Group A Splitting of the Inlet and Outlet Ducts"?**

19 **A.** The TECO study assumptions were not developed based on historical record but
 20 instead were "based on experience" for which no supporting documentation was
 21 provided. The TECO study assumptions were:

- 22 • Forced Outages: 2.0 days/year per unit
- 23 • Maintenance Outages: 2.0 days/year per unit

1

2 **Q: Can you compare the assumptions for Group A used in the reliability study**
 3 **and the 5-year history rates for Group A outages?**

4 A: As is shown in Exhibit JBS-3, the TECO study's assumed avoided forced rate for
 5 the split duct Group A projects would total 192 hours per year. This is far higher than the
 6 documented 5 year historic rate that would be between $\frac{0.30}{0.266}$ hours and $\frac{1.864}{1.976}$ hours/year.
 7 The TECO assumption is between $\frac{103}{97}$ and $\frac{640}{722}$ times higher than the historic outage rate
 8 used for Group A projects.

9

10 **Q: Can you compare the project cost, net present value (NPV) of capital**
 11 **expenditures, NPV of savings, net savings and cost benefit ratio of TECO's**
 12 **assumptions in the reliability study to historic rates you presented earlier?**

13 A. Yes. This comparison is provided in Exhibit JBS-4. For the NPV estimate based
 14 upon the historical forced outage rate range, I have simply multiplied the TECO NPV
 15 estimate (\$7.131 million) by the ratio of the 5-year historic outage rate $\frac{0.30}{0.266}$ hr/year
 16 (low) to $\frac{1.864}{1.976}$ hr/year (high)) to the TECO study outage rate (192 hr/year). By applying
 17 the 5-year historic outage rate range, the split duct projects would have a net present
 18 value of savings of only \$10,000 to \$73,500.

19

20 **Q: Based on historic performance rate, would you consider the Group A Split**
 21 **Duct projects reasonable and prudent under the ECRC?**

22 A. No, I would not. In my opinion, a NPV of savings of only \$10,000 to \$73,500
 23 would not justify a nearly \$5 million capital project.

1

2 **Q: Would you consider that the Group A projects are required to comply with**
3 **the Consent Decree?**

4 **A.** No, I would not. First, the projects would not appreciably improve the reliability
5 of the FGD system. Second, at the time the consent decree was negotiated and signed, the
6 parties did not believe that splitting the ducts would be necessary to comply with the
7 Consent Decree and therefore did not include them on their list of needed projects to
8 optimize FGD performance (see Hewson testimony). Finally, TECO is not alone in
9 electing to combine multiple units into a single FGD system in order to capture the
10 economies of scale capital savings. Many utilities have considered combined systems to
11 meet their facility reliability needs without splitting the ducts between units.

12

13 **Q: What has been the history of Group A projects in the 21 quarterly reports**
14 **prepared by TECO as work pursuant to paragraph 44.B (2) of the Consent Decree**
15 **of Civil Action No. 99-2524-CIV-T-23F?**

16 **A.** Only a few inlet duct related projects that have been included in the TECO
17 Quarterly Compliance reports to USEPA. These projects were on the list of Section 44.B
18 (2) projects that were not being required by the consent decree include:

- 19 • Unit #3-4 common inlet duct replacement- TECO reports that the common inlet
20 duct replacements occurred during the 2nd quarter of 2003, 4th quarter of 2004 and
21 the 2nd Quarter of 2006.

- 1 • Unit #3-4 split inlet duct— TECO reports that this project was started during the
2 3rd quarter 2006 with an estimated project cost of \$4.8 million. This project
3 estimate is far greater than the petition split inlet duct request for \$0.116 million.
4

5 **Q: Why would TECO list the split inlet duct project as \$4,800,000 during the 3rd**
6 **quarter 2006 and as \$116,000 in the December 2005/March 2006 petition?**

7 **A.** I do not know the answer. However, it appears that even in its petition TECO
8 considers only a small portion of the split inlet duct project as being associated with the
9 Consent Decree. As I discussed earlier above, I do not believe that any of this project is
10 associated with the Consent Decree requirements.
11

12 **IV. Group C Big Bend Gypsum Projects**

13

14 **Q: What is the capital cost of the “Group C Projects for Gypsum Processing”**
15 **project that TECO has requested cost recovery through the Environmental Cost**
16 **Recovery Clause (ECRC)?**

17 **A.** TECO has requested that \$3,489,000 in 2006 dollars in capital cost be recovered
18 under the ECRC per TECO’s December 27, 2005 petition entitled “Petition of Tampa
19 Electric Company for Approval of a New Environmental Program for Cost Recovery
20 Through the Environmental Cost Recovery Program” imported with Exhibit D “Tampa
21 Electric Company – Big Bend Desulfurization System Reliability Study”.
22

23 **Q: What are the cost of each project in Group C?**

1 A. Per the above petition the individual projects are:

- 2 • Gypsum Fines Filter (\$3,179,000)- \$1,566,000 in 2008 and \$1,613,000 in 2009.
3 • Gypsum Filter Vacuum Pump Upgrades (\$691,000)- \$340,000 in 2008 and
4 \$351,000 in 2009.

5

6 **Q: Has there ever been a forced outage or forced derate of any of the Big Bend**
7 **units caused by the failure of the gypsum dewatering system?**

8 A. No forced outage or forced derate has been reported with the root cause being
9 gypsum processing in the 5 years of quarterly reports to the U.S. EPA submitted by
10 TECO under the Consent Decree for Civil Action No. 99-2524-T-23F.

11

12 **Q: In the TECO FGD Optimization Plan specifically identify any modifications**
13 **to the gypsum dewatering system as being required to comply with the Consent**
14 **Decree?**

15 A: As discussed in Mr. Hewson's testimony, the plan did not specifically list any
16 specific elements of the gypsum dewatering as part of its needs to comply with the
17 Consent Decree requirements. The plan had generally identified that a study would be
18 conducted to determine what spare parts were needed for the full range of the station's
19 process elements, including the gypsum dewatering system, would be needed to improve
20 the system reliability. However, the results of this work were not included in the plan, nor
21 did the subsequent quarterly compliance reports mention that a gypsum fine filter was a
22 needed spare part.

23

1 **Q: Did the vendor of the gypsum vacuum filter provide a performance**
2 **guarantee with the existing system?**

3 **A:** Yes. Raytheon Engineers and Constructors, Inc. provided a performance
4 guarantee with item 1c that states "feed solids must have a minimum average size of 41
5 microns with no more than 5% of the particles having a size less than 5 microns . . ."

6
7 **Q: Does it appear that the gypsum solids are substantially finer or have a**
8 **particle size distribution below the guarantee level?**

9 **A.** The one particle size distribution supplied by TECO (Results: Analysis Report,
10 Run 17, Record Number 332, Analyzed Friday, December 22, 2006, 1:30 p.m.) showed
11 particle size distribution similar to the criteria in the guarantee.

12

13 **Q: Are the problems identified as failures by TECO in its response to Citizen's**
14 **Interrogatory No. 24, a result of bad engineering or a result of poor operation?**

15 **A.** It is likely neither bad engineering or poor operation. Gypsum, which is created
16 in the FGD system, is a gritty material (same as in drywall when dry) is tough on
17 equipment and requires operator attention. The gypsum transitions from a pumpable
18 slurry, to a thick/pasty consistency and eventually to a cake in gypsum processing. It is
19 this difficulty of operation that resulted in the original design to have 100% redundancy.

20

21 **Q: It is reasonable and prudent to pursue the Group C as an environmental**
22 **project under the ECRC clause?**

1 A. For the most part, the answer is no. The additional funds for gypsum filter system
2 and vacuum filter appear to make an improved gypsum suitable for sale into the gypsum
3 market as a more economical choice than making gypsum suitable for disposal. The
4 system was originally designed and was operated in the past to make gypsum suitable for
5 disposal. While upgrading the gypsum to salable grades may be laudable and maybe
6 economical, it would not be considered as necessary to comply with the requirements of
7 the Consent Decree. Since this project is also not required to meet a new environmental
8 requirement, it should not be eligible for recovery under the ECRC clause.

9
10 However, the gypsum filter pump upgrade project may be appropriate to include in the
11 ECRC. When TECO started to use recycled water beginning in 2002, the vacuum seal
12 water became more corrosive and required the use of more corrosion resistant material
13 for the pump casing. In addition, the equipment supplier currently suggests more air-
14 flow capacity based upon their experience with newer FGD installations. EVA concluded
15 that these vacuum pump upgrades would likely improve future FGD operation and
16 reliability and thereby would be an appropriate maintenance item to include in the ECRC.

17 18 **V. Big Bend Units 3-4 FGD Booster Fan Capacity Expansion**

19
20 **Q: What is the capital cost of the “Big Bend Units 3-4 FGD Booster Fan
21 Capacity Expansion” project that TECO has requested cost recovery?**

22 A. TECO has petitioned that \$1,849,000 in capital cost be recovered through the base
23 rates and not through the ECRC per TECO’s March 2006 petition.

1

2 **Q: Has TECO already completed the 3-4 FGD booster capacity project?**

3 A. Yes. The project to boost unit #3 and #4 FGD capacity has been completed for
4 the existing combined Units 3 and 4 duct configuration. Per the Fourth Quarter 2004,
5 TECO reported completion of one portion of the project at a cost of \$923,000 and in the
6 Second Quarter 2005 TECO reported completion of a \$400,000 additional cost for
7 another portion of the project. Thus, TECO has already completed this project at a cost
8 of \$1,323,000 for the existing combined Unit 3 and Unit 4 duct.

9

10 **Q: Why is the newly proposed "Big Bend Units 3-4 FGD Booster Fan Capacity**
11 **Expansion" needed if the problem has already been reported as complete?**

12 A. This new project is needed only if the Units 3 and 4 existing combined duct is
13 split into two ducts. The split duct will require more booster fan capacity than the
14 existing combined duct.

15

16 **Q: If the Group A Big Bend Units 3-4 (Split Inlet Duct and Split Outlet Duct), is**
17 **not reasonable and prudent under the ECRC as you earlier have stated, is this new**
18 **Units 3-4 FGD Booster Fan Capacity Expansion also not reasonable or prudent**
19 **under ECRC?**

20 A. Yes. This \$1,849,000 project is not reasonable or prudent for recovery under the
21 ECRC since it is not associated with compliance with a new environmental law or
22 regulation. As a result, the determination about the prudence of this equipment should be
23 part of a base rate determination as requested by TECO.

1

2 **Q: In summary, if the Group A duct split projects are built at \$4,945,000, does it**
3 **require another \$1,849,000 investment in booster fans?**

4 **A.** Yes. The splitting of the ducts for Units 3 and 4 requires an investment of
5 \$6,788,000 and must include both projects.

6

7 **VI. Group B Mist Eliminator Projects**

8

9 **Q: What is the capital cost of the “Group B Mist Eliminator Projects” that**
10 **TECO has requested cost recovery through the Environmental Cost Recovery**
11 **Clause (ECRC)?**

12 **A.** TECO has requested that \$3,617,000 in capital cost be recovered under the ECRC
13 per TECO’s December 27, 2005 petition entitled “Petition of Tampa Electric Company
14 for Approval of a New Environmental Program for Cost Recovery Through the
15 Environmental Cost Recovery Program” imported with Exhibit D “Tampa Electric
16 Company – Big Bend Desulfurization System Reliability Study”.

17

18 **Q: What are the cost of each project in Group B?**

19 **A.** Per the above petition the individual projects are:

20 • Big Bend Units 1-4 Mist Eliminator Upgrades at \$834,000 in 2006, \$789,000 in
21 2007, \$66,000 in 2008 and \$870,000 in 2009.

22 • Big Bend On Line Mist Eliminator Wash System at \$753,000 in 2009.

- 1 • Big Bend On Line Nozzle Wash System at \$30,000 in 2006 and \$564,000 in
2 2007.

3

4 **Q: Was the “Group B Projects” included in the “Flue Gas Desulfurization**
5 **System Optimization Plan – Phase I” presented to the U.S. EPA, Region IV in**
6 **TECO’s May 31, 2000 plan prepared pursuant to the Consent Decree; Civil Action**
7 **No. 99-2524-CIV-T-23F?**

8 A. Yes. A, B, C and D tower demister changes were included in the Plan for Units 3
9 and 4.

10

11 **Q: Was the “Group B Projects” included in the “Flue Gas Desulfurization**
12 **System Optimization Plan – Phase II” presented to the U.S. EPA, Region IV in**
13 **TECO’s February 20, 2001 plan prepared pursuant to the Consent Decree; Civil**
14 **Action No. 99-2524-CIV-T-23F?**

15 A. Yes, as stated above.

16

17 **Q: Was the “Group B Mist Eliminators for Units 1 and 2” included in any of the**
18 **quarterly reports that presents scope of work pursuant to Paragraph 44.3(2) of the**
19 **Consent Decree; Civil Action No. 99-2524-CIV-T-23F?**

20 A. Yes. The must eliminator upgrades for Units 1 and 2 were included in the First
21 Quarter 2006 (4/27/06). By including this project on a listing of projects not specifically
22 required under the consent decree, TECO acknowledges that they may not be specifically
23 associated with the Consent Decree compliance.

1

2 **Q: Have the plugging of Mist Eliminators caused or could cause forced outages**
3 **or forced derates of Big Bend Units 1-4?**

4 **A.** Yes, it has according to data supplied by TECO.

5

6 **Q: Are the Group B Mist Eliminator Projects reasonable and prudent**
7 **environmental projects from an engineering perspective?**

8 **A.** Yes, I believe that they are. The plugging of the must eliminators have caused
9 historic derates that could be reduced through Group B project implementation. Once by-
10 pass (de-integration) is phased out under the consent decree, TECO will need to clean the
11 must eliminators "on the run". Thus, I consider that these projects are necessary
12 upgrades to improve the FGD system reliability.

13

14 **VII. Big Bend Other Upgrade and Maintenance Projects**

15

16 **Q: What other projects capital costs were requested by TECO to be recovered**
17 **under the ECRC clause per TECO's December 27, 2005 petition?**

18 **A.** There were four "Other Projects" not previously discussed:

- 19 • Big Bend Units 1-2 Gypsum Blow Down Line at \$284,000.
- 20 • Big Bend Units 1-2 Recycle Pump Discharge Isolation Bladders at \$227,000.
- 21 • Big Bend Units 1-2 Inlet Duct C-276 Wallpaper at \$234,000.
- 22 • Control Additions at \$406,000.

23

1 Q: Are these projects reasonable and prudent projects to comply with
2 environmental requirements and eligible for cost recovery under the ECRC?

3 A. Yes. The TECO reliability study justifies these maintenance upgrades for
4 reliability of Unit 1 and 2 FGD systems to meet the terms of the Consent Decree without
5 unreasonable forced outages or forced derates of these units. Also, control system
6 failures and malfunctions of the control systems have been historically documented and
7 improvements are needed to prevent unreasonable forced outages or derates cause by
8 control system failures.

9

10 Q: Does this conclude your testimony?

11

12 A: Yes it does.

1 MS. CHRISTENSEN: And I would tender Mr. Stamberg for
2 cross-examination.

3 CHAIRMAN EDGAR: Thank you.

4 Commissioner Carter.

5 COMMISSIONER CARTER: Excuse me, Madam Chair. Did
6 you add a JBS-5 or was it JBS-1, JBS-2, JBS-3 and JBS-4? Was
7 there an additional exhibit to this witness?

8 CHAIRMAN EDGAR: That was the previous witness.

9 COMMISSIONER CARTER: Okay. Thank you.

10 CHAIRMAN EDGAR: Uh-huh.

11 Mr. Beasley.

12 MR. BEASLEY: Madam Chairman, we have no questions
13 for this witness.

14 CHAIRMAN EDGAR: Okay. Questions from staff.

15 MS. BROWN: Just one, Madam Chairman.

16 CROSS EXAMINATION

17 BY MS. BROWN:

18 Q Good morning, Mr. Stamberg. It's still morning, I
19 think. Yeah.

20 On Page 20 of your prefiled testimony, Lines
21 1 through 8, if you want to turn to that, you discuss --

22 A Let me get there.

23 Q Oh, okay. Sorry.

24 A Page 20?

25 Q Yes. Page 20, Lines 1 through 8.

1 A Yes.

2 Q There you are discussing four other projects that you
3 believe are reasonable and prudent projects to comply with
4 environmental requirements and thus eligible for cost recovery
5 through the ECRC; is that right?

6 A Could you restate the question?

7 Q Yes. At those lines on Page 20 of your testimony --

8 A Yes.

9 Q -- you discuss four other projects that you believe
10 are reasonable and prudent projects to comply with
11 environmental requirements and thus eligible for cost recovery
12 through the ECRC; correct?

13 A Yes.

14 Q Then you go on to state that TECO's reliability study
15 justifies those maintenance upgrades for reliability of
16 Units 1 and 2 to meet the terms of the Consent Decree without
17 unreasonable forced outages or forced derates.

18 A Yes. That's correct.

19 Q My question is can you give me an example of what an
20 unreasonable forced outage or forced derate would be?

21 A What I did is, unlike the transformer and the ducts
22 where there's ample time to have, you know, time to repair
23 that, the Towers A, B, C and D were plagued with frequent
24 plugging up and they had to clean those and derate the units.
25 And that's an ongoing problem that occurred frequently and when

1 it was actually running and being needed to be used. And so,
2 therefore, I thought those things were justified and prudent.
3 Also from an electrical standpoint, not the transformer but the
4 breakers were tripping, and those type of incidents were also
5 frequent and interrupted the unit when it was working. The
6 ductwork -- their history of work orders suggest that these
7 leaks and all that could be planned and repaired ahead of time.

8 MS. BROWN: All right. Thank you. No further
9 questions.

10 REDIRECT EXAMINATION

11 BY MS. CHRISTENSEN:

12 Q Mr. Stamberg, let me make sure that I'm clear.

13 For the remaining projects that we're not contesting
14 in this docket, you did the evaluation and determined that
15 those, as you said, were reasonable and prudent for recovery
16 through the ECRC?

17 A Yes.

18 Q Okay. Is it your testimony today that the other four
19 remaining projects, the electric isolation, the split inlet and
20 outlet duct projects and the gypsum fines filter projects, are
21 not reasonable for recovery through the ECRC?

22 A They are not necessary for the ECRC recovery.

23 Q Okay. And is your evaluation dependent on whether or
24 not there's deadlines about when they have to burn or meet the
25 SO2 deadlines or new source performance standards?

1 A No. It's independent of that.

2 Q Okay. And is your evaluation based on what those
3 projects in and of themselves actually are doing?

4 A Correct.

5 Q Okay. And so is it your testimony that the electric
6 isolation project is not necessary to meet any --

7 MS. BROWN: Madam Chairman, I object. I asked a
8 question about unreasonable outages and that was it. I think
9 these redirect questions are beyond the scope of what I asked.

10 MR. BEASLEY: I would object on the grounds that
11 they're leading questions as well.

12 CHAIRMAN EDGAR: Ms. Christensen.

13 MS. CHRISTENSEN: Let me --

14 CHAIRMAN EDGAR: Rephrase.

15 MS. CHRISTENSEN: -- rephrase.

16 BY MS. CHRISTENSEN:

17 Q Let me just summarize. As far as forced outages, do
18 you believe that any of the forced outages, when you reviewed
19 the four remaining projects, warrant -- do any of the forced
20 outages that you, in the documentation that you examined
21 warrant the four remaining projects?

22 A No.

23 MS. CHRISTENSEN: Okay. I have no further questions.

24 CHAIRMAN EDGAR: Okay. Let's take up the exhibits.

25 And I think I heard Mr. Stamberg say that with one of the

1 exhibits there was also a correction that needed to be made to
2 coincide with the corrections he noted to the prefiled
3 testimony; is that correct?

4 MS. CHRISTENSEN: That is correct. And I would ask
5 Mr. Stamberg to identify that exhibit number again, the exhibit
6 number in which you had a correction to coincide with the
7 outage information that you corrected.

8 THE WITNESS: Yes.

9 MS. CHRISTENSEN: The exhibit number is for that
10 correction?

11 CHAIRMAN EDGAR: I think he said JBS-3, but you need
12 to confirm that.

13 THE WITNESS: Yes.

14 MS. CHRISTENSEN: Was it JBS-3 that had the
15 correction in it?

16 THE WITNESS: Yes.

17 MS. CHRISTENSEN: Okay. Yes. JBS-3 then, Madam
18 Chairman.

19 CHAIRMAN EDGAR: Okay. Just so I have it all here in
20 front of me, can you -- it's just one page. Can you show us
21 what that -- is it a change of a number or -- I didn't quite
22 get that.

23 THE WITNESS: On JBS Exhibit 3 the low range should
24 be .3 hours per year. The high range should be 1.864 hours per
25 year. And then on JBS-4, the net present value --

1 CHAIRMAN EDGAR: Hold on. Just let us get there.

2 Okay. If you could, again, for our benefit, I know
3 the court reporter has it, but for our benefit go over the
4 changes on JBS-3 again. It's the second, the second little
5 box, spreadsheet over to the right; correct?

6 THE WITNESS: In JBS-3 on Line -- the second part of
7 the table entitled "Big Bend Five-Year History of Possible
8 Group A Outages," the total outage number under low risk should
9 be ".3" hours per year instead of ".266" hours per year. The
10 high range should be "1.864" hours per year and not the
11 "1.976" hours per year.

12 CHAIRMAN EDGAR: Okay. Thank you. And then there's
13 also a change to JBS-4 that you can go over for us.

14 THE WITNESS: Yes. In that table, JBS-4, under Net
15 Present Value, under Historic Low Rate, which is the third
16 number, it's not "\$10,000" but should be "\$11,142." And the
17 historic high range would be "\$69,230," and the
18 cost-benefit-ratio should be changed on the low rate from
19 ".0022" to ".0025," and the historic high range should go from
20 ".0165" to ".0155."

21 CHAIRMAN EDGAR: All right. Thank you.

22 Ms. Christensen.

23 MS. CHRISTENSEN: With those changes, I would ask to
24 have hearing Exhibits 11 through 14 moved into the record.

25 CHAIRMAN EDGAR: Mr. Beasley, any objection?

1 MR. BEASLEY: No objection.

2 CHAIRMAN EDGAR: Okay. Okay. Exhibits 11, 12, 13
3 and 14 will be entered into the record with the changes as just
4 noted by the witness to Exhibits 13 and 14. And the witness is
5 excused. Thank you.

6 (Exhibits 11, 12, 13 and 14 admitted into the
7 record.)

8 MR. BEASLEY: Recall Mr. Bryant.

9 MS. CHRISTENSEN: Madam Chair, can I ask for a brief
10 five-minute break?

11 CHAIRMAN EDGAR: Yes. Absolutely. Commissioners,
12 how about we take ten and come back. Does that work?

13 Okay. We'll take ten minutes and then we'll come
14 back to Mr. Beasley.

15 MS. CHRISTENSEN: Thank you.

16 (Recess taken.)

17 (Transcript continues in sequence with Volume 2.)

18

19

20

21

22

23

24

25

1 STATE OF FLORIDA)
2 COUNTY OF LEON)

CERTIFICATE OF REPORTER

3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, LINDA BOLES, CRR, RPR, Official Commission Reporter, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorneys or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 12th day of March, 2006.

Linda Boles
LINDA BOLES, CRR, RPR
FPSC Official Commission Reporter
(850) 413-6734