

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 070098-EI

In the Matter of:

PETITION FOR DETERMINATION OF NEED
FOR GLADES POWER PARK UNITS 1 AND
2 ELECTRICAL POWER PLANTS IN GLADES
COUNTY, BY FLORIDA POWER & LIGHT
COMPANY.



ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 3

Pages 281 through 457

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN LISA POLAK EDGAR
COMMISSIONER MATTHEW M. CARTER, II
COMMISSIONER KATRINA J. MCMURRIAN

DATE: Tuesday, April 17, 2007

TIME: Commenced at 9:45 a.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: LINDA BOLES, RPR, CRR
JANE FAUROT, RPR
Official FPSC Reporters
(850) 413-6734/(850) 413-6732

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER-DATE

FLORIDA PUBLIC SERVICE COMMISSION

03308 APR 18 5

FPSC-COMMISSION CLERK

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

NAME:	PAGE NO.
RENE SILVA	
Direct Examination by Mr. Litchfield	293
Prefiled Direct Testimony Inserted	296
Cross Examination by Mr. Beck	356
Cross Examination by Mr. Gross	369
Cross Examination by Mr. Krasowski	383
Cross Examination by Ms. Holley	415
Redirect Examination by Mr. Litchfield	420
LEONARDO E. GREEN, Ph.D.	
Direct Examination by Mr. Smith	426
Prefiled Direct Testimony Inserted	428
Cross Examination by Mr. Krasowski	446
CERTIFICATE OF REPORTERS	457

EXHIBITS

	NUMBER:	ID.	ADMTD.
3	148		290
4	149		290
5	150		290
6	151		290
7	152		290
8	153		290
9	154		290
10	160 Intergovernmental Panel on Climate Change, Climate Change 2007: Impacts, Adaptation and Vulnerability.		372
12	161 FPL's Supplemental Response to Interrogatory 112	417	426
14	4 through 8		425
15	9 through 22		455
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

P R O C E E D I N G S

(Transcript continues in sequence from Volume 2.)

CHAIRMAN EDGAR: We're going to go ahead and get started.

We will go back on the record. And let's start out by seeing if there are any other preliminary matters before we go into witness testimony.

MS. BRUBAKER: The one that staff is aware of is the documents that were submitted through public testimony yesterday. The parties have been given copies, as I understand, and have been afforded an opportunity to look through them. They have been identified, and I suppose this is the time we might consider whether to move the records into, well, into the record.

MS. SMITH: Madam Chairman.

CHAIRMAN EDGAR: Yes.

MS. SMITH: If I may --

CHAIRMAN EDGAR: You may.

MS. SMITH: -- FPL has some comments.

FPL believes that the documents that were introduced during the public testimony portion of the hearing yesterday should be entered into the Commission's correspondence side of the docket the way it's typically done in rate proceedings and should not become part of the evidentiary record in this proceeding. This is particularly true for those introduced by

1 attorneys and other witnesses who, to borrow Commissioner
2 Carter's terminology, were professional witnesses.

3 The procedural order in this docket set out the
4 controlling dates for purposes of prefiling direct testimony
5 and conducting discovery in this proceeding, and anyone who
6 wanted to intervene could have done so, and FPL would have had
7 an opportunity to respond to discovery, prefiled testimony and
8 cross-examination in accordance with the Commission's
9 traditional governing procedures.

10 Putting this type of testimony in the record would
11 put the company in the posture of having to cross-examine
12 public witnesses, which will add delay and complexity to future
13 Commission proceedings.

14 Further, the Commission is compelled by Section
15 120.569(2)(g), Florida Statutes, of the Florida Administrative
16 Procedure Act to exclude, quote, irrelevant, immaterial or
17 unduly repetitious evidence, end quote. Putting the public
18 documents on the correspondence side of the file would ensure
19 compliance with the APA, as a number of the documents
20 introduced go well beyond the scope of this proceeding as well
21 as the Commission's jurisdiction.

22 Alternatively to putting the documents in the
23 correspondence side of the file, I can identify certain
24 documents that should be excluded in accordance with the APA.
25 Irrelevant and immaterial documents that are well beyond the

1 scope of this proceeding include the documents marked as
2 Exhibit 149, which addresses mercury exposure; 150 addressing
3 health issues; 151 addressing CO2 concentrations over the past
4 650,000 years; the portions of Exhibit 153 addressing mercury,
5 as well as newspaper articles, articles regarding other
6 environmental issues; Exhibit 154 addressing emissions and
7 environmental issues. And FPL feels that the portions of
8 Exhibit 153 that address energy efficiency as well as the ACEEE
9 report are fine to go into the record, but FPL witnesses would
10 need the latitude to respond to these documents when they take
11 the stand.

12 And then I would also note that the portions of the
13 USCAP document that were included as part of Exhibit 148 should
14 be excluded from the record as the entire document was entered
15 into the record on cross-examination by Mr. Gross and was
16 marked as Exhibit 159. The remainder of Exhibit 148 addressing
17 coal prices is fine, but FPL Witness Schwartz should be given
18 the latitude to address these documents when he takes the
19 stand.

20 CHAIRMAN EDGAR: Are there comments from any of the
21 other parties? Mr. Beck.

22 MR. BECK: Yes. Thank you, Madam Chairman.

23 The problem with doing what Florida Power & Light is
24 requesting is that you're sending a message to the public
25 witnesses that the Commission is not going to consider the

1 documents they brought with them. If you put it in the
2 correspondence side, you're saying it's not evidence and you're
3 saying it's nothing that the -- and the Commission will not and
4 cannot rely on that.

5 I would think the better approach would be allow
6 Florida Power & Light to respond when their witnesses take the
7 stand to any of the documents. You can give the things Florida
8 Power & Light said as going to the weight that you consider it.
9 I think the better course is to allow -- public witnesses were
10 here, they're subject to cross-examination. I think the
11 documents that they've testified about should go in subject to
12 the considerations that Florida Power & Light has said about
13 the weight, and I think it would be proper to let Florida Power
14 & Light respond also with their witnesses.

15 CHAIRMAN EDGAR: Mr. Gross, did you also have
16 comment?

17 MR. GROSS: Good morning, Madam Chair, Commissioner
18 Carter. Thank you for giving me an opportunity to comment on
19 this. I think we conceptually agree with the proposal of
20 Mr. Beck, but we're wondering is there a Commission policy on
21 this matter in this procedure? We feel that this is a question
22 of policy. And we agree with Mr. Beck, and if that is a policy
23 that's been established or is in its nascent stage this
24 morning, then as a policy matter I think we prefer the
25 procedure that Mr. Beck has proposed.

1 CHAIRMAN EDGAR: Mr. Krasowski.

2 MR. KRASOWSKI: I'd just like to say -- good morning,
3 Commissioners.

4 CHAIRMAN EDGAR: Good morning.

5 MR. KRASOWSKI: We agree with both gentlemen, Mr.
6 Beck and Mr. Gross.

7 CHAIRMAN EDGAR: A few comments, and then, Ms.
8 Brubaker, I will look to you also for your comments. I guess
9 I'm not sure whether it's a policy or a practice, Mr. Gross, to
10 respond to that, and Ms. Brubaker perhaps can speak to that in
11 more detail. I know that during the time that I have been
12 presiding officer, my general practice is to allow documents to
13 come in and for them to be given the weight that the Commission
14 deems them to be due and for all of the parties to have an
15 opportunity to ask questions and review them.

16 In this particular instance, I note in response to
17 the objection raised by FPL that this is not a rate case and it
18 is a case that we both by policy, practice and rule do
19 encourage public testimony. And with that, Ms. Brubaker, I
20 will look to you for further comment.

21 MS. BRUBAKER: Well, I would further distinguish a
22 need determination from a rate case in that need determinations
23 are unique in that any member of the public can offer
24 testimony. You do not have to be an affected ratepayer of the
25 utility as would be appropriate for a rate case.

1 The notices that were issued, the notice of --
2 possibly not the notice of commencement, but the notices of
3 hearing and prehearing that were issued all set forth the
4 procedure for members of the public to testify. It does
5 mention that they are subject to cross-examination. In your
6 introductory comments yesterday you did let the speaking
7 witnesses know that they would be subject to questions by the
8 parties as well as by the Commissioners. So they were aware
9 that there was the possibility of cross-examination. They
10 offered the documents, I believe, with the understanding that
11 those would be part of the record. There is a way that should
12 take place. You don't want to necessarily hang up the public
13 testimony section in order for parties to examine documents and
14 make a determination there and then about whether they're going
15 to object to them. At the same time, to automatically exclude
16 them at this point, I have some concerns a little bit about the
17 fairness of the proceeding.

18 To me, what's been offered by counsel for OPC seems a
19 reasonable accommodation to go ahead and let the records in.
20 We are allowed to accept hearsay evidence into the record, of
21 course, as always, you give the weight that it's due, and to
22 permit the FPL witnesses some latitude to speak to those
23 documents as they feel is appropriate. I think it would be a
24 reasonable accommodation.

25 CHAIRMAN EDGAR: Ms. Smith, do you have further

1 comment before I rule?

2 MS. SMITH: No, I don't.

3 CHAIRMAN EDGAR: Okay. With that then, I will
4 recognize obviously the objections that you have raised for the
5 record. I do, as I said in my comments, and echoing some of
6 Ms. Brubaker's comments, feel that although you requested that
7 the documents be moved into the correspondence file, that that
8 is not a part of the record. I appreciate -- well, first of
9 all, I note that again there was the opportunity for you to ask
10 questions on cross of the witnesses that were sworn as part of
11 the public testimony portion of the hearing, but I do note and
12 appreciate your support of the public testimony portion of what
13 we do and wanting to work with those witnesses and customers
14 and consumers so that it is a relatively friendly environment
15 for them to come and speak in public with all of us.

16 So with that, I will rule that documents 148 through
17 156, excuse me, 148 through 154 will be admitted into the
18 record to be given the weight that they are due and give the
19 latitude to the witnesses to speak to those during cross and
20 redirect.

21 (Exhibits 148 through 154 admitted into the record.)

22 Other preliminary matters?

23 MS. BRUBAKER: I'm aware that there was some
24 discussion yesterday about the possible stipulation of
25 witnesses, but it's my understanding at this point that

1 Intervenor witnesses will be available at differing parts of
2 the day, and that counsel for Sierra Club and FPL will be
3 speaking later in the day to discuss any possible consolidation
4 of rebuttal and direct testimony and what arrangements might be
5 accommodated for the Intervenor witnesses.

6 CHAIRMAN EDGAR: Okay. And then let's talk about
7 scheduling for just a moment so that we can take that up also
8 perhaps at the break and at lunch, if we need to.

9 I, I just don't see us finishing today. If we do,
10 that will be wonderful, but I don't see it. So the Commission
11 has conflicts for the remainder of the week. We do, however --
12 and, Commissioners, we have talked with staff in your offices
13 and I think this accommodates your schedule, but also obviously
14 if there's a conflict we're not aware of, please make that
15 known to me as well. So we are looking at next week, and it
16 looks like the 25th and the 26th, which would be Wednesday and
17 Thursday, can be available. I would ask, again, for each of
18 you to note that, look at your schedules, your witnesses, and
19 let's talk at the break and if we need to at lunch and see if
20 we can map out a plan later today so that we can conduct the
21 business that we need to.

22 I also note that April 26th, which is next Thursday,
23 I believe, is Take your Children to Work Day. So for any of
24 you, counsel, staff, witnesses, who have children who are
25 planning to be with you that day, we welcome them. I may

1 actually have my daughter as well. We'll see. So if you
2 would, let's talk at the break and see what we can do to
3 accommodate schedules. That also means probably that we would
4 need to maybe look at some of the dates that had been set. The
5 transcripts will be available, but we may need to talk if we
6 extend to those days next week to look at the dates that briefs
7 would be due, staff recommendation, and the agenda item. So,
8 again, think on that and we will talk later in the day. And
9 please consult with our staff and we will make some scheduling
10 decisions. And also, so that everybody is aware, if indeed it
11 looked like we would be able to finish today, we would maybe go
12 late. But since I do not think that that is the case and we do
13 have some days that we've been able to identify next week, I am
14 planning on a normal working business day today.

15 Before we call witnesses, normally what we would next
16 do is swear in since we just took the first witness yesterday,
17 although realizing that we're talking about a couple of
18 different days in scheduling. Do we have witnesses in the room
19 that makes it worthwhile from an efficiency standpoint to swear
20 in as a group, or would that just be more confusing if we only
21 have a few? And, Mr. Litchfield, you have the majority of the
22 witnesses, so I'll first look to you.

23 MR. LITCHFIELD: I'm looking and I think FPL has two
24 witnesses in the room. Just two. Sorry.

25 CHAIRMAN EDGAR: Okay. Well, then in that case let's

1 just go ahead and do it one by, one by one so that we don't get
2 into that keeping track of who was here and who wasn't. And if
3 we want to do a group later on at some point in the proceeding,
4 we can certainly do that. And so if there are no other
5 matters, then, Mr. Litchfield, your witness.

6 MR. LITCHFIELD: Thank you. Madam Chairman, FPL's
7 next witness is Mr. Rene Silva.

8 CHAIRMAN EDGAR: And, Mr. Silva, if you would please,
9 stand with me and go ahead and raise your right hand and we'll
10 swear you in.

11 RENE SILVA
12 was called as a witness on behalf of Florida Power & Light
13 Company and, having been duly sworn, testified as follows:

14 DIRECT EXAMINATION

15 BY MR. LITCHFIELD:

16 Q Mr. Silva, would you please state your name and
17 business address for the record.

18 A My name is Rene Silva. My business address is
19 9250 West Flagler Street, Miami, Florida 33174.

20 Q And by whom are you employed and in what capacity?

21 A By Florida Power & Light Company as Director of
22 Resource Assessment and Planning.

23 Q Have you prepared and caused to be filed 56 pages of
24 prefiled direct testimony in this proceeding?

25 A Yes.

1 Q Did you also cause to be filed errata to your
2 testimony on April 13th, 2007?

3 A Yes.

4 Q Do you have any further changes or revisions to your
5 prefiled direct testimony other than the errata sheet that you
6 just mentioned?

7 A I have one change.

8 Q Would you show us that?

9 A Yes. On Page 17, Line 19, the number "4,482" should
10 be changed to "5,130." That's the only change.

11 Q With these changes, if I were to ask you the same
12 questions today, would your answers be the same?

13 A Yes.

14 MR. LITCHFIELD: Madam Chairman, I would ask that
15 Mr. Silva's prefiled direct testimony be inserted into the
16 record as though read.

17 CHAIRMAN EDGAR: The prefiled direct testimony will
18 be inserted into the record as though read with the correction
19 noted by the witness. And just for clarity, Mr. Litchfield, we
20 are taking up just direct testimony with rebuttal to be later;
21 is that correct?

22 MR. LITCHFIELD: Yes, Madam Chairman.

23 CHAIRMAN EDGAR: Thank you.

24 BY MR. LITCHFIELD:

25 Q Are you sponsoring any exhibits to your direct

1 testimony, Mr. Silva?

2 A Yes, I am sponsoring an exhibit consisting of five
3 documents attached to my testimony.

4 Q RS-1 through RS-5?

5 A That's correct.

6 MR. LITCHFIELD: And, Madam Chairman, Mr. Silva's
7 exhibits have been premarked for identification as Exhibit
8 Numbers 4 through 8 respectively.

9 CHAIRMAN EDGAR: Thank you.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **DIRECT TESTIMONY OF RENE SILVA**

4 **DOCKET NO. 07 ____ -EI**

5 **JANUARY 29, 2007**

6

7 **Q. Please state your name and business address.**

8 A. My name is Rene Silva. My business address is 9250 West Flagler Street,
9 Miami, Florida 33174.

10 **Q. By whom are you employed and what is your position?**

11 A. I am employed by Florida Power & Light Company ("FPL" or the
12 "Company") as Director of Resource Assessment and Planning ("RAP").

13 **Q. Please describe your duties and responsibilities in that position.**

14 A. I manage the RAP group, the department that is responsible for developing
15 FPL's integrated resource plan ("IRP") and other related activities, such as
16 developing FPL's demand and energy forecasts, developing system
17 production cost projections for various generation capacity alternatives,
18 analyzing demand side management ("DSM") programs, and administering
19 wholesale power purchase agreements ("PPAs").

20 **Q. Please describe your educational background and business experience.**

21 A. I graduated from the University of Michigan with a Bachelor of Science
22 Degree in Engineering Science in 1974. From 1974 until 1978, I was
23 employed by the Nuclear Energy Division of the General Electric Company in
24 the area of nuclear fuel design. While employed by General Electric, I earned

1 a Masters Degree in Mechanical Engineering from San Jose State University
2 in 1978.

3
4 I joined the Fuel Resources Department of FPL in 1978, as a fuel engineer,
5 responsible for purchasing nuclear fuel. While employed by FPL, I earned a
6 Masters Degree in Business Administration from the University of Miami in
7 1986. In 1987 I became Manager of Fossil Fuel, responsible for FPL's
8 purchases of fuel oil, natural gas and coal. In 1990 I assumed the position of
9 Director, Fuel Resources Department, and in 1991 became Manager of Fuel
10 Services, responsible for coordinating the development and implementation of
11 FPL's fossil fuel procurement strategy. In 1998 I was named Manager of
12 Business Services in the Power Generation Division ("PGD"). In that
13 capacity I managed the group that is responsible for coordinating (a) the
14 development of PGD's long-term plan for the effective and efficient
15 construction, operation and maintenance of FPL's fossil generating plants, (b)
16 the preparation of PGD annual budgets and tracking of expenditures, and (c)
17 the preparation of reports related to fossil generating plant performance. On
18 May 1, 2002, I was appointed to my current position.

19 **Q. Are you sponsoring an exhibit in this case?**

20 **A.** Yes. I am sponsoring an exhibit consisting of 5 documents attached to my
21 direct testimony. Those 5 documents are:

- 22
- Document No. RS-1, FPL's actual energy mix in 2005;

- 1 • Document No. RS-2, FPL's projected energy mix in 2016, with and
2 without the addition of FPL Glades Power Park;
- 3 • Document No. RS-3, results of FPL's analyses of the relative cost of
4 maintaining fuel diversity by adding FPL Glades Power Park to its
5 portfolio;
- 6 • Document No. RS-4, results of FPL's analyses presented in Document No.
7 RS-3, adjusted to reflect the cost that would be incurred if FPL were to
8 install fuel inventory capability under the Resource Plan without Coal that
9 would be equivalent to that provided under the Resource Plan with Coal.
- 10 • Document No. RS-5, effect on system cost as natural prices change.

11 **Q. Are you sponsoring any sections of the Need Study for Electrical Power**
12 **document included with FPL's Petition for a Determination of Need?**

13 A. Yes. This document is referred to throughout FPL's filing as the "Need
14 Study." I sponsor Sections I and IX and co-sponsor Sections II, IV, V and
15 VIII of the Need Study.

16

17

PURPOSE AND ORGANIZATION

18

19 **Q. What is the purpose of your testimony in this proceeding?**

20 A. The purpose of my testimony is to (1) support FPL's request that the Florida
21 Public Service Commission ("Commission") grant an affirmative
22 determination of need for the addition of the proposed FPL Glades Power
23 Park ("FGPP") Units 1 and 2, authorizing FPL to build these two ultra-

1 supercritical pulverized coal-fired (“advanced technology coal” or “USCPC”)
2 generating units, including the associated transmission interconnection and
3 integration facilities, and place them in service as early as possible, but
4 nominally by June 2013 and June 2014, respectively, based on a finding by
5 the Commission that adding the proposed FGPP to FPL’s portfolio is the best
6 alternative available for FPL to continue to provide reliable electric service by
7 maintaining a balanced, fuel-diverse generation portfolio beginning by 2013
8 and maintaining an adequate reserve margin to meet its customers’ projected
9 electricity demand by 2013 and through 2014; (2) describe to the Commission
10 those key areas of uncertainty related to the addition of the proposed FGPP
11 that could significantly change the in-service date or prevent completion of
12 these units, and/or increase their cost; and (3) consistent with recognition by
13 the Commission of the risks associated with such uncertainty, support FPL’s
14 petition that the Commission include in its need order statements that express
15 the Commission’s concurrence that the decision to add FGPP is deemed
16 prudent and that FPL shall be able to recover all prudently incurred costs
17 related to FGPP, and that the Commission institute an annual review process
18 for the project.

19 **Q. Please summarize how this request for a determination of need differs**
20 **from the most recent requests for determinations of need filed by FPL**
21 **and granted by the Commission?**

22 A. FPL’s recommendation that the Commission grant a determination of need for
23 FGPP, including associated facilities, and approve the related cost recovery

1 mechanisms is, consistent with FPL's recommendation in previous requests
2 for determinations of need, predicated on FPL's conclusion that the addition
3 of FGPP is the best alternative to meet the needs of FPL's customers by 2013
4 and through 2014. However, there are several key differences relative to the
5 requests for determination of need submitted in connection with Manatee Unit
6 3 and the conversion of Martin Unit 8, Turkey Point Unit 5, and West County
7 Energy Center Units 1 and 2: specifically, (a) an overarching objective to
8 maintain fuel diversity on FPL's system, (b) the very large projected capital
9 costs (\$5,700 million) associated with the FGPP project, and (c) the
10 significant uncertainties associated with construction and other costs, as well
11 as the longer project timetable. These factors are described generally in my
12 testimony, and discussed in greater detail by several witnesses on behalf of
13 FPL.

14 **Q. How are you suggesting the Commission approach this proceeding and**
15 **FPL's request given the differences to which you have referred?**

16 A. While the Commission should consider all the factors set forth in the Florida
17 Power Plant Siting Act ("PPSA"), particular emphasis and weight should be
18 placed on the fact that with the addition of FGPP, FPL's customers will
19 benefit from a more balanced exposure to future natural gas price spikes and
20 interruptions in the production or delivery of natural gas to FPL. This
21 consequence of adding FGPP relates to the benefit of maintaining fuel
22 diversity, an important addition to the statutory standard of review added to
23 the PPSA in the most recent legislative session. This factor is particularly

1 important because of the number of significant variables involved in assessing
2 the actual economics of FGPP such that there is no one cost outcome that can
3 be projected with any reasonable degree of certainty.

4
5 I would emphasize that given the range of potential outcomes FPL is not
6 recommending approval of FGPP based on any specific, projected set of
7 assumptions or comparative economic results against other forms of
8 generation. Instead, FPL is requesting approval of FGPP to meet the need for
9 capacity by 2013 and through 2014 because it is better to meet this need with
10 FGPP, which provides low fuel prices and a significant hedge against the
11 possibility of increases in natural gas prices and gas supply interruptions than
12 to commit to a future in which electricity reliability and prices are determined
13 largely by whatever happens to natural gas. FGPP provides a much needed
14 dimension to FPL's generation portfolio, compared to the addition of another
15 gas unit. It is on that basis that the Commission likewise should approve
16 FPL's request.

17 **Q. What are these variables that affect the relative economics of FGPP**
18 **compared to gas-fueled generation?**

19 A. The primary variables are the future fuel cost differential between natural gas
20 and coal, and the different cost impact that future environmental requirements
21 will have on these generation technologies. In comparing the potential
22 relative cost differences between a coal-fired plant and a natural gas-fired
23 plant, one must consider potential price movements in both natural gas and

1 coal. In contrast, in the past, where Commission determinations of need were
2 based on comparing natural gas-fired units against one another, the movement
3 in natural gas prices had a very small effect on the decision. Similarly, future
4 environmental compliance costs will affect coal-fired plants differently
5 compared to natural gas-fired plants. The effect on FGPP of these and other
6 variables is discussed in greater detail in Section 6 of my testimony.

7 **Q. How is your testimony organized?**

8 A. My testimony consists of 9 sections. Section 1 introduces FPL's witnesses
9 and FPL's Need Study and Appendices. Section 2 outlines FPL's request for
10 an affirmative determination of need and adoption of an explicit cost-recovery
11 mechanism. Section 3 discusses the value of fuel diversity to FPL's
12 customers. Section 4 outlines FPL's evaluation of technology alternatives that
13 FPL considered to maintain a balanced fuel-diverse generation portfolio and
14 explains why the selection of the USCPC technology proposed for FGPP is
15 the best alternative. Section 5 presents the results of a comparison between
16 the addition of FGPP and, alternatively, the addition of gas-fired combined
17 cycle units beginning in 2012. Section 6 discusses key areas of uncertainty
18 that could delay the completion or otherwise affect FPL's ability to complete
19 the proposed FGPP, or degrade the cost-effectiveness of these additions.
20 Section 7 summarizes the findings upon which FPL proposes that a
21 determination of need for FGPP be based. Section 8 presents FPL's request
22 for ratemaking treatment and proposal for annual review. Section 9 presents

1 the significant adverse consequences FPL and its customers would face if
2 FPL's petition is not granted.

3

4 **SECTION 1. F PL's WITNESSES AND NEED STUDY DOCUMENT**

5

6 **Q. How many witnesses are supporting FPL's petition through direct pre-**
7 **filed testimony?**

8 A. Fourteen witnesses are submitting direct testimony. In addition to the various
9 exhibits included with the testimony of these witnesses, many of FPL's
10 witnesses sponsor or co-sponsor a portion of FPL's Need Study and
11 Appendices.

12 **Q. Please summarize the topics addressed in the testimony of each of these**
13 **witnesses.**

14 A. As President of FPL, Mr. Armando Olivera presents an overview of the need
15 for FGPP and some of the many reasons in support of FPL's request in this
16 proceeding.

17

18 Dr. Leonardo Green presents FPL's load forecasting process, discusses the
19 methodologies and assumptions used in that process, and presents the
20 resulting load forecast. This load forecast was used in FPL's integrated
21 resource planning process, in the analysis used to forecast FPL's fuel mix and
22 resource needs in the future, and in the economic analysis of the various
23 alternatives identified to meet FPL's fuel diversity and reserve margin needs.

1 Mr. Dennis Brandt presents FPL's Demand Side Management ("DSM") goals
2 and achievements and FPL's DSM plan. In addition, Mr. Brandt discusses
3 FPL's ongoing DSM-related activities.

4
5 Dr. Steven Sim describes FPL's integrated resource planning process,
6 identifies FPL's additional resource needs, describes the results of FPL's
7 evaluation of alternatives available to preserve fuel diversity and meet that
8 resource need, explains in detail the process FPL followed to perform an
9 evaluation of FGPP compared to an all-natural gas resource plan, and presents
10 the results of that evaluation. In addition, Dr. Sim testifies that there is not
11 sufficient DSM potential to avoid or defer the addition of the proposed FGPP.
12 Dr. Sim's testimony demonstrates that the addition of FGPP 1 and 2 by 2013
13 and 2014, respectively, is the best alternative to preserve fuel diversity while
14 meeting FPL's resource needs through 2014. In addition, Dr. Sim's testimony
15 discusses the effects of delaying or not granting a determination of need for
16 the addition of FGPP.

17
18 Mr. William Yeager describes the projected cost of equipment and
19 construction for FGPP, discusses the sources of uncertainty in those costs,
20 describes the "indexed" cost mechanism proposed by FPL as the basis for the
21 approved capital cost of FGPP to be reflected in the determination of need and
22 explains why it is appropriate for the Commission to apply the "indexed" cost
23 method in this determination of need. He also describes the highly

1 competitive nature of the current market environment for the manufacturing of
2 power generation equipment, and engineering, procurement and construction
3 (“EPC”) services for power plants, the limitations that market environment
4 imposes on any buyer of related equipment and services, and the resulting
5 schedule uncertainties. Mr. Yeager describes FPL’s vendor selection process
6 and the contracting strategy adopted by FPL and explains why FPL’s
7 approach is appropriate in the current market environment.

8
9 Mr. William Damon of Cummins & Barnard, Inc. describes the scope of his
10 independent evaluation of the process FPL utilized to select equipment and
11 construction services vendors and FPL’s contract strategy, as well as the
12 projected cost of FGPP, and presents the results of his evaluation. He
13 concludes that FPL’s approach is appropriate and likely to result in market-
14 competitive costs for FGPP. He also testifies that FPL’s cost estimates for
15 FGPP are reasonable and consistent with current market conditions.

16
17 Mr. Ken Kosky of Golder Associates, Inc. describes the scope of his
18 independent review of environmental issues for FGPP, and presents the results
19 of his review. He testifies that FPL’s design for FGPP, based on advanced
20 technology coal, meets and in many cases exceeds environmental
21 requirements, and that the technology choice and design of FGPP makes it the
22 best alternative available, from an environmental perspective, to preserve fuel
23 diversity in FPL’s system by 2013 and through 2014. Mr. Kosky also testifies

1 that the environmental compliance cost scenarios evaluated by FPL as part of
2 its economic analysis of FGPP effectively address the appropriate range of
3 uncertainty regarding those potential future costs. FPL understands that other
4 federal and state agencies have jurisdiction with respect to environmental
5 compliance requirements. However, FPL has included information related to
6 environmental requirements in this filing in order to provide the Commission
7 with a general understanding of the environmental requirements associated
8 with the addition of FGPP and to inform the Commission regarding the costs
9 of compliance with such requirements.

10

11 Mr. David Hicks provides an overview of the process FPL used to select ultra-
12 supercritical pulverized coal technology for FGPP and explains why this is the
13 best technology available to maintain fuel diversity in FPL's system beginning
14 by 2013 and meet FPL's capacity needs by 2013 and through 2014. Mr.
15 Hicks also describes the site selection process. In addition, Mr. Hicks
16 presents the physical and operating characteristics of the proposed FGPP.

17

18 Mr. Steve Jenkins of URS Corporation describes the results of his independent
19 review of the technology choices available to FPL to preserve fuel diversity
20 beginning by 2013. He testifies that, in his view, advanced technology coal at
21 FGPP is the best alternative available to FPL to preserve fuel diversity in this
22 time frame and maintain system reliability. In addition, he explains why
23 Integrated Gasification combined Cycle ("IGCC") generation technology

1 would not be the right choice to meet FPL's fuel diversity and reliability
2 objectives by 2013 and through 2014.

3
4 Mr. Hector Sanchez describes the load flow studies and other transmission
5 assessments and calculations performed under his supervision to determine (1)
6 transmission interconnection and integration requirements related to the
7 addition of FGPP, and (2) system losses associated with the addition of FGPP.
8 His testimony presents the results of those studies, assessments and
9 calculations.

10
11 Mr. Jose Coto discusses the physical characteristics, schedule, permitting
12 requirements and estimated costs associated with the transmission facilities
13 required for FGPP (or gas-fueled alternatives), based on the requirements
14 presented in the testimony of Mr. Sanchez.

15
16 Mr. Gerard Yupp discusses the benefits of fuel diversity in FPL's system
17 resulting from the addition of FGPP. He explains the basis for the various
18 fuel oil and natural gas price forecasts used in FPL's economic analyses and
19 discusses why the uncertainty inherent in gas price forecasts requires the use
20 of scenario analysis. He testifies that the fuel price forecast scenarios FPL
21 used in its economic evaluation of FGPP effectively address the range of
22 uncertainty regarding the future cost differential between coal and natural gas.
23 For purposes of comparison, Mr. Yupp also discusses how FPL could

1 effectively obtain the same system reliability benefit afforded by the fuel
2 inventory capability planned for FGPP, if instead of FGPP, FPL were to add
3 gas-fueled combined cycle generation in this time frame, and presents the
4 estimated cost of replicating the reliability benefit provided by FGPP.

5

6 Mr. Seth Schwartz of Energy Ventures Analysis, Inc. describes the scope of
7 his independent evaluation of fuel supply and transportation issues related to
8 FGPP. Mr. Schwartz also testifies that coal and petroleum coke supplies will
9 be readily available in the future and that coal prices will remain lower and
10 more stable than those of natural gas. Mr. Schwartz also explains FPL's
11 transportation plan to deliver coal and petroleum coke to FGPP.

12

13 **SECTION 2 – FPL's REQUEST FOR DETERMINATION OF NEED**
14 **AND DETERMINATION OF PRUDENCE**

15

16 **Q. What relief does FPL seek in this proceeding?**

17 A. FPL seeks from the Commission an affirmative determination of need for the
18 addition to its generation portfolio of FGPP, two advanced technology coal
19 generating units, each with a summer capacity rating of approximately 980
20 MW, currently projected to be placed in commercial operation nominally by
21 June 1, 2013 and June 1, 2014, respectively, or earlier. The units' fuels will
22 be coal and petroleum coke. FPL requests that the Commission's need

1 determination include within its scope the associated electric transmission
2 facilities described in its petition and testimony.

3
4 FPL also requests that, in connection with granting a determination of need
5 for FGPP, the Commission specifically find that the decision to build the
6 project is prudent and that the proposed costs, including additional costs that
7 are imposed pursuant to subsequent environmental legislation or regulatory
8 requirements, likewise are prudent. We are requesting an annual prudence
9 review of actual costs incurred, and a review of projected costs and of the
10 continued feasibility of the project. In addition, we are also requesting that
11 the Commission approve a mechanism for the recovery of costs incurred
12 should the project not be completed due to a subsequent Commission
13 determination or if it is otherwise precluded from being completed.

14
15 FPL's request for an affirmative determination of need is the culmination of
16 extensive efforts to identify the best alternative available for FPL to continue
17 to provide reliable electric service by preserving fuel diversity while meeting
18 our customers' growing demand for electricity.

19 **Q. When does FPL intend to bring FGPP 1 and 2 into service?**

20 **A.** In order to achieve the reliability and fuel benefits associated with FGPP for
21 our customers, FPL intends to bring the units into service earlier than the
22 nominal is-service dates. FPL believes that the earliest possible date that it
23 can place the first FGPP unit into service is during the second half of 2012,

1 and the second unit during the second half of 2013, assuming that no
2 significant permitting, construction or other delays occur.

3 **Q. Have FPL's expected in-service dates for the project changed from its**
4 **earlier expectation?**

5 A. Yes. As Mr. Yeager notes in his testimony, although FPL will continue to
6 pursue the previously projected in-service dates for FGPP, it has become
7 increasingly clear that, due to market conditions related to demand for power
8 generation equipment and engineering, procurement and construction ("EPC")
9 services, as well as other uncertainties associated with the permitting and
10 construction schedule, it is more likely that the in-service date of FGPP 1 will
11 occur in the second half of 2012 or early in 2013, and that of FGPP 2 will
12 occur in the second half of 2013 or early in 2014, instead of the previously
13 projected in-service dates of June 2012 and June 2013, respectively.

14 **Q. What in-service dates has FPL used in the economic analysis performed**
15 **in support of this filing?**

16 A. For economic analysis purposes it was necessary to select a specific in-service
17 date for each FGPP unit. FPL conservatively chose June 1, 2013 and June 1,
18 2014 for FGPP 1 and 2, respectively. Similarly, my testimony generally
19 refers to the addition of FGPP occurring in 2013 and 2014. However, while
20 we utilize this conservative assumption in the economic analysis and for
21 purposes of referring to project dates in testimony, FPL will remain focused
22 on enabling an overall project schedule that allows for earlier in-service dates

1 if reasonably possible. Our permitting efforts will continue to be pursued as
2 expeditiously as possible.

3

4 Similarly, as is reflected in the testimonies of Mr. Sanchez and Mr. Coto, the
5 addition of transmission facilities required by FGPP 1 remains scheduled for
6 completion in 2012 in order to ensure that those facilities will be available to
7 deliver electricity from FGPP as soon as the first generating unit is completed.

8 **Q. Why is the addition of FGPP needed?**

9 A. The addition of FGPP is needed by FPL to maintain system reliability for its
10 customers. Specifically, this addition is needed to preserve a balanced, fuel
11 diverse generation portfolio, as well as to maintain an adequate level of
12 generation reserve margin by 2013 and through 2014.

13 **Q. What is FPL's current fuel mix and what is it projected to be in the
14 future?**

15 A. In 2005 FPL's fuel mix consisted of natural gas (42%), nuclear generation
16 (19%), coal (18%), fuel oil (17%), and other sources (about 4%). This fuel
17 mix is presented in Document No. RS-1. If only natural gas-fueled generation
18 were to be added to FPL's system in the future, the contribution of natural gas
19 would increase to about 71% of total electricity delivered to FPL's customers
20 by 2016, while that of coal would decrease to a mere 7%.

21

22 This is because by 2016 the quantity of firm power FPL will purchase from
23 coal-fueled plants under existing contracts will decrease by 1,312 MW, as a

1 result of the terms of those contracts. Thus, the net effect of adding 1,960
2 MW of advanced technology coal generation at FGPP by 2013 and 2014, less
3 the anticipated reduction in power delivered under expiring existing power
4 purchase contracts served by coal generation between now and 2016, will be a
5 net increase of only 648 MW of coal-fueled generation to FPL's system by
6 2016 when compared to the current level.

7
8 Moreover, aside from FPL's planned addition of FGPP, between 2007 and
9 2016 FPL will need about 4,482 MW of net additional generation capacity to
10 continue to meet its reliability criteria. About half of this net 4,482 MW
11 requirement will be met by new gas-fired generation that has already been
12 granted determinations of need by the Commission and will be in operation by
13 2010.

14
15 The technology for the additional net generation that will be needed in 2015
16 and 2016 (after the addition of FGPP) has not been selected, but if gas-fueled
17 generation were selected to meet those needs, then the 648 MW net increase
18 in system coal generation achieved by the addition of FGPP would represent
19 only 13% of the ^{5,130}~~4,482~~ MW total net increase in generation capacity needed
20 between 2007 and 2016. Thus, it is clear that the addition of FGPP is
21 critically needed to maintain fuel diversity in FPL's system.

1 With the proposed addition of FGPP, the share of electricity produced by
2 natural gas would be about 60% in 2016, while that of coal would be 18%.
3 These fuel mix projections, both with and without the addition of FGPP, are
4 shown in Document No. RS-2. This Document shows that the addition of
5 FGPP is needed to prevent a dramatic reduction in the contribution of coal-
6 fueled generation to FPL's system.

7 **Q. Will the addition of FGPP reduce FPL's reliance on natural gas as a fuel**
8 **source for electric generation?**

9 A. Yes. The electricity that will be produced from coal and petroleum coke at
10 FGPP will primarily displace natural gas that otherwise would be burned if
11 FPL's generation capacity need beginning in 2012 were to be satisfied by
12 adding natural gas-fired generation. For example, over the first twenty full
13 years of operation of both FGPP units, FPL will reduce the use of natural gas
14 by about 2 billion MMBtu compared to the amount of natural gas it would use
15 without FGPP. This decrease in natural gas use, which is a measure of the
16 reduction in FPL's reliance on natural gas achieved by FGPP is equivalent to
17 the total quantity of natural gas FPL used during the last six years.

18 **Q. Is the addition of FGPP also needed to maintain an adequate level of**
19 **reserve margin through 2014?**

20 A. Yes. As Dr. Sim's testimony explains, FPL will need to add at least 1,644
21 MW of additional generation capacity (above the additions that have already
22 been granted a determination of need by the Commission) by the summer of
23 2014 in order to continue to meet its 20% reserve margin reliability criterion.

1 The proposed addition of FGPP's two 980 MW advanced technology coal
2 units is required to meet this capacity need through 2014. Without the
3 addition of FGPP 1 and 2, FPL's reserve margin would be 14.8% in 2013 and
4 13.0% in 2014. Furthermore, if FGPP is not added, FPL's capacity need
5 would exceed 2,280 MW by 2015, and continue to grow thereafter.
6 Therefore, the addition of FGPP is a critical part of FPL's need to maintain
7 system reliability.

8 **Q. Has FPL considered how DSM could help avoid the need for generation**
9 **capacity?**

10 A. Yes. As Dr. Sim explains, FPL's generation capacity need projections already
11 reflect all of the cost-effective DSM currently known to FPL, including not
12 only FPL's current DSM Goals, but also significant amounts of additional
13 DSM that FPL has identified since the DSM Goals were approved. It is
14 important to note that, as presented by Dr. Sim and Mr. Brandt, through 2005
15 FPL's DSM programs have enabled FPL to avoid the need for more than
16 4,200 MW of generation capacity, equivalent to about 20% of the 2006 peak
17 load. By 2015 FPL currently projects that DSM will have avoided an
18 additional 1,639 MW, for a total capacity avoidance of more than 5,800 MW.
19 This avoided capacity is almost three times the size of FGPP.

20 **Q. Will the addition of FGPP also provide benefits regarding fuel cost and**
21 **fuel cost stability?**

22 A. Yes. FGPP will employ a clean, highly efficient, ultra-supercritical
23 generation technology that will use pulverized coal and petroleum coke as

1 fuel. In addition, because the heat rate of FGPP will be lower than FPL's
2 system average heat rate, the addition of FGPP will help improve the fuel-
3 efficiency of FPL's system. This improvement in system efficiency,
4 combined with the utilization of lower cost fuels such as coal and petroleum
5 coke will result in substantially lower fuel costs than if only gas generation is
6 added to FPL's system. Further, because the future prices of coal and
7 petroleum coke are projected to remain more stable than those of natural gas,
8 the addition of FGPP will help reduce the volatility in the overall system cost
9 of fuel.

10 **Q. Is the addition of FGPP the best alternative to be added by 2013 and 2014**
11 **to maintain system reliability?**

12 A. Yes. The addition of FGPP is the best option available to continue to achieve
13 system reliability by helping FPL preserve fuel diversity, as well as maintain
14 an adequate level of generation capacity reserve margin by 2013 and through
15 2014. The addition of FGPP was selected to meet FPL's needs by 2013 and
16 through 2014 because it was determined to be the best, most cost effective
17 alternative among the four possible solid fuel technology alternatives FPL
18 evaluated, which were assessed according to whether they could materially
19 help maintain fuel diversity in FPL's system and meet FPL's capacity need by
20 2013.

21 **Q. What solid fuel technology alternatives did FPL evaluate?**

22 A. FPL evaluated four solid fuel technologies to determine whether they could
23 reliably contribute to the fuel diversity and generation capacity needs of FPL's

1 system in this time period, and to select the best among those technologies
2 that could provide such benefits. The four technologies were: sub-critical
3 pulverized coal ("PC"), circulating fluidized bed ("CFB"), IGCC, and ultra-
4 supercritical pulverized coal ("USCPC") technology. The direct testimonies
5 of Mr. Hicks and Mr. Yeager describe these four technologies.

6 **Q. What were the results of FPL's evaluation?**

7 A. As described in Mr. Hicks' and Dr. Sim's direct testimonies, the results of
8 FPL's evaluation clearly established that USCPC is the best alternative.
9 Specifically, FPL concluded that USCPC is the most cost-effective of the
10 four, has reliability that has been established to be as good as, or better than,
11 the other three options, is the most fuel-efficient, and can be readily
12 constructed in the large size required by FPL's rapidly increasing demand.

13

14 Conversely, as explained by Mr. Hicks and Mr. Jenkins, the performance of
15 IGCC technology has not been proven to be as reliable as that of the other
16 alternatives, and the effectiveness of recently proposed design changes aimed
17 at improving IGCC performance will not be determined until after 2013. Mr.
18 Hicks and Mr. Jenkins also testify that no IGCC units of a scale comparable to
19 FGPP have ever been built, and none is currently planned. In addition, as Mr.
20 Hicks and Dr. Sim state, IGCC is more costly than USCPC. Furthermore, as
21 Mr. Hicks explains, IGCC does not currently provide environmental
22 advantages over advanced technology coal. Based on these factors, FPL has
23 concluded that advanced technology coal at FGPP is by far the best choice to

1 maintain fuel diversity and meet FPL's generation capacity need by 2013 and
2 through 2014.

3

4 It is clear that without the addition of FGPP 1 and 2 by 2013 and 2014, FPL's
5 customers would be served by a far less fuel-diverse, less reliable system with
6 greater fuel cost volatility. FGPP is needed to provide adequate electricity at a
7 reasonable cost to FPL's customers.

8 **Q. Do renewable generation resources contribute to fuel diversity?**

9 A. Yes. In 2005 FPL purchased about 1.5 million MWH of electricity from nine
10 suppliers that own and operate renewable generation resources.

11 **Q. How does renewable generation in Florida compare to that in other
12 states?**

13 A. According to the Energy Information Administration data published in June,
14 2006, after adjusting for hydroelectric and geothermal sources (Florida, has
15 very little hydroelectric and no geothermal potential), Florida ranks second
16 only to California in terms of production of electricity from renewable
17 resources.

18 **Q. What does FPL propose to do to promote the cost-effective use of
19 renewable resources to generate electricity in Florida?**

20 A. FPL continues to encourage existing and potential renewable generators by
21 facilitating dialogue with these entities and offering for negotiation contract
22 terms that enable developers of renewable resources to choose, from a diverse
23 portfolio of avoided units, the payment profile that is most suitable for their

1 projects. In addition, FPL will file new standard offer contracts for renewable
2 generation consistent with the Commission new rule on renewable energy.

3

4 FPL is also involved in developing wind generation in Florida and supporting
5 research regarding the potential for power generation using ocean currents off
6 Florida's East Coast.

7

8 **SECTION 3 – VALUE OF FUEL DIVERSITY PROVIDED BY THE**
9 **ADDITION OF FGPP**

10

11 **Q. What are the benefits of maintaining fuel diversity in FPL's system?**

12 A. The primary benefits of fuel diversity are greater system reliability and
13 reduced fuel price volatility. An electric system that relies on a single fuel
14 and a single technology to generate all the electricity needed to meet its
15 customers' demand, all else equal, is less reliable than a system that uses a
16 more balanced, fuel-diverse generation portfolio. In addition, greater fuel
17 diversity mitigates the impact of wide or sudden swings in the price of one
18 fuel, a phenomenon that has characterized the natural gas market over the last
19 several years.

20 **Q. Please explain how fuel diversity enhances system reliability.**

21 A. An electric system that relies exclusively on one fuel is more susceptible to
22 events that cause delays or interruptions in the supply of that fuel because

1 there would not be any generation facilities that could use other fuels to make
2 up for reductions in the constrained fuel.

3
4 Conversely, because a fuel-diverse system with adequate generation reserve
5 margin is capable of producing electricity using a number of different fuels
6 and has sufficient redundancy in generation capacity, it can offset the reduced
7 availability of one constrained fuel by generating sufficient electricity using
8 other fuels.

9 **Q. Does diversity in fuel transportation and delivery methods and routes**
10 **also improve system reliability?**

11 A. Yes. The ability of a generating system that relies on only one fuel
12 transportation and delivery method and route to serve its customers can be
13 severely impaired by delays or interruptions in the transportation and delivery
14 of that single fuel to the generating plants. As explained by Mr. Schwartz,
15 diversity in transportation and delivery methods and routes enables a utility to
16 mitigate the effects of such interruptions and delays by fully utilizing other
17 transportation channels that remain unaffected until transportation problems
18 are resolved.

19
20 Because different fuels usually originate from different geographical areas and
21 are transported and delivered via different methods and routes, having a fuel
22 diverse generation system helps mitigate the effect of problems related to
23 transportation and delivery, as well as production.

1 **Q. Does diversity, not just in fuel type, but in generation technology also**
2 **improve reliability?**

3 A. Yes. Occasionally, equipment design or manufacturing problems manifest
4 themselves in the form of systematic failure of the same part in a number of
5 generating plants that utilize the same part design, or those plants that use
6 parts produced in the same production batch. Having diversity in generation
7 technology is also important because if a generic equipment problem occurs, it
8 would affect a smaller portion of a utility's generation portfolio, making it
9 easier for the utility to mitigate the effect of that problem without adversely
10 affecting service to its customers. Because generating units that use different
11 fuels usually also use different technologies, a fuel diverse system also helps
12 mitigate the effect of equipment problems that affect one specific type of
13 generation technology, such as for example, gas turbines.

14 **Q. Which of the reliability benefits attributed to fuel diversity that you have**
15 **discussed are applicable to the proposed addition of FGPP?**

16 A. All of the benefits I have described above are applicable to the addition of
17 FGPP. Adding 1,960 MW of advanced technology coal generation to FPL's
18 system will reduce reliance on natural gas and will enable FPL to more
19 effectively offset decreases in natural gas supply because factors that could
20 affect gas production and transportation would not affect coal. For example,
21 the coal to be used in FGPP will largely be produced in Central Appalachia,
22 South America, and other coal sourcing areas of the world that are well
23 removed from the Gulf of Mexico, where most of the natural gas delivered to

1 FPL is currently produced. In addition, coal will be transported via ship and
2 rail, instead of pipeline, so most events that would affect gas transportation are
3 unlikely to affect coal transportation. Also, the technology to be used in
4 FGPP will be different from that used in most of FPL's gas-fueled units, so
5 technical problems that may affect the gas units are less likely to affect FGPP.

6 **Q. Does FGPP provide additional reliability benefits?**

7 A. Yes. Because, unlike natural gas, coal and petroleum coke can be
8 economically stored in significant quantities at the plant site, the addition of
9 FGPP will enable FPL to maintain up to a 60-day inventory of coal and
10 petroleum coke to mitigate the effect of solid fuel transportation delays or
11 interruptions. As explained by Mr. Yupp, if FPL were to add the capability to
12 maintain a similar (60-day supply for 1,960 MW of generation) inventory of
13 natural gas in the form of liquefied natural gas ("LNG") at the plant site, the
14 cost to build, operate and maintain this LNG storage facility, including
15 working capital, would be in excess of \$1.4 billion (CPVRR). Similarly, if
16 instead of natural gas inventory capability FPL were to add comparably sized
17 fuel oil inventory capability, the cost to build, operate and maintain this fuel
18 oil storage facility, including working capital, would be about \$1.5 billion
19 (CPVRR). These costs are not reflected in the economic analysis results
20 presented in Document No. RS-3; however, they are reflected in the adjusted
21 results presented in Document No. RS-4.

1 In addition, as discussed by Mr. Schwartz in his testimony, because the
2 reserves of coal in the U.S. are so large, fuel supply that meets the
3 specifications required by FGPP, from secure, domestic sources, is assured for
4 the entire operating life of the plant.

5 **Q. Does fuel diversity offer value other than increased reliability?**

6 A. Yes. This point is discussed by Mr. Yupp and Mr. Schwartz in their
7 testimonies. Fuel diversity helps mitigate the effects of price volatility in one
8 or two fuels on the price of electricity. For example, if a utility relies solely
9 on natural gas to produce all the electricity needed by its customers, any
10 increase or decrease in the market price of natural gas would translate into a
11 direct and comparable increase or decrease in the cost of electricity. Because
12 natural gas prices are projected to be volatile in the future, electricity
13 customers would be subject to significant volatility in the future cost of
14 electricity. Recent history has demonstrated just how volatile natural gas
15 prices can be. Because the prices of coal and nuclear fuel are relatively stable,
16 and because changes in these fuels are not directly linked to changes in the
17 prices of natural gas and fuel oil, having a fuel diverse portfolio that includes
18 significant contributions from coal (as would be the case with the addition of
19 FGPP) and nuclear fuel helps dampen the effect of volatility in natural gas
20 prices. In addition, as explained by Mr. Schwartz, FPL's plan to maintain
21 access to both domestic and foreign supplies of coal will provide additional
22 fuel diversity benefits. For these reasons, as Mr. Yupp and Mr. Schwartz

1 conclude, the addition of FGPP will help dampen the volatility in system fuel
2 costs and make the cost of electricity more stable and predictable.

3

4 **SECTION 4 – EVALUATION OF TECHNOLOGY ALTERNATIVES**

5

6 **Q. What technologies that do not utilize natural gas did FPL evaluate, and**
7 **what were the results of those evaluations?**

8 A. FPL evaluated PC technology, CFB technology, IGCC technology, and
9 USCPC technology. The testimonies of Mr. Hicks and Mr. Yeager describe
10 these four technologies.

11

12 FPL conducted three separate evaluations of these four technologies. The first
13 evaluation was completed in early 2005. As explained in Mr. Hicks'
14 testimony, the results of that evaluation indicated that USCPC would provide
15 the greatest benefit to FPL's customers of the four technologies considered.

16

17 The second evaluation consisted of a technical and economic analysis
18 performed by Black and Veatch jointly with FPL. The testimony of Mr. Hicks
19 explains that the analysis confirms that advanced technology coal is the best
20 alternative to maintain fuel diversity in FPL's system beginning by 2013.

21

22 The third evaluation was an economic analysis performed by FPL in
23 December, 2006 after the cost estimates and operating characteristics of FGPP

1 were fully developed. As explained in Dr. Sim's testimony, the results of this
2 analysis show that the USCPC selected for FGPP is less costly than the other
3 three coal-fueled technologies.

4 **Q. What has FPL concluded from these evaluations regarding these**
5 **technology alternatives?**

6 A. Based on the results of these evaluations of technology alternatives, FPL has
7 concluded that advanced technology coal at FGPP is by far the best choice to
8 preserve fuel diversity and meet FPL's generation capacity needs by 2013 and
9 through 2014. Mr. Jenkins has independently reached the same conclusion.

10

11 Among other statements regarding IGCC, Mr. Jenkins makes the point that
12 IGCC units that will incorporate design enhancements intended to improve the
13 availability of IGCC technology to a level comparable to that of the USCPC
14 technology selected for FGPP will not be placed into service until the 2011-
15 2013 timeframe, so that it will be six to eight years from now (allowing for
16 start-up and initial operation) before we see whether IGCC reliability can be
17 improved to levels greater than 85%. This means that if a utility chooses to
18 wait until the higher level of availability for IGCC is proven, by 2013 at the
19 earliest, before it initiates its process to add to IGCC technology, it could not
20 place an IGCC unit in commercial operation until after 2017.

1 **SECTION 5 – COMPARISON OF FPL’S RESOURCE PLAN WITH COAL**
2 **(FGPP) TO A RESOURCE PLAN WITHOUT COAL**

3

4 **Q. Did FPL perform an economic analysis to estimate the difference between**
5 **the cost to customers that would result from adding FGPP by 2013 and**
6 **2014, versus that resulting from adding natural gas-fueled generation**
7 **starting in 2012?**

8 A. Yes. FPL calculated the estimated cost, in cumulative net present value
9 revenue requirements (“CPVRR”), associated with a resource plan that
10 includes the addition of FGPP, the Fuel Diversity Resource Plan with Coal,
11 and compared that cost to a resource plan that included no coal-fueled
12 generation capacity additions, the Resource Plan without Coal. In this
13 analysis FPL considered sixteen different scenarios that utilized four different
14 fuel price forecasts and four different environmental compliance cost
15 projections. Dr. Sim explains this comparative economic analysis in his
16 testimony.

17 **Q. Why did FPL see the need to conduct the cost comparison under different**
18 **scenarios?**

19 A. Because the relative cost of the Plan with Coal compared to that of the Plan
20 without Coal is primarily determined by the future cost differential between
21 coal and natural gas and the difference in the cost of complying with future
22 environmental requirements, both of which are highly uncertain. FPL
23 performed the scenario analysis in order to identify under what circumstances

1 implementing the Fuel Diverse Resource Plan with Coal could be more or less
2 economic than an Resource Plan without Coal.

3 **Q. Why has a similar scenario analysis not been included in prior need**
4 **determination filings?**

5 A. Because it was not necessary. Previous need determination filings reported
6 the results of comparative cost analyses between alternative resource plans
7 constructed from FPL proposed additions and proposals submitted in response
8 to FPL's requests for proposals that included only natural gas generation
9 additions. In these analyses the differentials between the various alternative
10 resource plans were not significantly affected by changes in future fuel costs
11 or in future environmental compliance costs because all plans would be
12 affected equally.

13 **Q. Why did FPL elect to perform the economic analysis using four different**
14 **fuel price forecasts?**

15 A. Because, as explained by Mr. Yupp, there is significant uncertainty regarding
16 the future cost of natural gas, and because the differential between the future
17 cost of coal and petroleum coke, which would be used in FGPP, and that of
18 natural gas is a key variable in determining the relative cost of adding coal
19 generation compared to adding only natural gas-fueled generation. As Mr.
20 Yupp states in his testimony, FPL utilized four different forecasts of the future
21 price differential between coal and natural gas to ensure that the economic
22 analysis considered a wide range of reasonable future fuel price outcomes.

1 **Q. Why did FPL elect to perform the economic analysis using four different**
2 **environmental compliance cost projections?**

3 A. Because, as explained by Mr. Kosky, there is significant uncertainty regarding
4 the environmental regulations that may be enacted and applied to generating
5 facilities in the future, and the compliance costs that those regulations could
6 impose on FGPP, compared to a natural gas-fueled plant.

7 **Q. What were the results of FPL's comparative economic analysis?**

8 A. In 7 scenarios that generally reflect a wider fuel price differential between
9 natural gas and coal and/or moderate environmental compliance costs, the
10 Plan with Coal, which reflects the addition of FGPP results in lower costs
11 (CPVRR) than would the plan without Coal. Conversely, in the 9 scenarios
12 that generally reflect a narrower fuel price differential between natural gas and
13 coal and/or higher environmental compliance costs, the Plan with Coal results
14 in higher costs than the Plan without Coal. These results are presented in
15 Document No. RS-3.

16 **Q. In your view, are all sixteen scenarios equally likely?**

17 A. No. As Mr. Yupp explains, if future environmental regulations were to
18 impose a greater compliance cost on coal-fueled generating plants than on
19 gas-fueled plants, the amount of gas-fueled generation would likely increase
20 to avoid the higher compliance cost of coal generation, and demand for
21 natural gas would be expected to increase, while the relative demand for coal
22 would be expected to decrease. Such an increase in gas demand and
23 concurrent decrease in coal demand should cause the price differential

1 between natural gas and coal to widen in the future. Therefore, other things
2 being equal, those scenarios that exhibit high environmental compliance costs
3 and narrow fuel price differentials would be less likely to occur.

4 **Q. Do the results presented in Document No. RS-3 reflect the cost associated**
5 **with developing and maintaining an equivalent 60-day fuel inventory**
6 **capability for both FGPP and an alternate gas-fueled addition?**

7 A. No. Only the cost associated with developing and maintaining a 60-day coal
8 inventory capability for FGPP is reflected in the results presented in
9 Document No. RS-3.

10 **Q. How would the results presented in Document No. RS-3 change if the cost**
11 **associated with developing and maintaining a 60-day LNG inventory**
12 **capability at the site of a gas-fueled plant were included in the analysis?**

13 A. As presented in Document No. RS-4, when Mr. Yupp's LNG inventory cost
14 estimate of about \$1.4 billion (CPVRR) is applied, the cost of the Plan with
15 Coal is lower in 10 of the 16 scenarios. Under the 6 scenarios with generally
16 lower fuel price differential and/or higher environmental compliance costs, the
17 results indicate that the Plan without Coal would have a lower cost. However,
18 as stated above, in FPL's view, several scenarios that combine the narrowest
19 fuel price differential and highest compliance cost assumptions and yield the
20 least favorable results for the Plan with Coal, are unlikely to occur.

1 **Q. How does FPL interpret the results presented in Documents No. RS-3 and**
2 **RS-4?**

3 A. The key conclusion from the results presented in Documents No. RS-3 and
4 RS-4 is that the actual economic outcome of adding FGPP, compared to what
5 it would have been had FPL added gas-fueled generation instead of FGPP,
6 will depend largely on the future differential between the delivered cost of
7 natural gas and that of coal, and on the future cost of complying with currently
8 unknown environmental requirements. Therefore, the actual economic
9 outcome is highly uncertain. However, the results also indicate that under a
10 significant number of the scenarios considered in the analysis the aggregate
11 FPL system economic outcome would favor the addition of FGPP, especially
12 when one considers the cost that would be incurred to develop and maintain a
13 comparable fuel inventory capability in both resource plans. In addition,
14 because as explained above, FPL believes that some of the unfavorable
15 scenarios are less likely to occur, it has given them less weight in making its
16 decision to add FGPP.

17 **Q. Does that mean that FPL is certain that the addition of FGPP by 2013**
18 **will result in lower costs than would adding gas-fueled generation?**

19 A. No. Within a possible range of fuel price and environmental compliance
20 outcomes, FGPP might not prove to be lowest cost alternative based on the
21 conventional metrics used to reach that determination. In other words, if the
22 Commission grants a determination of need for FGPP, it should not be
23 predicated on an assumption or finding that these units are projected, or will

1 prove, to be the lowest cost resource options available under all future
2 circumstances. Given the uncertainties in the primary cost drivers that I refer
3 to above and which are discussed in more detail by other FPL witnesses, such
4 a conclusion is simply indeterminable with any degree of precision at this
5 time. Rather, the reason for FPL's proposal to undertake the addition of
6 FGPP at this time, and the basis for the Commission's decision to grant a
7 determination is that adding FGPP is the best alternative for FPL's customers
8 because it will cost-effectively maintain fuel diversity in FPL's generation
9 portfolio beginning by 2013, which will also provide greater system reliability
10 and help dampen the effect of volatility in natural gas prices. Adding only
11 gas-fueled generation will not achieve these objectives.

12

13 The importance of applying this portfolio fuel diversity criterion to a decision
14 regarding the fuel to be used in future generation additions is reinforced when
15 one considers that, as explained in Section 2 of this testimony, what FPL is
16 proposing in this proceeding is to add 1,960 MW of coal-fired generation to a
17 portfolio of owned and purchased capacity that, even with the addition of
18 FGPP will likely have by 2016 about 22,800 MW of oil and natural gas-fueled
19 generation, compared to about 3,400 MW of coal-fueled generation.

20

21 Without FGPP, by 2016 FPL would likely have more than 24,700 MW of oil
22 and natural gas-fueled generation and less than 1,500 MW of coal generation,

1 and natural gas would be used to generate about 71% of all electricity
2 delivered to FPL's customers.

3 **Q. If actual fuel and compliance costs in the future are such that FGPP is**
4 **determined to be less cost-effective than if natural gas-fired generation**
5 **had been added in its place, will the Company or the Commission have**
6 **made the wrong decision in pursuing the construction of FGPP?**

7 A. No, absolutely not. It must be recognized that decisions today must be made
8 in the absence of perfect knowledge, based instead on the overall assessment
9 of risks and policy considerations, including the need to promote fuel diversity
10 as part of FPL's generating portfolio. For the reasons I have discussed above,
11 and described more fully by other FPL witnesses, the Company believes that
12 the risks to customers of not pursuing the addition of FGPP at this time are
13 greater than the risks of pursuing this project. It is possible that at some point
14 in the future someone may determine, with perfect hindsight, that adding
15 FGPP resulted in a higher cost up to that point than would have been the case
16 had gas-fueled generation been added instead. However, that possibility
17 should not be the basis for the decision that must be made now, nor should it
18 be the basis, if it does come to pass, for questioning in retrospect the
19 appropriateness of today's decision. A Commission decision to approve a
20 determination of need for FGPP would require a finding, whether implicit or
21 explicit, that the potential for higher actual costs of FGPP is more than offset
22 by the benefits that such addition provides to FPL's customers, including
23 lower fuel cost volatility and greater system reliability, and the risks and costs

1 associated with not moving forward today in an effort to preserve fuel
2 diversity.

3

4 **SECTION 6 – KEY AREAS OF UNCERTAINTY**

5

6 **Q. What are some of the key areas of uncertainty that could affect FPL's**
7 **ability to place FGPP in commercial operation by 2013 and 2014?**

8 A. There is uncertainty regarding the date by which FPL will obtain a final, non-
9 appealable Site Certification for FGPP. According to the requirements of the
10 Florida Power Plant Siting Act, after the Commission grants a determination
11 of need for FGPP, a Site Certification from the Siting Board made up of the
12 Governor and members of the Cabinet and an Air Emissions Permit issued by
13 the Florida Department of Environmental Protection ("FDEP") will be
14 required before construction can commence. The process to obtain these
15 approvals for FGPP likely will be contentious and, as a result, both the timing
16 for completing the process and the outcome are uncertain. If a final Site
17 Certification, with acceptable terms, for FGPP is delayed beyond the first
18 quarter of 2008, or if any governmental agency were to impose restrictions
19 that hinder the construction process, the in-service date of one or both of the
20 FGPP units could change.

1 There is also uncertainty regarding the construction schedule that could cause
2 the in-service date of FGPP to change. Mr. Yeager discusses construction
3 schedule uncertainties.

4 **Q. Is there uncertainty regarding FPL's ability to complete FGPP or place it**
5 **in commercial operation?**

6 A. Yes. There is uncertainty regarding the final outcome of FPL's Site
7 Certification Application for FGPP, as well as actions that may be taken by
8 other government agencies that could prevent FPL from completing FGPP. If
9 a final Site Certification is not granted, or if the conditions imposed on the
10 Site Certification are not acceptable, or if any government agency imposes
11 restrictions that block the construction process, FPL would not be able to
12 proceed with construction of FGPP. Further, if any government agency were
13 to prevent FPL from performing any aspect of the plant's operation, FGPP
14 could not be placed in commercial operation, even after having incurred
15 significant costs.

16 **Q. Have any of these factors prevented the construction of other generating**
17 **facilities?**

18 A. Yes. For example, subsequent to FPL receiving Commission approval to
19 proceed with a plan to modify the boilers at its existing Manatee Units 1 and 2
20 and add emission control equipment to enable it to utilize a much less costly
21 fuel – Orimulsion – in order to reduce FPL's use of fuel oil and decrease fuel
22 costs, the Siting Board twice rejected FPL's application for Site Certification

1 in spite of a very positive recommendation in favor of granting the Site
2 Certification from the Administrative Law Judge who conducted the hearing.

3 **Q. What are key areas of uncertainty that affect the relative cost to the**
4 **customer of adding FGPP, compared to adding a different type of**
5 **generation technology, such as gas-fueled combined cycle units, that do**
6 **not contribute to fuel diversity?**

7 A. Key areas of uncertainty relate to: (1) the future fuel price differential between
8 natural gas and coal; (2) the ability to transport and deliver coal to FGPP at
9 reasonable costs from diverse sources of coal; (3) costs of compliance with
10 future environmental requirements or unanticipated Site Certification
11 conditions; and (4) the actual capital cost and schedule of and completing
12 FGPP and placing it in commercial operation.

13 **Q. How does uncertainty in the future fuel price differential between natural**
14 **gas and coal affect the economics of FGPP relative to those of a gas-fueled**
15 **addition?**

16 A. The capital and operation and maintenance ("O&M") costs of FGPP will be
17 greater than those of a similarly sized gas-fueled generating plant. A
18 sufficiently large price differential between natural gas and coal would help
19 offset the capital and O&M cost differential. However, it is not possible to
20 know today, or even tomorrow, what the fuel price differential will be during
21 the forty-year life of FGPP. If the future fuel price differential is sufficiently
22 large, then adding FGPP would result in lower costs to FPL's customers than
23 adding natural gas-fired generation. Conversely, if the future actual fuel price

1 differential is not large, then, in retrospect, it could be determined that having
2 added FGPP resulted in higher costs than would have been incurred by adding
3 gas-fueled generation. This possible outcome is shown in the economic
4 analysis results presented in Document No. RS-3 for some of the scenarios
5 FPL evaluated.

6 **Q. How does uncertainty regarding FPL's ability to transport and deliver**
7 **coal at reasonable costs from diverse coal sources affect the economics of**
8 **FGPP relative to those of a gas-fueled addition?**

9 A. The cost of adding FGPP will depend, in part, on FPL's future access to
10 diverse and competing sources of coal and petroleum coke, as well as
11 competitively priced transportation and delivery of the fuels from those
12 sources to the plant. This will require that FPL have access to coal and
13 petroleum coke import facilities for receipt of fuel transported by water from
14 foreign and domestic sources, as well as competitively priced rail
15 transportation and delivery from the import facilities, as well as from domestic
16 fuel sources, to the plant. As discussed in the testimony of Mr. Schwartz, FPL
17 is evaluating a number of potential commercial arrangements to ensure that
18 FPL will have the necessary access to import facilities. FPL is also involved
19 in negotiations to obtain the necessary rail transportation services. As
20 indicated by Mr. Schwartz, for the purpose of the economic analysis, the
21 results of which are presented in Document No. RS-3, FPL has assumed a
22 market based rate for accessing throughput capacity through an import
23 terminal. However, until FPL finalizes contractual agreements to ensure

1 access to import facilities and rail transportation services, there will be
2 uncertainty regarding the delivered cost of coal and petroleum coke to FGPP,
3 which in turn affects the comparative economics between adding FGPP or, in
4 the alternate, adding gas-fueled generation.

5 **Q. How does uncertainty regarding the costs of compliance with future**
6 **environmental requirements or with conditions imposed as part of the**
7 **Site Certification affect the economics of FGPP relative to those of a gas-**
8 **fueled addition?**

9 A. The results of FPL's economic analysis of FGPP indicate that the cost of
10 complying with all currently known environmental requirements that would
11 be applicable in 2012 and later years would not, in itself, make the addition of
12 FGPP more costly than adding gas-fueled generation. However, there is
13 significant uncertainty regarding what additional requirements may be
14 imposed by future legislation or regulation, especially regarding emissions of
15 sulfur dioxide (SO₂), nitrogen oxides (NO_x), mercury (Hg) and carbon
16 dioxide (CO₂). Complying with potential future additional requirements
17 regarding these substances could involve installing and operating additional
18 control equipment, or purchasing emission allowances, or paying a tax, or
19 paying more for fuel, or a combination of some or all of these measures.
20 Neither the requirements nor the resulting compliance costs, all of which
21 would be part of the cost of electricity borne by FPL's customers, may be
22 known until after construction of FGPP has begun, or possibly until after
23 FGPP has been placed in commercial operation. Furthermore, the cost of

1 compliance with such unknown future requirements could be very large.
2 Consequently, the absolute economic outcome of adding FGPP will simply
3 not be knowable until well after the units have been in operation. The results
4 of FPL's economic analysis (Documents No. RS-3 and RS-4) illustrate this
5 point, showing that in some environmental compliance scenarios the cost of
6 adding FGPP could be significantly lower than that of adding gas-fueled
7 generation, while in other scenarios the cost of adding FGPP could be
8 significantly greater.

9

10 Similarly, the adoption by the Siting Board of unanticipated conditions as part
11 of the Site Certification could impose additional capital or O&M costs on
12 FGPP. Such conditions and associated costs were not specifically modeled
13 because it is not possible to know at this point what conditions may be
14 adopted.

15 **Q. How is uncertainty regarding the actual capital cost of FGPP different**
16 **from that associated with the capital cost of gas-fueled additions?**

17 A. Mr. Yeager explains the factors that could cause the cost of FGPP to be higher
18 than projected and why the level of uncertainty is greater than that associated
19 with the capital cost of recent gas-fueled combined cycle unit additions. One
20 reason he notes for this higher level of uncertainty is that there is a much
21 longer lead time required – more than five and a half years from the date of
22 this need filing - for development, permitting and construction of the first
23 FGPP unit, compared to just over three years for gas-fueled units, and a

1 correspondingly greater opportunity for changes in the cost of equipment,
2 labor and materials to occur. Another reason noted by Mr. Yeager is that,
3 because of high market demand for certain equipment and services related to
4 FGPP, and the market uncertainty with regard to the costs of certain inputs
5 over which neither FPL nor suppliers have control, suppliers are not willing to
6 sign fixed price contracts for such equipment and services. Thus, a portion of
7 the costs will need to be indexed. FPL has included such mechanisms in its
8 overall projected cost estimate for FGPP. Mr. Yeager describes the indexing
9 mechanisms and explains how they may affect the cost of FGPP.

10
11 **SECTION 7 – BASIS FOR DETERMINATION OF NEED**

12
13 **Q. Recognizing key areas of uncertainty discussed in Section 6, and in view**
14 **of the potential range of results demonstrated by the economic analysis**
15 **results presented in Section 5, what should be the basis for the**
16 **Commission granting a determination of need for FGPP?**

17 **A.** There are two principal findings that I believe support the addition of FGPP,
18 one is that the addition of FGPP is needed to maintain system reliability and
19 the other is that the addition of FGPP will help FPL provide electricity at
20 reasonable costs. Both of these findings are related to maintaining fuel
21 diversity. However, there are other important findings that the Commission
22 should make in connection with the determination of need in light of the
23 uncertainties I have noted as well as the magnitude of the investment required

1 for FGPP. Those findings relate to the prudence of the decision to construct
2 FGPP, the need for annual reviews by the Commission to determine the
3 prudence of actual costs and the continued feasibility of FGPP, the means by
4 which the costs of FGPP would be recovered in future rates, and,
5 alternatively, how costs would be recovered in the event FGPP were later
6 cancelled. I discuss these points below in Section 8 of my testimony. I will
7 focus first on the reasons in support of the first two findings relative to fuel
8 diversity.

9
10 The addition of the 1,960 MW of coal-fueled generation, to be provided by
11 FGPP beginning by 2013 and through 2014, is needed in order to maintain
12 reliability of service in FPL's system because:

- 13 a) The addition of the 1,960 MW of coal-based generation is needed to
14 maintain fuel diversity in FPL's system beginning by 2013, in part, by
15 offsetting the anticipated 1,312 MW reduction in existing coal-based
16 generation in FPL's system that will occur between 2010 and 2016; and
17 b) The addition of 1,960 MW of generation capacity is needed for FPL
18 to meet its 20% reserve margin reliability criterion by 2013 and through
19 2014.

20 As stated in Section 3 of my testimony, the primary benefit of fuel diversity is
21 system reliability. An electric system that relies on a single fuel and a single
22 technology to generate all the electricity needed to meet its customers'
23 demand is, all else equal, less reliable than a system that uses a balanced, fuel-

1 diverse generation portfolio. The importance of fuel diversity has been
2 recognized in House Bill 888, which was signed into law on June 18, 2006.
3 While FPL has always considered fuel diversity in its resource planning
4 process and this Commission has always taken fuel diversity into account in
5 approving new generation additions, Bill 888 amended Section 403.519,
6 Florida Statutes, and now requires this Commission to explicitly consider “the
7 need for fuel diversity and supply reliability” when making its determination
8 of need for new generating capacity.

9
10 By helping FPL maintain a balanced, fuel diverse portfolio, the addition of
11 FGPP will enable FPL to be better positioned to offset future interruptions in
12 natural gas supply. Because the fuel for FGPP will be sourced at different
13 geographical areas and will be transported by different routes and methods
14 than those used for natural gas, the addition of FGPP will help mitigate the
15 effects of problems related to production, fuel transportation and delivery.
16 Because FGPP will use a different technology from that of the majority of
17 recent generation additions to FPL’s system, its addition will help mitigate the
18 effect of generic equipment problems. Also, because, unlike natural gas, coal
19 and petroleum coke can be economically stored in large quantities at the plant
20 site, the addition of FGPP will enable FPL to maintain ample inventories to
21 mitigate the effect of fuel supply interruptions. Mr. Yupp presents an estimate
22 of the costs of maintaining similar inventories of LNG and fuel oil.

1 Without the addition of FGPP, the reliability benefits of fuel diversity in
2 FPL's system will be greatly diminished. As stated in Section 2, without this
3 addition, by 2016 FPL would utilize natural gas to provide 71% of the
4 electricity delivered to its customers, while the contribution from coal would
5 plummet to a mere 7%.

6

7 The Commission also should find that the addition of FGPP is needed for FPL
8 to continue to provide electric service at reasonable costs because the fuel
9 diversity contribution that FGPP provides would help FPL mitigate the effect
10 of increases in the market price of natural gas on the cost of electricity. It
11 should be noted that if, on the other hand, natural gas prices were to decrease,
12 because FPL will continue to utilize very large quantities of natural gas even
13 after the addition of FGPP, FPL's customers would still benefit greatly from
14 favorable natural gas prices.

15

16 These effects are illustrated in Document No. RS-5. The difference in height
17 between the two bars in each pair shows the difference between the cost
18 (CPVRR) of the Plan with Coal on the left and that of the Plan without Coal
19 on the right for each of the four fuel price differential forecasts under
20 environmental compliance cost case A.

21

22 The fuel price differential is widest for the pair on the far left, driven by high
23 gas prices, and it narrows progressively to the right, reflecting lower gas

1 prices. In the three cases on the left that have a greater fuel price differential,
2 the Plan with Coal has a lower cost than the Plan without Coal; and the greater
3 the fuel price differential the greater the benefit provided by the addition of
4 FGPP. At the same time, the greater the price differential, the higher the total
5 cost to the customers under both plans, because of the high cost of natural gas.
6 In other words, when gas prices are at their highest so that total system costs
7 are at their highest and customers need the most relief is when the benefit of
8 the addition of FGPP is the greatest.

9
10 In the case at the extreme right, which reflects a narrow fuel price differential
11 due to low gas prices, the Plan with Coal shows a higher cost than the Plan
12 without Coal. But the total cost to the customers is also at the lowest point.
13 The customers are far better off in this case under both Plans, and although the
14 Plan without Coal offers some advantage in this case, the Plan with Coal also
15 captures most of the advantage of the lower gas price. Moreover, because it is
16 not known what the future fuel price differential will be, it is better to have a
17 fuel-diverse portfolio with the addition of FGPP that will protect the
18 customers when gas prices are high and capture most of the benefit when gas
19 prices are low, than gamble that gas prices will always be low.

20
21 For these reasons, and because the addition of FGPP is the best, most cost-
22 effective alternative to maintain fuel diversity starting by 2013, and meet
23 FPL's resource need by 2013 and through 2014, FPL requests that the

1 Commission grant an affirmative determination of need for the addition of
2 FGPP.

3

4 **SECTION 8 – REQUEST FOR RATEMAKING TREATMENT AND**
5 **PROPOSAL FOR ANNUAL REVIEW**

6

7 **Q. Please explain why it is appropriate and necessary that the Commission**
8 **explicitly address the prudence of the decision to construct FGPP,**
9 **establish an annual review process for FGPP, and to address other cost-**
10 **recovery issues as part of this need determination process for FGPP.**

11 **A.** Because of the magnitude of the financial commitment that FPL and its
12 customers will need to make to add FGPP to FPL's generation portfolio
13 (\$5,700 million), the lead time required to complete construction and place
14 FGPP in-service, the significant public policy issues associated with the
15 choice of fuel for FGPP, and the risks associated with this capacity addition,
16 as described in the discussions regarding key areas of uncertainty, prior to
17 undertaking this project and in connection with this request for a
18 determination of need for FGPP, FPL is requesting a determination from the
19 Commission relative to the prudence of FGPP and the means by which the
20 costs of FGPP would be reflected in future rates, including the establishment
21 of an annual review process by which the prudence of actual costs incurred
22 and the continued feasibility of the plant would be determined.

1 **Q. Specifically, what findings does FPL request the Commission include in**
2 **its need order for FGPP?**

3 A. FPL requests that upon granting a determination of need the Commission
4 explicitly find: (a) that the decision to add FGPP has been determined to be
5 reasonable and prudent; (b) that the projected installed costs of FGPP and the
6 associated facilities described in FPL's filing are reasonable and prudent; (c)
7 that, as explained below, the Commission will annually review actual and
8 projected costs of FGPP and the associated facilities and make a
9 determination of the prudence of actual costs incurred, as well as determine
10 the continued feasibility of the project; (d) that after FGPP is placed in
11 service, all prudently incurred capital and O&M costs related to FGPP,
12 including but not limited to costs of siting, licensing, engineering, design,
13 equipment, construction and operation and maintenance of the plant and
14 associated facilities, except those costs recovered through cost recovery
15 clauses, shall be recovered through base rates, utilizing the Generation Base
16 Rate Adjustment ("GBRA") mechanism if the current base rate agreement is
17 in effect, or, if it is not, through new based rates or a new GBRA mechanism
18 set through a future base rate case; (e) that environmental compliance costs
19 related to FGPP incurred due to existing or future environmental
20 requirements, including but not limited to, a carbon tax, shall be deemed to be
21 prudent and recovered on an incremental basis through the Environmental
22 Cost Recovery Clause (ECRC), or similar means; and (f) that if FPL is
23 precluded from completing construction of FGPP, or if the Commission

1 determines that construction should not be continued, all prudently incurred
 2 costs, including carrying costs, associated with FGPP shall be accumulated
 3 and recovered over a five-year period beginning when new base rates next go
 4 into effect.

5 **Q. How will the addition of FGPP impact customers' bills?**

6 A. While the capital costs of FGPP are high relative to comparably sized gas-
 7 fired generating units, these capital costs are offset to a large extent by fuel
 8 savings. For example, the estimated net effect on a residential 1,000 kilowatt-
 9 hour ("kWh") monthly bill for both FGPP units is ~~\$3.96~~^{\$3.63} under a relatively
 10 conservative scenario using projections from the lower half of the range of
 11 fuel price differential forecasts utilized in the analysis. The estimated increase
 12 in the 1,000 kWh residential base bill for the first year revenue requirements
 13 for both FGPP units is \$9.41, and the corresponding projected fuel savings for
 14 both units as described above, compared to not adding FGPP or any new
 15 generation, is ~~\$5.45~~^{\$5.78} for a net effect of ~~\$3.96~~^{\$3.63}.

16 **Q. If a determination of need is granted not only because of the fuel diversity
 17 and system reliability benefits of FGPP, but also based on favorable
 18 expectations regarding the key areas of uncertainty discussed in your
 19 testimony, how can FPL's customers be protected if those factors change
 20 in a manner such that FGPP would impose a large economic burden on
 21 FPL's customers?**

22 A. After a need determination is granted, FPL will continue to evaluate factors
 23 that affect the cost and viability of FGPP. FPL proposes to annually present

1 to the Commission a report that presents actual and projected costs for the
2 project and explains any changes in the projected cost and requests that the
3 Commission conduct annual reviews of the prudence of actual FGPP costs
4 until the project is completed. Within this same review, the Commission
5 would assess the continued feasibility of the project.

6 **Q. Please describe this review process further.**

7 A. This annual review process will be particularly beneficial to the Commission
8 and customers given the magnitude of the project and the dynamic nature of
9 circumstances and market conditions upon which a decision to proceed with
10 the Project is predicated, in essence giving the Commission and interested
11 parties a “real time” ability to review the continued feasibility of the Project.

12
13 Further, an annual review and prudence determination of the Project costs will
14 allow for more timely review than has been typical in past prudence
15 determinations, i.e., closer in time to the actual expenditures, thus allowing a
16 greater opportunity to consider the reasonableness and prudence of actual
17 costs incurred. Annually, FPL will furnish forecasted costs as well as actual
18 costs incurred, providing detailed justifications of such costs, allowing an
19 assessment of the continued cost-effectiveness and need for FGPP. Such
20 information would include a list of all contracts executed in excess of \$1
21 million, including the value, term and method of vendor selection for such
22 contracts. In addition, Staff would have continual access, through its audit
23 function, of key information and documentation supporting the project.

SECTION 9 – ADVERSE CONSEQUENCES

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

Q. Would there be any adverse consequences to FPL and its customers if the Commission were not to grant an affirmative determination of need for FGPP in this proceeding?

A. Yes. If a determination of need for FGPP were not granted in this proceeding, FPL's customers would face significant adverse consequences related primarily to reduced system reliability due to significantly lower fuel diversity. As indicated in Document No. RS-2, without the addition of FGPP FPL's reliance on natural gas would rise to 71% in 2016. This would make it much more difficult to mitigate the effect of a significant interruption in natural gas supplies on FPL's ability to meet the electricity needs of its customers. In addition, if a determination of need for FGPP is not granted, other Florida utilities may be less likely to pursue coal generation. As a consequence, not only FPL but the entire State of Florida may become over dependent on natural gas for the generation of electricity.

From an economic perspective, greater reliance on natural gas is expected to result in higher electricity costs and greater volatility in the cost of electricity. Greater use of natural gas in Florida will contribute to higher natural gas prices, and because a greater portion of electricity would be generated using natural gas (71% in FPL's system by 2016), the price of electricity would be more directly affected by the rising price of natural gas. Similarly, any

1 volatility in natural gas prices will translate very directly in volatility in the
2 price of electricity.

3
4 If, on the other hand, FGPP is added to FPL's system, because FPL would
5 continue to utilize very large quantities of natural gas, FPL's customers would
6 still benefit greatly if the price of natural gas decreases. In other words, there
7 will be more than sufficient natural gas generation in FPL's portfolio to
8 capture most of the benefit of a possible decrease in natural gas prices in the
9 future; but without the addition of FGPP there would be far less protection for
10 FPL's customers if the price of natural gas increases. It is clear from the
11 perspective of both reliability and price volatility that the risks of not adding
12 FGPP to FPL's generation portfolio far outweigh those of adding FGPP.

13

14 TESTIMONY SUMMARY

15

16 **Q. Please summarize your testimony.**

17 **A.** FPL believes that the addition of FGPP is needed to provide reliable service at
18 reasonable cost in the future. This advanced technology coal project is the
19 most cost-effective alternative among those with a potential to contribute to
20 fuel diversity, and is in fact the only alternative that can maintain fuel
21 diversity in FPL's system by 2013.

1 Fuel diversity contributes to greater system reliability because it helps offset
2 reduced availability of one fuel, be it due to supply constraints or
3 transportation interruptions, and helps mitigate the effect of equipment
4 problems that affect one type of generation technology. The addition of FGPP
5 also contributes to system reliability by having the capability to maintain a 60-
6 day on-site fuel inventory. Fuel diversity also helps mitigate the effects of
7 price volatility in one or two fuels on the price of electricity. In FPL's system
8 the addition of FGPP provides an effective price hedge against anticipated
9 increases in the price of natural gas.

10

11 With the addition of FGPP, coal would be used to produce 18% of the
12 electricity delivered to FPL's customers, the same percent coal contributed in
13 2005. Conversely, without FGPP by 2016 coal would contribute only 7%
14 while natural gas would contribute 71%, nearly double the percent
15 contribution of natural gas in 2005. Although FPL has included renewable
16 resources and DSM as a significant part of its resource mix, and will continue
17 to encourage future renewable development and participation in DSM
18 programs, these alternatives cannot by themselves help FPL maintain a
19 balanced, fuel-diverse system.

20

21 FPL has explained that there are significant areas of uncertainty that could
22 affect the cost of adding FGPP, as there are regarding the cost of adding other
23 generation technologies by 2013. FPL's analyses have quantified the effect of

1 uncertainty regarding future fuel prices and environmental requirements. The
2 results of these analyses indicate that although the addition of FGPP will not
3 result in the lowest cost outcome under all possible circumstances, it does
4 provide an economic advantage under many scenarios, particularly when the
5 benefit of the inventory capability of FGPP is properly valued. FPL's
6 conclusion is that the addition of FGPP is the best, most cost-effective
7 alternative to maintain system reliability and provide electricity at a
8 reasonable cost; it is the right choice for FPL and its customers in this time
9 frame.

10

11 For these reasons FPL requests that the Commission grant an affirmative
12 determination of need for the addition of FGPP Units 1 and 2, beginning by
13 2013.

14

15 Because of the magnitude of the investment required to add FGPP to FPL's
16 generation portfolio, the longer lead time required to complete construction
17 and the other uncertainties and public policy issues associated with
18 completion and operation of FGPP, FPL also requests that the Commission
19 provide explicit assurances regarding the prudence of the decision to add
20 FGPP and of the projected costs, as well as the process by which prudently
21 incurred costs will be recovered. FPL also requests that the Commission
22 establish an annual review process to assess the prudence of actual costs and
23 the continuing feasibility of the project.

1 Q. Does this conclude your direct testimony?

2 A. Yes.

3

4

1 BY MR. LITCHFIELD:

2 Q Have you prepared a summary of your direct testimony,
3 Mr. Silva?

4 A Yes.

5 Q Would you please provide that at this time?

6 A Certainly.

7 Good morning, Chairman Edgar, Commissioners. Thank
8 you for giving me this opportunity to present a summary of my
9 testimony.

10 FPL's proposed addition of two advanced technology
11 coal-generating units at the FPL Glades Power Park or FGPP in
12 2013 and 2014 is necessary to maintain system reliability and
13 fuel diversity. The addition of FGPP is not only the best,
14 most cost-effective resource that can be added to FPL's
15 generation portfolio to continue to provide reliable service at
16 a reasonable cost to FPL's customers, but also the only
17 practical --

18 CHAIRMAN EDGAR: Mr. Silva, I'm sorry to interrupt
19 you, but we are having a little difficulty hearing. If you
20 could maybe pull up closer or, Mike, if you could help us with
21 that a little bit. Thank you.

22 THE WITNESS: Thank you. The only -- but it is also
23 the only practicable means to maintain fuel diversity in FPL's
24 system until at least 2018. Because of continuing increases in
25 electricity demand due primarily to growth in the number of FPL

1 customers, despite the addition of about 1,640 megawatts of new
2 demand-side management between now and 2015, without the
3 addition of FGPP, FPL's reserve margin would drop to less than
4 15 percent, much lower than the 20 percent reserve margin that
5 both FPL and the Commission have agreed is required to ensure
6 reliable service. And, of course, our demand would continue
7 beyond that point.

8 Fuel diversity is necessary in order to maintain
9 system reliability, and this Commission has taken fuel
10 diversity into account in approving new generation additions in
11 the past. As shown in my document RS-2, which is on the left,
12 the left-hand side, if you look at the right-hand pie chart,
13 without the addition of FGPP to FPL's generation portfolio, by
14 2016 natural gas and fuel oil taken together, the two fuels
15 that have become the most susceptible to supply interruptions
16 and price increases, would be used to produce more than
17 three-quarters of the electricity delivered to FPL's customers.
18 Conversely, the contribution from coal, the most plentiful fuel
19 in the United States, would be reduced from 18 percent today to
20 only 7 percent by 2016. For FPL to maintain fuel diversity
21 between 2013 and 2018 it is critical that action be taken now.

22 It is important that the Commission recognize FPL's
23 generation portfolio in its totality and the beneficial effect
24 that FGPP will have on that portfolio. Specifically, even with
25 the addition of FGPP, by 2016 FPL will have only

1 3,400 megawatts of coal-fired generation compared to more than
2 22,800 megawatts of oil and natural gas-fired generation.
3 Without FGPP there would be less than 1,500 megawatts of coal
4 generation in the system. Such an imbalanced resource
5 portfolio would make FPL's customers much more vulnerable to
6 the type of gas and oil supply interruptions and price
7 increases that have occurred in recent years and are
8 anticipated to occur again in the future.

9 FPL has evaluated renewable resources and is involved
10 in exploring wind generation and supporting research regarding
11 the potential for power generation from ocean currents. We
12 also continue to encourage existing and potential renewable
13 generators by offering flexible contract terms based on a
14 diverse portfolio of avoided units including FGPP. However, it
15 is clear from our studies that there will not be sufficient
16 renewable resources to defer the need for FGPP.

17 We've also evaluated four technologies that utilize
18 coal and petroleum coke. They include supercritical pulverized
19 coal, subcritical pulverized coal, circulating fluidized bed
20 and IGCC. The results of these evaluations clearly indicate
21 that the ultra-supercritical pulverized coal technology is by
22 far the best, most cost-effective technology to maintain fuel
23 diversity in FPL's system in this time frame, and that's the
24 technology we've adopted for FGPP.

25 We have also compared the cost of a resource plan

1 over time with FGPP included or a plan with coal to a resource
2 (phonetic) plan without coal generation under 16 different
3 scenarios that combine four different fuel price forecasts and
4 four different environmental compliance cost projections. As
5 shown on my document RS-4 on the right in blue, in ten of those
6 16 scenarios the plan with coal resulted in a lower cost than
7 the plan without coal. These results clearly indicate that in
8 a significant number of the scenarios the plan with coal which
9 maintains fuel diversity and system reliability also provides
10 the lower cost to FPL's customers.

11 The only practical alternative to FGPP to meet FPL's
12 growing resource need is more gas generation, but adding only
13 gas generation is more likely to result in higher costs and
14 presents greater uncertainties and risks than adding FGPP.
15 More to the point, it is precisely because of the uncertainty
16 regarding the future cost differential between natural gas and
17 coal and the risk of oil and gas supply interruptions that
18 maintaining a diverse fuel mix by granting determination of
19 need is essential to ensure system reliability. For these
20 reasons, FPL requests that the Commission grant an affirmative
21 determination of need for FGPP. Thank you.

22 MR. LITCHFIELD: FPL tenders Mr. Silva for
23 cross-examination.

24 CHAIRMAN EDGAR: Thank you.

25 Ms. Perdue, any questions?

1 MS. PERDUE: No.

2 CHAIRMAN EDGAR: No questions.

3 Mr. Beck.

4 MR. BECK: Thank you, Madam Chairman.

5 CROSS EXAMINATION

6 BY MR. BECK:

7 Q Good morning, Mr. Silva.

8 A Good morning.

9 Q Mr. Silva, could you turn to your Exhibit RS-3 that's
10 attached to your testimony, please?

11 A Yes.

12 Q Okay. Exhibit RS-3 shows an economic evaluation of
13 your plan with coal versus a plan without coal, does it not?

14 A That's correct. It is a partial comparison.

15 Q Okay. And your Exhibit RS-4, what you've blown up
16 behind you, in format it's the same as RS-3, but it's a
17 different analysis with different numbers, is it not?

18 A It is the same analysis with one change to make it
19 transparent to the Commission what that impact was. And the
20 change is that in RS-4 we have reflected a cost associated with
21 maintaining inventory in the form of natural gas that is equal
22 to the inventory capability that FGPP would provide in coal.
23 We felt that it was only fair to include that cost in the case
24 without coal in order to at least match the, that component of
25 fuel reliability that is offered by FGPP, and which, of course,

1 our customers would be paying for.

2 Q Okay. So is the difference between RS-3 and
3 RS-4 then that RS-4 includes a \$1.4 billion cost for a liquid
4 natural gas storage facility?

5 A That is correct.

6 Q Okay. Now let's go to RS-3, if we could, which is
7 attached to your testimony. There are four different fuel cost
8 forecasts and four different environmental compliance cost
9 forecasts, are there not?

10 A Yes.

11 Q Could you describe what the four, what each of the
12 four fuel cost forecasts are?

13 A Generally I can describe these, these differences.
14 Mr. Yupp, who is the expert witness in fuel, is the one that
15 prepared and could describe these in detail. However, what we
16 represent in these four different cases is the price
17 differential between, that is projected into the future between
18 natural gas and coal delivered to FPL.

19 It's important that we look at the price differential
20 as opposed to just looking at the forecast of gas or the
21 forecast of coal separately because it's the price differential
22 that enables the, the coal plan to provide much more economic
23 operation.

24 The -- our fuel experts developed forecasts that
25 looked at today's conditions, i.e., today's environmental

1 conditions, and projected possible ranges of fuel price
2 differentials into the, into the future. The one that's
3 labeled High is a high differential looking at the, essentially
4 a higher range of differential. If I can jump to the -- the
5 medium differential is, is kind of a status quo type of, of
6 forecast. The shock differential has inserted into it in the
7 early years a price shock short-lived of only two years, and
8 then it conforms back to the, the medium number three. And the
9 low price differential is essentially a very optimistic view of
10 very low gas prices that would narrow the gap, I guess
11 reminiscent of years gone by. And the idea of having these
12 four is not to say that any one of them is more or less
13 probable than any of the others, but simply to say all of these
14 could happen and under each of these circumstances we would
15 have a set of results that would be different from another set
16 of results driven by other circumstances over which we have no
17 control. And that was the reason why we chose scenario
18 analysis as the format for presenting these results.

19 Q So, Mr. Silva, in each of those forecasts gas is more
20 expensive than coal, is it not?

21 A Yes.

22 Q And what the different columns show is how much
23 difference there is between the price of gas and the price of
24 coal.

25 A That is correct.

1 Q Okay. You also had four different environmental
2 compliance cost forecasts?

3 A Yes.

4 Q A through D. Could you briefly describe what each of
5 those are?

6 A Yes. FPL Witness Kosky would be the right person to
7 discuss these in detail. But, again, from A to D we have
8 increasing possible constraints or requirements associated with
9 environmental emissions.

10 In the case of A, for example, it is assumed that the
11 rules will continue as they exist today or, or as they are
12 already known today that will exist in future years with no
13 speculation or, or estimation about any, any additional changes
14 beyond what has already been enacted.

15 And then as we progress to B and C and D, the major
16 difference is that there's a progressively greater cost of CO2
17 emissions that is characterized as low, moderate and high to,
18 to depict the reasonable range of possibilities that we and our
19 experts have determined logically combined with the fuel price
20 differentials constitute the range that we should be analyzing
21 and that is going to reflect the type of outcomes that we would
22 see in actuality in the future.

23 Q Okay. Mr. Silva, then Compliance Cost A, that
24 assumes that there will be no carbon taxes throughout the lives
25 of the plants, does it not?

1 A That's correct.

2 Q Because that's what exists today. There are no
3 carbon taxes.

4 A Yes.

5 Q And Scenario B changes that so that it incorporates a
6 low forecast of carbon taxes; is that right?

7 A Yes. And let me -- for a point of clarification,
8 we've applied a carbon cost and assumed for the purpose of this
9 analysis that whatever that cost is imposed by legislation will
10 translate directly into costs at FPL, and we've done that in
11 order to be conservative. In other words, we have assumed that
12 there is no, no free allowances, no threshold below which we
13 would not have to pay any carbon tax. In essence, we've said
14 these are, B, C and D each has a carbon tax and the full amount
15 has been reflected into this.

16 So in answer to your, your question on A, A not only
17 depicts the situation in which there's no tax, but it also
18 would depict a situation in which -- because we are already so
19 clean and we'll be even cleaner in terms of CO2 emissions as a
20 portfolio in the future, that there is quite a possibility that
21 we may have no incremental costs associated with carbon tax.
22 It just depends on how the legislation is enacted, how the
23 regulation is put forth and then how we mitigate it and respond
24 to it.

25 Q Now the issue on A would be whether there's

1 incremental carbon taxes on account of the coal plants, is it
2 not?

3 A The cost of the CO2 is applied in our analysis to the
4 portfolio.

5 Q Okay.

6 A So everything in FPL's portfolio would pay
7 irrespective of how much CO2 is emitted.

8 Q Right. And, again, this is the difference that would
9 be caused by the coal plants.

10 A The resulting cost or the resulting -- the result is
11 the difference between a plan that has the coal plants and a
12 plan that does not have the coal plants.

13 Q And so A has no incremental carbon taxes whatsoever
14 during the entire lives of the coal plants; is that right?

15 A That's correct.

16 Q And B is the low carbon tax forecast applied to all
17 your plants?

18 A Yes. Or equally translated, it's reflective of a law
19 that in terms of translating into an impact on FPL is low.

20 Q Okay. C is the medium forecast?

21 A Yes.

22 Q And D is the high forecast for carbon taxes?

23 A That's correct.

24 Q Okay. If you could, let's look at the medium
25 forecast for fuel and the no carbon tax forecast for

1 compliance, which is 3A. Do you see that on your Exhibit 3?

2 A Yes.

3 Q In 3A you have in brackets the number 219. Do you
4 see that?

5 A Yes.

6 Q Could you describe what that means?

7 A Yes. The numbers in brackets reflect that the plan
8 with coal has a lower net present value revenue requirement
9 over the life of the plant for the FPL portfolio than a plan
10 that would not have coal. So in terms of what is lower in cost
11 with the plan, the numbers in parentheses reflect that. So in
12 this instance this is, this says that in cumulative present
13 value revenue requirements the differential, rather the savings
14 associated with adding the coal unit would be \$219 million in
15 2006 dollars.

16 Q And if we were to look at 3C, which is the medium
17 differential for fuel in the medium carbon tax forecast,
18 there's a number of \$1.466 billion. Do you see that?

19 A Yes.

20 Q What does that mean?

21 A That means that in that I would add again a partial
22 result that doesn't really reflect the full comparison shown in
23 RS-4. The plan without coal would be \$1.466 billion lower in
24 cost. Again, almost that entire amount is upset if we're going
25 to maintain an equivalent level of inventory to back up gas at

1 the plant that would replace FGPP. So if you look at RS-4,
2 that number is only \$46 million net present value over about
3 almost 50 years -- rather, I'm sorry, over a 40-year life of
4 the plant.

5 Q So the \$1.466 billion figure reflects the instance
6 where you would build gas plants but would not build a liquid
7 natural gas storage facility; is that right?

8 A That's correct. So it would be a, a far less
9 reliable facility. Even, even when we built the other combined
10 cycle units recently, we have been required essentially by the
11 Commission to provide backup fuel inventory. This is only an
12 extension of that in terms of the quantity of backup, where,
13 where before we've only had three days of backup fuel. In this
14 case since we have a coal plan that would have capability for
15 60 days of inventory, it would only be appropriate and fair to
16 compare it to a gas plan that also carries 60 days capability
17 of inventory.

18 Q And so if you add to the analysis the construction of
19 a \$1.4 billion liquid natural gas storage facility, then the
20 numbers change as shown on your Exhibit 4 that you have behind
21 you there; is that right?

22 A That's correct.

23 Q Has Florida Power & Light determined that it would
24 build gas plants if it is not granted a certificate of need for
25 the coal plants you've proposed?

1 A FPL has not reached a point where we would come
2 tomorrow with a need determination for gas plants for this
3 period in time simply because it's far enough ahead of time
4 that we would not need to do that in order to have a gas
5 plant-in-service in 2013.

6 But we have made the determination that there will be
7 no choice in anything that we see at present or projected, and
8 we have evaluated this coal plant against all possibilities,
9 but we have found nothing that will avoid adding a similar
10 amount of combined cycle capability during the same time frame.

11 Q What is the difference in lead time required for
12 building a coal plant versus building a gas plant?

13 A In, in terms of building a, a gas plant, from the
14 date in which we have made a final decision at the company
15 level that that's the best choice it takes four years as a
16 minimum, and that's what we've been able to do, from the day we
17 decide until the day that it has to go into service.

18 In the case of a coal unit, that period is about
19 seven years. And most of that -- if, if you want detailed
20 information on that, Mr. Hicks and Mr. Yeager would be the
21 right witnesses, but it has to do with a much longer
22 construction period.

23 Q Okay. So Florida Power & Light hasn't specifically
24 determined, you know, that it would build gas plants if it
25 could not build the coal plants; is that right?

1 A We, we know that that's what we will build.

2 Q Okay.

3 A The timing of when we would issue an RFP consistent
4 with the Bid Rule of the Commission and when we would
5 ultimately come to the Commission with a determination of need
6 with either a purchase or a self-build unit, that will be out
7 in the future. But, but there's no doubt in my mind or anybody
8 else at FPL that if it were not for FGPP, that is the only
9 choice. And the only question is refinements in the
10 technology: Is it a three-on-one or a two-on-one combined
11 cycle unit or a four-on-one, is it a one size, a large one or
12 two smaller ones at different times, or will it be purchases
13 from, or a combination between purchases and FPL generation?
14 That we haven't gone through. But the fact that it would be
15 combined cycle and that it would be natural gas, there is no
16 doubt in my mind.

17 Q And as far as siting is concerned, is it fair to say
18 that it might or might not be located -- or gas plants -- if
19 you went with the gas plant option, that it might or might not
20 be located at the Glades facility?

21 A That would be fair to say, that it might or might not
22 be.

23 Q Okay. And FPL has made no determination that if it
24 went with a gas option, that it would need to, to build a
25 \$1.4 billion liquid natural gas storage facility.

1 A No. As I said, we haven't gotten to the detail of
2 what the exact plan -- because of the Bid Rule and the normal
3 proceeding, it might not even be us building the facility. But
4 given the, given the increased dependence on natural gas where
5 we would have 71 percent of our generation on natural gas, we
6 would have to take some measures beyond what we already do in
7 order to ensure reliability of some measure, not quite as much
8 as what coal generation would give us, but some measure of
9 reliability.

10 Q So would you also look at using third parties to
11 provide Florida Power & Light additional storage capabilities?

12 A Yes, we could. But bear in mind that the biggest
13 challenge there is the type of inventory capability we're
14 looking for would be at the site or next to the site; in other
15 words, not in Alabama or Mississippi, because part of the issue
16 would be if there's an interruption in transportation.

17 Coal lets us have 60, the capability of 60 days of
18 inventory at the site. And that's what the goal is, to have
19 that kind of reliability that is not dependent on, on a
20 transmission, a transportation system or a supply system that
21 may have an interruption.

22 MR. BECK: Okay. Thank you, Mr. Silva. That's all I
23 have.

24 CHAIRMAN EDGAR: Mr. Gross.

25 MR. GROSS: Thank you. I do have some questions on

1 cross.

2 I intend to question Mr. Silva with respect to two
3 confidential documents. And I have copies for parties who are
4 permitted to, to see these documents, copies for the
5 Commission, the witness and, of course, FPL. I think the
6 Krasowskis have signed a confidentiality agreement.

7 MR. LITCHFIELD: No. It's not our understanding that
8 they have signed.

9 MR. GROSS: Oh.

10 MR. KRASOWSKI: Madam Chair.

11 CHAIRMAN EDGAR: Mr. Krasowski.

12 MR. KRASOWSKI: We have decided not sign the
13 confidentiality agreement, so we won't be looking at that
14 material. We perceive that this is not relevant to the
15 positions that we're most interested in and will be
16 communicating on.

17 CHAIRMAN EDGAR: I understand. Thank you.

18 MR. KRASOWSKI: Sure.

19 CHAIRMAN EDGAR: Ms. Brubaker? I just wanted to make
20 sure that we were following the procedure we needed to follow,
21 so.

22 MS. HELTON: I have no concerns if the, and I
23 apologize if I say their name incorrectly, Krasowskis do not
24 wish to look at the confidential information. Obviously they
25 have not, as is reflected on the record, signed any kind of

1 agreement. So I think it would be inappropriate for them to
2 have, be privy to the information that will be discussed this
3 morning. They will hear the public testimony, as does everyone
4 else in the room.

5 CHAIRMAN EDGAR: So, Mr. Gross, do you have copies to
6 distribute?

7 MS. PERDUE: Madam Chair?

8 CHAIRMAN EDGAR: Ms. Perdue.

9 MS. PERDUE: Thank you. We have also not signed a
10 confidentiality agreement and we do not wish to see the
11 documents either.

12 CHAIRMAN EDGAR: Okay. Thank you. We'll note that
13 for the record.

14 Ms. Helton.

15 MS. HELTON: And I guess I just should caution
16 everyone to remember that we are in a public forum, so if
17 there -- and this is kind of a difficult situation that we find
18 ourselves in, but we try very hard at this Commission and have
19 a history of not closing the hearings, and so we just need to
20 work to keep the information confidential. And it makes it a
21 little bit cumbersome, but the process can work that way.

22 CHAIRMAN EDGAR: Thank you. So we will all work
23 together to keep that in mind with questions and answers.

24 Okay. I think copies have been distributed to
25 everybody that needed to have a copy. Mr. Gross, we're ready,

1 if you are.

2 MR. GROSS: Thank you, Madam Chair.

3 CROSS EXAMINATION

4 BY MR. GROSS:

5 Q Mr. Silva, before I ask questions directly about the
6 confidential exhibits I'd like to refer your attention once
7 again to RS-04.

8 A Yes.

9 Q This document shows four different scenarios for
10 carbon taxes, does it not?

11 A We preferred to call it four different projections
12 and 16 scenarios overall.

13 Q Okay. What, what are the, what are the four
14 projections for the cost per ton?

15 A The person to answer that question would be
16 Mr. Kosky. I don't have that detailed information.

17 Q Okay. So is it fair to say that you have no idea
18 what those costs are, the projected costs?

19 A The -- I know that there is one case in which there
20 is no projected, projected costs, and then there is other
21 relatively increasing levels of projected costs that rise over
22 time that were used in the analysis. But I don't have the
23 numbers, and it was Mr. Kosky that is ready to answer questions
24 related to those.

25 Q Okay. All right. Thank you.

1 I'd like to first --

2 A Excuse me, Mr. Gross. I might add in reference to
3 your last question that although I cannot talk about the
4 numbers associated with these, in the evaluations that FPL did
5 with its experts, with Mr. Kosky and with ICF, it was
6 determined after much discussion that this constituted the
7 correct and appropriate range of estimates for the cost of
8 carbons, of CO2 in the future, and that that would be the
9 appropriate range to use in the evaluation. And it was agreed
10 after much discussion and evaluation that they would be able to
11 describe that these were, in fact, the right alternatives to
12 consider.

13 MR. GROSS: Well, I'm going to move on to -- away
14 from these confidential documents since it appears that
15 Mr. Silva is not aware of what the carbon tax projections were
16 and these relate to that specific set of facts. So I'll
17 reserve these at a minimum for my cross-examination of
18 Mr. Kosky. He seems to be the appropriate witness for, for
19 these two documents.

20 BY MR. GROSS:

21 Q Now, Mr. Silva, assuming that this Commission
22 approves FPL's application for FGPP, FGPP would operate from 40
23 to 60 years; is that correct?

24 A I believe it would operate for at least 60 years --
25 40 years is the projection.

1 Q Okay. Have you ever heard that the -- are you
2 familiar with an organization called the Intergovernmental
3 Panel on Climate Change?

4 A Not specifically by that name, no.

5 MR. GROSS: Okay. I'm going to get the document and
6 show it to Mr. Silva and ask again if he's familiar with it.

7 THE WITNESS: I have not seen this document before.

8 MR. LITCHFIELD: And before we proceed further, I was
9 under the impression that these would also be distributed. At
10 least I'd like to see a copy of what you've put in front of Mr.
11 Silva.

12 CHAIRMAN EDGAR: Go ahead. And if you would, one for
13 the court reporter as well.

14 MR. GROSS: Yes, please.

15 CHAIRMAN EDGAR: Mr. Gross, do we need to mark --

16 MR. GROSS: I would like to mark it for
17 identification, please.

18 CHAIRMAN EDGAR: Okay. I am on 160. Can you give us
19 a title?

20 MR. GROSS: I'm trying to come up with a short one
21 for this. Intergovernmental Panel on Climate Change, then
22 Climate Change 2007: Impacts, Adaptation and Vulnerability.

23 CHAIRMAN EDGAR: That's the short version?

24 MR. GROSS: That's the short version. Right.

25 CHAIRMAN EDGAR: We'll work with it.

1 (Exhibit 160 marked for identification.)

2 BY MR. GROSS:

3 Q Okay. So, so I take it then your testimony is that
4 you're not familiar with this document.

5 A I have not seen this document before.

6 Q Okay. Would you -- do you agree that climate
7 change -- climate change is a very important issue in this
8 docket, is it not?

9 A Climate change is a very important issue, period.

10 Q Okay.

11 A And we have reflected our recognition of that, not
12 only in this docket but in our entire planning for portfolio
13 and in the way we operate our system.

14 Q Okay. Well, I'd like to at least ask you some
15 questions about some of the policy determinations that are
16 reflected in this document.

17 MR. LITCHFIELD: Madam Chairman, I'd like to
18 interpose an objection here.

19 CHAIRMAN EDGAR: Mr. Litchfield.

20 MR. LITCHFIELD: I don't think Mr. Gross has laid an
21 adequate foundation to question Mr. Silva on this document.

22 CHAIRMAN EDGAR: Mr. Gross, at this point I agree.

23 MR. GROSS: Okay.

24 BY MR. GROSS:

25 Q Mr. Silva, are you familiar with the recent Supreme

1 Court ruling in Massachusetts versus EPA?

2 A I am somewhat familiar with it, yes.

3 Q And are you an attorney?

4 A No.

5 Q Okay. So I understand that any responses would be
6 as, as a layperson.

7 Are you familiar, aware that the Environmental
8 Protection Agency as a result of this decision has the
9 authority to regulate greenhouse gas emissions?

10 A That was my understanding of the decision.

11 Q Now I'd like to refer you to Page 11, Lines
12 11 through 16, in your rebuttal testimony for Mr. -- where you
13 rebut Mr. Schlissel's --

14 CHAIRMAN EDGAR: Mr. Gross, hold on. Mr. Litchfield.

15 MR. LITCHFIELD: I think we're getting a little far
16 afield here. Mr. Silva will --

17 CHAIRMAN EDGAR: He will be up.

18 MR. LITCHFIELD: -- take the stand and he will be
19 cross-examined on his rebuttal. But I think we're focused on
20 his direct right now.

21 MR. GROSS: Okay.

22 CHAIRMAN EDGAR: We will look forward to seeing
23 Mr. Silva again later in the proceeding.

24 BY MR. GROSS:

25 Q Now you believe that it's entirely likely that over

1 the 40- to 60-year operational life of the FGPP plants there
2 could be no cost to its CO2 emissions whether through a CO2 tax
3 cap-and-trade system or otherwise?

4 A My thinking is that the impact of the addition of
5 FGPP has to be considered as part of the portfolio. And the
6 question is is there going to be a difference and a significant
7 difference in terms of what the cost of CO2 is going to be to
8 the FPL portfolio with and without? And from that perspective
9 I think that there are reasonable possibilities that that
10 impact could be very small. Not knowing what the legislation
11 is I cannot demonstrate exactly that it will, but I certainly
12 could say that since on a net basis we're only adding
13 649 megawatts of coal generation to our portfolio and we have
14 and are continuing to add so much gas generation to our
15 portfolio, and depending on what we add in 2018, for example,
16 if it's a nuclear unit that has no emissions, that in its
17 totality the impact on FPL of whatever law and regulation is
18 enacted could very well be very small even with the addition of
19 FGPP. So, yes, it is very possible.

20 Q Now I'd like to refer your attention to Page 6 of
21 your direct testimony.

22 A Yes.

23 Q You state that the FGPP is essentially a hedge --
24 well, this is on -- excuse me. I'll try to delineate the
25 lines. Between Lines 5 and 16, and a specific reference on

1 Line 10.

2 A Yes.

3 Q Okay. You state the FGPP is essentially a hedge
4 against the possibility of increases in natural gas prices; is
5 that correct?

6 A It says that that is one of the benefits of FGPP, the
7 other being the reliability benefit that, that offsets the risk
8 of interruptions in gas and oil supply and transportation. But
9 definitely in terms of pricing it does offer a significant
10 hedge against a portfolio that would be totally or mostly based
11 on oil and natural gas.

12 Q On Page 6, Line 7, of your direct testimony, I'd like
13 you to refer to that.

14 A Yes. Line 7, Page 6.

15 Q Okay. And you state that FPL is not recommending
16 approval based on the comparative economic result; is that
17 correct?

18 A The, the statement begins on Page 5, and it says that
19 it is, that our recommendation for approval is not based on any
20 specific projected set of assumptions or comparative economic
21 results.

22 I am, in fact, recommending approval based, among
23 other things, on the fact that in combination, looking at all
24 the possible results, this is the cost-effective alternative.

25 Q Okay. I'd like to refer your attention back to

1 Exhibit RS-3.

2 A Yes.

3 Q If we assume even modest CO2 regulation -- and, by
4 the way, FPL supports CO2 regulation; is that correct?

5 A Yes.

6 Q Okay. If we assume even modest CO2 regulation, the
7 FGPP project is only the more cost-effective option if the fuel
8 differential is high except for one scenario on this exhibit,
9 the shocked price low CO2 cost scenario; is that correct?

10 MR. LITCHFIELD: May I interpose an objection?
11 Clarification really. What does counsel mean by "modest"?

12 CHAIRMAN EDGAR: Mr. Gross, can you clarify?

13 MR. GROSS: Well, I would say your, your low and
14 medium projects. Well, actually let me rephrase that.

15 BY MR. GROSS:

16 Q Just looking at the projections, all the projections
17 that are on this exhibit -- and I'll rephrase.

18 Looking at all the projections on this Exhibit RS-3,
19 if we assume CO2 regulation, at least the ones where there is
20 some CO2 regulation assumed, the FGPP project is only the more
21 cost-effective option if the fuel differential is high, except
22 for the one scenario, the shocked price low CO2 cost scenario;
23 is that correct?

24 A I'm sorry. Could you repeat that question? Which,
25 which scenario, which scenarios do you want me to look at?

1 Q Well, I'd like you to look at all the scenarios on
2 Exhibit RS-3.

3 A All right. There are 16 scenarios.

4 Q Okay. And assuming that there is some degree or any
5 degree of CO2 regulation, the FGPP project is only the more
6 cost-effective option if the fuel differential is high except
7 for one scenario, the shocked price low CO2 cost scenario.

8 A In this partial result of our economic analysis,
9 which is not the final result and not reflective of the final
10 economics of the comparison, there are four of these scenarios
11 in which coal generation would be less, less cost-effective or
12 not the lowest cost, while there are, the others are showing in
13 this, again, partial result, that there is, the others are more
14 favorable towards gas.

15 However, if we look at the correct full analysis, all
16 the scenarios that have either the high differential in fuel
17 prices or the shock differential in fuel prices and two that
18 have the medium differential in fuel prices, all of those show
19 favor towards the coal addition, and that's the correct way in
20 which this should be seen.

21 Q So are you saying that this Exhibit RS-3 is not the
22 final correct analysis?

23 A As I indicated in my direct testimony, RS-3 does not
24 include the comparison of, that reflects the cost of inventory
25 of gas so as to make it an apples-to-apples comparison. So it

1 is, RS-3 is a partial result, not the final result. And I
2 express in my direct testimony that RS-4 contains the final
3 results.

4 Q Assuming once again control -- CO2 control of some
5 kind, two of three scenarios in the shocked fuel price category
6 show FGPP as more expensive.

7 MR. LITCHFIELD: Madam Chairman, I think this has
8 been asked and answered.

9 MR. GROSS: I think I'm phrasing this question
10 differently.

11 CHAIRMAN EDGAR: I'll allow.

12 THE WITNESS: You're asking about the shocked price
13 case?

14 BY MR. GROSS:

15 Q Yes.

16 A Okay. In the shocked price case, in the full result
17 all the outcomes are favorable to the plan with coal. Even
18 without equalizing the value of fuel inventory in the shocked
19 case two of the four are favorable to coal, to the plan with
20 coal.

21 Q And is it correct that all medium and low fuel price
22 differential scenarios show FGPP as more expensive?

23 A We have four medium and four low price differentials,
24 and of those on RS-4 two are favorable.

25 And I might add, Commissioner, that, Commissioners,

1 that as I have stated in my testimony and stated in response to
2 a previous question, when we did the fuel price forecasts, we
3 considered only what exists today. So it's a range of
4 possibilities of fuel prices in the future based on the rules
5 as they exist today or we know today will exist in the future.
6 Even though when we go to the high, the medium or high or, for
7 that matter, any type of CO2 legislation, we fully anticipate
8 that those requirements on CO2 are going to cause gas prices to
9 go up significantly. And we did not correct, go back and
10 correct for the fuel prices to reflect that.

11 But, nevertheless, because this is a scenario
12 analysis and we're looking at all the possibilities, not just
13 what we consider to be more or less likely, but, nevertheless,
14 in those cases where there is certainly a low fuel price
15 differential, in our opinion that will not co-exist with any
16 kind of carbon cost. So even though we've got 16 scenarios
17 here and our results show that in ten of those cases the
18 outcome for FGPP would be favorable, in fact, they're not equal
19 in terms of the likelihood. So when we move to the right and
20 the bottom of my Exhibit RS-2, there is very low likelihood
21 that those combinations could possibly exist. For that reason,
22 FPL gave less weighting in making its decision to go with FGPP
23 to those outcomes.

24 Q These conclusions do not take into consideration what
25 would happen if capital costs were higher than FPL anticipated;

1 correct?

2 A That is correct. The calculation was done on the
3 best projection of capital costs that, that had been obtained.

4 Q And higher capital costs would favor an option
5 without FGPP; would that be correct?

6 A Higher capital costs would move in that direction.
7 Depending on how much higher the capital cost would be, it may
8 or may not change the outcome. But I might add it is equally
9 likely or possible that capital costs for FGPP will be lower,
10 in which case the outcome would move in the other direction.

11 Q Please refer to your direct testimony, Page 36, Lines
12 13 to 16.

13 MR. LITCHFIELD: I'm sorry, Mr. Gross. What was the
14 page number again?

15 MR. GROSS: Page 36.

16 MR. LITCHFIELD: Thank you.

17 MR. GROSS: Lines 13 to 16.

18 THE WITNESS: Yes.

19 BY MR. GROSS:

20 Q There you say that it is possible that at some point
21 in the future someone may determine, and I'm paraphrasing
22 somewhat here, that adding FGPP resulted in higher costs. Is
23 that the substance of what you stated there?

24 A Yes.

25 Q Okay. And you base this conclusion in part on the

1 possibility of future legislative action to control CO2
2 emissions; correct?

3 A I base that on the combination of what CO2 costs
4 might be and what the fuel price differential might be in the
5 future. And I might add that this uncertainty, if you will,
6 and the fact that someone could say this with perfect hindsight
7 would also be true had we been here to ask for addition of a
8 gas unit.

9 We think that it is far likelier that adding the coal
10 unit will be the more cost-effective outcome. We're allowing
11 for the fact that it may turn out not to be the case. But the
12 inverse is equally true, in fact, I think more likely that if
13 we were to only add gas generation, the cost and certainly the
14 risk to the customer would be greater.

15 Q You've stated that you're aware that the U.S. Supreme
16 Court just rejected EPA's position that CO2 is not a pollutant
17 under the Clean Air Act. That is slightly different than the
18 question I had asked you. But are you aware of that aspect of
19 that same U.S. Supreme Court opinion?

20 A I, I don't recall that part of the decision that
21 talked about whether it was a pollutant or not. I know that my
22 reading of it was that the EPA, that their position that they
23 were not authorized to regulate CO2 was -- that the Supreme
24 Court disagreed with their position and directed them to look
25 at CO2.

1 Q Okay. The U.S. Supreme Court decision also made a
2 finding that global warming was a real present problem; is that
3 correct?

4 A I would like to refer to the decision by the Supreme
5 Court. I don't remember what the exact wording of it was. I
6 know that, that they directed the EPA to look at global
7 warming, but I don't remember the details.

8 MR. LITCHFIELD: And, Madam Chairman, the Commission
9 has taken administrative notice of that decision.

10 CHAIRMAN EDGAR: Yes, Mr. Gross.

11 BY MR. GROSS:

12 Q Are you aware that the court also found that CO2
13 levels had not been this high for millions of years?

14 A That CO2 levels what?

15 Q That -- are you aware of the fact that the Supreme
16 Court, U.S. Supreme Court also made a finding that CO2 levels
17 have not been this high for millions of years?

18 A No, I don't --

19 MR. LITCHFIELD: Same objection.

20 THE WITNESS: -- I don't remember.

21 BY MR. GROSS:

22 Q Now you did not include, you did not include anywhere
23 in your analysis the possibility of CO2 being regulated as a
24 pollutant under existing provisions of the Clean Air Act; is
25 that correct?

1 coming from Venezuela and Colombia?

2 A In principle, primarily Colombia is my view. I
3 believe that Mr. Schwartz would be the person to talk to about
4 detail regarding the source of the coal.

5 Q Okay. Very good.

6 And then also I had some questions that possibly
7 Mr. Brandt would be best to ask. Will he be here today?

8 A He will be.

9 Q Okay.

10 A I, I can provide some response to a certain level, if
11 you wish.

12 Q Okay. In regards to the Appalachian coal, are you
13 familiar with the Ohio Valley Environmental Coalition's case
14 against the Army Corps of Engineers as far as their practices
15 in mountaintop removal and decimation of environmental streams
16 in West Virginia that has been decided in favor of the
17 plaintiff, the Ohio Valley Environmental Coalition?

18 MR. LITCHFIELD: Madam Chairman? Excuse me for
19 interrupting, Mr. Krasowski.

20 CHAIRMAN EDGAR: Mr. Litchfield.

21 MR. LITCHFIELD: I think last evening it was
22 requested by Mr. Krasowski that the Commission take
23 administrative notice of this decision.

24 CHAIRMAN EDGAR: Which we did, and I believe a copy
25 was distributed.

1 MR. LITCHFIELD: My understanding was that we had
2 reserved that decision for today. We were going to review the
3 decision last night. If I'm mistaken about that, I'll stand
4 corrected. But I'm not opposed to having --

5 CHAIRMAN EDGAR: Ms. Brubaker.

6 MS. BRUBAKER: And actually I believe Mr. Litchfield
7 may be right, and that's my error for not raising it this
8 morning. My apologies.

9 CHAIRMAN EDGAR: All right. Well, then I apologize,
10 Mr. Litchfield, for my cloudy memory.

11 MS. BRUBAKER: Yeah, and mine. Go ahead.

12 MR. LITCHFIELD: I think FPL's point of view is that
13 this decision is fairly recent. It's a district court decision
14 out of the State of West Virginia. The time for appeal has not
15 yet run, so I think it would be premature at this point for the
16 Commission to take administrative notice of it.

17 Having said that, we're not opposed to Mr. Krasowski
18 asking our witnesses questions about it. Of course, they can
19 answer to the extent that they have an appreciation or
20 understanding of it.

21 CHAIRMAN EDGAR: Ms. Brubaker.

22 MS. BRUBAKER: I don't know that it's necessarily
23 inappropriate to take official recognition of the case. We can
24 also note that it is apparently on appeal and we are currently
25 having somebody Shepherdize the case just to determine where in

1 the process it is. However, any reliance on the case, I think,
2 must be on whoever is relying on it, their peril that it may be
3 overturned on appeal.

4 MR. LITCHFIELD: Just to clarify, I'm not sure that
5 it is on appeal, but the time for appeal has not yet run.

6 MS. BRUBAKER: Oh, okay. Okay.

7 CHAIRMAN EDGAR: Understand.

8 MS. BRUBAKER: But, again, the same notation that
9 until the time for appeal has run and it has not been
10 appealed -- or, you know.

11 CHAIRMAN EDGAR: Thank you for raising it,
12 Mr. Litchfield.

13 Mr. Krasowski, you may continue.

14 MR. KRASOWSKI: This is a federal case in West
15 Virginia if I'd make that point. And then also does this allow
16 us to comment on this document when we do our brief after this
17 hearing, Madam Chair?

18 MS. BRUBAKER: My suggestion would be -- I'm not
19 entirely sure when the appeal period runs. But by the time we
20 actually get to briefing, it may well be that that time has
21 run.

22 MR. LITCHFIELD: If no appeal has been filed by the
23 time that occurs, we would, we would consent to it being
24 administratively taken notice of.

25 CHAIRMAN EDGAR: Understood. And so, Mr. Krasowski,

1 I guess my comment would be that you may comment in your brief
2 however you choose to, but note Ms. Brubaker's comment about
3 reliance.

4 MR. KRASOWSKI: Okay. Thank you very much.

5 BY MR. KRASOWSKI:

6 Q Mr. Silva, the point being that there are issues that
7 have come up since your initial submission of your testimony
8 that suggest that there are further complications in regards to
9 the price of coal.

10 If in Virginia localities are allowed to object to
11 mountaintop removal and if this case is decided in that way,
12 it'll affect the price of coal. Have you factored in those
13 complexities into your analysis of the price of coal?

14 A We have not reflected any possible impact that this
15 decision could have had. My, my understanding is that it would
16 not affect in any significant way the price of coal delivered
17 to FGPP. However, if you wish to ask more detailed questions,
18 Mr. Schwartz would be the person to ask.

19 Q Okay. Very good. And then as well, the, the issue
20 of Venezuela was mentioned and our relationship with Venezuela
21 is in flux as far as our dependability on, on them. Do you
22 know who owns the coal that you'll be getting from Venezuela?

23 A No. But my sense is that the plan is, first of all,
24 that the coal could come from a number of international
25 sources, of which Colombia would be the primary one. And, and

1 even if some of it comes from Venezuela, the United States
2 still imports very large amounts of oil from Venezuela, and so
3 I don't anticipate that the current political situation is
4 going to extend to the commercial aspect, especially in the
5 case of, in the case of coal.

6 But, again, my sense is that, and Mr. Schwartz,
7 Mr. Hicks could address this as to what exactly our mix is
8 projected to be, but it's very flexible. I think it's
9 certainly not limited to Venezuela or even Colombia.

10 Q Do you know -- I did read that the transfer point in
11 Colombia would be Santa Marta. Do you know what region of
12 Colombia the coal comes from? There was mention of an area but
13 I didn't know where that was. Do you know if it's northwestern
14 Colombia, central Colombia, southern?

15 A No, I can't answer that question. Perhaps
16 Mr. Schwartz could.

17 Q Okay. Thank you very much.

18 A lot of -- here's a question. You mentioned that
19 there was a six, you expected a 689 megawatt net increase in
20 coal with this plant. Does that mean you'll be taking other
21 coal plants offline when you build this plant?

22 A We -- in a way, yes, but not, not plants that are
23 operated by Florida Power & Light. There are some plants, coal
24 plants in existence that operate under contract to FPL and
25 generate power and deliver it to us, and about 1,300 megawatts

1 worth of generation from those coal plants will no longer be
2 used for FPL. My perception is that they will be used by
3 somebody else. But, but in terms of what serves FPL and its
4 customers, they will not be available.

5 Q Thank you for that answer.

6 Are these coal plants within the State of Florida
7 or --

8 A One is and one is not.

9 Q Okay. Diversity is a big point here in this case,
10 and I notice your comparisons here are from coal to, to, to
11 gas. The, the alternative energies were not analyzed as
12 thoroughly. Do you want to comment on that?

13 A The alternative energies are depicted in both charts
14 under the other category. There's a mix of resources that
15 include renewable generation, and the majority, of course, of
16 that renewable generation today to FPL is municipal solid waste
17 with some biomass and other sources.

18 We have done very significant evaluations of the
19 potential for other renewable resources and find that they are
20 very limited. And even in spite of our best efforts we don't
21 think that they're going to amount to a significant way of
22 deferring or diversifying our portfolio.

23 Q Okay.

24 A I might say that, just to, just to quantify my
25 response, FPL has done a significant analysis to establish the,

1 the technical capability of several types of renewable
2 resources that could provide capacity; in other words, provide
3 capacity towards reserve margin and so forth, and that includes
4 hydro, landfill, biomass and waste-to-energy.

5 And we have found that -- our estimate is that the
6 maximum technical capability, meaning without worrying about
7 whether it's going to be cost-effective to FPL's customers,
8 would not be greater than 300 megawatts. We think that there
9 is 16 megawatts potential of hydro that, that could be served
10 to FPL, up to 68 megawatts of landfill gas generation, about
11 200 -- and then, and then in the state -- those would be about
12 84 megawatts together to FPL as potential.

13 In the state we have, we see the potential for about
14 200 megawatts of biomass and about 185 megawatts of waste,
15 additional waste-to-energy facilities, which adds up to
16 385 megawatts for the state. If we were to take FPL's share to
17 be roughly half of that together with a hydro and landfill,
18 we'd wind up somewhere short of 300 megawatts maximum technical
19 potential over the next ten years without taking into
20 consideration whether somebody would actually develop it and at
21 what cost and whether we'd be able to contract for that.

22 Certainly 300 megawatts of this type of generation
23 over a ten-year period is not sufficient to meet the need of a
24 system that is growing at the rate of 600 megawatts per year.
25 We will continue to pursue this and, in fact, we are within a

1 week issuing a request for proposals for renewable generation
2 to be delivered to FPL. And we're giving respondents a very
3 broad time period of any time up to 2015, and even if it's
4 beyond that time we say we'd like to know because we'd like to
5 understand, you know, if, if there are, what exactly it is.
6 But we've done extensive analysis and we are convinced that it
7 is not going to be able to in any way defer the need for FGPP.
8 But we really want to pursue renewable generation as we have
9 done in the past through our contracting.

10 Q Very interesting information.

11 I mentioned that the DSM, I'd be asking Mr. Brandt
12 questions. But there's -- DSM seems to be, and please help me
13 understand this, a category of opportunities that you have to
14 maximize efficiency. But the DSM that you involve yourself in
15 is affected by the RIM standards, the economic standards where
16 you pursue some, some conservation activities but not others
17 because you perceive them as being not cost-effective.

18 So how would you explain to me, if you, if you can,
19 that category of efficiencies that are available but not part
20 of your DSM, which I will speak to, ask Mr. Brandt about, part
21 of your DSM program activities? Do your efforts in that
22 category --

23 MR. LITCHFIELD: Madam Chairman, I'll just interpose
24 an objection to the form of the question. It's lengthy, it's
25 compound. Subject to that objection, the witness may respond.

1 CHAIRMAN EDGAR: The objection is noted, and the
2 witness can answer the question if the witness can answer the
3 question.

4 THE WITNESS: I, I don't have personal knowledge of,
5 of the programs, either the ones that we have adopted or, or
6 those that may not be cost-effective and, therefore, not
7 adopted.

8 But, you know, one, one point in terms of, of DSM is
9 that by 2016 we will have avoided as a result of DSM altogether
10 about 5,800 megawatts of capacity that would otherwise have
11 been needed. And if you take resources overall, including DSM
12 and generation, that constitutes about 20 percent of the
13 resources that FPL applies towards demand. It's not an
14 insignificant amount. It is larger, it is a larger
15 contribution that coal would make, that coal makes now or that
16 it will make even after FGPP. So what we depict here is the
17 generation resource mix. But if we're talking about all the
18 generation and we were to reflect here the, the demand-side
19 management that we will achieve by that time, that would
20 reflect 20 percent component for that, and it's a very
21 significant amount.

22 BY MR. KRASOWSKI:

23 Q Very significant and very well done.

24 What percentage of the DSM that you are, that we are
25 benefiting from now, what percentage of your customer base

1 participates in your DSM programs? And I'll get into more
2 detail in each individual DSM program with Mr. Brandt, but --

3 A I think even that question you will have to ask
4 Mr. Brandt. I cannot tell you what that percent is.

5 Q Would you agree that if, if we were able to increase
6 DSM, then by doubling what we do have now -- well, I'll save
7 that for Mr. Brandt.

8 Okay. Can I have a minute, just a minute?

9 CHAIRMAN EDGAR: Yes.

10 MR. KRASOWSKI: Thank you, Mr. Silva.

11 CHAIRMAN EDGAR: Thank you.

12 Commissioner Carter.

13 COMMISSIONER CARTER: Thank you, Madam Chairman.

14 Madam Chairman, I've got a lot notes and I beg your indulgence.

15 CHAIRMAN EDGAR: Yes, sir.

16 COMMISSIONER CARTER: First, Mr. Krasowski asked you
17 about this case, the Ohio Valley Environmental Coalition. It
18 was filed in '06 and decided in March of this year. And I
19 remember from your testimony that you're not an attorney.

20 Who at FPL would be responsible for tracking
21 legislation, litigation, rather, of this nature around the
22 country?

23 THE WITNESS: Commissioner, I'm not sure what name I
24 would give you. I think that in general if it's federal
25 legislation, we have a number of people that look at that.

1 And, and if it's related to the type of, I guess, judicial
2 proceeding that would affect the supply of fuel, it would
3 normally be the department that buys fuel that would be attuned
4 to changes in that.

5 This particular decision apparently is so recent that
6 I have not heard of any comment within our organization.
7 However, I know that our expert witness, Mr. Schwartz, is, is
8 knowledgeable about the legislation and its implications.

9 MR. LITCHFIELD: And, Madam Chair, I would suggest
10 also that of the witnesses that are here in the case,
11 Mr. Schwartz is probably the best one to, to put those
12 questions to relative to this decision.

13 COMMISSIONER CARTER: Mr. Schwartz.

14 CHAIRMAN EDGAR: Thank you.

15 Next.

16 COMMISSIONER CARTER: Thank you. May I proceed,
17 Madam Chair?

18 CHAIRMAN EDGAR: You may.

19 COMMISSIONER CARTER: I noticed in your discussion
20 just kind of generally with Mr. Beck this morning you were into
21 a discourse about these LNG. You weren't here yesterday, were
22 you?

23 THE WITNESS: Yes, sir.

24 COMMISSIONER CARTER: Did you have an opportunity to
25 listen to some of the public testimony?

1 THE WITNESS: Only some of it. But, yes, some of it.

2 COMMISSIONER CARTER: Only some of it? Were you here
3 when there was, in some of the public testimony I think there
4 was some testimony about the number of LNG ports that within
5 the last couple of years have been created and built around
6 Florida?

7 THE WITNESS: Yes, Commissioner. After the, after
8 the end of the day I, in the limited time available I did check
9 with our fuel department, and they were very surprised
10 especially at the statement that a terminal, LNG terminal
11 facility would be ready in Fort Lauderdale in, in a short
12 period of time. We, we, we are aware of, of a couple of
13 facilities that, that are being put in Georgia and, of course,
14 there has been partial approvals for a number of others. But
15 in terms of actual imminent facilities that are going to be
16 built in Florida, we don't think that there's anything imminent
17 in that regard.

18 COMMISSIONER CARTER: Just permission to follow up
19 along this line, Madam Chairman.

20 CHAIRMAN EDGAR: Yes.

21 COMMISSIONER CARTER: What was the results of your
22 investigation yesterday in terms of what's the status of the
23 LNG port in Fort Lauderdale that you were able to ascertain?

24 THE WITNESS: Only that -- I guess to put it bluntly,
25 we don't, we don't really know what the gentleman that spoke

1 was really alluding to because FPL --

2 COMMISSIONER CARTER: That's not my question though.
3 My question is that you said you guys went and checked it out.
4 So I'm saying what was the result of the investigation that you
5 talked with your, your staff on yesterday afternoon, or are
6 they still in the process of evaluating? If so, I can move on.
7 I do have a lot of questions to ask you, sir. I'm not being
8 rude, I just want to --

9 THE WITNESS: Yes, Commissioner, I understand. In
10 essence, they will have to continue to investigate because they
11 were surprised. They -- we have pursued, FPL has pursued three
12 different, associations with three different entities that
13 could bring LNG into Florida or, or have a facility offshore
14 like on a ship to deliver LNG to Florida. And of those only
15 one is known to us to be potentially viable even at this point,
16 and none of them has ever talked about actually putting an LNG
17 facility in Fort Lauderdale. It has not even been in the
18 horizon. It hasn't been discussed. So none of the people that
19 even have been involved directly in those negotiations have
20 ever heard that there's a potential for an LNG facility in Fort
21 Lauderdale. So we were really surprised and not knowing what
22 this gentleman was referring to.

23 COMMISSIONER CARTER: And I do want to continue along
24 this line, Madam Chairman, if you will permit me.

25 CHAIRMAN EDGAR: You may.

1 COMMISSIONER CARTER: Conceptually, conceptually you
2 would agree that -- well, let me do this. I've got some other
3 notes here for you. That's always dangerous. I'll come back
4 to that particular point. But let me just do this.

5 This morning you spoke with Mr. Beck on a number of
6 issues, and I think you talked about your RS-4 and RS-3. Do
7 you remember those, that discourse? And I think in one of
8 them, I think it was RS-4 you had \$1.4 billion, which would be
9 an LNG inventory facility; correct?

10 THE WITNESS: Yes, Commissioner.

11 COMMISSIONER CARTER: And that would be in the event
12 that you were not successful in getting a need determination
13 for a coal plant but for a gas plant.

14 THE WITNESS: That is correct.

15 COMMISSIONER CARTER: Right?

16 THE WITNESS: The idea, by the way, on that would be,
17 I think, different in concept from what I heard in the public
18 comment that you first alluded to. What we would be talking
19 about here would be at the site, instead of trying to store gas
20 in gaseous form, we would -- the idea would be bring it as gas
21 through the normal pipeline from the Panhandle and Georgia and
22 so forth, but then store it onsite by compressing it into an
23 LNG. So that concept, that price that we were talking about is
24 only for the storage facility and compressing it. It didn't
25 relate, just to be clear, in bringing LNG into Florida. We had

1 -- we didn't cost that out in terms of this particular
2 analysis, only the storage facility itself.

3 COMMISSIONER CARTER: And that gets -- Madam
4 Chairman. And that gets to the, the discussion, the discussion
5 you were having with Mr. Beck is that you're saying -- I think
6 you talked about an amount of coal that you'd have onsite at
7 any given point in time.

8 THE WITNESS: Yes.

9 COMMISSIONER CARTER: So you would have an LNG
10 facility to have enough gas onsite for a given point in time.

11 THE WITNESS: That's correct.

12 COMMISSIONER CARTER: Wasn't that the context?

13 THE WITNESS: Exactly. For 60 days for an equivalent
14 amount of generation.

15 COMMISSIONER CARTER: Okay. Good. And the RS-3, if
16 I could direct your attention there, please, sir. RS-3,
17 Scenario 3C, 1.466 billion; correct?

18 THE WITNESS: Just a moment while I get there.

19 Scenario 3C, 1.466. Yes.

20 COMMISSIONER CARTER: 3C. And just kind of hold your
21 place there and flip over to RS-4.

22 THE WITNESS: Yes.

23 COMMISSIONER CARTER: That same Scenario 3C is 46.
24 So I'm just doing my rough -- I don't do math, I do arithmetic,
25 which is not of the same magnitude.

1 Basically it seems that the 1.4 billion taken out
2 would be the cost for the facility to store the LNG for that
3 60-day supply --

4 THE WITNESS: Yes.

5 COMMISSIONER CARTER: -- necessary.

6 THE WITNESS: 1.42 billion. Right.

7 COMMISSIONER CARTER: Good. Now I like what you're
8 saying on that because now I can understand where you're coming
9 from.

10 Now in this context with me, just go with me
11 momentarily, in this context then that this facility that
12 you'll be spending, I'm just saying hypothetical based upon
13 what you put here, is that this \$1.4 billion that you would be
14 spending, this facility would be necessary to provide enough
15 fuel for a plant to provide the same megawattage from a gas
16 plant that you would have from a coal plant.

17 THE WITNESS: Yes.

18 COMMISSIONER CARTER: Good. Good. Good. That's
19 great. That's -- thank you, Madam Chairman. I'm still -- I've
20 got a roll going here.

21 I do remember also in your discussion with Mr. Beck
22 that you said that the, the lead time to build a gas plant
23 versus a coal plant -- do you remember that discussion you had?
24 The coal plant was seven years and the gas plant was four
25 years.

1 THE WITNESS: Yes. Yes.

2 COMMISSIONER CARTER: And I think that in the context
3 of that was 2015 is when you're expecting roughly to be able to
4 begin construction for the, the coal plant, is that right, or
5 am I, do I have my numbers mixed up?

6 THE WITNESS: The coal -- in terms of timing, the
7 coal plant would, the first one would come in service in 2013.

8 COMMISSIONER CARTER: 2013.

9 THE WITNESS: So we would have to begin construction
10 about four years earlier than that.

11 COMMISSIONER CARTER: Hang on. Let me count my
12 fingers here. Let's see. So four years. Today is 2007;
13 right? So that would be 2011 for the gas plant and 2013 for
14 the coal plant. Is that what you're saying?

15 THE WITNESS: In, in -- excuse me. As far as the
16 construction for the gas plant, we would begin in 2011.
17 Correct.

18 COMMISSIONER CARTER: I had enough fingers for that
19 one.

20 And I think that in your discussion with Mr. Beck you
21 said that if you build the gas plant, you may or may not build
22 it in Glades County; is that right?

23 THE WITNESS: The first gas plant that we would
24 build, it might or might not be in the Glades County site.
25 There are other sites and we would make a determination as to

1 which is the most cost-effective at the time we make a
2 decision.

3 COMMISSIONER CARTER: I know that you weren't asked
4 about this, and if you don't feel comfortable answering it,
5 that's okay too. But would it -- that may be an unfair
6 question. I won't ask you that.

7 I was going to ask you -- well, it's a fair question.
8 I'm going to ask you anyway. Is that this footprint in Glades
9 County, it just seems to me that the good people of Glades
10 County have opened their doors and said, welcome to our
11 community. And you have a site set aside for that. You also
12 have, from what I've heard from the people in Hendry and the
13 neighboring counties that in terms of the pertinent
14 transmission lines and all would allow that. Why would you not
15 build it in Glades County versus going someplace else and
16 starting from scratch? Wouldn't that add to the cost? You've
17 got a four-year time frame to build a gas plant, you've got a
18 facility, you've got a space, you've got a geographical
19 location, you've got a footprint, you've got all the
20 transmission lines lined up. Would you -- I mean, wouldn't
21 that be an extraordinary cost to put on the cost of a gas
22 plant? So you really wouldn't be comparing apples with apples,
23 would you? That's a convoluted question. If you don't feel
24 like answering it -- you haven't testified to it, so it's okay.

25 THE WITNESS: I can, I can answer your question.

1 What I was thinking about was not do it at Glades or do it at
2 some unknown site that we don't know anything about now that
3 would have to be developed and so forth. What I was thinking
4 about is that there are some existing sites that have been
5 partially used that have the capability to add more generation
6 and that, and where the transmission incremental costs might be
7 lower than, than that at Glades County. And if that were the
8 case, we, we might select and propose such a site as, as the
9 first of, of gas additions.

10 Because, as I said in my testimony, whether we build
11 the coal plant at FGPP or not, FPL is continuing and will
12 continue to have to add some gas generation. So what I was
13 only referring to was the first addition might not be at Glades
14 County. Now Glades is a site, is a favorable site, and it will
15 definitely continue to be considered, and it might be selected
16 for, for other generation. But, but we just haven't done that
17 analysis, and there could be others that are more
18 cost-effective. Obviously we wouldn't go to one that is less
19 cost-effective.

20 COMMISSIONER CARTER: Okay. This is my last question
21 on this issue, Madam Chairman, as it relates to the gas issue.

22 And in the context of RS-3 and RS-4, the
23 \$1.4 billion, does that reflect that you would build the gas
24 storage facility at one of your existing facilities or would
25 you put it at the new facility at Glades? That's where I'm

1 trying to get. Do you follow me now?

2 THE WITNESS: I understand. I understand. The
3 estimate -- my understanding of the estimate, and I must add
4 that it was not prepared by me but by Mr. Yupp, but --

5 COMMISSIONER CARTER: Mr. Yupp.

6 THE WITNESS: But, nevertheless, I understand that
7 the, that the estimate was based on siting the storage in the
8 vicinity of the Glades County site.

9 COMMISSIONER CARTER: Okay.

10 THE WITNESS: All right? And when I say that the
11 site might not be Glades, you know, I expect that it would be
12 in relatively close proximity to that, to that area.

13 And I guess the, the other point that I wanted to
14 make, Commissioner Carter, was that, as I said before,
15 substituting a gas plant even with the storage that I'm
16 speaking of would not provide the same level of fuel diversity
17 because the gas would still come from the same sources in the
18 Gulf of Mexico through the same pipelines and therefore be
19 subject to many of the same interruptions that a hurricane
20 could cause and things like that; whereas, building a coal
21 plant would separate us completely from that process.

22 COMMISSIONER CARTER: And I heard all of that and I
23 remember you testifying to that. But that's not what -- I was
24 just zeroing in specifically on once the gas got here. I mean,
25 no matter what you do, it's got to get here someplace. Because

1 we don't have natural gas in Florida, we don't have coal in
2 Florida, we don't have -- it's got to get here someplace. So I
3 just blew past that. Now I'm moving beyond natural gas, Madam
4 Chairman, if you would permit me.

5 I've got -- you may or may not be the right person to
6 answer this question, but, you know, that's never stopped me
7 before.

8 Have you -- or do you know whether or not that FPL or
9 any other utility in Florida has -- because you're the Director
10 of Planning and -- what does this say here? You're the
11 Director of Planning and Assessment; is that right? Am I
12 close?

13 THE WITNESS: Yes, Commissioner.

14 COMMISSIONER CARTER: And you obviously have to not
15 only consider what you do at FPL, you have to consider what's
16 happening in the industry; right?

17 THE WITNESS: Yes, in general.

18 COMMISSIONER CARTER: Good. Good. Good. Thank you.

19 So, so have you given or have you given any thought
20 to or have you heard anything about what it would cost to place
21 solar panels on homes in your market area or in Florida and for
22 hot water for the homes and hot water for pools, there are a
23 tremendous number of pools in Florida, or other uses like that?
24 And I know this is probably getting more into the DSM areas.
25 And if you think I should ask it to someone else, I'll be glad

1 to. Let me know, I'll circle their name, and I'll be ready to
2 talk to them when they get on the stand.

3 THE WITNESS: I can definitely give you a name on
4 that, Commissioner. I would not be able, but if you ask the
5 questions of Mr. Brandt, he would be able to tell you about the
6 types of programs that we have considered and the potential
7 that we see in those programs.

8 COMMISSIONER CARTER: Okay. Thank you. And --

9 THE WITNESS: I could tell you that I have, I have a
10 little understanding of, of the issue of the limitations
11 regarding solar as it pertains to using solar for electric
12 generation.

13 COMMISSIONER CARTER: No. I'll ask him. That's
14 okay.

15 THE WITNESS: Okay.

16 COMMISSIONER CARTER: I don't want -- thank you,
17 Madam Chair. I've got a limited amount of time here, like I
18 say.

19 I remember in one of the discussions you had, I
20 forget who you were talking to this morning -- and I'm like
21 Mr. Krasowski, I'm not really interested in the confidential
22 stuff.

23 How do you factor -- there's been a lot of discourse,
24 not just with FPL but a lot of the people from both public,
25 both the parties, OPC and all like that talking about the NRDC,

1 Sierra Club and different organizations talking about future
2 costs of emissions and things like that. How do you even
3 factor -- in essence, how do you arrive at a cost of that? You
4 know, like I say, I just do arithmetic. I'm not a math major.
5 I don't do algorithms or trigonometry or anything. But what's
6 the calculus? How do you even factor the cost of what future
7 emissions would be? How do you factor that cost? I don't want
8 anything confidential because, you know, I don't want to
9 remember anything confidential.

10 THE WITNESS: I can tell you how we have done it up
11 to this point and in this proceeding. For, for a number of the
12 areas of emissions that, that we know of where there is SO2
13 regulation, NOx regulation, particulate regulation, et cetera,
14 we, we project the amount of emissions that each type of
15 generation in our system will produce, and then depending on
16 the legislation the emissions are either limited or one can buy
17 allowances. In many cases we, we don't emit too much so
18 there's no cost. So based on simulation of the system into the
19 future as to how we will operate, which plants will operate for
20 how many hours, et cetera, we can project what those emissions
21 are going to be in the future. And then based on the
22 legislation that exists and the regulation that exists and on
23 the projected costs for, say, allowances or whatever it is
24 going to take for us to be able to operate the system, then we
25 come up with an estimate. If, if there's these plants and this

1 is the load, this is going to be the emissions and this is
2 going to be the cost.

3 Now in the case of CO2, of course, there is no
4 legislation in place, there's no regulation in place. And
5 rather than just like we do for the others, based, do the
6 calculation based on what exists and will exist in the future
7 that we already know, we have to say, well, what if? And we,
8 we took from, from experts and, and consultants their views of
9 what a logical range would be, and then we applied that range
10 of what the legislation might be to FPL and then applied the
11 same logic. If the regulation is this way, how would it affect
12 the FPL portfolio, how many emissions of CO2 will the portfolio
13 emit and, therefore, what is the cost going to be? And so in
14 the same manner that we projected the others, we projected the
15 cost of CO2, only in the case of CO2 we did it in four
16 different cases because of the uncertainty associated with
17 that. Did that answer your question?

18 COMMISSIONER CARTER: And that's, and that's how you
19 got the RS-3 and RS-4 with the different scenarios?

20 THE WITNESS: Yes, Commissioner.

21 COMMISSIONER CARTER: Good. Thank you so kindly.

22 Madam Chairman, I'm just about done here.

23 In the -- did you hear the discussion yesterday on
24 the amount of water or lack thereof or the type of water that
25 will be used for a coal plant in Glades County? Were you here

1 for that?

2 THE WITNESS: I didn't, but -- although you haven't
3 asked me if I can answer the question, but I would suggest that
4 if you have questions related to that, then Mr. Hicks would be
5 the right person to ask.

6 COMMISSIONER CARTER: Mr. Hicks. I think you've
7 broken the code there.

8 Thank you for your indulgence, Madam Chairman. I'm
9 just trying to look.

10 Okay. Does -- I've been dying to ask somebody this
11 question. I don't know who would have the answer to this, but
12 I probably could look it up, maybe Google it or something.

13 What is -- does anyone know the percentage or has
14 anyone told you or have you read it anywhere about the
15 percentage of CO2 emissions from the United, emitted in the
16 United States from power plants versus from other countries?

17 THE WITNESS: I don't have that information. I'm
18 sure that by the time you, you ask Mr. Kosky, he will be able
19 to answer.

20 COMMISSIONER CARTER: Mr. Kosky. Mr. Kosky. Okay.
21 Thank you, Madam Chairman. Appreciate it.

22 CHAIRMAN EDGAR: Commissioner McMurrrian.

23 COMMISSIONER McMURRIAN: Thank you. I have a few.

24 First I will follow up on a question that Mr. Beck
25 asked earlier, and I think Mr. Carter took you down this same

1 line, too, regarding the location of the site. And I think you
2 agreed if a gas plant were instead selected, instead of the
3 coal plant that's proposed, it may or may not go at the Glades
4 site. Would that be because of the proximity of the site to
5 the gas pipeline or the existing sources, or is it other
6 factors or some combination? Can you help me understand.

7 THE WITNESS: Yes, I certainly can. I will tell you
8 that in terms of the expert in site selection, Mr. Hicks could
9 give you chapter and verse; however, I think I can address your
10 question. When we look at a site we look at a number of
11 issues. First of all, the size and proximity to population,
12 the availability of transmission facilities, near the site as
13 well as from the site to the load center, as well as the
14 ability to deliver fuel to the site. There may be other
15 factors, but those are definitive factors.

16 In looking at Glades, it's a very favorable site, and
17 it encompasses a number of these benefits. But just in terms
18 of what the first gas plant that we would build, whether FGPP
19 is built or not, and we certainly hope that it will, there
20 might be a better site in terms of gas pipeline already be in
21 the proximity, transmission capability being in the proximity,
22 it being closer to the load center. And of course if there's
23 water for a coal unit, there would be water for other types of
24 generation at Glades, but those are the factors that we would
25 take into consideration. And the other thing that we will take

1 into consideration if the Glades County site has potential for
2 something other than natural gas, but another site that we
3 might have control over only has potential for natural gas,
4 that might be a factor as well.

5 COMMISSIONER McMURRIAN: Thank you, that helps.

6 And I think it would be the same type of analysis no
7 matter what type of plant; but if it were an IGCC, would it be
8 more likely that the Glades site would be more likely to be a
9 favorable sight with an IGCC because it's more similar
10 technology and both use coal.

11 THE WITNESS: I think that I haven't considered it
12 from the IGCC perspective, and I think it would be perhaps
13 preferable if you could ask Mr. Hicks that question.

14 COMMISSIONER McMURRIAN: No problem. Thank you.

15 And along a different line, Chairman.

16 This is a follow-up to one of the questions that
17 Mr. Krasowski asked you regarding the coal contracts that I
18 understand are expiring, and I think you discuss it in your
19 testimony, I think Page 16. And perhaps it may be good to
20 refer to, and I think you might have it there on the table, the
21 Exhibit Number 155 that was marked, Staff's Second Composite
22 Exhibit, it has a yellow sheet on the front, maybe over to your
23 right. It should say Staff's Second Composite Exhibit. Do you
24 have that?

25 On Bates stamped Page 2 there's a list of some of the

1 contracts there, and I'm not sure if this coincides with the
2 1312 megawatts that's referenced in your testimony, but --

3 THE WITNESS: No. The contracts that I'm alluding
4 to, if I look at these -- well, one of them does, it's the UPS,
5 but the period in which that contract would expire is after
6 2012. And that does expire in 2015, and that has -- at the
7 time it expires, there would be 160 or so megawatts of coal
8 generation. Now, if you see under the column that says type of
9 facility/source, on the lines that says UPS, it says coal/coal
10 and combined cycle.

11 COMMISSIONER McMURRIAN: Yes.

12 THE WITNESS: In 2010 that contract changes from
13 being a totally coal contract of 930 megawatts to a coal to
14 provide only 160 megawatts of coal. That was, in spite of our
15 attempt to extend the contract in its original form, the
16 supplier did not want to continue to market that output, and we
17 were only able to extend 160 megawatts of the coal portion and
18 then replace the rest with combined cycle generation from
19 Georgia. And that was a contract that was presented to the
20 Commission and discussed about a year and a half ago.

21 So in combination between now and 2015, the UPS
22 contract first changes and then expires so that 930 megawatts
23 of coal generation by 2015 will go away. The other component
24 is not here, and that is in St. Johns River Power Park where we
25 own 20 percent but we also purchase 30 percent of the output,

1 in 2015 by IRS regulations, we no longer can receive the
2 purchased power component. So that 30 percent which amounts to
3 381 megawatts will go away, and we have to replace it with
4 other generation. And those two, the 930 and the 381 are the
5 totals that I'm talking about.

6 COMMISSIONER McMURRIAN: Okay, that helps. And I've
7 got a follow-up. It sounds like obviously the 381 megawatts
8 associated with the St. Johns River Power Park is completely
9 off the table due to a change in law, it sounds like.

10 THE WITNESS: It's actually based on the restrictions
11 imposed on the original financing of the plant that has tax
12 implications, and it is not subject to the parties agreeing
13 otherwise, it's by IRS rules.

14 COMMISSIONER McMURRIAN: Okay. And I think you see
15 where I'm going. With respect to the 930 megawatts, do any of
16 those contracts provide for reopeners or some type of renewal
17 to be considered by FPL, or is that 930 megawatts going to be
18 completely off the table in 2015?

19 THE WITNESS: In terms of coal generation, the
20 difference between 930 and 160, let's see --

21 COMMISSIONER McMURRIAN: 770.

22 THE WITNESS: 770, yes.

23 COMMISSIONER McMURRIAN: Whether it's arithmetic or
24 math, I'm not sure.

25 THE WITNESS: The 770 that will go away as far as

1 coal generation that is replaced with combined cycle, it was
2 the decision on the part of Alabama Power who is the owner of
3 the Miller plants that had served us for, it must be at least
4 15 years, that they were going to use that coal generation to
5 serve their native load. When we entered into those contracts
6 it was found that they were not needed to serve their native
7 load, so they were not allowed in their rate base and that's
8 the reason why we were able to purchase from them. But at this
9 point, they determined that they are needed, that indeed like
10 us, they are in search for something to diversify their fuel
11 mix and get away from exclusively natural gas, so they have
12 elected to keep that generation for their native load,
13 therefore they were not willing under any circumstances to sell
14 it to us.

15 COMMISSIONER McMURRIAN: Okay. I guess one final
16 question. With respect to the 160 megawatts, and it sounds
17 like that expires by 2015 as well, but is there a chance for
18 some type of renewal on that amount?

19 THE WITNESS: We will continue to try. When we
20 entered into the supply contract, we wanted to extend the whole
21 purchase, including the combined cycle, and 2015 was as long as
22 Southern Company was willing to extend that, and did not
23 express any opening. But, of course, just like we are looking
24 at other possibilities for purchasing coal generation from
25 plants that are being built or have been built, we will

1 continue to look for that. I might add, for example, we even
2 asked Seminole to tell us whether they were willing to offer
3 generation. And they said, no, even if their new plant is
4 built was their answer to us. And we are pursuing other cases,
5 but there is a great deal of competition for coal generation
6 these days for the same purpose that we think it is necessary
7 to building FGPP for the purpose of fuel diversity.

8 COMMISSIONER McMURRIAN: Thank you.

9 That's all, Chairman; thank you.

10 CHAIRMAN EDGAR: Other questions from staff.

11 MS. HOLLEY: Staff has a few questions.

12 CHAIRMAN EDGAR: Just a few, or -- for timing.

13 MS. HOLLEY: Ten, fifteen minutes tops.

14 CHAIRMAN EDGAR: Why don't we take a very short
15 break. We will come back -- and give the witness a chance to
16 stretch, and maybe the rest of us as well -- and let's come
17 back at five after, and we will take up questions for staff and
18 redirect and see what we want to do about lunch break.

19 (Recess.)

20 CHAIRMAN EDGAR: Okay. We are going to go back on
21 the record and continue. And, Mr. Gross, I meant before we
22 went on break to ask if you would have somebody pick up the red
23 folders. And I apologize, because I forgot to make that
24 request. But before we get started, is that all right, because
25 I would much prefer that they are your responsibility than

1 mine.

2 Okay. And just for planning purposes, I'm thinking
3 that we will go ahead and finish the questioning and the
4 redirect with this witness, and then maybe take the next
5 witness, and after that take a longer break for lunch. So let
6 me know if that will work. And so with that, questions from
7 staff.

8 MS. HOLLEY: Thank you.

9 CROSS EXAMINATION

10 BY MS. HOLLEY:

11 Q Good afternoon, Mr. Silva.

12 I'd like to ask you a few questions regarding the
13 potential rate impacts of the proposed FGPP. You should have
14 in front of you what has been previously marked Staff's Exhibit
15 Number 156, it's the blue-covered composite exhibit.

16 If you could, in that exhibit, turn to FPL's Response
17 to Staff Interrogatory Number 99 which begins at Page 14.

18 A Yes, I have it.

19 Q And looking, actually, at Attachment 1 to that
20 interrogatory response, which is Page 15 at that table, you
21 would agree that this table was developed using Forecast
22 Scenario 3B which you discussed previously, and shows the
23 estimated impact of residential rates using the plan with coal
24 versus the plan without coal.

25 A Yes, that's correct. And I might, just for

1 clarification, say that this did not reflect, in terms of the
2 differential, the cost of gas storage. But rather -- so, in
3 essence, it is consistent with my document RS-3 as opposed to
4 my document RS-4.

5 Q Thank you for that. And looking at that table,
6 specifically the column all the way to the right that should be
7 highlighted in green?

8 A Yes.

9 Q You would agree that according to that column
10 ratepayers would be paying an additional cost for having fuel
11 diversity for approximately 16 years before any bill reductions
12 would be realized?

13 A Yes. In this particular combination, which as we
14 have indicated is done for illustrative purposes across the
15 board, it would take a number of years where the price would be
16 higher, especially at the beginning, of a little over \$3.64 per
17 thousand kilowatt hours, and then diminishing over time.

18 Q Thank you. Now turning to Late-filed Exhibit 2 to
19 Doctor Sim's deposition which begins at Page 22 of the same
20 exhibit.

21 A Yes.

22 Q And turning to Attachment 1 of that exhibit which is
23 on Page 23?

24 A Yes.

25 Q You would agree that this table was developed using

1 Forecast Scenario 1A and also shows the rate impacts of the
2 estimated residential rates using the plan of coal versus the
3 plan without coal?

4 A That is correct. Again, in the same vein, without
5 reflecting the cost of gas storage.

6 Q Okay. And, again, looking at the column to the far
7 right highlighted in green, using this scenario ratepayers
8 would realize rate reductions after the third year, correct?

9 A That's correct.

10 Q So based on these analyses, Forecast Scenario 1A
11 would show the most savings regarding the FGPP, correct?

12 A Yes.

13 Q Staff is now going to hand out an additional
14 document, what is being handed out is a copy of FPL
15 Supplemental Response to Interrogatory Number 112. Are you
16 familiar with this document?

17 A Yes.

18 MS. HOLLEY: Madam Chair, at this time we would like
19 to have this exhibit identified, I believe Number 161.

20 CHAIRMAN EDGAR: We will so mark Exhibit 161.

21 MS. HOLLEY: And we can call it FPL's Supplemental
22 Response to Interrogatory Number 112.

23 CHAIRMAN EDGAR: Okay.

24 (Exhibit 161 marked for identification.)

25 BY MS. HOLLEY:

1 Q Mr. Silva, you would agree that this interrogatory
2 provides a sensitivity to the plan with coal, but replacing the
3 FGPP with a comparable IGCC plant?

4 A Yes.

5 Q Turning to Page 5 of this interrogatory response.
6 You would agree this table reflects the same rate impact
7 analysis we discussed previously incorporating Forecast
8 Scenario 1A, but, again, using an IGCC plant instead?

9 A Yes. And as the column on the right shows, the
10 higher cost to the customer last longer than in Scenario 1A for
11 FGPP.

12 Q Right. And, also, you would agree that the IGCC
13 plant would result in a higher initial rate impact to the
14 customers as well?

15 A That's correct.

16 Q Which is 295 for IGCC verse 247 for FGPP in the table
17 we previously looked at?

18 A That's correct.

19 Q And as you noted, also, a longer period of time
20 before the net benefit started to accrue?

21 A Yes.

22 Q And would you expect similar results if we compared
23 the results of Forecast Scenario 3B also using the substituted
24 IGCC plant?

25 A Yes.

1 Q Great.

2 A The IGCC has been shown to be a higher cost
3 alternative across the board in every scenario we have tested.

4 Q And now turning to the last page of this exhibit,
5 Page 11, could you just briefly explain what this chart is
6 intended to show?

7 A I will tell you how I understand it, and it may be
8 appropriate for more detailed questions to be posed to Doctor
9 Sim, who prepared this.

10 Q Thank you.

11 A But, in essence, this is what we referred to as the
12 screening analysis, and it simply looks at an individual plant
13 separate from the portfolio or how it behaves in FPL's
14 portfolio or how it would dispatch, and it simply says how
15 would the dollars per megawatt hours produced compare, this is
16 reflecting capital costs, fuel costs, et cetera, how would they
17 compare at different capacity factors.

18 So no judgment is made as to whether they would be
19 base loaded or partial, but at each point along the way, what
20 would an individual unit addition do? And what it shows here
21 is we show four IGCC cases. And what I'm not absolutely sure
22 about is the variation among the IGCC cases that Doctor Sim can
23 explain, but they are the four IGCC cases showing a higher cost
24 than the advanced technology coal. And I believe that the
25 50/50 has to do with the type of emission, but I would ask that

1 you ask Doctor Sim that. But, in any event, all four
2 variations of an IGCC screening analysis at every capacity
3 factor shows a higher, significantly higher cost than the
4 advanced technology coal at FGPP.

5 MS. HOLLEY: Thank you. And we'll follow up with
6 Doctor Sim as appropriate. That concludes my questions.

7 CHAIRMAN EDGAR: Thank you. Redirect.

8 REDIRECT EXAMINATION

9 BY MR. LITCHFIELD:

10 Q Mr. Silva, in response to questioning from
11 Mr. Krasowski, I think you referenced a figure of
12 5800 megawatts as the amount of capacity that FPL will have
13 deferred by the year 2015 through its DSM efforts. Is my
14 recollection accurate?

15 A Yes, that would have been avoided, yes.

16 Q Would have been avoided. Thank you. And can you put
17 that in some context for us in terms of the number of power
18 plants that would or will have deferred -- excuse me, will have
19 avoided?

20 A Well, the 5800 megawatts is equivalent,
21 approximately, to three times the size of the proposed FGPP.
22 So, in essence, through the accumulated DSM we will have
23 avoided FGPP three times by 2016.

24 Q Now, in response to questions from Mr. Beck and also
25 Mr. Gross, you were focused on RS-4 at various points, do you

1 recall that discussion?

2 A Yes.

3 Q That is the exhibit on the white board behind you as
4 well?

5 A That's correct.

6 Q I want to focus you on column number four, and tell
7 me if I'm right about this, the columns represent the
8 differential between forecasted price of coal and natural gas?

9 A I'm sorry could you repeat the question.

10 Q Yes. The reference to different differential in the
11 columns here, one through four, that refers to the difference
12 between the price of gas and coal does it not?

13 A Yes, that is correct.

14 Q Now, if carbon regulation occurs, what is your view
15 as to the impact of that on the price of natural gas?

16 A Our view is that any imposition of a carbon cost on
17 the industry will cause the price of gas to increase because
18 generators will have choices, and one of those choices will be
19 to reduce the amount of coal generation and increase, to the
20 extent possible, the amount of gas generation, at least until
21 the two are made equivalent in cost, so to speak. Including,
22 of course, for coal the cost of the fee, or the tax, or
23 whatever form of the legislation. So it will increase the
24 demand for natural gas, it likely will reduce the demand for
25 coal, so the differential between the two is likely to increase

1 as a result of any level of carbon legislation.

2 Q In the event of carbon regulation, therefore, what
3 does that say to you with respect to the probability of the
4 scenarios in column four occurring?

5 A As I indicated in answer to a prior question, I would
6 believe that the last three numbers on column four, the bottom
7 three numbers on column four, which depicts a carbon fee and a
8 very low differential between natural gas and coal prices are
9 very unlikely to occur. I believe that if there is any
10 imposition of a carbon tax that the definite outcome will be
11 that gas prices will increase relative to coal prices and,
12 therefore, we will in actuality move towards the left in this
13 matrix. Therefore, the last three -- in the last column, the
14 bottom three outcomes are very, very unlikely, in my opinion.

15 Q Just to be clear, those are the figures 1250, 2184,
16 and 2617?

17 A That's correct.

18 Q Then given that, how many scenarios on this matrix
19 would reflect a negative or noncost-effective outcome for FGPP?

20 A There would only be three that I would consider
21 possible out of the remaining 13, with ten being favorable.

22 Q And what can you say about the relative magnitude in
23 terms of outcomes, the three outcomes that show FGPP as not
24 cost-effective versus the ten outcomes that show FGPP as
25 cost-effective?

1 A Well, in these remaining three scenarios that are
2 unfavorable to FGPP, the magnitude of the differential is much,
3 much smaller than in the majority of the cases that are
4 favorable to FGPP.

5 Q Now, you were asked a few questions from staff
6 relative to Exhibit 156. Do you still have that in front of
7 you. It's the one with the blue cover.

8 A Yes.

9 Q And, specifically, I think, you were focused on Page
10 15 of that exhibit initially, is that right?

11 A Page 15, yes.

12 Q Now, you indicated that this -- well, let me ask this
13 as a threshold question. This was prepared at the request of
14 staff or was it prepared at FPL's instance?

15 A It was prepared in response to an interrogatory from
16 staff.

17 Q And you indicated in your response to staff that this
18 chart does not reflect the economic impact reflected on RS-4,
19 is that correct?

20 A That's correct.

21 Q If the chart were to reflect that economic impact, do
22 you have any sense for how that would affect the net cost
23 savings numbers in the far right column?

24 A If the cost of gas inventory were reflected, then the
25 period of time in any scenario in which the cost of the plan

1 with coal would be higher would be much shorter, and, of
2 course, the magnitude of that difference unfavorable to coal
3 would be much smaller, as well.

4 Q Are there any other benefits associated with FGPP
5 that would not be quantified on this table?

6 A Well, definitely as I have said in my testimony, what
7 FGPP provides is a balanced portfolio and, in essence, prevents
8 FPL from being almost uniquely an oil and gas utility, which
9 would make our customers much more vulnerable to interruptions,
10 in particular, in fuel deliveries, as well as other factors
11 like. For example, there are benefits in fuel diversity from
12 not having everything have the same technology because there
13 could be from time-to-time a particular component of a turbine
14 or some other piece of equipment that affects a generic type of
15 generation. Like, for example, combined cycle units. Well, by
16 having a different fuel and a different technology, then we
17 also avoid that type of risk. I have already mentioned about
18 diversifying fuel sources and delivery methods as well as the
19 benefit of inventory, which is addressed by RS-4.

20 Q Now, you were also focused on Page 23 of this
21 exhibit, correct?

22 A Yes.

23 Q Without me having to ask you each of the same
24 questions, are you able to address generally the context of the
25 discussion that we had with respect to Page 15, but relative to

1 this spreadsheet shown on Page 23?

2 A Yes. Again, reflecting the cost of gas inventory,
3 the period of time in which the net cost would be unfavorable
4 to coal would be even shorter than it is shown here, and it
5 would essentially show a favorable outcome for FGPP throughout
6 its life.

7 MR. LITCHFIELD: That's all the redirect I have.

8 CHAIRMAN EDGAR: Okay. Let's look at exhibits.

9 Let's start with Exhibits 4 through 8. And seeing no
10 objection, we will enter 4, 5, 6, 7, and 8 into the record.

11 (Exhibits 4 through 8 admitted into the record.)

12 CHAIRMAN EDGAR: And then, Mr. Gross, you had what we
13 marked as Exhibit 160.

14 MR. LITCHFIELD: And FPL would object to 160 on the
15 grounds that there was no foundation laid. In fact,
16 ultimately, I don't think the witness was asked any questions
17 of the document.

18 CHAIRMAN EDGAR: And that is my memory, as well, Mr.
19 Gross. So we will not enter Exhibit 160. And then we had
20 Exhibit 161.

21 MS. HOLLEY: We would request that be moved into the
22 record.

23 CHAIRMAN EDGAR: Any objection?

24 MR. LITCHFIELD: None with respect to 161.

25 CHAIRMAN EDGAR: Okay. Seeing no objection, we will

1 enter 161 into the record.

2 (Exhibit 161 admitted into the record.)

3 CHAIRMAN EDGAR: And so, this witness is excused with
4 the understanding that we will see you back later in the
5 proceeding. Thank you.

6 THE WITNESS: Thank you.

7 CHAIRMAN EDGAR: Mr. Litchfield.

8 MR. LITCHFIELD: I will give the seat up to
9 Ms. Smith, who will call our next witness.

10 CHAIRMAN EDGAR: Okay.

11 MS. SMITH: FPL will call Doctor Leonardo Green.

12 CHAIRMAN EDGAR: And, Doctor Green, you will need to
13 be sworn. So when you get settled, if you would stand with me.

14 (Witness sworn.)

15 Whereupon,

16 LEONARDO E. GREEN, Ph.D.

17 was called as a witness on behalf of Florida Power and Light
18 Company, and testified as follows:

19 DIRECT EXAMINATION

20 BY MS. SMITH:

21 Q Would you please state your name and business
22 address?

23 A My name is Leonardo Green. The business address is
24 Florida Power and Light, 9250 West Flagler Street, Miami,
25 Florida 33174.

1 Q By whom are you employed and in what capacity?

2 A I'm employed by Florida Power and Light. I'm the
3 Load Forecast Manager.

4 Q Have you prepared and caused to be filed 17 pages of
5 prefiled direct testimony in this proceeding?

6 A Yes, I have.

7 Q Do you have any changes or revisions to your prefiled
8 direct testimony?

9 A No changes.

10 Q If I asked you the same questions contained in your
11 prefiled direct testimony, would your answers be the same?

12 A Yes, they would.

13 Q Are you also sponsoring any exhibits to your direct
14 testimony?

15 A Yes, I am.

16 MS. SMITH: First, I would ask that Doctor Green's
17 prefiled direct testimony be inserted into the record as though
18 read.

19 CHAIRMAN EDGAR: The prefiled direct testimony will
20 be entered into the record as though read.

21 MS. SMITH: Thank you.

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **TESTIMONY OF LEONARDO E. GREEN**

4 **DOCKET NO. 07____-EI**

5 **JANUARY 29, 2007**

6

7 **Q. Please state your name and business address.**

8 A. My name is Leonardo E. Green, and my business address is 9250 West Flagler
9 Street, Miami, Florida 33174.

10 **Q. By whom are you employed and what is your position?**

11 A. I am employed by Florida Power & Light Company (FPL) as the Manager of
12 Load Forecasting within the Resource Assessment and Planning Business Unit.

13 **Q. Please describe your duties and responsibilities in that position.**

14 A. I am responsible for the development of FPL's peak demand, energy, economic,
15 and customer forecasts.

16 **Q. Please describe your educational background and professional experience.**

17 A. I earned a Doctor of Philosophy Degree in Economics from the University of
18 Missouri-Columbia in 1983. Prior to joining FPL, I was employed by Seminole
19 Electric Cooperative as the Load Forecasting Supervisor in the Rates and
20 Corporate Planning Department. In April of 1986, I joined FPL's Research,
21 Economics and Forecasting Department, as a Senior Forecasting Analyst. My
22 responsibilities included preparation, review, and presentation of the economic,
23 customer, and load forecasts for FPL. In August of 1986, I was promoted to

1 Supervisor of Economics and Forecasting within the Research, Economics and
2 Forecasting Department. In 1991, I became Manager of Load Forecasting within
3 the Resource Assessment and Planning Business Unit. I am responsible for
4 coordinating the entire economic and load forecasting effort at FPL.

5

6 In addition, I have held several Assistant Professorships of Economics and
7 Statistics as well as research and teaching positions with the University of
8 Missouri, Florida International University, and the University of South Florida.

9 **Q. Are you sponsoring an exhibit in this case?**

10 A. Yes. I am sponsoring an exhibit consisting of fourteen documents, Document
11 Nos. LEG-1 through LEG-14, which is attached to my direct testimony.

12 **Q. Are you sponsoring any sections in the Need Study?**

13 A. Yes. I am sponsoring the load forecast portion of Section V and Appendix D
14 "Load Forecast" of the Need Study. I also co-sponsor Appendix C "Computer
15 Models Used in Resource Planning."

16 **Q. What is the purpose of your testimony?**

17 A. The purpose of my testimony is to describe FPL's load forecasting process,
18 identify the underlying methodologies and assumptions, and present the forecasts
19 used in the Need Study submitted by FPL in this proceeding. I will also explain
20 how these forecasts were developed and why they are reasonable.

DESCRIPTION OF FPL'S EXISTING CUSTOMER BASE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

Q. Please describe FPL's service territory.

A. FPL's service territory covers approximately 27,650 square miles within peninsular Florida, which ranges from St. Johns County in the north to Miami-Dade County in the south, and westward to Manatee County. FPL serves customers in 35 counties within this region.

Q. How many customers receive their electric service from FPL?

A. FPL currently serves more than 4.4 million customers, as shown on Document No. LEG-1, and a population of more than 8 million people.

FPL'S LOAD FORECASTING PROCESS AND RESULTS

Q. Please describe FPL's forecasting process.

A. FPL relies on econometrics as the primary tool for projecting future levels of customer growth, energy sales, and peak demand. An econometric model is a numerical representation, obtained through statistical estimation techniques, of the degree of relationship between a dependent variable, e.g., the level of energy sales, and the independent (explanatory) variables, which I describe in the following paragraph. A change in any of the independent variables will result in a corresponding change in the dependent variable. On a historical basis, econometric models have proven to be highly effective in explaining changes in the level of customer or load growth. These models have consistently been used

1 by FPL for various planning purposes and the modeling results have been
2 reviewed and accepted by this Commission in past regulatory proceedings.

3
4 Predicting the level of the dependent variable in future years requires assumptions
5 regarding the levels of the explanatory variables. Explanatory variables include
6 assumptions on the future number of customers, projected economic conditions,
7 weather, and the price of electricity, each of which is obtained from various
8 sources. For example, the future number of customers is based on population
9 projections produced by the University of Florida's Bureau of Economic and
10 Business Research (BEBR). The projected economic conditions are secured from
11 reputable economic forecasting firms such as Global Insight (formerly known as
12 DRI-WEFA). The weather factors are obtained from the National Oceanographic
13 and Atmospheric Administration (NOAA). The price of electricity reflects the
14 Commission-approved base rates and adjustment clauses.

15 **Q. Does FPL assess the reasonableness of the explanatory variables?**

16 **A.** Yes. FPL has reviewed and assessed the assumptions regarding the explanatory
17 variables and has concluded they are reasonable. This ensures that the forecast of
18 customers, energy sales, and peak demand are both realistic and rational. A
19 comparison of the historical growth in Real Personal Income for Florida
20 corresponding to different periods with Global Insight's projected Real Personal
21 Income is shown on Document No. LEG-8. The comparison clearly indicates that
22 the forecast may not be in line with history. Based on this analysis, FPL
23 concluded that the projected growth in Real Personal Income for Florida produced

1 by Global Insight was overly optimistic and would lead to incremental needs in
2 capacity that may not be realistic. To account for this fact, in preparing this load
3 forecast FPL used an annual growth in real personal income for Florida identical
4 to the growth observed during the last five years, which averaged 3.2% per year.

6 FPL'S CUSTOMER GROWTH FORECAST

7
8 **Q. Please explain the development of FPL's customer growth forecast.**

9 A. The growth in customers in FPL's service territory is the primary driver of the
10 growth in the level of energy sales and peak demand. In order to project the
11 growth in the number of customers, FPL relies on population projections
12 produced by BEBR. Once a year, BEBR updates its population projections for
13 the state of Florida on a county-by-county basis. FPL's customer growth forecast
14 is based on BEBR's population projections for counties in FPL's service area,
15 released in April of 2006. BEBR includes the potential effects of depressed
16 customer growth as a result of the 2004 and 2005 hurricane seasons.

17 **Q. What is FPL's customer growth forecast?**

18 A. FPL is projecting an annual average increase of 88,217 new customers for the
19 next ten years as shown on Document No. LEG-1. The annual average projected
20 growth of 88,217 in new customers is slightly higher than the historical annual
21 average of 85,683 for the years 1996-2005. These historical customer growth
22 numbers reflect the effect of the 2004 and 2005 hurricanes.

1 **Q. In addition to population changes, what other factors are considered in**
2 **projecting FPL's customer growth?**

3 A. Factors such as the performance of Florida's economy, affordability index, job
4 opportunities, and international conflicts are also important determinants of
5 growth in FPL's service territory. Florida is experiencing a period of robust
6 growth in population and this expansion has resulted in a surge of construction of
7 new homes to house this population. Anecdotally, it is also mentioned that baby
8 boomers are taking advantage of the low mortgage rates to secure housing for
9 their upcoming retirement. In addition, the value of the dollar vis-à-vis the Euro
10 suggests that Florida's real estate market is attractive for foreign investors. This
11 expanded demand for housing and the jobs created are responsible in part for the
12 recent growth in the number of FPL customers. This increased demand, coupled
13 with low mortgage rates, has driven up the price of housing in Florida, raising
14 drastically the cost of living and affordability index for Florida. This increase in
15 the affordability index and higher inflation, primarily as a result of higher fuel
16 prices, are limiting the potential growth in customers to a certain extent. This
17 explains why projected customer growth is only slightly higher than the customer
18 growth experienced in recent years in the face of a more favorable state economy.

19 **Q. What is FPL's most current customer forecast?**

20 A. FPL's most current customer forecast is shown in Documents LEG-1 and LEG-7.
21 For the years 2013 and 2014, the customer forecast is higher by 119,088 and
22 125,477, respectively, than the 2006 West County Energy Center 1 and 2 Need
23 Determination forecast for the years 2009 and 2010, respectively. This is a result

1 of an updated projection of population from BEBR as well as observed recent
2 history of customer growth in FPL service territory.

3 **Q. Is FPL's customer growth forecast reasonable?**

4 A. Yes. The forecast incorporates the most recent available projections made by the
5 University of Florida at the time the forecast was developed.

6

7 **FPL'S PEAK DEMAND FORECAST**

8

9 **Q. What is FPL's process to forecast summer peak demand?**

10 A. The rate of absolute growth in FPL system load has been a function of a larger
11 customer base, weather conditions, continued economic growth, changing
12 patterns of customer behavior (including an increasing stock of electricity-
13 consuming appliances) and more efficient heating and cooling appliances. FPL
14 developed the peak demand models to capture these behavioral relationships.

15

16 The summer peak forecast is developed using an econometric model. The model
17 is a per-customer model that includes: the real price of electricity, Florida real
18 personal income as an economic driver, average temperature on peak day and a
19 heat buildup weather consisting of the sum of the cooling degree hours during the
20 peak day and three prior days. The forecasted summer peak usage per customer is
21 shown on Document No. LEG-3. The forecasted summer peak usage per
22 customer is multiplied by the projected total customers to derive FPL's system
23 summer peak as shown on Document No. LEG-2.

1 **Q. What is FPL's process to forecast winter peak demand?**

2 A. Like the system summer peak model, the winter peak model is also an
3 econometric model. The winter peak model is a per-customer model that includes
4 two weather-related variables: the square of the minimum temperature on the
5 peak day and Heating Degree Hours from the prior day until 9:00 a.m. of the peak
6 day. In addition, the model also has an economic term, Florida real personal
7 income. The winter peak usage per customer is shown on Document No. LEG-5.
8 The projected winter peak load per customer value is multiplied by the total
9 customers to derive FPL's system winter peak as shown on Document No. LEG-
10 4.

11 **Q. What is FPL's process to forecast monthly peak demands?**

12 A. The forecasting process consists of the following:

- 13 - Development of the historical seasonal factor for each month by using
14 ratios of historical monthly peaks to seasonal peak (Summer = April-
15 October; Winter = November-March).
- 16 - Application of the monthly ratios to their respective seasonal peak forecast
17 (summer and winter peaks) to derive the peak forecast by month. This
18 process assumes that the seasonal factors remain unchanged over the
19 forecasting period.

20 Monthly peak forecasts are used in generation planning and also provide
21 information for the scheduling of maintenance for power plants and fuel
22 budgeting.

1 **Q. What were FPL's actual peaks during 2006?**

2 A. FPL experienced a summer peak of 21,819 MW in 2006, which is 457 MW lower
3 than the all time record peak for FPL's service territory of 22,276 MW
4 experienced in 2005. This equates to a decrease of 2.1 percent from the 2005
5 summer peak, and is shown on Document No. LEG-2. The winter peak for
6 2005/2006 was only 19,682 MW, well below the all time high winter peak of
7 2002/2003, which was 20,190 MW, as shown on Document No. LEG-4.

8 **Q. Please summarize the peak demand forecasts.**

9 A. The ten year summer peak demand is projected to grow from 21,819 MW in 2006
10 to 26,772 MW by the year 2015 or 4,953 MW in absolute terms as shown in
11 Document No. LEG-2. By the years 2013 and 2014, the projected summer peak
12 should reach 25,590 MW and 26,100 MW, respectively, a growth of 3,771 MW
13 and 4,281 MW relative to 2006. The winter peak grows from 19,682 MW in the
14 winter of 2005/2006 to 26,048 MW in the winter of 2014/15 or 6,366 MW in
15 absolute terms as shown in Document No. LEG-4. For the winter of 2012/2013
16 the winter peak demand is estimated to reach 24,952 MW and for the winter of
17 2013/2014 it is projected to be 25,416 MW, or a growth of 5,270 MW and 5,734
18 MW, respectively. The apparent accelerated growth in the winter peak forecast is
19 a reflection of the fact that in the 2005/2006 winter season, FPL's service territory
20 did not experience a "normal" winter peak, which diminishes the base value
21 against which these projected peaks are compared.

1 **Q. What estimated impact did the 2005 Energy Policy Act have on FPL summer**
2 **peak demand forecast?**

3 A. In 2005, Congress passed the Energy Policy Act mandating certain appliance
4 efficiency standards and insulation for new construction, which is expected to
5 reduce energy demand in the future. FPL estimated the 2005 Energy Policy Act
6 would reduce the projected peak demand from approximately 133 MW in 2006 to
7 as much as 1,256 MW in the year 2014. The annual estimated impact of the 2005
8 Energy Policy Act is shown on Document No. LEG-13. To arrive at FPL's
9 projected peak demand values used in the Need Determination, the estimated
10 impacts were deducted as line item adjustments from the originally projected
11 peaks for the corresponding years.

12 **Q. What weather assumptions does FPL assume for the summer peak**
13 **projections?**

14 A. In putting together the summer peak demand forecast, FPL relies on a normal
15 weather outlook. Normal weather is defined as an average of the hourly
16 temperatures for summer peak days over the years 1948 through 2005. The actual
17 temperature values for 1985 to 2006 and those projected from 2007 onward are
18 shown on Document No. LEG-6.

1 **Q. How does FPL's projected rate of growth in summer peak demand in the**
2 **current Need Study compare to the projected rate of growth used in the 2006**
3 **proceeding to Determine Need for West County Energy Center Units 1 and 2**
4 **Electrical Power Plant?**

5 A. The comparisons of the forecasts from the current Need Study and the 2006
6 Determination of Need are shown in Document No. LEG-7. In terms of summer
7 peak, the current forecast for the year 2013 is higher by 531 MW (2.1 percent)
8 than what was projected in 2006 Petition to Determine Need for West County
9 Energy Center Units 1 and 2 for the same year. The primary reason for this
10 difference between the two forecasts of summer peak is that the customer forecast
11 is higher as shown in Document No. LEG-7, resulting from BEBR updating its
12 population forecast upwards. The full impact of the increased number of
13 customers is somewhat dampened as a result of the higher price of electricity as
14 shown in Document No. LEG-12.

15 **Q. Is FPL's need for power driven by the demand forecast, the sales forecast, or**
16 **both?**

17 A. FPL's need for power, i.e., the amount of resources needed, is driven by the peak
18 demand forecast because FPL's needs are currently determined by a reserve
19 margin criterion of 20%. While FPL uses both a reserve margin and Loss of Load
20 Probability reliability criteria, the reserve margin criterion driven by the peak load
21 forecast has established the magnitude of the resource need for many years. This
22 fact is addressed in the Need Study.

1 **Q. How does FPL's growth in Energy Sales compare to Peaks?**

2 A. FPL's Energy Sales and Peaks are growing at the same pace. This is best
3 reflected by the changes in the load factor. A load factor is defined as a ratio of
4 average load in kilowatts supplied during a designated period to the peak or
5 maximum load in kilowatts occurring in that period. FPL's load factor has
6 remained relatively steady over the last few years as shown on Document No.
7 LEG-14. The relatively steady load factor reflects that the growth in energy sales
8 and peaks are of similar magnitude.

9 **Q. Is FPL's load forecast reasonable for planning purposes?**

10 A. Yes. FPL's load forecast is based on reasonable assumptions, is consistent with
11 historical experience, and is consistent with methodologies previously approved
12 by the Commission.

13

14 **FPL'S ENERGY SALES FORECAST**

15

16 **Q. Please describe the process FPL used to forecast energy sales.**

17 A. The forecast of energy sales consists of three steps. First, an econometric model
18 is developed for total Net Energy for Load (NEL), which is energy generated net
19 of plant use. An econometric model for NEL is more reliable than models for
20 billed energy sales because the explanatory variables can be better matched to
21 usage. This is so because the NEL data does not have to be attuned to account for
22 billing cycle adjustments, which might distort the real time match between the
23 production and consumption of electricity.

1 Next, a line loss factor and a billing cycle adjustment are applied to the NEL to
2 arrive at total use of electricity by the customer. Finally, revenue class models are
3 developed to distribute the forecast of total end-use sales of electricity to the
4 different revenue classes, i.e., residential, commercial, and industrial.

5
6 To project energy sales by revenue class, separate models for the residential,
7 commercial, and industrial revenue classes are developed. These revenue class
8 models are developed to obtain an objective allocation of the total energy sales
9 among FPL's different revenue classes. The sum of the sales for all revenue
10 classes will result in total energy sales. The energy sales for each revenue class
11 are then adjusted to reflect the total energy sales derived from the NEL model.

12 **Q. What are the primary inputs to determine the growth in energy sales?**

13 A. The growth in energy sales comes from the overall growth in the number of new
14 customers as shown on Document No. LEG-1 and use per customer as shown on
15 Document No. LEG-9. The product of per capita use and the number of
16 customers yields the NEL for a given period as shown in Document No. LEG-10.
17 The per capita use of electricity and the increased number of new customers are
18 both linked directly to the performance of the local and national economies.
19 When the economy is booming, the use of electricity increases in all sectors. A
20 strong economy creates new jobs that attract new customers. Under these
21 conditions, new households develop, including those of retirees from other states.
22 However, the reverse also holds true. If the economy is performing poorly,
23 customers with reduced incomes are more apprehensive as to expenditures and

1 tend to restrict their consumption of goods and services. Electricity demand and
2 sales slacken when incomes fall. Job contractions reduce the number of new
3 customers coming to Florida seeking employment opportunities, and new
4 household formations are postponed. FPL relies on the outlook for the state and
5 national economy produced by Global Insight.

6 **Q. What were the basic economic assumptions included in the forecast?**

7 A. Florida's economy has continued to grow at a strong pace and is expected to
8 continue this trend into the foreseeable future. The strong population growth is
9 largely due to baby boomers approaching retirement and the availability of jobs.
10 Florida has been outperforming the national economy, as shown in Document No.
11 LEG-11, and that pattern is projected to continue. The strong population growth
12 will result in increased demand for various services and new homes; thus, these
13 two sectors are leading the growth for Florida's economy. This forecast also
14 reflects that, as a consequence of the hurricanes in 2004 and 2005, there will still
15 be substantial reconstruction activity and infusion of insurance funds into the
16 local economy. Furthermore, the reconstruction activity fuels the manufacturing
17 sector to service this reconstruction with construction material, furniture and
18 transportation equipment.

19 **Q. What is the price of electricity assumed in the forecast?**

20 A. The real price of electricity assumed is shown in Document No. LEG-12. The
21 forecast is higher than the forecast used in the 2006 West County Units 1 and 2
22 Need Determination. The real price of electricity is substantially higher in the
23 early part of the projected period, but the difference steadily declines thereafter

1 reflecting the projected fuel prices in both the West County and current Need
2 Determination proceedings.

3 **Q. What is the vintage of the Price of Electricity used in the Need Determination**
4 **Load Forecast?**

5 A. The price of electricity forecast used in the Peak and Energy forecast is based on a
6 fuel forecast produced by FPL in August of 2006. The recent downward
7 adjustment in the fuel component of the price of electricity, which was approved
8 by the FPSC in November of 2006, occurred after this load forecast was prepared.

9 **Q. What was FPL's actual net energy for load usage during 2005?**

10 A. Net Energy for Load (NEL) in 2005 was 111,301 GWH, an increase of 3.0
11 percent from the 2004 NEL, as shown on Document No. LEG-10. The 3.0
12 percent growth in NEL is comprised of a 2.3 percent increase in customers and a
13 0.7 percent increase in use per customer.

14 **Q. What is FPL's energy sales forecast?**

15 A. In 2006, FPL's energy use per customer was projected to be 0.4% above 2005,
16 with an increase of 1.1% in 2007, and 1.7% in 2008, as shown in Document No.
17 LEG-9. The longer term compound annual average growth in use per customer is
18 projected to be 1.2% annually after 2007. Customer growth was projected at
19 2.0% for 2006, 2.0% for 2007 and 2.1% for 2008 and then an average of 1.8% for
20 the next seven years. Combining the energy use per customer and the growth in
21 customers, yields a growth in energy sales estimated at 2.5% in 2006, 3.1% in
22 2007, and 3.8% in 2008, and then an average of 3.0% for the next seven years, as
23 shown in Document No. LEG-10.

1 **Q. Is FPL's forecast of energy sales reasonable?**

2 A. Yes. A forecast is considered reasonable if good judgment is used in estimating
3 (availing oneself of the appropriate and most credible assumptions on hand) and
4 testing the model and if the results or outputs make sense when compared to prior
5 similar situations. FPL followed this approach in preparing the forecast.

6

7 The models employed by FPL have good descriptive statistics with high degrees
8 of statistical significance. FPL is confident that the relationship that exists
9 between the level of energy sales and the economy, weather, customers, price of
10 electricity, and other variables have been properly assessed and numerically
11 quantified.

12 **Q. Please summarize your testimony.**

13 A. My testimony addresses FPL's summer and winter peak demand forecasts, the
14 energy sales forecast and the customer forecast. I have explained how these
15 forecasts are developed and why they are reasonable. My testimony also
16 demonstrates that peak demand will continue to show strong growth in both
17 summer and winter peaks. FPL is expected to add approximately 4,953 MW of
18 summer peak demand and 6,366 MW of winter peak demand between 2006 and
19 2015. My testimony also shows that FPL is projecting continued strong customer
20 growth in the next ten years, and for energy sales to increase by 2.5% in 2006,
21 3.1% in 2007, and 3.8% in 2008. Over the longer-term, 2009 to 2015, the annual
22 average growth rate in sales is estimated to be approximately 3.0%.

1 Q. Does this conclude your direct testimony?

2 A. Yes.

1 BY MS. SMITH:

2 Q And do the exhibits consist of Documents
3 LEG-1 through LEG-14?

4 A That's correct.

5 MS. SMITH: Madam Chairman, I would note that Doctor
6 Green's exhibits have been premarked for identification as
7 Exhibits 9 through 22.

8 CHAIRMAN EDGAR: Thank you.

9 BY MS. SMITH:

10 Q Have you prepared a summary of your testimony?

11 A Yes, I have.

12 Q Would you please provide your summary to the
13 Commission.

14 A Good afternoon, Commissioners. My testimony
15 addresses the load forecast that is used in this proceeding,
16 the assumptions and the methodology that is used to produce
17 this forecast. Florida and FPL's service territory has
18 experienced a tremendous amount of growth in the recent past
19 and it's projected to continue this growth into the future.
20 This growth is driven primarily by tremendous growth in
21 population and one of the best economies in the nation. As
22 such, we expect that over the next nine years FPL will have to
23 build over 4,950 megawatts of capacity to serve this growth.

24 FPL relies on econometrics as the primary tool for
25 developing this forecast. The primary drivers, as I mentioned,

1 is population and the economy. The models that have been
2 employed by FPL have been used in many planning proceedings and
3 they have been approved by this Commission.

4 That concludes my summary.

5 MS. SMITH: Madam Chairman, Doctor Green is available
6 for cross-examination.

7 CHAIRMAN EDGAR: Thank you. Ms. Perdue. No
8 questions. Mr. Beck.

9 MR. BECK: No questions.

10 CHAIRMAN EDGAR: No questions. Mr. Gross.

11 MR. GROSS: No questions.

12 CHAIRMAN EDGAR: Mr. Krasowski.

13 MR. KRASOWSKI: Thank you, Madam Chair.

14 CROSS EXAMINATION

15 BY MR. KRASOWSKI:

16 Q Hello, Mr. Green.

17 A Hi.

18 Q Doctor Green, excuse me, sir.

19 A Thanks.

20 Q Doctor Green, on Page 5, Line 14, of your testimony,
21 I'll just refer to it in general, sir, and if you can't
22 remember saying it, then maybe you need to look. But you have
23 referred to a 2006 Annual Report of the Florida Bureau of
24 Business Research as being the basis of some of your
25 assumptions?

1 A Yes.

2 Q Do you have a 2007 report?

3 A Yes. The first of April, the University of Florida
4 released a new population forecast.

5 Q In the first of when, April?

6 A First of April of 2007.

7 Q Thank you. And do the trends represented in that
8 report continue to provide you with the opinion that what you
9 project in the future continues to be your projection?

10 A Yes, they did. Commissioners, the University of
11 Florida released their new population forecast, and they
12 increased the forecast that they had produced last year for the
13 coming years by approximately, in the period that we are
14 considering, approximately 80,000 more customers in Florida.
15 In addition, the number of people that they saw in 2006 was
16 430,000 new people in the state of Florida, which is the second
17 best growth in the last 15 or 16 years.

18 Q Interesting. Thank you. If I may, I know one of the
19 components of your analysis is represented in what the various
20 school districts use, and in the Collier County public school
21 district their analysis, which includes the BEEBA (phonetic)
22 report I referred to earlier, is projecting for a reduction in
23 population. They are now experiencing a reduction in
24 population of students that is shared with all of South
25 Florida, especially the coastal regions.

1 Could you comment on that reduction, or maybe the
2 change in the population type, that reduction of students.
3 What do you see that to be?

4 A Yes. The public schools in South Florida have
5 registered lower population of students. However, the private
6 schools have registered an increase in the number of students.
7 I'm here today to tell you that the population in South Florida
8 is not shrinking. In fact, last year FPL added 101,000 new
9 customers. We are adding approximately 450 to 500 customers a
10 day, depending on whether it rains or not, considering
11 holidays, and things like that. So the population is not
12 disappearing. The population is there. It seems like there is
13 a shift occurring away from public school towards private
14 schools in South Florida.

15 Q Another question I would have of you is do you
16 analyze energy use per customer to the extent that you look at
17 the makeup of a family unit or a residential unit and
18 understand the differential in usage between adults, families,
19 baby boomers coming here to retire without their children, and
20 what was experienced previously, families moving here with
21 children and their energy use? Do you analyze it to that
22 extent?

23 A Yes, we do, Commissioners. We look at the different
24 components, and I will take it a step farther. We did a survey
25 in 2002, and we did a survey in 2006, home size. In those four

1 years, the size of homes in our service territory has increased
2 by 15.9 percent. It's very difficult, in spite of the efforts
3 that FPL does in conservation, to try to compensate for the
4 amount of energy that is used by homes that are almost
5 16 percent higher than just four years ago.

6 Q Sir, along those lines, what is the average home
7 size?

8 A The average size depends. For FPL's service
9 territory, it's approximately 1,800 square feet.

10 Q So am I right in assuming that you would disagree
11 with the suggestion that the economy is slowing, that the
12 housing market is falling off, there is a housing boom --
13 excuse me, there is an availability boom -- balloon. Excuse
14 me, housing bubble. That everything we are hearing about this
15 housing bubble, the slowing of building, the slowing of the
16 economy is incorrect?

17 A I would disagree with the statement you said that the
18 economy in Florida is slowing. We have one of the best
19 economies in the nation, and the types of jobs that this
20 economy is creating is not the hospitality type jobs. The jobs
21 that we are creating in Florida, the biggest component of jobs
22 that are being created in Florida, professional services. High
23 paying jobs.

24 Yes, there is a problem with the amount of houses
25 that exist today, but that will be corrected in a short period.

1 We estimate that between 12 to 18 months the oversupply of
2 homes will have disappeared. And why we are so confident is
3 because of the amount of customers that we see moving into our
4 service territory. This year for the first three months we are
5 doing better than last year in customer growth. Last year we
6 did 101,000. This year we are doing better than last year, so
7 we believe that that oversupply of homes will be absorbed.

8 Furthermore, there is a difference with the Florida
9 market compared with other markets across the nation. It is
10 estimated that approximately 1,000 World War II veterans are
11 dying per day. A lot of that money is being funnelled as
12 wealth to the heirs. It is estimated that in downtown Miami
13 that has this glut of apartments, 80 percent of them have been
14 sold without the mortgage. Paid up, okay. So it is not a
15 typical bust as you would say like the rest of the country.
16 Yes, we are going to see some slowdown for 12 to 18 months,
17 which is probably a good thing. Maybe it is a market
18 correction. But besides that, over 10 to 15 years, this has
19 happened before. In the late 70s and '80s we had an
20 overproduction of homes and it disappeared again.

21 Q Doctor Green, at least you have reassured me that I
22 don't have to worry about selling my home, if nothing else. I
23 was very nervous, but if what you saying is correct -- okay.

24 Can your stated increase in energy use per customers,
25 which is predicted to be 1.2 percent annually after 2007, be

1 lessened by effective load management and energy conservation
2 and efficiency? Can you speak to that or is that out of your
3 realm?

4 A Yes. Historically, for the last ten years we have
5 grown at only .8 percent per year. But if you were to adjust
6 our numbers for the hurricanes that occurred in 2004 and 2005,
7 that use per customer jumps to 1 percent per year. The
8 forecast is 1.2 percent per year, and the reason why that is
9 occurring is that we are seeing a tremendous amount of
10 electrification in the homes in Florida. We are seeing the
11 size of homes increasing by almost 16 percent just compared
12 with four years ago. And we are also seeing that there is such
13 a wealth in Florida, and use of electricity is closely
14 associated with wealth. The wealthier the customer, the higher
15 his consumption.

16 We have considered in our DSM programs all
17 cost-effective programs, and this is the result of after
18 considering all of those programs that FPL has implemented in
19 the past that we would continue to grow at this rate. And as I
20 would like to stress, even though we are number one in the
21 nation, just by the mere size of the homes that we are building
22 today, because of the electrification, it is very difficult to
23 reduce that use per customer, or the rate of growth in the use
24 per customer.

25 MR. KRASOWSKI: Thank you, Doctor Green. I have no

1 further questions.

2 CHAIRMAN EDGAR: Commissioner Carter.

3 COMMISSIONER CARTER: Good afternoon, Doctor Green.

4 THE WITNESS: Good afternoon.

5 COMMISSIONER CARTER: Let me just say up front that
6 if I had you as a professor I probably would have gotten an MBA
7 instead of going to law school. I got confused with that
8 marginal compensity to consume, but you make it sound very -- I
9 mean, I can understand it. So that is a complement, believe it
10 or not.

11 THE WITNESS: Thanks.

12 COMMISSIONER CARTER: I like what you had to say in
13 that I really understand what you are saying. First of all,
14 you are saying that FPL needs 4900 megawatts over the next four
15 years regardless of how they get it.

16 THE WITNESS: That's correct.

17 COMMISSIONER CARTER: And then this is
18 notwithstanding DSM or anything like that, you still need
19 4900 megawatts due to growth?

20 THE WITNESS: That's correct.

21 COMMISSIONER CARTER: You were not here yesterday,
22 but I remember someone saying -- and, Madam Chair -- somebody
23 said yesterday something about enhanced energy efficiency in
24 construction, about the over -- I think it is a seven-year time
25 frame they said it would be a payback in the cost of different

1 kind of walls and the construction with different kinds of
2 concrete, different kind of windows. What do you call it,
3 solar hot water heaters, the fluorescent bulbs, and those kind
4 of things. And listening to what you are saying, and the last
5 time I was in South Florida I saw more cranes -- not the kind
6 that fly, but the kind that build -- than I did anything. So I
7 can see how the growth is there.

8 In that growth, is there any kind of perspective in
9 the context of -- and you are probably not the DSM guy, so if
10 I've got the wrong person just let me know -- of maybe
11 recommending some kind of a collegial, for lack of a better
12 word, partnership with developers in terms of being able to
13 start at the ground level and putting in these kind of
14 construction techniques that would enhance the efficiency, and
15 assist -- I think I have heard a lot of discussion here today
16 and yesterday about FPL's tremendous DSM program, and we
17 commend them for that, as well as both the Office of Public
18 Counsel and other people said. But is there some kind of
19 perspective from your standpoint that FPL could maybe joint
20 venture with some of these developers? When you have got a
21 boom area, I think you said 80,000 new customers a year?

22 THE WITNESS: 100,000.

23 COMMISSIONER CARTER: 100,000 new customers a year.
24 And you said that you don't see -- even though the real estate
25 market is going to correct itself within 18 months, you don't

1 see the population diminishing, or the growth diminishing, or
2 anything like that, right?

3 THE WITNESS: That's correct.

4 COMMISSIONER CARTER: So I'm asking you from the
5 context of wouldn't it make sense, particularly I think you
6 said in one of the comments, you said there is about an
7 16 percent increase in the average size of the home, average
8 size. Wouldn't it make sense to maybe not so much joint
9 venture, but certainly to have a meeting of the minds with a
10 lot of these developers and enhance building code and things of
11 that nature to come up with more and more savings?

12 THE WITNESS: Yes. And as you mentioned, Witness
13 Dennis Brandt will address that specifically. However, I would
14 like to tell you what we have done in addition to that in this
15 forecast. In 2005, we passed the Energy Policy Act, and we
16 kind of quantified it. What would it do to our service
17 territory if we replaced over ten years all the air
18 conditioners that we estimate have an efficiency of SEER of 10,
19 and we replaced it with 13 that is mandated by the policy act.

20 If we changed the lights in the commercial
21 establishments, if we changed chillers and things like that, we
22 estimated that because of the policy act and the new codes, we
23 are saving an additional 1250 megawatts, 1,250 megawatts that I
24 have deducted, that I have made a line item adjustment to my
25 forecast. Had I not done that, FPL would be today asking for

1 an additional 1,250 megawatts of capacity.

2 COMMISSIONER CARTER: Excuse me, Madam Chairman. And
3 that would be -- give me one second here. That would be an
4 additional -- what was the number you said?

5 THE WITNESS: 1,250 by 2015.

6 COMMISSIONER CARTER: Is that added onto the 4,900?

7 THE WITNESS: It's net of that. My forecast would
8 have been higher by that amount. But I had my forecast and
9 then I reduced it because of the effect of the Energy Act.

10 COMMISSIONER CARTER: Excuse me, Madam Chairman.
11 Just bear with me momentarily. I'm trying to get these numbers
12 together. So you reduced it by 1800 megawatts?

13 THE WITNESS: I'm sorry, by 1250.

14 COMMISSIONER CARTER: I'm sorry, 1250.

15 Thank you, Madam Chair.

16 CHAIRMAN EDGAR: Other questions from staff?

17 MS. BRUBAKER: None for staff.

18 CHAIRMAN EDGAR: Is there redirect?

19 MS. SMITH: No redirect.

20 CHAIRMAN EDGAR: Okay. Then we will go ahead, seeing
21 no objection, and enter Exhibits 9 through 22 into the record.

22 (Exhibits 9 through 22 admitted into the record.)

23 CHAIRMAN EDGAR: The witness is excused. Thank you,
24 Doctor Green.

25 THE WITNESS: Thank you.

1 CHAIRMAN EDGAR: And I think this looks like a good
2 point for a lunch break. So it is ten to 1:00 by the clock on
3 the wall. We will come back at 2:00 o'clock, and look, Ms.
4 Smith, for you to call the next witness.

5 And I would ask again, as I did when we first sat
6 down, if we would use the lunch break, too, to look at
7 calendars and let's discuss a plan for going forward when we
8 come back.

9 (Lunch recess.)

10 (Transcript continues in sequence with Volume 4.)

11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)

COUNTY OF LEON)


CERTIFICATE OF REPORTERS

WE, JANE FAUROT, RPR, and LINDA BOLES, RPR, CRR, Official Commission Reporters, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.


IT IS FURTHER CERTIFIED that we stenographically reported the said proceedings; that the same has been transcribed under our direct supervision; and that this transcript constitutes a true transcription of our notes of said proceedings.

WE FURTHER CERTIFY that we are not a relative, employee, attorney or counsel of any of the parties, nor are we a relative or employee of any of the parties' attorneys or counsel connected with the action, nor are we financially interested in the action.

DATED THIS 18th day of April, 2007.



JANE FAUROT, RPR
FPSC Official Commission
Reporter
(850) 413-6732



LINDA BOLES, RPR, CRR
FPSC Official Commission
Reporter
(850) 413-6734