


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 070098-EI

In the Matter of:

PETITION FOR DETERMINATION OF NEED
FOR GLADES POWER PARK UNITS 1 AND 2
ELECTRICAL POWER PLANTS IN GLADES
COUNTY, BY FLORIDA POWER & LIGHT
COMPANY.



ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 5

Pages 652 through 740

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN LISA POLAK EDGAR
COMMISSIONER MATTHEW M. CARTER, II
COMMISSIONER KATRINA J. McMURRIAN

DATE: Tuesday, April 17, 2007

TIME: Commenced at 9:30 a.m.
Recessed at 5:52 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: MARY ALLEN NEEL, RPR, FPR

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER-DATE

03312 APR 18 07

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

NAME	PAGE
C. DENNIS BRANDT	
Direct Examination by Ms. Smith	655
Prefiled Direct Testimony Inserted	658
Prefiled Rebuttal Testimony Inserted	683
Cross-Examination by Mr. Krasowski	706
Redirect Examination by Ms. Smith	731
CERTIFICATE OF REPORTER	740

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXHIBITS

NUMBER	ID.	ADMTD.
23, 24	DB-2 and DB-2	736
130, 131	DB-3 and DB-4	736

P R O C E E D I N G S

(Transcript follows in sequence from
Volume 4.)

CHAIRMAN EDGAR: Okay. We are going to get
started again. Thank you all for your patience.

Ms. Smith, your witness.

MS. SMITH: FPL calls Mr. Dennis Brandt, and
he has not been sworn.

Thereupon,

C. DENNIS BRANDT

was called as a witness on behalf of Florida Power &
Light Company, and having been duly sworn, testified as
follows:

DIRECT EXAMINATION

BY MS. SMITH:

Q. Would you please state your name and business
address.

A. My name is Dennis Brandt. My business address
is 9250 West Flagler Street, Miami, Florida.

Q. By whom are you employed and in what capacity?

A. I work for Florida Power & Light. I'm the
Director of Product Development and Management.

Q. Have you prepared and caused to be filed 25
pages of prefiled direct testimony in this proceeding?

A. Yes, I have.

1 **Q.** Do you have any changes or revisions to your
2 prefiled direct testimony?

3 **A.** No, I do not.

4 **Q.** If I asked you the same questions contained in
5 your prefiled direct testimony today, would your answers
6 be the same?

7 **A.** Yes, they would.

8 MS. SMITH: I ask that Mr. Brandt's prefiled
9 direct testimony be inserted into the record as though
10 read.

11 CHAIRMAN EDGAR: The prefiled direct testimony
12 will be entered into the record as though read.

13 BY MS. SMITH:

14 **Q.** Are you also sponsoring any exhibits to your
15 direct testimony?

16 **A.** Yes, I am.

17 **Q.** And do those exhibits consist of documents
18 DB-1 and DB-2?

19 **A.** Yes, they do.

20 MS. SMITH: Madam Chairman, these exhibits
21 have been premarked as 23 and 24.

22 CHAIRMAN EDGAR: Thank you.

23 BY MS. SMITH:

24 **Q.** Mr. Brandt, have you also prepared and caused
25 to be filed 19 pages of prefiled rebuttal testimony in

1 this proceeding?

2 **A.** Yes, I have.

3 **Q.** Do you have any changes or revisions to your
4 prefiled rebuttal testimony?

5 **A.** No, I do not.

6 **Q.** If I asked you the same questions contained in
7 your rebuttal testimony today, would your answers be the
8 same?

9 **A.** Yes, they would.

10 MS. SMITH: I ask that Mr. Brandt's prefiled
11 rebuttal testimony be inserted into the record as though
12 read.

13 CHAIRMAN EDGAR: The prefiled rebuttal
14 testimony will be entered into the record as though
15 read.

16 BY MS. SMITH:

17 **Q.** Are you also sponsoring any exhibits to your
18 rebuttal testimony?

19 **A.** Yes, I am.

20 **Q.** And do those exhibits consist of documents
21 DB-3 and DB-4?

22 **A.** Yes, they are.

23 MS. SMITH: And, Madam Chairman, those have
24 been premarked for identification as 130 and 131.

25 CHAIRMAN EDGAR: Thank you.

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **DIRECT TESTIMONY OF C. DENNIS BRANDT**

4 **DOCKET NO. 07_____ - EI**

5 **JANUARY 29, 2007**

6

7

Q. Please state your name and business address.

8

A. My name is C. Dennis Brandt, and my business address is 9250 West
9 Flagler Street, Miami, Florida 33174.

10

Q. By whom are you employed and what position do you hold?

11

A. I am employed by Florida Power & Light Company (FPL) as Director
12 of Product Management and Operations.

13

Q. Please describe your duties and responsibilities in that position.

14

A. I am responsible for the life cycle management of FPL's products and
15 services. This includes overseeing the implementation and tracking of
16 the various Demand Side Management (DSM) programs offered to
17 residential and business customers.

18

Q. Please describe your education and professional experience.

19

A. I received a Bachelor of Science Degree in Industrial Engineering
20 from the University of Miami in 1978. I received my Masters Degree
21 in Industrial Engineering from the University of Miami in 1984. I am a
22 certified Professional Engineer in the State of Florida. I was hired by
23 FPL in 1979 in the Materials Management department and have

1 worked in positions of increasing responsibility in the areas of Load
2 Management, Commercial and Industrial Marketing, Residential and
3 General Business Marketing and Sales & Marketing Product Support.
4 In 1991, I was promoted to the position of Manager of Residential and
5 General Business Marketing Support. I held this position until 1993,
6 when I became the Manager of Commercial/Industrial Marketing
7 Support. In late 1996, I became the Manager of Sales & Marketing
8 Product Support, and in 1999, I assumed my current position.

9 **Q. Are you sponsoring an exhibit in this case?**

10 A. Yes. I am sponsoring an exhibit consisting of the following documents
11 which are attached to my direct testimony:

- 12 • Document No. DB-1 FPL Current FPSC DSM Goals
- 13 • Document No. DB-2 FPL DSM Programs & Measures

14 **Q. Are you sponsoring any part of the Need Study in this proceeding?**

15 A. Yes. I am co-sponsoring Section VII, Non-Generating Alternatives of
16 the Need Study, with Dr. Sim. In addition, I am sponsoring Appendix
17 L of the Need Study.

18 **Q. What is the purpose of your testimony?**

19 A. My testimony has five main points. First, I will provide a historical
20 overview of FPL's DSM initiatives. Second, I will discuss the current
21 maturity of DSM and its potential on FPL's system. Third, I will
22 outline the process used for setting DSM Goals. Fourth, I will provide
23 an overview of FPL's current DSM and demand-side renewable

1 efforts, including recent Commission-approved modifications to FPL's
2 DSM programs that have the effect of substantially increasing demand
3 and energy savings going forward. Fifth, I will advise whether there
4 are any available demand-side options that could eliminate the 2013
5 and 2014 capacity needs.

6
7 **I. Historical Overview of FPL's DSM Initiatives**

8
9 **Q. What is Demand Side Management?**

10 **A.** Demand Side Management, as used in my testimony, is the planning,
11 implementation and monitoring of utility programs designed to reduce
12 customer usage of electricity during peak demand periods in a cost-
13 effective manner. Utility programs falling under the umbrella of DSM
14 include load management, conservation, energy audits for all classes
15 of customers and research and development (R&D).

16
17 FPL uses both of the Commission-approved cost-effectiveness tests to
18 determine which DSM programs to offer to our customers – the Rate
19 Impact Measure (RIM) test and the Participant test. By offering only
20 those programs that are cost-effective, as measured by the RIM test, all
21 customers benefit by avoiding or deferring the need for new capacity
22 that results in lower electric rates than they would have otherwise had
23 in absence of the programs. In addition, DSM programs that are cost-

1 effective as measured by the Participant test ensure that the program
2 makes economic sense for customers who choose to participate in it.

3 **Q. When did FPL begin its DSM efforts?**

4 A. FPL has a long history of identifying, developing and implementing
5 DSM resources to cost-effectively avoid or defer the construction of
6 new power plants. FPL first began offering DSM programs in the late
7 1970s with the introduction of its Watt-Wise Home Program. FPL has
8 continued to develop and offer to our customers additional DSM
9 programs. These programs have included both conservation and load
10 management programs, targeting the residential and business markets.

11 **Q. Have FPL's DSM efforts progressed over time?**

12 A. Yes. FPL's portfolio of DSM programs has evolved over time. FPL
13 continually looks for new DSM opportunities as part of our research
14 and development activities. When a new DSM opportunity is
15 identified and projected to be cost-effective, FPL attempts to either
16 implement a new DSM program or incorporate this DSM opportunity
17 into one or more of our existing DSM programs. In addition, FPL has
18 modified DSM programs over time in order to maintain the cost-
19 effectiveness of the programs. This allows FPL to continue to offer the
20 most cost-effective programs available. On occasion, FPL has also
21 terminated DSM programs that were no longer cost-effective and
22 could not be modified to become cost-effective.

1 **Q. How effective has FPL been in implementing DSM, and what are**
2 **the resulting impacts of these efforts?**

3 A. FPL has been very successful in cost-effectively avoiding or deferring
4 new power plant construction using cost-effective DSM. Since the
5 inception of our programs, through the end of 2005, we have achieved
6 3,519 MW (at the generator) of summer peak demand reduction, 2,734
7 MW (at the generator) of winter peak demand reduction, 33,981 GWh
8 (at the generator) of energy savings and completed over 2,192,000
9 energy audits of our customers' homes and businesses.

10

11 This amount of peak demand reduction has eliminated the need for the
12 equivalent to ten power plants of 400 MW summer capacity each
13 (including the impacts for reserve margin requirements). Most
14 importantly, FPL has achieved this level of demand reduction without
15 penalizing customers who are non-participants in our DSM programs.
16 FPL has been able to avoid penalizing non-participating customers by
17 offering only DSM programs that reduce electric rates for all
18 customers, DSM participants and non-participants alike.

19 **Q. How do FPL's DSM efforts compare to those of other utilities?**

20 A. The U.S. Department of Energy reports on the effectiveness of utility
21 DSM efforts through its Energy Information Administration. Based on
22 the most current data available, which is for the year 2005, FPL is

1 ranked number one nationally for cumulative conservation
2 achievement and number four in load management.

3

4 **II. Current Maturity of DSM and Its Potential on FPL's System**

5

6 **Q. Of the potential markets available to FPL for DSM initiatives, are**
7 **there technologies or market segments that have limited potential?**

8 A. Yes. There are several areas where DSM-related technologies are
9 reaching market saturation and this directly impacts FPL's ability to
10 increase participation in many of our DSM programs. For FPL's load
11 management programs, it is critical to determine how much load
12 management is actually "usable" for an individual utility.
13 Consideration must be given to the system load shapes and
14 characteristics of load management measures, including control
15 strategies, length of the control periods and the payback effects once
16 load control is released. Based on this analysis, FPL's projected
17 amount of annual load management capability is very close to the
18 maximum usable amount.

19

20 Another area reaching saturation is installation of ceiling insulation for
21 residential customers. FPL's research has found that for the vast
22 majority of our customers, ceiling insulation levels above R-19
23 provide minimal additional energy savings. In 1982, the State of

1 Florida Energy Code was changed to require all new homes have at
2 least R-19 levels of ceiling insulation. FPL's residential building
3 envelope program has focused on that finite market of homes built
4 prior to this code change. As a consequence, the eligible market
5 shrinks as more pre-1982-built homes participate in our program.

6
7 Lastly, FPL's heating, ventilating and air conditioning (HVAC)
8 programs for residential and business customers are designed to
9 encourage customers to install equipment that is more efficient than
10 the State Energy Code. The goal of a utility HVAC program should be
11 to encourage customers to install more efficient equipment than they
12 would without the program. When the Code minimum efficiency level
13 becomes the same as the utility's program, then the impact of the
14 utility program is greatly diminished because the baseline energy
15 efficiency level is raised. This results in smaller impacts for
16 incremental efficiency gains for the utility program at a relative
17 increased cost. In 2006, the minimum efficiency standards for HVAC
18 equipment were increased significantly. For instance, the minimum
19 seasonal energy efficiency rating (SEER) for residential type air
20 conditioners increased from 10 to 13.

21 **Q. Has FPL continued to look for new DSM opportunities?**

22 **A.** Yes. FPL performs extensive DSM research and development. FPL
23 uses our Conservation Research and Development program as the

1 primary vehicle to examine a wide variety of technologies. From that
2 research FPL has been able to develop new programs that help further
3 the objectives of the Florida Energy Efficiency Conservation Act
4 (FEECA) by cost-effectively reducing the growth rate of weather
5 sensitive peak demand, reducing and controlling the growth rate of
6 energy consumption, increasing the conservation of expensive
7 resources and increasing the efficiency of the electrical system.
8 Several of the new programs that have emerged as a result of FPL's
9 Conservation Research and Development program include Residential
10 New Construction, Business Building Envelope and Business On Call.

11 12 **III. FPL/FPSC DSM Goal Setting Process**

13
14 **Q. Why are DSM goals established?**

15 A. FPL establishes annual DSM goals to meet the requirements of
16 FEECA and the Florida Administrative Code. Further, DSM Goals are
17 established for use in planning to cost-effectively meet the future
18 capacity needs of our customers. Our DSM goals are key inputs into
19 FPL's annual Integrated Resource Planning (IRP) process, which is
20 discussed in the testimony of Dr. Sim.

21 **Q. How frequently are FPL's DSM goals established?**

22 A. Every five years each utility submits for Commission approval, goals
23 for a ten year period that address overall residential kw and kwh goals

1 and overall business kW and kWh goals. FPL currently has
2 Commission-approved goals for the years 2005 through 2014.

3 **Q. When were FPL's current Commission-approved DSM goals**
4 **established?**

5 A. FPL's current goals were approved on August 9, 2004, in FPSC Order
6 No. PSC-04-0763-PAA-EG issued in Docket No. 040029-EG
7 (Consummating Order 04-0850-CO-EG issued September 1, 2004).

8 **Q. What are FPL's current DSM goals and how is the Company**
9 **performing?**

10 A. My Document No. DB-1 shows FPL's current Commission-approved
11 DSM goals and actual cumulative performance through 2005 (at the
12 meter). FPL was successful in meeting the summer peak MW
13 reduction and GWh energy reduction goals in 2005. From a capacity
14 planning perspective, the summer peak MW reduction goal is the most
15 critical because summer peak demand is the key driver of the need for
16 new capacity for FPL. FPL fell short of the winter peak MW
17 reduction goal in 2005 primarily because there were fewer participants
18 in the Residential Building Envelope program than planned, in part
19 due to limited resources resulting from an active hurricane season.
20 FPL expects to meet all approved DSM goals going forward.

21 **Q. How were FPL's current Commission-approved DSM goals**
22 **developed?**

23 A. FPL used a multi-step process to develop DSM goals. The first step

1 was to determine which measures should be evaluated for cost-
2 effectiveness. A total of 329 separate DSM measures were identified
3 for screening. In the next step of the process, all selected measures
4 were then screened for cost-effectiveness utilizing the RIM test for
5 cost-effectiveness with an assumption of no incentives. The
6 assumption of no incentives gives each measure the highest probability
7 of passing the RIM test. The RIM passing incentive level was next
8 determined for each measure and cost-effectiveness was then
9 determined using the Participant test. For those measures that were
10 found to be cost-effective as determined by the RIM and Participant
11 tests, annual market acceptance rates, or the achievable potential, was
12 identified based on cost-effective incentive levels. The results obtained
13 in this phase of the process were further analyzed to identify the most
14 cost-effective DSM portfolio for FPL's customers as part of FPL's IRP
15 process.

16
17 In summary, the goals FPL developed reflected the cost-effective
18 achievable potential projected by FPL for utility program measures
19 analyzed under the RIM and Participant tests.

20 **Q. What is the timing for the next FPSC DSM goal setting process?**

21 A. Although there has not been any formal communication from the
22 Commission in regards to a new goal setting procedure, the Florida
23 Administrative Code requires goals to be re-assessed every five years.

1 Our current goals cover the time period 2005 through 2014, with 2009
2 being the fifth year. Based on past experience, FPL expects the goal
3 setting process to be started no later than 2008.
4

5 **IV. FPL's Current DSM and Renewables Initiatives**

6
7 **Q. How has the Company endeavored to achieve the Commission-**
8 **approved DSM goals?**

9 A. As part of the goals setting process just discussed, FPL found 92
10 measures to be cost-effective under the RIM and Participant tests.
11 Those measures were packaged into comprehensive FPL programs as
12 part of the Company's DSM plan, which was also approved by the
13 Commission. FPL's DSM plan to meet our 2005-2014 goals was
14 approved by the Commission in Order Nos. PSC-05-0162-PAA-EG,
15 issued February 9, 2005 (Consummating Order No. PSC-05-0323-CO-
16 EG, issued March 21, 2005) and PSC-06-0025-FOF-EG, issued
17 January 10, 2006, in Docket No. 040029-EG.

18 **Q. Has FPL made any significant changes to its DSM plan that was**
19 **approved in Order Nos. PSC-05-0162-PAA-EG and PSC-06-0025-**
20 **FOF-EG?**

21 A. Yes. As previously discussed, FPL continually investigates additional
22 cost-effective DSM opportunities and requests Commission approval
23 of revisions to our DSM plan as appropriate. In 2005, FPL's forecast

1 of customer demand increased significantly. There were also changes
2 to minimum equipment efficiency standards and changing market
3 conditions. As a result of these changes, FPL performed a
4 comprehensive review of all our DSM programs, as well as other
5 potential measures.

6
7 In addition, in Order No. PSC-06-0555-FOF-EI, issued on June 28,
8 2006, in Docket No. 060225-EI, Petition for Determination of Need
9 for West County Units 1 and 2 in Palm Beach County, FPL agreed, as
10 a condition of approval of these two power plants, to file new and
11 revised DSM programs to increase demand and energy savings on our
12 system.

13 **Q. What were the results of FPL's comprehensive review of its DSM**
14 **programs?**

15 A. For the time period from 2006 through 2015, FPL identified an
16 additional 564 MW (at the generator) of summer demand reduction
17 impact – or greater than the equivalent of a medium-sized power plant.
18 Adding this 564 MW to FPL's current Commission approved DSM
19 goals of 802 MW, (at the generator) for 2006 through 2014, results in
20 1,366 MW of DSM summer peak demand reduction from 2006
21 through 2015.

1 To produce these savings, FPL requested Commission approval of
2 modifications to eight of our existing DSM programs. These
3 modifications included changing the minimum qualifying SEER for air
4 conditioners to reflect minimum mandated levels by the U.S.
5 Department of Energy, modifying incentive levels for numerous
6 program measures, enhancing program operating parameters and
7 adding new measures to existing programs. In addition, FPL requested
8 Commission approval of two new DSM programs -- Business Water
9 Heating and Business Refrigeration. FPL's R&D initiatives resulted in
10 adding demand control ventilation, light colored roof membranes and
11 refrigeration technologies to these DSM offerings.

12 **Q. Did the Commission approve FPL's request for approval of these**
13 **modifications?**

14 A. Yes. On June 26, 2006, the Commission issued Order No. PSC-06-
15 0535-PAA-EG in Docket No. 060286-EG (Consummating Order No.
16 PSC-06-0624-CO-EG issued July 20, 2006), approving changes to
17 FPL's residential and business HVAC programs. On September 1,
18 2006, the Commission issued Order No. PSC-06-0740-TRF-EI in
19 Docket No. 060408-EI (Consummating Order No. PSC-06-0801-CO-
20 EI, issued September 26, 2006) approving the remaining modifications
21 to FPL's DSM plan. The Commission found that approval of the
22 proposed modifications to FPL's DSM plan was expected to increase
23 FPL's system demand and energy savings, and would enable FPL's

1 DSM Plan to continue to meet the policy objectives of FEECA and
2 continue to be monitorable and cost-effective. My Document No. DB-
3 2 shows FPL's current Commission-approved DSM programs and
4 their corresponding measures.

5 **Q. Has FPL identified any other non-firm load that could help avoid**
6 **future capacity needs?**

7 A. Yes. FPL has several curtailable rate schedules. Historically, these
8 rate schedules required only a one-year commitment from a customer
9 who elected to receive service under its terms. With only a one-year
10 commitment, the peak load reduction from this group of customers
11 could not be used for capacity deferral because there was not adequate
12 time to plan for meeting the capacity needs of customers discontinuing
13 this non-firm service option. Recently, however, the Commission
14 approved FPL's request to increase the minimum term under these
15 rates to three years in Order No. PSC-06-0660-TRF-EI issued August
16 7, 2006 in Docket No. 060407-EI (Consummating Order PSC-06-
17 0736-CO-EI, issued August 31, 2006). The Commission found that
18 increasing the minimum term to three years would allow the demand
19 reduction capability of this group of customers to be treated as non-
20 firm load for capacity resource planning because FPL would have the
21 ability to plan and respond when non-firm load that was being deferred
22 by the avoided unit returns to the FPL system, thus helping to avoid or
23 defer the need for additional new capacity.

1 **Q. Did the change to curtailable rates identify additional non-firm**
2 **load for capacity resource planning?**

3 A. Yes. Based on FPL's current projections, curtailable rates will provide
4 an additional 39 MW (at the generator) of peak demand reduction
5 through 2015. This 39 MW is included in FPL's plan of 1,366 MW of
6 summer peak demand reduction through 2015.

7 **Q. What are FPL's current Commission-approved DSM programs?**

8 A. FPL's current DSM Plan consists of seven residential DSM programs
9 and ten business DSM programs.

10

11 The residential DSM programs are as follows:

12 **Residential Conservation Service:** This is an energy audit program
13 designed to assist residential customers in understanding how to make
14 their homes more energy-efficient through the installation of
15 conservation measures/practices.

16 **Residential Building Envelope:** This program encourages the
17 installation of energy-efficient ceiling insulation, reflective roofs and
18 roof membranes in residential dwellings that utilize whole-house
19 electric air conditioning.

20 **Duct System Testing and Repair:** This program encourages demand
21 and energy conservation through the identification of air leaks in
22 whole-house air conditioning duct systems and by the repair of these
23 leaks by qualified contractors.

1 **Residential Air Conditioning:** This is a program to encourage
2 customers to purchase higher efficiency central cooling and heating
3 equipment.

4 **Residential Load Management (On-Call):** This program offers load
5 control of major appliances/household equipment to residential
6 customers in exchange for monthly electric bill credits.

7 **New Construction (BuildSmart):** This program encourages the
8 design and construction of energy-efficient homes that cost-effectively
9 reduce coincident peak demand and energy consumption.

10 **Residential Low Income Weatherization:** This program addresses
11 the needs of low-income housing retrofits by providing monetary
12 incentives to various housing authorities, including weatherization
13 agency providers (WAPS), non-weatherization agency providers (non-
14 WAPS) and other providers approved by FPL. The incentives are used
15 by these providers to leverage their funds to increase the overall
16 energy efficiency of the homes they are retrofitting.

1 FPL's business DSM programs are as follows:

2 **Business Energy Evaluation:** This program encourages energy
3 efficiency in both new and existing businesses by identifying DSM
4 opportunities and providing recommendations to business customers.

5 **Business Heating, Ventilating and Air Conditioning:** This program
6 encourages the use of high-efficiency HVAC systems for business
7 customers.

8 **Business Efficient Lighting:** This program encourages the installation
9 of energy-efficient lighting measures for business customers.

10 **Business Custom Incentive:** This program encourages business
11 customers to implement unique energy conservation measures or
12 projects not covered by other FPL programs.

13 **Commercial/Industrial Load Control:** This program reduces peak
14 demand by controlling customer loads of 200 kW or greater during
15 periods of extreme demand or capacity shortages in exchange for
16 monthly electric bill credits. (This program was closed to new
17 participants in 2000).

18 **Commercial Demand Reduction:** This program, which started in
19 2002, is similar to the Commercial/Industrial Load Control program
20 mentioned above. It reduces peak demand by controlling customer
21 loads of 200 kW or greater during periods of extreme demand or
22 capacity shortages in exchange for monthly electric bill credits.

23 **Business Building Envelope:** This program encourages the

1 installation of energy-efficient building envelope measures such as
2 roof/ceiling insulation, reflective roof coatings and window treatments
3 for business customers.

4 **Business On Call:** This program offers load control of central air
5 conditioning units to both small non-demand-billed and medium
6 demand-billed business customers in exchange for monthly electric
7 bill credits.

8 **Business Water Heating:** This program encourages the installation of
9 energy-efficient water heating equipment such as heat pump water
10 heaters and heat recovery units for business customers and will be
11 effective February 1, 2007.

12 **Business Refrigeration:** This program encourages the installation of
13 qualifying controls and equipment that reduce electric strip heater
14 usage in refrigeration equipment for business customers and will be
15 effective February 1, 2007.

16 **Q. Has FPL engaged in demand-side activities in support of**
17 **renewables?**

18 **A.** Yes. My testimony focuses on demand-side renewables. Mr. Silva's
19 testimony discusses FPL's supply-side renewables activities. FPL has
20 been a leader in examining ways to utilize renewable energy
21 technologies to meet our customers' current and future needs. FPL's
22 Conservation Water Heating Program, first implemented in 1982,
23 offered incentive payments to customers choosing solar water heaters.

1 Before the program was ended (due to the fact that it was no longer
2 cost-effective), FPL paid incentives to approximately 48,000
3 customers who installed solar water heaters.

4
5 In the mid-1980s, FPL introduced another renewable energy program.
6 FPL's Passive Home Program was created in order to broadly
7 disseminate information about passive solar building design
8 techniques which are most applicable in Florida's climate. During its
9 existence, this program was popular and received a U.S. Department
10 of Energy award for innovation. The program was eventually phased
11 out due to revisions of the Florida Model Energy Building Code. The
12 revision was brought about in part by FPL's Passive Home Program.

13
14 In early 1991, FPL received approval from the Commission to conduct
15 a research project to evaluate the feasibility of using small
16 photovoltaic (PV) systems to directly power residential swimming
17 pool pumps. This research project was completed with mixed results.
18 Some of the performance problems identified in the test may be
19 solvable, particularly when new pools are constructed. However, the
20 high cost of PV, the significant percentage of sites with unacceptable
21 shading and various customer satisfaction issues remain as barriers to
22 wide acceptance and use of this particular solar application.

1 More recently, FPL has analyzed the feasibility of encouraging
2 utilization of PV in another, potentially much larger way. FPL's basic
3 approach did not require all of our customers to bear PV's high cost,
4 but allowed customers who are interested in facilitating the use of
5 renewable energy the means to do so. FPL's initial effort to
6 implement this approach allowed customers to make voluntary
7 contributions into a separate fund that FPL used to make PV purchases
8 in bulk quantities. FPL began the effort in 1998 and received
9 approximately \$89,000 in contributions (that significantly exceeded
10 the goal of \$70,000). FPL purchased PV modules and installed them at
11 FPL's Martin Plant site.

12
13 In 2000, FPL launched the Photovoltaic Research, Development and
14 Education Project. This demonstration project's objectives were to:
15 increase the public awareness of roof tile PV technologies, provide
16 data to determine the durability of this technology and its impact on
17 FPL's electric system, collect demand and energy data to better
18 understand the coincidence between PV roof tile system output and
19 FPL's system peaks (as well as the total annual energy capabilities of
20 roof tile PV systems) and assess the homeowner's financial benefits
21 and costs of PV roof tile systems. This project was completed in 2003.

1 In November of 2004, FPL launched its Green Power Pricing Research
2 Project (GPPRP), that was marketed as the Sunshine Energy®
3 program. The object of the project was to allow residential customers
4 to sign up voluntarily and pay for energy produced by renewable
5 resources, thus fostering the development of supplies of renewable
6 energy that would not otherwise be developed. GPPRP participants
7 paid a monthly premium of \$9.75 per month for a 1,000 kWh block of
8 renewable energy attributes. To supply the renewable energy for the
9 GPPRP, FPL entered into a contract with a supplier for the purchase of
10 tradable renewable energy credits (TRECs). In addition, for every
11 10,000 participants, FPL agreed to have built 150 kw of photovoltaic
12 capacity in Florida.

13
14 In its short two and one half year history, the GPPRP became one of
15 the top five programs in the country with more than 25,000 customers
16 enrolled. The GPPRP purchased almost 225 GWhs of TRECs as of
17 year end 2005 making it the fourth largest renewable energy program
18 in the country. It also received the 2005 Green Power Leadership
19 Award from the U.S. Department of Environmental Protection and the
20 Department of Energy.

21
22 Solar photovoltaic projects are being built through the GPPRP.
23 Construction of a 250 kW site in Sarasota is currently in the permitting

1 process with construction expected to be completed in early 2007.
2 There are also several other smaller projects underway that will add
3 additional photovoltaic capacity.

4
5 On September 17, 2006 FPL filed a petition with the Commission to
6 convert the GPPRP to a permanent program and to extend the program
7 to business customers. On December 1, 2006, the Commission issued
8 Order No. PSC-06-0924-TRF-EI in Docket No. 060577-EI approving
9 this request.

10 **Q. Are there any other major initiatives that FPL has taken into**
11 **account to address energy conservation?**

12 A. The United States Energy Policy Act of 2005 mandates specific energy
13 efficiency standards and is expected to result in the avoidance of as
14 much as 1,256 MW of capacity needs for FPL by 2014. As Dr. Green
15 describes in his testimony, this was taken into account in determining
16 FPL's capacity needs.

17

18 **V. Conclusion - Ability to satisfy capacity need through DSM**

19

20 **Q. Has FPL identified all of the cost-effective demand-side option**
21 **potential for the 2006 through 2015 time frame?**

22 A. Yes. As discussed above, FPL recently completed a comprehensive
23 review of all our DSM programs. This has resulted in Commission

1 approval of extensive modifications to eight DSM programs, as well as
2 two new programs. In addition, the Commission has approved
3 modifications to FPL's curtailable rates so that they can now be
4 considered in FPL's IRP process, thus helping to avoid or defer the
5 need for additional new capacity. These changes have resulted in
6 1,366 MW (at the generator) of non-generation potential from 2006
7 through 2015.

8 **Q. Has FPL identified any conservation, load management or**
9 **demand-side renewables options that would lead to a significant**
10 **increase in demand-side options potential in sufficient time to**
11 **defer capacity identified in this determination of need?**

12 A. No. FPL has already identified all our reasonably achievable DSM
13 potential and used this as input to our system reliability assessment.
14 FPL has also implemented changes to non-DSM rate options to
15 increase the potential of the demand-side options. While there has
16 been a small increase in the penetration of demand-side renewables,
17 the economics of the various technologies has not yet reached the level
18 necessary to make any significant impact on FPL's summer peak.
19 FPL's analysis therefore has already captured all the cost-effective
20 demand-side potential available on FPL's system, and it was
21 determined that FPL still needs additional capacity resources. In order
22 to meet FPL's 2013 and 2014 needs an additional 1,371 MW (at the
23 generator) of demand-side resources would have to be identified.

1 Even if there were some modest potential for additional non-
2 generation potential on FPL's system, it is unrealistic to conclude that
3 FPL could add significant incremental quantities in time to mitigate
4 the 2013 and 2014 need. Therefore, there is no available additional
5 cost-effective demand-side potential that could mitigate the need for
6 additional capacity in 2013 and 2014.

7 **Q. Please summarize your testimony.**

8 A. FPL has been very successful in cost-effectively avoiding or deferring
9 new power plant construction using DSM. In fact, the U.S. Department
10 of Energy, which reports on the effectiveness of utility DSM efforts
11 through its Energy Information Administration, ranks FPL number one
12 nationally for cumulative conservation achievement and number four
13 in load management based on the most current data available (2005
14 data).

15
16 Through year-end 2005, FPL has implemented 3,519 MW (at the
17 generator) of DSM – or the equivalent of 10 medium-sized power
18 plants. In 2004, FPL received Commission approval of DSM goals
19 that will add 802 MW (at the generator) of additional DSM from 2006
20 through 2015.

21
22 FPL continually investigates additional cost-effective DSM
23 opportunities and requests Commission approval of revisions to our

1 DSM plan as appropriate. FPL recently received Commission
2 approval of significant changes to our DSM plan offerings that added
3 another 564 MW (at the generator) of summer demand reduction
4 impact – greater than the equivalent of one medium-sized power plant
5 – to FPL’s Commission-approved goals.

6
7 FPL’s accomplishments and future commitments to DSM are
8 significant. With 3,519 MW of DSM implemented through 2005 and
9 an additional 1,366 MW of DSM being added in the 2006 through
10 2015 time frame, FPL will have avoided 5,862 MW of generation
11 capacity (including the impacts for reserve margin requirements) by
12 2015. This is three times the size of the FPL Glades Power Park.
13 However, despite these outstanding accomplishments, there is still not
14 enough additional cost-effective DSM to avoid or defer the need for
15 the 2013 and 2014 units.

16 **Q. Does this conclude your testimony?**

17 **A. Yes.**

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **REBUTTAL TESTIMONY OF C. DENNIS BRANDT**

4 **DOCKET NO. 070098-EI**

5 **MARCH 30, 2007**

6
7 **Q. Please state your name and business address.**

8 A. My name is C. Dennis Brandt, and my business address is 9250 West Flagler
9 Street, Miami, Florida 33174.

10 **Q. By whom are you employed and what is your position?**

11 A. I am employed by Florida Power & Light Company (FPL) as Director of
12 Product Management and Operations.

13 **Q. Have you previously testified in this docket?**

14 A. Yes, I have.

15 **Q. What is the purpose of your rebuttal testimony?**

16 A. The purpose of my rebuttal testimony is to counter the argument that more
17 demand-side management (DSM) is reasonably achievable by FPL that could
18 defer the need for the proposed FPL Glades Power Park (FGPP), as asserted
19 by Mr. John J. Plunkett testifying on behalf of the Sierra Club, Inc., Save Our
20 Creeks, the Florida Wildlife Federation, the Environmental Confederation of
21 Southwest Florida and Ellen Peterson. I explain how FPL has developed and
22 implemented an aggressive, reasonable and comprehensive set of DSM
23 programs. Despite FPL's substantial conservation efforts, which

1 are acknowledged by Mr. Plunkett, there is not sufficient cost-effective,
2 reasonably achievable DSM potential on FPL's system to reduce peak load
3 sufficiently to defer the need for the FGPP units. I address Mr. Plunkett's use
4 of inappropriate metrics for measuring DSM effectiveness and his incorrect
5 conclusions related to benchmarking FPL's DSM programs to those of other
6 states. I also show that Mr. Plunkett's testimony contains a number of errors
7 indicating his lack of familiarity with conservation activities in Florida and in
8 particular with FPL's DSM programs. Thus, I will address numerous mistakes
9 contained in Mr. Plunkett's testimony pertaining to FPL's DSM
10 accomplishments, programs, future plans and their relationship to FPL's need
11 for the FGPP units.

12 **Q. Are you sponsoring any exhibits to your rebuttal testimony?**

13 A. Yes. I am sponsoring an exhibit consisting of the following documents, which
14 is attached to my rebuttal testimony:

- 15 • Document No. DB-3 Dollar per kW Comparison for FPL and PG&E
- 16 • Document No. DB-4 Prior Exhibits of John J. Plunkett

17 **Q. Please describe how your rebuttal testimony is organized.**

18 A. I have organized my testimony into four sections based on the major
19 assertions of Mr. Plunkett's testimony:

- 20 • Section I - FPL's Planned DSM Savings
- 21 • Section II – Energy-Efficiency Portfolios in Other Jurisdictions
- 22 • Section III - The Effect of Additional FPL Energy-Efficiency on the Need
23 for the Glades Units

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

- Section IV – Summary and Conclusion

I. FPL'S PLANNED DSM SAVINGS

Q. Mr. Plunkett references on page 7, lines 8-10, the American Council for an Energy-Efficient Economy (ACEEE) Florida report. Are you familiar with the report to which he is referring?

A. Yes, I am.

Q. What did Mr. Plunkett conclude from the ACEEE Florida report?

A. Mr. Plunkett states, "In fact, the Company's planned DSM savings add up to more than FP&L's share of statewide efficiency potential recently estimated by the American Council for an Energy-Efficient Economy."

Q. Do you agree with Mr. Plunkett's findings regarding the ACEEE report?

A. Taken at face value, Mr. Plunkett's findings indicate that FPL has done a more than credible job of identifying the potential for additional cost-effective DSM for the time period in question for this determination of need. However, the statewide efficiency potential in the ACEEE report is overstated.

When the ACEEE report was released in February 2007, FPL reviewed the report and the underlying assumptions presented. FPL's review was hampered by the lack of supporting detail and assumptions in the report. To help in understanding the report, FPL and the other Florida investor-owned utilities (IOUs), met with the project leader from ACEEE who helped develop

1 the report. During that meeting, concerns over the report were reviewed with
2 the ACEEE project leader. He said that ACEEE planned to issue a revised
3 report to correct overstated potential in several areas and he agreed to review
4 and consider all feedback from the IOUs in revising the report. This feedback
5 was provided on March 14, 2007 and, as of this date, I am not aware of the
6 corrected report being issued.

7 **Q. What type of feedback did FPL provide ACEEE regarding its study?**

8 A. Besides expressing concerns over proposed polices and the misrepresentation
9 of DSM accomplishments to-date for the state of Florida, FPL had concerns
10 about the accuracy of energy savings portrayed for DSM measures, as well as
11 the assumed market penetration for these measures. For example, FPL's
12 concerns for the residential segment included:

- 13
- 14 • The ACEEE Florida report claims that replacing a heating, ventilating and
15 air-conditioning (HVAC) unit that has a seasonal energy efficiency ratio
16 (SEER) of 13 with a SEER 15 unit will save 2,785 kilowatt hours (kWh)
17 per year for a resident of Florida. FPL's estimates, based on extensive
18 monitoring and evaluation done of FPL customers who participate in its
19 existing residential HVAC program, is a savings range of only 563 kWh
20 per year to 692 kWh per year, depending on whether the unit is a straight
21 cool unit or a heat pump. In February 2007, ACEEE published a report
22 titled "Examining the Peak Demand Impacts of Energy Efficiency
23 (EPDIEE)." This report estimated savings of 378 kWh per year for an

1 energy efficient central air conditioning system. Based on FPL's analysis
2 and ACEEE's EPDIEE report, the energy savings for this measure as
3 stated in the ACEEE Florida report is at least 4 times greater than it should
4 be.¹

5
6 • The ACEEE Florida report claims an annual savings of 589 kWh per
7 home in Florida that has leaking ductwork repaired. FPL's own estimates,
8 based on monitoring and evaluation done of FPL customers who
9 participate in its existing residential Duct System Testing and Repair
10 program, is only 308 kWh or 45 percent less than the ACEEE claim.

11
12 • The ACEEE Florida report claims an annual savings of 1,066 kWh for
13 Energy Star refrigerators. The ACEEE EPDIEE report uses a range of
14 savings from 52 kWh to 212 kWh per year. Once again, the ACEEE
15 Florida report is overstating savings by as much as 20 times more than
16 their own separate study.

17
18 • The ACEEE Florida report includes two packages of energy efficiency
19 measures for retrofitting existing Florida homes that it claims would
20 reduce annual energy usage by 9,159 kWh per home. Package one
21 contains six measures that ACEEE claims will save 6,167 kWh per year

¹ While in many cases, the information provided by FPL to ACEEE was specific to FPL's service territory, I would not expect the statewide results to differ significantly because FPL has more customers than any other Florida utility.

1 per participant. Package two contains six measures that save 2,992 kWh
2 per year per participant, of which 24% is identified as miscellaneous load
3 reduction. To put this in perspective, an average FPL residential customer
4 uses 13,964 kWh per year. Implementing these packages, which include
5 12 measures, would result in a 66% reduction in average residential usage
6 if ACEEE's claims are true. It is highly improbable that ACEEE's
7 projected savings from retrofitting homes would actually occur.

8
9 Unfortunately, there was insufficient data in the ACEEE Florida report to
10 perform a similar comparison for the commercial segment, but FPL expressed
11 its concerns that there is a similar gross overstatement of DSM potential for
12 this customer segment.

13
14 FPL also expressed its concerns about the report's estimates of market
15 penetration. In summary, the report recommends a totally unrealistic DSM
16 potential for Florida that: 1) starts with non-Florida data, 2) vastly overstates
17 customer participation rates, and 3) uses per-participant impacts that are in
18 direct conflict with FPL's findings and ACEEE's own EPIDIEE report.

19
20 Three levels of market potential are discussed in the ACEEE Florida report.
21 They are technical potential, economic potential and achievable potential.
22 The methodology for translating technical potential to economic potential, and
23 further to achievable potential, is not clear from the report. The technical

1 potential used was not for Florida but rather, was used from prior work in
2 other states. The economic potential methodology is not explained, but
3 ACEEE claims significant market penetration. For example, the report claims
4 that 50% of existing homes can cost-effectively implement the six retrofitting
5 measures in Package one discussed above and 25% can implement the six
6 retrofitting measures in Package two. Again, this is highly unlikely. Further,
7 the report adjusts from economic potential to achievable potential based on a
8 set of proposed policy objectives, but there is not an explanation how these
9 policies are linked to the economic potential. In conclusion, there are many
10 missing pieces and speculative claims that make the report's findings
11 regarding market potential highly unreliable.

12 **Q. Did the ACEEE Florida report address any other means of meeting**
13 **Florida's energy needs besides energy efficiency?**

14 A. Yes. The report identified renewable energy as a second means of meeting
15 the energy needs of Florida.

16 **Q. Did the IOUs express concerns with renewable energy portion of the**
17 **ACEEE Florida report?**

18 A. Yes. The IOUs expressed concerns with ACEEE's conclusions regarding
19 renewable energy potential in Florida. The ACEEE project leader agreed with
20 the IOUs that there was a significant overstatement in the report of the
21 potential for renewable energy in Florida. He said that ACEEE planned to
22 issue a revised report to correct this error. The rebuttal testimony of Mr. Rene
23 Silva addresses renewable energy potential in Florida.

1 **Q. What do you conclude regarding the ACEEE Florida report and Mr.**
2 **Plunkett's findings based on the report as it relates to FPL?**

3 A. Mr. Plunkett states that FPL's DSM plan is more than the Company's share of
4 the statewide potential identified in the ACEEE Florida report. Given the
5 concerns that I have just discussed about this report, it is reasonable to
6 conclude that FPL is not just doing "more than FP&L's share of statewide
7 efficiency potential" but rather, doing substantially more than what a
8 corrected ACEEE Florida report would show.

9

10 **II. ENERGY-EFFICIENCY PORTFOLIOS IN OTHER JURISDICTIONS**

11

12 **Q. Mr. Plunkett bases his projections for additional DSM savings on**
13 **portfolios from other jurisdictions because, he says, other states have**
14 **longer track records of acquiring considerably more DSM than Florida**
15 **(page 7, lines 13-17). Do you agree that Florida lags behind other states**
16 **in its DSM efforts?**

17 A. No I do not. Florida and FPL have a long history of identifying, developing
18 and implementing DSM resources to cost-effectively avoid or defer the
19 construction of new power plants. FPL first began offering DSM programs in
20 the late 1970s with the introduction of its Watt-Wise Home Program. FPL has
21 continued to develop and offer to its customers additional DSM programs.
22 These programs have included both conservation and load management
23 programs, targeting the residential and business markets. More importantly,

1 while other states moved away from DSM in the 1990s, Florida and FPL
2 continued to emphasize the importance of this resource for meeting growth in
3 peak demand. Indeed, based on the Florida Public Service Commission's
4 (FPSC) February 2007 report titled Annual Report on Activities Pursuant to
5 the Florida Energy Efficiency and Conservation Act (FEECA), between 1980
6 and 2006, utility DSM programs reduced peak summer demand by 4,983
7 MW, and thereby "deferred the need for ten typical 500 MW electric
8 generating plants, or enough capacity to serve approximately 1.6 million
9 households" (Executive Summary). This FPSC report is further evidence of
10 the continued emphasis on and positive impact of DSM efforts in Florida.

11 **Q. How do FPL's DSM efforts compare to the efforts of other utilities**
12 **nationwide?**

13 A. As addressed in detail in my direct testimony, FPL has compiled an enviable
14 record nationally in regard to its DSM achievements. Indeed, the U.S
15 Department of Energy ranks FPL first in the nation for cumulative
16 conservation achievement and number four in load management, based on the
17 most current data available.

18 **Q. Is the amount spent on DSM per kWh, a concept suggested by Mr.**
19 **Plunkett, an appropriate means of determining whether FPL is utilizing**
20 **all reasonably available DSM measures?**

21 A. No. A key element of successful DSM programs is cost-effectiveness, not
22 how much money is spent. It is the peak hour kW reduction value of DSM
23 options that enables utilities to avoid the need for new generation additions.

1 For a detailed discussion of the problems with Mr. Plunkett's testimony as it
2 relates to the cost-effectiveness of DSM measures, please refer to the rebuttal
3 testimony of FPL witness Dr. Sim. Without considering the cost-effectiveness
4 of a DSM program or portfolio, excess spending directly impacts the price of
5 electricity to customers in a non-cost effective manner.

6 **Q. Do you agree with Mr. Plunkett that DSM plans in the Northeast and**
7 **California offer a basis for projecting spending and savings for FPL?**
8 **(pages 7-8).**

9 A. No, I do not. I believe the process prescribed by the Commission and used by
10 the Florida utilities is the appropriate means to determine DSM savings and
11 spending. This very logical process starts with utilities determining all the
12 cost-effective DSM potential for a 10-year planning horizon. The review and
13 approval of this cost-effective DSM potential by the Commission results in
14 DSM goals for each utility. The subsequent review and approval of 10-year
15 DSM goals every five years ensures that all the relevant DSM potential is
16 always included in the goal setting process. Based on these 10-year DSM
17 goals, each utility develops a DSM Plan, which specifies the DSM programs
18 that will be used to meet the DSM goals. Once again, the Commission
19 approves each utility's DSM program plan. Finally, based on the approved
20 DSM program plan, DSM spending levels are set. These spending levels are
21 set such that goals can be achieved in a cost-effective manner.

1 This Florida and utility-specific approach is far superior for determining
2 savings and spending targets than using other states' plans for projecting these
3 targets.

4 **Q. Do you feel it is reasonable to compare DSM spending between**
5 **jurisdictions?**

6 A. No, I do not. Mr. Plunkett's overly simplistic comparisons ignore many of the
7 drivers of DSM spending and potential. Some of these drivers are customer
8 mix, weather, customer growth, existing generation fleet, fuel costs, electric
9 rates, availability of fuel switching opportunities, age of housing and building
10 stock, cost-effectiveness, regulatory rules and the state of the local economy.
11 The comprehensive approach to DSM in Florida appropriately considers each
12 of these unique characteristics of FPL's service territory in setting the
13 appropriate target for achievable savings. Nowhere in Mr. Plunkett's
14 testimony does he explain his understanding of the FPL market and how it
15 impacts his selection of other jurisdictions for comparisons.

16 **Q. Do you agree with Mr. Plunkett that Massachusetts makes the best choice**
17 **for projecting additional spending and savings for FPL (page 8, lines 23-**
18 **25)?**

19 A. No. Mr. Plunkett provides no reasonable basis for selecting Massachusetts as
20 the best for projecting total spending and savings for FPL. Exhibit JJP-2 of
21 Mr. Plunkett's testimony includes data that compares the annual kWh saved
22 per dollar spent on DSM for seven northeastern states. In 2004, of these seven
23 states, Massachusetts spent the most in the non-residential sector in terms of

1 absolute dollars and dollars per MWh of sales. However, when you examine
2 the effectiveness of Massachusetts' energy efficiency programs in terms of
3 annual kWh savings per dollar spent, Exhibit JJP-2 shows Massachusetts as
4 the least effective of all states listed. Therefore, it appears Mr. Plunkett is
5 more concerned with how much is being spent, rather than how effectively the
6 money is being used.

7 **Q. Do you agree that Pacific Gas & Electric (PG&E) offers a good basis for**
8 **projecting FPL's performance (page 9, lines 24-25)?**

9 A. No, for the reasons stated above. Also, one very prominent area where PG&E
10 and FPL differ is the price for electricity. Based on PG&E's residential tariff
11 that was effective July 2006, a 1,000 kWh monthly bill for a PG&E customer
12 would be \$193.85 versus \$108.61 for an FPL customer. PG&E customers,
13 whose electric rate is almost double that of FPL's, would achieve a much
14 faster payback on a DSM investment than they would if they were an FPL
15 customer. When a customer elects to participate in a DSM program, the
16 customer's cost to implement the program measure is directly impacted by the
17 cost of the measure, any tax benefits, grants, utility rebates and savings on the
18 customer's utility bill. Therefore, all else equal, a customer is far more likely
19 to implement a DSM measure where the price of electricity is higher.

20 **Q. Can you provide an example of how the price of electricity influences**
21 **customers' willingness to take advantage of a DSM program?**

22 A. Yes. Assume a customer installs ceiling insulation that saves 600 kWh per
23 year at an initial out-of-pocket cost of \$300 (total job cost of \$500, minus

1 utility rebate of \$200). At 10 cents per kWh, the payback is five years ($\$300 /$
2 ($600 \text{ kWh} * \$0.10/\text{kWh}$)), while at 20 cents per kWh the payback is reduced
3 to 2.5 years. It follows that many more people would participate in a program
4 that has a 2.5 year payback than one with a five year payback.

5 **Q. Besides substantial differences in the price of electricity, are there other**
6 **reasons why PG&E does not afford a good basis for projecting FPL's**
7 **conservation performance?**

8 A. Yes. For example, each year utilities report to the U.S Department of Energy
9 their annual conservation achievement and the corresponding dollars spent.
10 Document No. DB-3 shows the cost per kW of conservation for PG&E and
11 FPL from 1999 to 2005, the last year data is available from the U.S.
12 Department of Energy. It shows that the amount FPL spends per kW of
13 achieved savings is as much as one-third less than the amount PG&E spends
14 per kW of achieved savings. Therefore, as was the case in selecting
15 Massachusetts to compare to FPL, Mr. Plunkett's focus seems to be more on
16 dollars spent versus results.

17 **Q. Why do you think Mr. Plunkett selected PG&E and Massachusetts as**
18 **benchmarks for FPL?**

19 A. Mr. Plunkett has previously submitted substantially the same information in
20 prior testimony and it did not require additional work or analysis on his part.
21 For example in October 2006, Mr. Plunkett submitted testimony to the British
22 Columbia Utilities Commission regarding BC Hydro's 2006 Integrated
23 Electricity Plan. As part of his testimony, Mr. Plunkett once again chose to

1 try to benchmark BC Hydro's DSM efforts with the efforts of PG&E and
 2 utilities in the northeast United States. In fact, as shown in Document No.
 3 DB-4, Mr. Plunkett included as exhibits in his BC Hydro testimony exhibits
 4 that are substantially the same as his exhibits JJP-2 and JJP-3 in this
 5 proceeding. Exhibit JJP-1 is Mr. Plunkett's resume, so for this proceeding,
 6 only JJP-4 is new, and it merely consists of a table showing FPL's projected
 7 summer MW requirements with his incremental DSM savings added to it.
 8 Therefore, it seems that regardless of the utility and the appropriateness of the
 9 benchmark, Mr. Plunkett is simply relying on prior analysis not based on or
 10 related to FPL specific factors, leading to unfounded and erroneous
 11 conclusions.

12
 13 **III. THE EFFECT OF ADDITIONAL FPL ENERGY-EFFICIENCY ON**
 14 **THE NEED FOR THE GLADES UNITS**

15
 16 **Q. Addressing one of the differences between FPL's service area and that of**
 17 **PG&E and Massachusetts utilities, Mr. Plunkett, on page 11, lines 8-14,**
 18 **states that "[p]otential savings from high-efficiency air conditioning**
 19 **should be greater and more cost-effective in FP&L territory than in**
 20 **Massachusetts or PG&E territory." Will incremental potential savings**
 21 **from air conditioning programs defer the need for the FGPP units?**

22 **A. No. The future potential for savings from high-efficiency air conditioning has**
 23 **been diminished due to the recent minimum efficiency code changes for this**

1 equipment. All cost-effective achievable potential from high-efficiency air
2 conditioning is already captured in FPL's existing programs and Mr. Plunkett's
3 suggestion to the contrary is unfounded and incorrect.

4 **Q. If FPL utilized what Mr. Plunkett refers to as “best practices...of the**
5 **most aggressive DSM portfolios” (page 14, lines 1-2), would additional**
6 **savings on the scale suggested by Mr. Plunkett be achievable to defer the**
7 **need for the Glades units?**

8 A. No. FPL continuously strives to implement best practices in the Company's
9 DSM programs. These best practices are identified in numerous ways
10 including, benchmarking with other utilities, the review of industry literature
11 regarding successful DSM programs, the review of non-utility literature to
12 identify transferable concepts from other industries and using consultants who
13 work in DSM with multiple utilities. FPL continuously enhances its DSM
14 portfolio to take advantage of cost-effective best practices. FPL has been
15 doing DSM since the early 1980s and has been very successful. FPL's current
16 level of cost-effective DSM potential incorporates best practices from both
17 within and outside the utility industry, as well as, FPL's many years of
18 experience. Furthermore, in Mr. Plunkett's testimony regarding BC Hydro's
19 2006 Integrated Electricity Plan, he referenced the “Best practices website:
20 www.eebestpractices.com/.” Several of FPL's DSM programs were included
21 in this best practices study to which he referred and FPL's programs
22 incorporate many of the recommended best practices. In fact, FPL's Business
23 HVAC program was commended by this website for its program strategy and

1 goals, quality control, participation process, marketing and program
2 evaluation.

3 **Q. Should FPL be directed to conduct a thorough study of the economically**
4 **achievable potential for energy-efficiency investments?**

5 A. No, because FPL and other Florida utilities already do this. The
6 Commission's DSM goal setting process already accomplishes this objective.
7 FPL completed the Commission-required analysis in 2004. In 2005, FPL's
8 forecast of customer demand increased significantly. There were also changes
9 to minimum equipment efficiency standards and changing market conditions.
10 As a result of these changes, in 2006 FPL performed a comprehensive review
11 of all its DSM programs, as well as other potential measures. This analysis
12 resulted in Commission approval of changes to FPL's offerings that will result
13 in an incremental 564 MW of peak savings above that included in FPL's
14 approved DSM goals. FPL has included all of this cost-effective DSM
15 potential in its analysis of the need for the FGPP units. FPL expects to
16 perform the next comprehensive DSM potential analysis as part of the
17 Commission's goal setting process in 2009. In the interim, FPL will continue
18 to perform research and development of new DSM concepts and request
19 Commission approval as appropriate.

20 **Q. Should FPL's need petition be denied on grounds that the units can be**
21 **deferred if FPL triples the peak-demand reductions it plans to realize**
22 **over the long-term from its DSM portfolio, as asserted by Mr. Plunkett**
23 **on page 5, lines 10-11, of his testimony?**

1 A. No. Mr. Plunkett has not presented any credible evidence that shows FPL can
2 cost-effectively triple its DSM potential over the undefined time period that he
3 refers to as “the long term.” Section 403.519 of the Florida Statutes requires
4 the Commission to consider the conservation measures taken by or reasonably
5 available to the applicant which might mitigate the need for the proposed unit.
6 Mr. Plunkett admits he has not done a detailed analysis of, and has no “actual
7 experience” with, Florida (page 11, lines 4-5) and that his projections provide
8 only a “rough idea” of how much DSM FPL could be expected to achieve
9 (page 11, line 17) – in fact he did not even review my testimony or that of Dr.
10 Sim addressing FPL’s DSM efforts (Plunkett testimony, page 6, lines 9-17).

11

12 IV. SUMMARY AND CONCLUSION

13

14 **Q. Please summarize your rebuttal testimony.**

15 A. Mr. Plunkett’s analysis of the potential for DSM at FPL is lacking in detail,
16 unsubstantiated and not Florida specific. He apparently did not take any time
17 to understand FPL’s DSM plan, its current programs, the unique
18 characteristics of the FPL service area, or how DSM potential is determined
19 based on FPSC guidelines.

20

21 Mr. Plunkett discusses two estimates of the DSM potential for FPL, neither
22 one of which provides a reasonable basis for accepting his recommendation
23 that the need for FGPP units can be deferred through incremental DSM. The

1 first is his high level benchmarking analysis comparing FPL to Massachusetts
2 utilities and PG&E that focuses on DSM spending per kWh. Of the
3 Northeastern states identified by Mr. Plunkett, Massachusetts is the least
4 effective in terms of annual kWh savings per dollar spent. Moreover, it is the
5 peak hour kW reduction value of DSM options that enables utilities to defer
6 the need for new generation additions. The amount FPL spends per kW of
7 achieved savings is as much as one-third less than the amount PG&E spends
8 per kW of achieved savings. Mr. Plunkett has not presented any credible
9 evidence that shows FPL can cost-effectively triple its DSM potential over the
10 undefined time period that he refers to as the “long term.”

11

12 The second estimate Mr. Plunkett provides of FPL’s DSM potential is based
13 on the ACEEE Florida report. Though the findings in this report are
14 questionable, Mr. Plunkett’s conclusion that FPL’s planned DSM savings
15 exceed its share of statewide energy efficiency included in this report indicate
16 that FPL has clearly met the conservation-related requirements of Section
17 403.519, Florida Statutes.

18

19 Despite FPL’s substantial conservation efforts, which are acknowledged by
20 Mr. Plunkett, there is not sufficient cost-effective, reasonably achievable DSM
21 potential on FPL’s system to defer the need for the FGPP units. For the
22 reasons discussed above Mr. Plunkett’s testimony does not afford a basis for
23 reasonably concluding that the need for the FGPP units can be deferred.

1 **Q. Does this conclude your testimony?**

2 **A. Yes, it does.**

1 BY MS. SMITH:

2 Q. Mr. Brandt, have you prepared a summary of
3 your direct testimony?

4 A. Yes, I have.

5 Q. Would you please provide that summary to the
6 Commission?

7 A. Good afternoon, Chairman Edgar and
8 Commissioners. My testimony addresses FPL's demand-side
9 management efforts and whether sufficient additional DSM
10 is available to cost-effectively reduce customer usage
11 to eliminate FPL's 2013-2014 capacity needs.

12 FPL has been very successful in
13 cost-effectively avoiding new power plants using DSM.
14 In fact, based on the latest data for the Department of
15 Energy, FPL is ranked number one nationally in
16 conservation achievement and number four in load
17 management.

18 FPL continually investigates additional
19 cost-effective DSM opportunities and requests Commission
20 approval of revisions to our DSM plan as appropriate.
21 FPL recently completed a comprehensive review of all of
22 our programs to determine whether additional savings
23 were available. This review resulted in Commission
24 approval of extensive modifications that added another
25 564 megawatts of summer demand reduction impact to FPL's

1 Commission-approved DSM goals of 802 megawatts for 2006
2 through 2014.

3 FPL's accomplishments and future commitments
4 to DSM are significant. Through year-end 2005, FPL has
5 implemented 3,519 megawatts for the equivalent of 10
6 medium sized power plants. By 2015, FPL will have
7 avoided three times the equivalent of the FGPP power
8 plants.

9 FPL's analysis has already captured all
10 cost-effective demand-side management potential
11 available on the FPL system. Even if there were some
12 modest potential for additional DSM, regardless of the
13 cost-effectiveness test used, it is unrealistic to
14 conclude that FPL could add significant incremental
15 quantities in time to mitigate the 2013-2014 capacity
16 need. Therefore, despite FPL's outstanding
17 accomplishments in the area of DSM, there is still not
18 additional cost-effective DSM to avoid the need for the
19 proposed units.

20 This concludes my summary.

21 Q. Mr. Brandt, have you also prepared a summary
22 of your rebuttal testimony?

23 A. Yes, I have.

24 Q. Would you please provide that summary to the
25 Commission?

1 **A.** Sure. My rebuttal testimony counters Mr. John
2 J. Plunkett's argument that more demand-side management
3 is reasonably achievable by FPL and could defer the need
4 for the proposed FPL Glades Power Park. Mr. Plunkett's
5 analysis of the potential DSM of FPL is lacking in
6 detail, unsubstantiated, and not Florida-specific. He
7 apparently did not take any time to understand FPL's DSM
8 plan, its current DSM programs, and the unique
9 characteristics of FPL's service area.

10 Mr. Plunkett discusses two estimates of DSM
11 potential for FPL, neither of which provides a
12 reasonable basis for accepting his recommendation that
13 the need for the FGPP units can be deferred through
14 incremental DSM. The first is his simplistic benchmark
15 analysis comparing FPL to utilities in Massachusetts and
16 Pacific Gas & Electric. As an initial matter, projected
17 DSM savings for FPL cannot be looked at DSM spending in
18 other areas. The utility's specific approach of looking
19 at cost-effective DSM potential followed by this
20 Commission and FPL is far superior.

21 Further, Mr. Plunkett bases his comparison on
22 dollars spent per kWh saved, but you cannot conclude
23 that units can be deferred by only looking at kWh
24 savings. To determine whether new generation can be
25 deferred, the critical consideration is cost per kW of

1 peak reduction. Based on Department of Energy
2 information, the amount FPL spends per kW on achieving
3 savings is as much as one-third less than the amount
4 spent by PG&E for comparable savings. Even if you look
5 at the annual kWh dollar savings spent as Mr. Plunkett
6 did, Massachusetts was the least effective of the
7 Northeast states that Mr. Plunkett identified.

8 Mr. Plunkett also discussed FPL's DSM
9 potential based on a recently released ACEEE report on
10 Florida. As I discussed in my testimony, Mr. Plunkett's
11 -- I'm sorry, ACEEE's findings regarding achievable
12 conservation and renewable potential in Florida are
13 substantially overstated, and the author of the report
14 has acknowledged that there are errors in this report.
15 Even assuming the ACEEE report's findings are correct,
16 Mr. Plunkett concludes that FPL's planned DSM savings
17 exceeds its share of the statewide energy efficiency
18 included in the report.

19 Despite FPL's industry-leading conservation
20 efforts, which were acknowledged by Mr. Plunkett, there
21 are not sufficient cost-effective, reasonably achievable
22 DSM potential in FPL's system to avoid the need for the
23 FGPP units.

24 This concludes my summary.

25 MS. SMITH: Thank you, Madam Chairman.

1 Mr. Brandt is available for cross-examination.

2 CHAIRMAN EDGAR: Thank you. Ms. Perdue, any
3 questions?

4 MS. PERDUE: No questions.

5 CHAIRMAN EDGAR: No questions. Mr. Beck, I
6 know you said no questions.

7 Mr. Gross. No questions.

8 Mr. Krasowski.

9 MR. KRASOWSKI: I have questions, yes. Thank
10 you, Madam Chair.

11 CROSS-EXAMINATION

12 BY MR. KRASOWSKI:

13 Q. Good evening, Mr. Brandt.

14 A. Good afternoon.

15 Q. Good afternoon, good evening. It's two after
16 5:00.

17 A. Okay.

18 Q. I have a strong interest in your work and much
19 of your testimony, not just to pick it apart or
20 criticize it. But I think it's really a valuable
21 effort, so if you would help me understand it and what
22 the implications are for increasing the effect of your
23 work, I would appreciate it.

24 So I would like to start off with, on page 5,
25 line 14 of your testimony, you state that FP&L has been

1 able to avoid penalizing nonparticipating customers by
2 offering only DSM programs that reduce electric rates
3 for all customers, DSM participants and nonparticipants
4 alike. So my question is, why does FP&L take this
5 viewpoint, or why do you do things this way? Doesn't
6 this put the participants in the efficiencies at a
7 disadvantage because you have to spread the benefit over
8 everyone? What do you mean by that?

9 **A.** Well, first of all, it doesn't put anybody at
10 a disadvantage, and that's kind of the beauty of how we
11 try to implement DSM. You know, we use something called
12 the rate impact measure test to determine
13 cost-effectiveness, and the rate impact measure test's
14 goal is to make sure that everybody benefits through the
15 lowest rates possible. So even if you don't participate
16 in a DSM program, your rates that you pay for
17 electricity are as low as possible considering the
18 alternatives.

19 Now, the second test we look at is something
20 called a participant test. And the participant test
21 ensures that it makes economic sense for a customer who
22 elects to participate in one of our DSM programs to
23 realize benefits.

24 So by using these two tests, the rate impact
25 measure test and the participant test, both participants

1 in the programs benefit through lower rates and through
2 reducing their consumption through the program, and
3 nonparticipants benefit through having as a low a rate
4 as possible.

5 Q. Okay. Let me relate this to the first program
6 you list under the residential DSM programs, and that is
7 residential conservation services. That's where you go
8 to someone's home and you do an energy audit, and you
9 explain to them how they can make their home more
10 efficient through the installation of conservation
11 measures and practices.

12 Let's get specific and say it's through
13 increasing insulation to save energy. Now, how does
14 what you just explained to me relate -- how does that
15 person's insulation of their home save the cost of
16 energy for everyone involved in the system?

17 A. Well, first of all, I think -- let me clarify.
18 The residential conservation service program that you
19 talked about is really our energy audit program, and
20 that's where customers have the option of either us
21 going to their home, doing it on the phone, or through
22 the Internet. They actually do a survey of the
23 customer's home to identify ways to increase the
24 efficiency of their home.

25 An outcome of that would be recommendations

1 for some of our other programs, such as our duct
2 program, our building envelope program, or our HVAC
3 program, or there's others. Those programs, if the
4 customer who has the audit qualifies, they'll typically
5 get a certificate that they can redeem for part of the
6 cost to install that conservation measure.

7 For instance, we go to your house and we find
8 that you don't have adequate ceiling insulation, we will
9 determine how much you have and a recommendation of
10 where you ought to be as far as the level of ceiling
11 insulation, and we would write something called a watt
12 saver, which is basically a certificate that you can
13 redeem with a participating contractor to get your
14 ceiling insulation brought up to our recommended level.
15 Once you've done that, now that program, the building
16 envelope program, if you do that as a participant, will
17 help reduce the demand for electricity on our system,
18 and it will also reduce our peak demand, which will help
19 avoid building power plants.

20 Q. And that's how a general savings is
21 experienced? I see this. I'm just -- the individual
22 saves by putting in the insulation, and the system saves
23 because you don't have to build a new power plant?

24 A. I think you've got it right, yes, sir.

25 Q. Okay. Good. So am I right in connecting what

1 you just told me to the amount of 5,800 megawatts of
2 savings, which represents 20 percent of the energy
3 either generated or saved? When you put those together,
4 it's 20 percent of your total energy picture over the
5 years. Through your savings, you've been able to put
6 that must have aside or avoid that much.

7 **A.** Well, we haven't got there yet. I think the
8 5,800 number that was discussed by a prior witness, I
9 believe Mr. Green, was actually what we intend to have
10 done through 2014. We've done about 3,519 megawatts
11 through 2005. And you are correct in stating that the
12 way you get those megawatts is through getting customers
13 to participate in these programs.

14 **Q.** Since you generate less energy now than you
15 will in 2005, would the percentage, the 3,519, would
16 that -- what percentage is that then? That's where
17 you're at. In 2005 you're at 3,500. Do you understand
18 my question? How does that relate to the 20 percent
19 projected to be 5,800?

20 **A.** I'm not sure I understand your question, sir.

21 **Q.** Okay. If in 2014 you're estimating that
22 you'll be at 5,800 megawatts of savings, which then will
23 represent 20 percent, is the 3,519 number of 2005
24 20 percent as well?

25 **A.** I don't know for sure.

1 **Q.** Okay. We'll have to do the math. You don't
2 know the math for sure. Okay.

3 How many of your customers -- what percentage
4 of your customer base -- do you know how many customers
5 you have? I can't recall. I've read it.

6 **A.** We have about 3.8 million residential
7 customers and about 500,000 business customers.

8 **Q.** How many of your residential customers have
9 taken advantage of the residential customer service
10 energy audit? Do you have a percentage for me?

11 **A.** I have the absolute number if that would help.

12 **Q.** That would do.

13 **A.** We've had -- 2,192,000 customers have had a
14 home energy survey.

15 **Q.** Okay. Because this program is sort of like a
16 feeder program into the other opportunities that you
17 help people take advantage of, do you have a breakdown
18 of the residential building envelope program? That's
19 more specific, isn't it, in that you help people with
20 insulation, putting stuff around windows, and that type
21 of thing? Do you have a number on that, what percentage
22 of people you've -- this is all voluntary; right?

23 **A.** Yes, sir, it is voluntary. Once again, I
24 don't have a percentage, but I have the absolute number
25 if that would help.

1 Q. That helps.

2 A. There's been 730,000, approximately, customers
3 that have received rebates and processed them for the
4 residential building envelope program.

5 Q. That's great. Duct system testing and repair,
6 sir?

7 A. Duct system testing and repair, about 405,000
8 customers.

9 Q. Residential air conditioning? And I'm going
10 down the list here of the programs you offer people,
11 opportunities.

12 A. The residential air conditioning program is 1
13 million -- approximately 1,100,000 customers have
14 participated.

15 Q. That's out of how many customers?

16 MS. KRASOWSKI: 3.8 million.

17 MR. KRASOWSKI: 3.8 million. Okay. Nice.

18 BY MR. KRASOWSKI:

19 Q. Residential load management?

20 A. Our residential load management program has
21 742,000 customers in it today.

22 Q. And that's unique, in that it's a program that
23 offers load control to major appliances in the household
24 and household equipment to customers in exchange for a
25 monthly electric bill credit, so that goes specifically

1 -- say if my swimming pool heater is an electric one, I
2 sign up with you, and you're allowed to shut that down
3 if you're in a -- instead of a brownout or something
4 like that, if you need to?

5 **A.** You're pretty close, sir. We don't control
6 swimming pool heaters, but we do control swimming pool
7 pumps, along with water heaters and air conditioners and
8 space heating, you know, home heating.

9 **Q.** Okay. But not the swimming pool heaters?

10 **A.** That's correct.

11 **Q.** Is there a reason for that?

12 **A.** Well, the program typically gets used in
13 summer. You know, typically we build power plants to
14 meet load in summer, and there aren't too many swimming
15 pool heaters, I think, that would be on during the
16 summer.

17 **Q.** Okay. Thank you.

18 **A.** So we wouldn't get very much benefit.

19 **Q.** Right. That makes sense.

20 Did I ask about the residential air
21 conditioner, how many people participate in it? I did.
22 Okay. I have that.

23 How about residential load management? Did
24 you give me a number on that?

25 **A.** Yes, sir.

1 **Q.** You did. Okay. I'm sorry.

2 So now we're to the new construction
3 BuildSmart program.

4 **A.** BuildSmart -- I'm sorry.

5 **Q.** That's all right.

6 **A.** BuildSmart has about 15,000 participants.

7 **Q.** 15,000. Is that -- do you do that in concert
8 with the Florida Solar Energy Center? Do you work with
9 them at all on that?

10 **A.** This actually was a project that we --
11 actually, we worked with the Florida Solar Energy Center
12 when we initially developed the program. They provided
13 quite a bit -- actually, they did the research for us,
14 and they actually helped certify our representatives
15 that go work with builders on these programs.

16 **Q.** Great program. Are you familiar with the
17 Florida Solar Energy Center's project where they built
18 three different homes, one in southern, one central, one
19 northern Florida, 2,000 square foot homes, and then they
20 put a control home right next to it? And they maximized
21 all efficiencies in the test home and compared the
22 energy usage to the control home, which had kind of
23 standard appliances and design and insulation, so one
24 home maximized all of those things, not just solar. Are
25 you familiar with that program?

1 **A.** I am familiar with the summary of the
2 research, yes, sir.

3 **Q.** Okay. I'm trying to remember. I thought I
4 remembered that there was a 70 percent differential
5 between the control home and the maximized efficiency
6 home. It might be less than that, so I don't want to
7 misrepresent it and hurt the credibility of our
8 conversation, or my credibility. But do you remember
9 what efficiencies there were when you maxed out,
10 maximized every aspect of what you're doing here as far
11 as your voluntary programs?

12 **A.** I'm not sure I understand your question, sir.

13 **Q.** Do you understand the Florida Solar Energy
14 research project, the three homes?

15 **A.** Yes, I do.

16 **Q.** Okay. Do you remember the differential
17 between the energy use, like what percentage of energy
18 was saved in the experimental home?

19 **A.** I don't remember the exact numbers, but I
20 think your numbers of 70 percent are in the ballpark.

21 **Q.** Okay. I'll have to check that. And then we
22 talked about new construction, residential low --
23 residential low weatherization, low income
24 weatherization. I think we've kind of touched on that
25 already. Do you have a number of people that have

1 accessed that?

2 **A.** Actually, sir, no, I don't.

3 **Q.** And these numbers, are they since the
4 beginning of the program, or are they annual numbers?

5 **A.** They are since the program was implemented.

6 **Q.** And I noticed some information here that you
7 have some programs that have started and stopped. Some
8 have been redesigned and adjusted. So when did this
9 program -- when did these programs start, if you can
10 even answer that based on what I just said?

11 **A.** Well, it varies by program. I don't remember
12 exactly when all of them started. BuildSmart, for
13 instance, probably started about five or six years ago.

14 Our residential building envelope program has
15 been around for quite a number of years.

16 Our residential HVAC program, we had it for a
17 while, and then changes to the energy code basically
18 made the program obsolete, because the building code
19 minimum efficiency was basically what we were incenting
20 customers to do, so we weren't really -- you know, you
21 weren't getting any benefit from that. And over time,
22 new technology was developed that actually allowed us to
23 start the program up again. So that has been on and
24 off.

25 Our duct program is probably about 10 years

1 old. And that --

2 Q. Okay.

3 A. I'm sorry.

4 Q. That's okay. The one program where -- I think
5 it was the air conditioning program where the regulatory
6 requirements came up to the point where you were trying
7 incentivize people to go.

8 A. Yes, sir.

9 Q. Do you recall what SEER rate is the new
10 excellence target to hit? Is it something like a SEER
11 of 14 or 16? What's the best?

12 A. Well, the minimum based on the code is now a
13 SEER of 13. So we obviously don't want to incent
14 customers to put in SEER 13s, so we strive to incent
15 customers starting at 14 and above. You know, there's
16 SEER 19 equipment out there, and to the extent -- you
17 know, we make our incentives that we give customers,
18 structure it so that we try to move them to the higher
19 SEERs.

20 Q. All right. You also address your business
21 energy evaluation program?

22 A. Yes, sir.

23 Q. Where you encourage energy efficiencies in
24 business. Would I be correct in saying that that would
25 include air conditioning and -- well, any kind of

1 electrical -- what is included in that, if I may?

2 **A.** Our business energy evaluation, you can think
3 of it similar to what we do with a residential home
4 energy audit, but we did it for business customers. We
5 go into business customers' facilities and do a couple
6 of things. Number one, we try to qualify them for our
7 other DSM programs, for instance, lighting or air
8 conditioning or building envelope. And we also give
9 them practical things they can do that are low cost or
10 no cost that they can implement on their own without
11 making a financial investment, things like -- you know,
12 as simple as when you shut down your business at the end
13 of the day, make sure you're turning out the lights, and
14 make sure you're raising your thermostat if that's
15 appropriate, those types of things.

16 **Q.** Are smart thermostats part of your -- are
17 those -- are you involved in encouraging people in
18 residences -- I'm going back to that. Are you
19 encouraging as part of your program people to use smart
20 thermostats in either your individual home visits or
21 your visits to builders?

22 **A.** Yes, we are. When we do a home energy survey,
23 one of the recommendations to customers would be
24 programmable thermostats. Also, in our new home
25 construction program, which is BuildSmart, that's one of

1 the technologies that we encourage builders to put in
2 for our customers.

3 Q. Okay. And then -- okay. I see right here the
4 next one, business heating, ventilation, and air
5 conditioning. What percentage of your business -- how
6 many business customers do you have?

7 A. We have about 500,000 customers.

8 Q. And what number or percentage of those people
9 have taken advantage of what you offer?

10 A. It's much more difficult on the business side
11 to track that information, only because we tend to --
12 there's so much variation in a business customer. You
13 could go from a small business all the way to a large,
14 multi-campus type of facility. So we don't really track
15 participants. We try to focus on how many kW we get out
16 of them, so I really couldn't tell you exactly the
17 number of participants.

18 Q. But if you have a large warehouse with
19 lighting and they ask to you come in and help them
20 assess their energy options, you'll go in and help them
21 with that?

22 A. Oh, absolutely.

23 Q. Okay. Sounds good.

24 Next is business custom incentive, encourages
25 businesses to implement unique energy conservation

1 measures or projects not covered by other FP&L programs.
2 That's pretty open.

3 And then we have a different category,
4 commercial/industrial load control. Oh, that was ended
5 in 2000. Okay.

6 But was it picked up again, commercial demand
7 reduction, in 2002? And that's a program which, similar
8 to the previous one, it reduces peak demand by
9 controlling customer loads of 2,000 kilowatt or greater
10 during periods of extreme demand or capacity -- so
11 that's kind of the load control on the business side
12 that you have in the residential.

13 A. That's correct.

14 Q. And then business building envelope, a program
15 you offer there as well.

16 A. Yes, sir.

17 Q. So we have a 20 percent kind range, maybe a
18 little less, in that range, of energy need displacement
19 as a result of your efforts here, and it was identified
20 in some of the documents as 10 400-megawatt plants, or
21 it would be two 2,000-megawatt plants. And the
22 percentage of participants that you have represents
23 quite a few people. But in general, what percentage did
24 you come up with again?

25 Okay. Well, they're all different for all the

1 different categories, but it's like a fifth, an eighth,
2 or a third. The greatest is a third.

3 Okay. Are you familiar with a program that
4 Lakeland Electric has implemented? It's a couple of
5 years old now, where they themselves provide customers
6 with a solar hot water heater, and then they maintain
7 that. They install it. They own it. It's sort of like
8 what Microsoft does with the operating systems on
9 computers, where we get to use these things, but we
10 never own the operating system; right? So they put in
11 that appliance, continue to own it and maintain it, but
12 they have a meter that is right next to the regular
13 electric meter, so they charge for the electricity --
14 they have a special way of doing it, but they can tell
15 what power benefit there is in doing this for the
16 customer, and the customer pays for the solar heating of
17 their water. But the utility profits from this. So
18 it's a very clever way of arranging things. I haven't
19 heard of many quite like this. But are you aware of
20 that program?

21 **A.** I'm somewhat aware of that program, yes, sir.
22 That program actually began in 1997, and as of today,
23 there's about 60 customers for the City of Lakeland that
24 are participating in it. And typically what they do is,
25 they install solar water heating panels on a customer's

1 facility, and it has Btu meters that measure the amount
2 of hot water that a customer uses, and they charge the
3 customer based on hot water usage, and then they also
4 charge them for their electric usage for their non-hot
5 water needs.

6 Q. So it's a clever way of keeping the utility
7 serving the energy need, but transferring from
8 electricity to -- and there's a benefit towards using
9 this type of -- being in this type of situation, right,
10 because the electricity that that defers, there's also a
11 savings in -- the electricity lost in the transmission
12 over the lines is also a factor of efficiency. We've
13 been talking about that. That's been a point.

14 When Mr. Olivera was here, he said you folks
15 were looking at something like that as well, that you
16 were kind of the main man, so I wanted to --

17 A. Right. FPL is currently looking at trying to
18 offer a solar water heating program to our customers.
19 We're finishing the analysis and trying to make sure
20 that program will be cost-effective, and if it is, we
21 would potentially come to the Commission and ask for
22 their approval to offer that to our customers.

23 Q. Okay. I want to catch myself here, because I
24 don't want to be beating around the bush and maybe it
25 would be suggested that I was starting to be like a

1 professional witness, or maybe even a professional
2 attorney, you know, so let me stay grassroots here.

3 Okay. So with all this good work you're
4 doing, I'm wondering why, or we're wondering why, if
5 next legislative session, when the Governor has said
6 he's going to pull out all stops and get the best minds
7 in his State of the State address -- I don't know if you
8 saw that, but he said he's going to bring in -- do his
9 best, you know, bring from the best minds and work with
10 everybody to find the best solution or to make an effort
11 towards a solution on climate change. And, of course,
12 coal power is a big part of that.

13 So if the Legislature, which now has the
14 Environmental and Conservation Committee in the House
15 and the Senate, and Senator Saunders, and then also has
16 appointed the Century Commission, which identified
17 climate change as the number one issue for Florida to
18 look at for future planning, and also there's a new --
19 I'm sure you're familiar with this. There's a new
20 Energy Commission that's supposed to come up with an
21 energy plan, and then the Governor. So if of all these
22 efforts, which oftentimes generate great ideas, because
23 it's in the open environment, political and social and
24 all that, scientific --

25 MS. SMITH: Madam Chairman, I just have to

1 interpose an objection. I think that Mr. Krasowski is
2 getting into the area of unsworn testimony at this
3 point, so perhaps if he can just ask a question.

4 CHAIRMAN EDGAR: I'm going to have to ask you
5 to bring it into a question.

6 MR. KRASOWSKI: Okay. I'm sorry. I'll do
7 that. So where was I?

8 BY MR. KRASOWSKI:

9 Q. Could you agree -- my question is, if we
10 double -- this is a voluntary program. You have a small
11 but very impressive percentage of participants,
12 participation from the various -- from your customers.
13 Would you agree that we would be able, if many of these
14 things were standardized into policy and procedure, to
15 double, to double the efficiencies that we realize just
16 in these programs alone if they were spread across the
17 board, everybody -- these became the new standards, like
18 the air conditioner standards, these standards become
19 the new standard, and they're new standards?

20 A. Well, first of all, I wouldn't characterize
21 what we've done as small. I think if you look at the
22 data, we've probably done -- we have done more
23 conservation than anybody in the country.

24 Q. Undeniable.

25 A. Okay. So if you're asking me is a better way

1 to accomplish this through code changes, I think
2 Dr. Green gave an excellent example on the impact of
3 code changes on customers' usage. I believe he
4 mentioned that the Energy Policy Act of 2005, when he
5 looked at the impact of that, that was about
6 1,200 megawatts through 2014 that he was able to reduce
7 his forecast.

8 Obviously, as things come into code that
9 utilities are incenting, the utility's goal is to look
10 at those changes and figure out, you know, how to react
11 to them. And you can react to them a couple of ways.
12 Number one, you could stop incenting customers to do
13 something because they're going to do it by code anyway,
14 so it's not the kind of -- you know, you're not really
15 getting any benefit from that, or you can redesign your
16 programs.

17 And FPL has taken both tacks at different
18 times. Just recently, we filed revisions to our
19 residential air conditioning program that looks to
20 address those code changes that you're talking about.

21 So there are ways that efficiencies can be
22 achieved through code, and there's ways efficiencies can
23 be achieved through DSM programs by utilities. I have
24 no idea if doubling it -- making it a code would double
25 what we're doing.

1 **Q.** Fair enough. Would you agree, though, that if
2 we were to increase by 10 percent the success, overall
3 10 percent, like by 50 percent, the amount that you've
4 accomplished here, that we would be able to replace the
5 1,960 megawatts requirement need that is identified at
6 this time under these standards, under these conditions,
7 so we do not have to put this power plant on the edge of
8 the Everglades, at the headwaters of Lake Okeechobee?

9 **A.** No, sir, I don't agree. And I guess it's
10 based on -- as we've gone through this process, one of
11 our goals was to identify all the cost-effective DSM
12 that we could do in this time frame. And to that
13 extent, the plan for FGPP already includes all the
14 achievable cost-effective DSM in the plan. So I don't
15 think we could cost-effectively come up with enough
16 incremental DSM to avoid those units.

17 **Q.** So obviously, we disagree. Well, okay.

18 I would like to ask you, what does
19 cost-effective mean when it's used so much throughout
20 these documents?

21 **A.** I think it's very similar to, as I answered
22 one of your prior questions, you know, we look at the
23 impact on potentially a DSM program versus the option of
24 meeting the need through purchased power or building
25 another power plant, the different options. And to the

1 extent that the conservation or DSM program is a more
2 cost-effective solution than those alternatives, then
3 the DSM program gets implemented or proposed. If it's
4 not more cost-effective, then we would have to build one
5 of the alternatives to it.

6 Q. And how does the RIM standards come into this?
7 I'm not clear on that.

8 A. The RIM test is basically the test that we
9 use, one of the two tests to look at the
10 cost-effectiveness of our DSM programs. And the goal of
11 the RIM test is to make sure that the DSM program that
12 is being proposed has the effect of minimizing rate
13 impacts to all customers.

14 Q. And there are some programs that don't -- that
15 are energy efficient, but don't qualify because they
16 don't meet RIM standards, because FP&L loses money if
17 they implement the program? That's a question. Do you
18 have an answer? If you don't, that's fine.

19 A. No. We, first of all, don't lose money. I
20 mean, that's not the objective. The whole idea of --
21 you know, there are measures out there that don't pass
22 the RIM test, and typically what you'll find is, those
23 types of conservation measures are ones that don't have
24 a significant impact on demand, which means if we
25 implemented them, we still wouldn't be able to realize

1 the benefits of avoiding power plants, because they
2 don't defer capacity typically, or a minimal capacity
3 deferral.

4 **Q.** Could I have a second?

5 I think that's coming -- I thought that was my
6 phone. It's not my phone. It's a computer.

7 I think that just about covers it, but if I
8 can return to two main points, the Florida Solar Energy
9 Research Center, on their standards for housing. If we
10 were to live up to those standards, we could reduce the
11 new home energy uses by an enormous amount. Therefore,
12 the projection of need for this power plant into the
13 future, that need would be altered, or we would have to
14 refigure that. Would you agree with that or not?

15 **A.** To the extent that the work of the Florida
16 Solar Energy Center was cost-effective, I would agree.
17 However, I don't believe that would truly be
18 cost-effective, both for participants and for a customer
19 to do. I mean, those types of things have extremely
20 long paybacks.

21 **Q.** Okay. But are you -- can I ask you economic
22 questions about that? Are you the representative of the
23 economic -- I suppose you are if you're the DSM man.
24 These paybacks, if these programs are standardized and
25 implemented in all new housing, then the payback goes

1 with the house; right? I mean, there's no -- and
2 there's also programs to mitigate the increased cost
3 with assistance through government policies, which are
4 all coming up in the next legislative session and are
5 being analyzed by the entities I mentioned before. So
6 I'm confident that many questions regarding that could
7 be answered by those very bright, talented,
8 knowledgeable, like yourself, people on the issue.

9 Okay. And then the other issue is that
10 program that you might be coming out with your version
11 of, the one in Lakeland. It saved 7 percent energy per
12 household. If we put them on all the houses, along with
13 other programs, what would -- how much of a benefit
14 could you see, an increase over the 20 percent we're
15 achieving now?

16 **A.** I guess to put the Lakeland program in
17 perspective, they have approximately 100,000 customers,
18 and they have 60 participants. If you apply that to
19 FPL's customers, we would have about 2,600 participants,
20 which would be about one megawatt of impact, so very,
21 very small. Our goal is to be more successful than
22 them, in the sense that even a -- I guess a -- well, FPL
23 had a program like this several years ago, and over
24 probably about a 10-year period, we were able to get
25 about 40,000 participants in the program, and that

1 results in about 16 megawatts of summer peak demand
2 reduction. So you need a lot of people participating in
3 solar water heating to defer these types of power plants
4 that we're here talking about today.

5 MR. KRASOWSKI: Correct. So if it was one
6 megawatt, that would leave us 1,959 megawatts to handle
7 with other programs, but not to make a big joke of it.

8 Thank you very much. I really appreciate the
9 conversation, and although I don't agree with you, I
10 really respect and appreciate your answers.

11 I'm done with the questions. Thank you very
12 much, Madam Chair.

13 CHAIRMAN EDGAR: Thank you, Mr. Krasowski.
14 Are there questions from staff?

15 MS. BRUBAKER: Staff has none.

16 CHAIRMAN EDGAR: No questions. Commissioners?
17 Commissioner Carter.

18 COMMISSIONER CARTER: I was looking at my
19 little pad here, and next time I go on break, I'm going
20 to turn it down. I think Mr. Krasowski was looking at
21 my notes here. I think he got an answer to all of the
22 questions I had here.

23 CHAIRMAN EDGAR: That was a joke.

24 COMMISSIONER CARTER: But I do think that --
25 Mr. Brandt, I want to say to you, I know that sometimes

1 when you work in an environment where the goal is to
2 sell more electricity and you're the DSM guy, you may
3 not be the most popular guy in the company. But I think
4 you're doing a great job with two national leadership
5 awards. Keep on keeping on, and I think that as long as
6 we keep DSM in the forefront of what we're doing and
7 keep on, you know, maintaining your national standards,
8 we're going to do -- we're going to get there. And I
9 just want to say I appreciate it.

10 Thank you, Madam Chair.

11 THE WITNESS: Thank you.

12 CHAIRMAN EDGAR: Commissioner McMurrin.

13 COMMISSIONER McMURRIAN: I'm going to try a
14 couple. Bear with me.

15 Mr. Brandt, can you give me an idea of the
16 percentage of reserves that are currently supplied by
17 DSM, or is that something that's better to ask of --

18 THE WITNESS: Actually, that would probably be
19 best answered by Dr. Sim.

20 COMMISSIONER McMURRIAN: Okay. Okay. Then no
21 questions. Thank you.

22 CHAIRMAN EDGAR: Ms. Smith, any questions on
23 redirect?

24 MS. SMITH: I just have a few. Thank you.

25 REDIRECT EXAMINATION

1 BY MS. SMITH:

2 Q. Mr. Brandt, you and Mr. Krasowski discussed
3 cost-effectiveness of DSM a great deal. Do you recall
4 that discussion?

5 A. Yes, I do.

6 Q. When you say DSM is cost-effective, what do
7 you mean?

8 A. What I mean by cost-effective is, when you
9 compare the DSM alternative to other options for meeting
10 peak demand, DSM results in lower rates for our
11 customers.

12 Q. And you said that there is not enough
13 cost-effective DSM to avoid or defer the need for the
14 FGPP units; correct?

15 A. That's correct.

16 Q. If FPL used a different cost-effectiveness
17 test for DSM measures, do you think the need for FGPP
18 could be avoided or deferred?

19 A. No, I do not. Typically, as I talked briefly
20 about, most of the other cost-effectiveness tests and
21 measures that would pass them don't necessarily
22 guarantee significant peak demand reduction, which you
23 really need to defer a power plant.

24 Q. And you may have already clarified this, but
25 Mr. Krasowski said in one question if FPL doesn't

1 implement a DSM measure, that's because FPL loses money
2 if they implement these programs. Is that what the RIM
3 test determines, whether FPL loses money?

4 **A.** No, it does not. It looks at the rate impact
5 on our customers.

6 **Q.** And Mr. Krasowski discussed the new
7 construction, residential new construction BuildSmart
8 program with you. Is that a partnership of sorts with
9 developers and builders in FPL's service area?

10 **A.** Oh, absolutely. For this to work, you have to
11 work with developers. And FPL has actually teamed up
12 with some of the larger builders in Florida such as
13 Pulte, Mercedes Homes, Lennar, and we work with them to
14 help sell energy efficient homes at the beginning.
15 Obviously, it's a lot more cost-effective to build an
16 energy efficient home than it is to retrofit one. So to
17 the extent that we can work with customers up front, we
18 kind of avoid this whole retrofit process, and it makes
19 us more effective.

20 **Q.** And have you made any changes to the
21 BuildSmart program to try to increase customer
22 participation in that program?

23 **A.** Yes, we have. We actually changed the program
24 last year, and there was a lot more focus on working
25 with developers that build multiple family units and

1 trying to get, you know, the kind of mass market type of
2 homes involved in the program.

3 Q. And you discussed participation in other DSM
4 programs with Mr. Krasowski; correct?

5 A. Yes, I did.

6 Q. All else equal, does the price of electricity
7 in FPL's service area affect participation rates?

8 A. Sure it does. To the extent that you have
9 lower rates, you know, part of the reason a customer
10 participates is, you know, you have a first cost to
11 install the measure, then you have the utility's rebate
12 or incentive, and then the third part of the equation is
13 how much the customer saves on his bill. So obviously,
14 your rates impact how much they save on their every
15 month from the reduced energy usage.

16 Q. And if a utility has higher priced electricity
17 than FPL, how would you expect that to change
18 participation rates in DSM programs, again, all else
19 equal?

20 A. All things being equal, obviously, the higher
21 your rates, the more the customer would save each month,
22 and the more attractive, in a sense, the DSM measure
23 might look to that customer. They would have a shorter
24 payback.

25 Q. And you and Mr. Krasowski discussed the

1 Lakeland Electric water heating program. Do you recall
2 that?

3 **A.** Yes, I do.

4 **Q.** And you said approximately 60 customers have
5 participated in that program. That was implemented in
6 what year?

7 **A.** 1997.

8 **Q.** And how many megawatts have been saved under
9 the Lakeland Electric program since its inception?

10 **A.** It might be easier to talk in kilowatts. It's
11 been 24 kilowatts.

12 **Q.** And how many megawatts? Not even one?

13 **A.** Divide that by a thousand, .024.

14 **Q.** We were just discussing the participation
15 rates in DSM measures where the price of electricity is
16 higher. How do FPL's rates compare to the rates of
17 utilities in Massachusetts and PG&E in northern
18 California?

19 **A.** FPL's rates, to kind of put it in perspective,
20 a thousand kilowatt-hour bill for an FPL customer is
21 maybe around \$110 a month, and out in PG&E, a thousand
22 kilowatt-hour bill is about \$195.

23 MS. SMITH: I just have two more, Madam
24 Chairman.

25

1 BY MS. SMITH:

2 Q. Mr. Brandt, Mr. Krasowski discussed FSEC's
3 policies and standards with you. Do you recall that
4 discussion?

5 A. Yes, I do.

6 Q. If FPL were to implement FSEC's policies and
7 standards, do you think that that would avoid or defer
8 the need for FGPP?

9 A. No, I do not.

10 Q. And you're familiar with the work of the
11 Florida Energy Commission that Mr. Krasowski discussed
12 with you, are you not?

13 A. Yes, I am.

14 Q. Are you aware of any policies being
15 considered by the Florida Legislature, the
16 implementation of which could avoid or defer the need
17 for FGPP through conservation?

18 A. Not that I'm aware of.

19 MS. SMITH: I have no further redirect.

20 CHAIRMAN EDGAR: Okay. We have exhibits. I
21 have 23 and 24, 130 and 131. Seeing no objection, we
22 will enter those into the record.

23 (Exhibits 23, 24, 130, and 131 admitted into
24 the record.)

25 CHAIRMAN EDGAR: Thank you, Mr. Brandt. You

1 are excused.

2 THE WITNESS: Thank you.

3 CHAIRMAN EDGAR: Okay. We are going to
4 conclude for the day. I do appreciate everybody's
5 cooperation these past two days.

6 As we discussed earlier, we will come back on
7 Wednesday of next week, which is the 25th. We have the
8 26th available to go into if indeed we need to. I would
9 ask in the interim that all of the parties obviously
10 work with your witnesses, and then please get with staff
11 and work up a proposed schedule that accommodates
12 scheduling needs. I will do everything I can to
13 accommodate and to show latitude, again with always my
14 caution that we will also try to proceed in a manner
15 that is orderly and helps lay out the record and the
16 case in a manner that makes sense to us up here as well.

17 MS. SMITH: Excuse me, Madam Chairman.

18 CHAIRMAN EDGAR: Yes, Ms. Smith.

19 MS. SMITH: Was Mr. Brandt dismissed?

20 CHAIRMAN EDGAR: I said that he was.

21 MS. SMITH: Okay. Great. Thank you.

22 CHAIRMAN EDGAR: And he's gone.

23 MS. SMITH: Thank you.

24 CHAIRMAN EDGAR: That's okay. Yes, yes, he
25 is. And I know that we did do his direct and rebuttal,

1 so he is excused excused.

2 Okay. Ms. Brubaker, any other matters?

3 MS. BRUBAKER: No. I would also ask the
4 parties -- perhaps it would be better to address any
5 subsequent commensurate changes in the briefing
6 schedule, take that up as a matter when the hearing is
7 continued, but I could ask the parties to think about
8 any particular concerns they have. My suggestion would
9 be to look at maybe offsetting the briefs by about a
10 week, but we can talk about it further during the week
11 if you would like.

12 CHAIRMAN EDGAR: Yes. And that is -- thank
13 you for bringing that up, and I meant to raise that. I
14 would ask the same thing, that you look at your
15 schedules and work with our staff. And what I would
16 like to do is have a requested/proposed schedule both
17 for the continuation and finishing of the proceeding
18 next Wednesday and Thursday, and then also looking at
19 dates from that point forward for briefing and for our
20 staff rec as well so that we can have it before us, and
21 when we are all together, we can make some decisions.
22 Does that work?

23 MS. BRUBAKER: Absolutely. And also, this is
24 perhaps just an aspirational goal, but to the extent
25 also we can look to stipulating further witnesses, staff

1 is happy to discuss that also.

2 CHAIRMAN EDGAR: And when we're talking about
3 the schedule, I would also ask, if it makes sense to go
4 ahead and take up direct and rebuttal at the same time,
5 then I am open to doing that as well.

6 Are there other matters while we are gathered
7 here together?

8 MS. PERDUE: Madam Chair, do we have a --

9 CHAIRMAN EDGAR: Yes, ma'am.

10 MS. PERDUE: Do we have a time for next
11 Wednesday?

12 CHAIRMAN EDGAR: 9:30 works for me. Is there
13 anybody that has a problem with 9:30 on Wednesday?

14 Okay. 9:30 on Wednesday it is. All right.
15 Then the hearing is continued, and we are adjourned for
16 the day.

17 (Proceedings recessed at 5:52 p.m.)

18 (Transcript continues in sequence in
19 Volume 6.)

20

21

22

23

24

25

CERTIFICATE OF REPORTER


STATE OF FLORIDA:

COUNTY OF LEON:

I, MARY ALLEN NEEL, Registered Professional Reporter, do hereby certify that the foregoing proceedings were taken before me at the time and place therein designated; that my shorthand notes were thereafter translated under my supervision; and the foregoing pages numbered 652 through 739 are a true and correct record of the aforesaid proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor relative or employee of such attorney or counsel, or financially interested in the foregoing action.

DATED THIS 18th day of April, 2007.


MARY ALLEN NEEL, RPR, FPR
2894-A Remington Green Lane
Tallahassee, Florida 32308
(850) 878-2221