


BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. UNDOCKETED

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

In the Matter of  
  
INTERCONNECTION OF RENEWABLE  
GENERATORS.  
  
\_\_\_\_\_ /



ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE  
A CONVENIENCE COPY ONLY AND ARE NOT  
THE OFFICIAL TRANSCRIPT OF THE HEARING,  
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS:           STAFF WORKSHOP

DATE:                    Thursday, April 19, 2007

TIME:                    Commenced at 9:30 a.m.

PLACE:                   Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida

TRANSCRIBED FROM  
TAPE BY:                 JANE FAUROT, RPR  
Official Commission Reporter  
(850)413-6732

## P R O C E E D I N G S

1  
2 MR. GRANIERE: Hello. Anybody who wants to come up  
3 and talk is free to do so. Anyone who doesn't want to talk is  
4 free to sit back there.

5 MR. HARRIS: Well, you can sit back there and then  
6 you could talk later.

7 MR. GRANIERE: Or you could talk later. You can talk  
8 now. You can talk later. Okay.

9 MR. HARRIS: Again, a couple of interesting --  
10 preliminary matters. First, we do have a notice that was  
11 issued by the Commission on March 22nd. This is a staff  
12 informational workshop on interconnection of renewable  
13 generation, renewable generators. Again, we're putting  
14 together a sign-in sheet, and we'll pass it around, and it will  
15 be back on that back table again. So I would encourage  
16 everyone to sign in.

17 It's being recorded. We have a recorder going. It's  
18 going to be transcribed. There will be a written transcript  
19 within the next couple of weeks. You can call me if you need a  
20 copy of it before this matter gets docketed. Once we actually  
21 get a docket open on these issues, the transcript and any  
22 comments or things that are received will go into that file,  
23 and there will be a way you all can receive it. In the  
24 meantime, you can call either one of the staff, Judy Harlow,  
25 Cayce Hinton, Bob Graniere or myself, Larry Harris, and we will

1 get you what we have.

2           Since it's being recorded, whenever you want to  
3 speak, I'd ask that you introduce yourselves. It makes it a  
4 lot easier for the court reporters to be able to have a name to  
5 type as opposed to trying to figure out whose voice it is. I'm  
6 not the best at that, but I try to remember.

7           With that, I'll go ahead and give it to Bob, and  
8 we'll get started. Thank you.

9           MR. GRANIERE: All right. This one, I think, it  
10 being more technical in nature, I think it probably would be  
11 useful to follow this agenda more closely than we did  
12 yesterday, mainly because these issues, hopefully, are set up  
13 in an order that makes them easier to handle. But if this  
14 particular setup is wrong in any way or you feel -- or anyone  
15 at the table feels that another issue should be taken up first,  
16 let me know, and we'll just change the order of the questions  
17 around. Otherwise, I'm going to try to just go down through  
18 the questions and get the answers -- or at least the positions  
19 and a little bit of discussion on what's going on here.

20           I think probably from the lessons that I learned from  
21 yesterday's workshop here is that it would probably be useful  
22 if a very short statement of the purpose is made so that  
23 everyone understands exactly what I think we're trying to do  
24 here. What we're looking at is interconnection of PVs in  
25 particular, but renewables in general. That's number one.

1           Number two, we're looking at the fact that right now  
2 the streamlined and expedited interconnection goes up to 10 kW,  
3 and we're asking the question is there a bigger number than 10  
4 kW where we could have streamlined and expedited  
5 interconnection. How big is that bigger number, and should it  
6 be the same for all levels between and 10 and some larger  
7 number, or should there be different criteria for different  
8 tiers.

9           For example, let's just say for the sake of argument  
10 that the bigger number is 50. So we have a set of procedures  
11 up to 10, perhaps. And another set of procedures up to 25 --  
12 between 11 and 25. And then perhaps another set of procedures  
13 between 26 and 50. But in all instances, the purpose is to  
14 streamline and expedite the interconnection. So that's what  
15 we're looking for. And we're looking to see if this is  
16 possible, and if it's possible, how quickly it can be done.  
17 And should there be different rules and procedures for  
18 different levels. Is that understood?

19           Okay. So starting that way, the first question here  
20 is what is the Florida Public Service Commission's jurisdiction  
21 with respect to interconnection to the host utility? So,  
22 obviously, we think we have jurisdiction. Does anybody out  
23 there think we don't?

24           MS. CLARK: Bob, it's Susan. I think it's important  
25 to keep in mind sort of the distinctions between the Commission

1 and FERC. Obviously, the Commission has jurisdiction over  
2 retail service and FERC has jurisdiction over wholesale, but  
3 the PSC does exercise jurisdiction over the interconnection of  
4 QFs because of the delegation from FERC. And pursuant to its  
5 retail jurisdiction, we believe that they would have  
6 jurisdiction over the interconnection made at the utility's  
7 distribution level voltage.

8 MR. GRANIERE: Okay. All right. So, basically, the  
9 first question is, yes, we do have jurisdiction, you know,  
10 subject to those statements.

11 MS. CLARK: If you're talking about those types of  
12 interconnections.

13 MR. GRANIERE: Right. So we don't necessarily have  
14 jurisdiction if this renewable fails or passes the IPP test,  
15 essentially.

16 MS. CLARK: Well, I would give you this example. As  
17 I understand it, you would not have jurisdiction if the  
18 interconnection isn't with a host utility, if it was where they  
19 would be wheeling the power to a different utility.

20 MR. GRANIERE: Okay. Any opposing positions? All  
21 right. Okay. That was an easy one.

22 The second question is exactly how are these  
23 interconnections for renewable energy providers accomplished  
24 here in Florida?

25 I know each utility may have a slightly different

1 approach once we get past 10 kW. So I don't know how we'll be  
2 able to get information on this, unless Tom or Susan knows all  
3 of the differences between the other utilities. But just let  
4 us know what you can tell us. And then if we need more work  
5 from each utility, we'll just send out a request.

6 MS. CLARK: Bob, you're right. There are  
7 differences, but I think it can be -- basically, it has to be  
8 pursuant to the interconnection rule, existing interconnection  
9 rule for the QFs. And it involves a customer application and  
10 then a customer-funded interconnection study, and then the  
11 negotiation and execution of the interconnection agreement.  
12 And then the customer-funded interconnection facility to  
13 accomplish connecting it to the grid.

14 MR. GRANIERE: Ooh, that's a lot of stuff. Can we  
15 start that a little bit closer now? I have to write this down.  
16 there's a lot of stuff there.

17 Okay. So the first one is there's an application,  
18 and that's the -- and the customer puts that together.

19 MS. CLARK: Right. This is under your --

20 MR. GRANIERE: Right. And then, second, there's a  
21 study, and the customer pays for it. And then -- and that  
22 study is for what?

23 MS. CLARK: How to accomplish the interconnection of  
24 that particular facility. And I'm speaking of under the --

25 MR. HARRIS: QF.

1 MS. CLARK: -- QF rule, yes.

2 SPEAKER: QF.

3 MS. CLARK: This is under Rule 25-17.087.

4 MR. GRANIERE: Okay. QF rule.

5 MR. HARRIS: And a different process, as you say,  
6 applies to the 10 kW and smaller.

7 MR. GRANIERE: Right. And then after the study, then  
8 the next thing that happens?

9 MS. CLARK: Then there is the negotiation and  
10 execution of the interconnection agreement, which is part of  
11 the tariffs that are filed.

12 MR. GRANIERE: So the execution/negotiation means  
13 what?

14 MS. CLARK: The terms of the interconnection  
15 agreement.

16 MR. GRANIERE: Okay. So -- okay. So, so far we have  
17 an application, we had a study, now we've negotiated an  
18 agreement. Then what happens?

19 MS. CLARK: And then the customer would do the -- a  
20 funded interconnection facility would be constructed.

21 MR. GRANIERE: Okay. So then there's the  
22 interconnection facility, and the customer pays for it. Okay.  
23 And that's under the QF. And I guess this is a general  
24 approach that applies to all of the utilities?

25 MS. CLARK: Yes. It's pursuant to your rules.

1 MR. GRANIERE: Yeah. Okay. Sometimes I don't read  
2 these things. You know, it's easier just to ask questions.

3 MS. HARLOW: Susan, could I ask a quick clarifying  
4 question? Is that how all facilities are handled, renewable  
5 facilities that are over 10 kW by all the utilities at this  
6 time?

7 MS. CLARK: Yes. That is my understanding.

8 MS. HARLOW: Thank you.

9 MR. GRANIERE: Okay. About how long does this take?

10 MS. CLARK: I don't have the answer to that question.  
11 I would venture that it depends on the size of the facility to  
12 be connected and the details of that interconnection.

13 MR. GRANIERE: And I'm just going to ask for a guess  
14 if anybody can help. More than six months?

15 MR. SANDERS: It could be more than six months. This  
16 is Tom Sanders from FPL. It could be more than six months,  
17 Bob.

18 MR. GRANIERE: Okay.

19 MR. WALLACE: This is Wayne Wallace.

20 Yeah, I could certainly agree with that. Just  
21 reading the documents and understanding all of that can take  
22 quite a very long time. Easily in excess of six months.

23 MR. GRANIERE: Okay. Now, with a 10 kW or less, how  
24 long does it usually take?

25 MR. WALLACE: This is Wayne Wallace again. I can



1 answer that. That's as quickly as less than an hour to fill  
2 out the paperwork. I mean, you have to have the electrical  
3 contractor sign it -- excuse me, the electrical inspector sign  
4 it, the solar or electrical contractor doing the work sign it,  
5 and then it's forwarded to the utility.

6 MR. GRANIERE: Okay.

7 MR. BROWN: Bob, this is Mike Brown. In addition to  
8 what Wayne was saying, the actual filling out of the  
9 application doesn't take much time, and it varies utility to  
10 utility and also case by case as to how long it usually takes.  
11 And the job -- depending on whether or not they need the  
12 utility to come in and replace the meter or qualify the system  
13 for another meter, dual meter. It depends on how they're going  
14 to meter it and what their expectations are. But I've seen the  
15 actual switching of the meter take as long as three months.  
16 So, I mean, from application to the customer actually --  
17 although his system is still interconnected, he's not  
18 registering any energy because the meter has not been changed.

19 MR. GRANIERE: Okay. When you're interconnecting the  
20 system, how long does that take?

21 MR. BROWN: The physical work?

22 MR. GRANIERE: Yeah.

23 MR. BROWN: That's like the last stage of the  
24 installation, and that phase of it is the final wiring, and  
25 we're talking probably a few hours of a day's work.

1 MR. GRANIERE: Half a day?

2 MR. BROWN: Possibly.

3 MR. GRANIERE: And then how many days leading up to  
4 that day?

5 MR. BROWN: It depends on the size of the system.  
6 Under 10 kilowatts, if it's straight grid tie, single inverter,  
7 no batteries, the whole job shouldn't take more than a couple  
8 of days, two or three days.

9 MR. GRANIERE: Two or three days. Okay.

10 MR. BROWN: On a regular standard installation.  
11 There are other factors, physical limitations and things that  
12 could extend the installation time.

13 MR. GRANIERE: Okay. So what you're -- so, I guess,  
14 if I were to cheat a little bit here and say that everything  
15 went quickly, application, installation, interconnection all  
16 happened right away, someone could wait, in theory, up to two  
17 and a half months to get the meter?

18 MR. BROWN: Yes. It has happened.

19 MR. GRANIERE: Okay.

20 MR. JONES: This is Jeremy Jones. To further  
21 differentiate between the under 10 kW and over 10 kW, in my  
22 experience, when you go over 10 kW, although the paperwork and  
23 application form between the various utilities might be very  
24 similar, the resulting rate structures and fees would not  
25 necessarily be similar. So as of right now, there's a lot of

1 unknowns when you install over 10 kW in terms of how that's  
2 going to affect your customer's bill, what the resulting rates  
3 will be and fees and so forth. Whereas, under 10 kW there  
4 really isn't an effect there, so it's a strong benefit.

5 MS. HARLOW: This is Judy. Have you seen an  
6 improvement in that for under 10 kW since the Commission's rule  
7 was put in on small PVs? That was probably about early 2003.

8 MR. JONES: Yeah, absolutely, because that customer  
9 knows that once they install that 10 kW or less system, their  
10 rates will remain unchanged. It's not net metered, but they're  
11 still -- they're not going to have additional fees and charges  
12 resulting from the installation of that system. Whereas, there  
13 could be ongoing monthly charges from the utility for a larger  
14 system, as much -- you know, I think that some of them might be  
15 60 or \$70 a month, and then a fee per kilowatt of capacity of  
16 the installation as well. So when you go with a larger system  
17 currently it can greatly affect the customer's bill in a  
18 negative way.

19 MR. GRANIERE: Now, I think I understand you saying  
20 that any charge can affect someone's bill negatively. That's  
21 sort of like the way it is. I think the question is, is the  
22 charge needed or is it too high, not the mere fact that it's a  
23 charge. I mean, if the charge is needed, and it's set at the  
24 right level or reasonable level, then it's there. But simply  
25 saying that there's a charge, you know, yeah, you've got to pay

1 for stuff. And so we need to work that out. And I think  
2 that's in Section F there of this, financial and things like  
3 that. So, yes. You know, I understand that, but, you know, we  
4 just need to recognize that some charges are needed, and the  
5 idea is not to have unnecessary charges, and the charges that  
6 are necessary not to have them be excessive. And so that's  
7 what I think we're trying to understand here.

8 MR. WALLACE: Bob, if I may. This is Wayne Wallace.  
9 I have a comment.

10 Presently some utilities in Florida here for systems  
11 under 10 kW have a fee imposed to process the utility  
12 interconnection agreement. Is that in the PSC rules, if you  
13 will?

14 MR. GRANIERE: Don't know. I don't know.

15 MS. CLARK: Let me just -- let me look, and I think  
16 it is in the rule.

17 MR. GRANIERE: Okay. Okay. We're -- well, no, Susan  
18 is looking it up, too, so --

19 MS. CLARK: It may not be in the rule. It may be in  
20 a tariff that is filed indicating that there is a charge.

21 MR. GRANIERE: Okay. So it's possible that the fee  
22 is in the tariff. Okay.

23 MS. CLARK: And those tariffs would be approved by  
24 the Commission.

25 MR. GRANIERE: Sure.

1 MS. CLARK: Bob, it's just been pointed out to me  
2 that it is in 25-6.065(2)(d), and it says, "The identification  
3 of a reasonable charge for processing the application for  
4 interconnection."

5 MR. GRANIERE: Okay.

6 MS. CLARK: I believe that's also consistent with  
7 what FERC provides for is a fee for processing the application.

8 MR. GRANIERE: Okay. Let's move on, I guess, to the  
9 next part. Now that we have an outline of what occurs in  
10 general over 10 kW, what do we essentially achieve by  
11 streamlining this interconnection process?

12 MR. WALLACE: Hey, Bob. This is Wayne Wallace. I  
13 can help try to answer that.

14 What can be achieved by streamlining this is making a  
15 better footprint for Floridians, helping Floridians lower their  
16 utility bills, helping Floridians take advantage of the solar  
17 rebate program that is presently in place. Consumers,  
18 businesses. You know, presently the rebate program by the DEP,  
19 if a corporation wants to go green and leave an environmental  
20 footprint, they can do a PV system up to 25 kW. Presently, the  
21 simple utility interconnection agreement is up to 10 kW, with  
22 all of the fees and obstacles and mountains of paperwork and up  
23 to six months, in excess of six months of trying to get an  
24 interconnection agreement, a customer cools down very quickly,  
25 and they simply may not want to do a PV system. So

1 streamlining it, making it simple, easier for the public, that  
2 would be a good service.

3 MS. HARLOW: Wayne, could you tell me how successful  
4 you feel the interconnection process is today for under 10 kW  
5 systems?

6 MR. WALLACE: Yes. Thank you. Wayne Wallace. I do  
7 believe that that recent under 10 kW interconnection agreement  
8 is very good, other than the fee that's imposed. That does  
9 detract a bit from it. But it is, for all general purposes,  
10 pretty good and very quick.

11 MS. HARLOW: And how much is that fee, please?

12 MR. WALLACE: I understand it's \$95 through, I think,  
13 one of the utilities.

14 MR. REEDY: Bob Reedy with an additional comment  
15 there, though. And that is that we at the Solar Energy Center  
16 had a lot a questions from homeowners outside of the service  
17 territories of the investor-owned utilities. And that again  
18 speaks to the fragment nature of the regulation is -- only  
19 applies to -- I don't know, maybe it's half the customers in  
20 Florida. I'm sure staff knows the breakout, but -- so that is  
21 one of the -- it's very smooth, as Wayne said, in those areas,  
22 and then it's pretty spotty everywhere else. And, of course,  
23 there are areas of Florida that are, particularly in the  
24 cooperatives and kind of the rural areas are really growing  
25 rapidly. So that's something that could be addressed,

1 hopefully, this time around.

2 MR. GRANIERE: Okay. I have a question for  
3 Mr. Wallace. Several times you've sort of thrown out the  
4 number 25 kW, and I don't think that applies to residential.  
5 Am I right there?

6 MR. WALLACE: Yeah, Bob. Wayne Wallace.

7 I throw out that 25 kW number because it's a number  
8 kind of set by their solar rebate program to maximize economies  
9 and investment, and the numbers work the best with a 25 kW  
10 system.

11 If a business, corporation wants to, again, maximize  
12 their environmental footprint, the \$4 watt rebate is maximized  
13 from the DEP at \$100,000. That equates to a 25 kW system. So  
14 when a business or corporation approaches the solar industry,  
15 they say we'd like to maximize this. We want to do the right  
16 thing. We want to invest in a solar PV system. We have done a  
17 little research. We see 25 kW is the size system that will,  
18 you know, probably be good for us. Oftentimes they want to do  
19 a larger system. So that's where that number comes from.

20 MR. GRANIERE: Okay. So then I would presume if the  
21 rebate were to -- were to go up, then that number would go up?

22 MR. WALLACE: Correct.

23 MR. GRANIERE: And if the rebate were to go down,  
24 that number would go down?

25 MR. WALLACE: Typically, yes. Although what we're

1 finding, again, is most companies like to do even larger  
2 systems.

3 MR. GRANIERE: Okay. On that issue, how much -- when  
4 you say most companies would like to do larger systems, let's  
5 break it down a little bit. When you say most companies, how  
6 many are we talking about?

7 MR. WALLACE: That I'm aware of, over a dozen.

8 MR. GRANIERE: Okay. And as for larger, how much is  
9 bigger than 25?

10 MR. WALLACE: Just over 100 kW that we've just  
11 started with here in Florida.

12 MS. HARLOW: This is Judy. What kind of customer?  
13 Could you characterize the customer that would put in a 100 kW  
14 system?

15 MR. WALLACE: Typically, a New York Stock Exchange  
16 Company. Companies like Target, Wal-Mart, Catalina Marketing,  
17 that's a firm in Pinellas County. Private European companies.  
18 We have some German-based companies that are in, you know,  
19 bakeries. So public-owned, private-owned. Typically, these  
20 are companies that have electric bills in excess of \$30,000 a  
21 month. So even a 100 kW PV system is very, very small relative  
22 to their bill.

23 MR. GRANIERE: Let me ask this question. These  
24 applications -- I mean, these potential customers that we're  
25 talking about here, let us assume that they actually put in a



1 100 kW system. Would they ever have an opportunity to sell  
2 excess, net excess?

3 MR. WALLACE: Potentially on a Sunday, a clear day  
4 afternoon if the business is unoccupied. But typically they  
5 have their air conditioning load. So to answer your question,  
6 I would say almost 100 percent no.

7 MR. GRANIERE: What do you think, Tom?

8 MR. SANDERS: I really couldn't say how much they  
9 would be using on a Sunday afternoon if no one was in the store  
10 and it was only the air conditioning running. But that would  
11 be probably the optimum time for a solar output is the middle  
12 of the summer, summer solstice, 1:00.

13 MR. GRANIERE: So if I hear you right, what you're  
14 saying is that it's possible that they would have stuff to sell  
15 back on Saturday and Sunday, and maybe some hours of the day,  
16 Monday through Friday?

17 MR. WALLACE: If I may? Wayne Wallace. These are,  
18 for an example, office buildings or facilities, again, with,  
19 you know, some of these places are -- 30,000, \$50,000 a month  
20 electric bills. Their air conditioning load alone running on  
21 one day is quite incredible. So I would virtually almost say  
22 almost 100 percent no. But it is a very, very remote possible  
23 chance that they could have a credit, but it's almost  
24 impossible, you know, as big as these facilities are.

25 MR. GRANIERE: Okay. If I understand what you're

1 saying, is that even if the building is unoccupied, no one is  
2 working, all the lights are off, if the air conditioning is  
3 running they will be using up everything?

4 MR. WALLACE: Typically, yes.

5 MR. GRANIERE: Okay. Now, on these 100 kW systems,  
6 what are the things that you have run into that you would like  
7 to streamline?

8 MR. WALLACE: Well, if I can answer that. Wayne  
9 Wallace.

10 Again, when we get the qualifying facility agreement  
11 from the utility, again, I've seen one utility that, if my  
12 recollection serves me correct, was over 100 pages. I mean,  
13 what I see here that you all have in your thing here is only,  
14 you know, one, two -- one, two, three, four, five, six,  
15 seven -- five, six pages. I've seen another utility that has  
16 in excess of 30 pages. You know, there's fees involved. We  
17 don't know what the fees are. It's very complex and very  
18 complicated.

19 There's a lot of unknowns that we simply don't know.  
20 Sometimes just to get those answers through the utility could  
21 take a couple of weeks just to find the proper person to speak  
22 to. When we forward that document to our potential customer,  
23 it can take them sometimes, you know, weeks just to review it.  
24 And it's very gray, and there's a lot of questions, and it's  
25 very complex and very complicated.

1           Our sales process is certainly not streamlined with  
2 it at all. So it makes it very complicated. It's a roadblock  
3 for the development of solar energy in Florida.

4           MR. GRANIERE: Okay. I think I understand what  
5 you're saying, that it's long. It takes time. But, I mean,  
6 isn't it true that there are certain things that you just have  
7 to take time to do? I mean, sometimes you just have to  
8 negotiate a contract. And sometimes you just have to do things  
9 that are unique. I guess what I'm trying to find out is what  
10 is it that's common in these larger applications that say they  
11 can -- they don't have to be treated on a case-by-case basis?

12           MR. JONES: Bob, can I address that? Jeremy Jones.

13           I think from the success of some other larger  
14 interconnection programs, there's probably three items that the  
15 industry would typically be looking for. The first Wayne kind  
16 of hit on, a fairly simple boilerplate application form,  
17 because generally there aren't a lot of differences from one  
18 system to another. Allowing safety measures -- and I know  
19 we're going to talk about some of the technical issues later,  
20 but just as the bulletpoint, allowing UL 1741 (phonetic)  
21 inverters to interconnect with a fairly straightforward  
22 process, because they typically have the protection required  
23 already built into that device.

24           And then a fee simple approach. I don't think anyone  
25 is necessarily opposed to some sort of a processing fee for,

1 you know, having a system interconnected, but not having  
2 cost-prohibitive ongoing charges and so forth that would make  
3 installing the system cost prohibitive.

4 MR. GRANIERE: Okay.

5 MR. BROWN: This is Michael Brown. If I could add  
6 something real quick.

7 MR. GRANIERE: Sure.

8 MR. BROWN: Just a suggestion. Maybe the engineering  
9 process could be opened on systems that come within 10 percent  
10 of the actual electrical service for the facility. Because,  
11 see, the thing is, is if we're dealing with the size of a  
12 system like Wayne was describing, a 100 kilowatt system would  
13 be less than 10 percent of that load.

14 MR. GRANIERE: Okay.

15 MR. BROWN: So, you know, I mean, we're talking about  
16 something that would not tax the system, or would not require  
17 any safety issues, or modification to the line side. But if we  
18 come within 10 percent of the building's load requirement, then  
19 we could possibly have some issues there.

20 MR. GRANIERE: Okay. So if I understand what you're  
21 saying, you're saying that there is, in your mind, a percentage  
22 out there where on-site generation does not represent a threat  
23 to--

24 MR. BROWN: Correct.

25 MR. GRANIERE: -- the grid?

1 MR. BROWN: Yes.

2 MR. GRANIERE: But we don't have that number yet, but  
3 that's your general position?

4 MR. BROWN: Yes.

5 MR. GRANIERE: Tom, what do you think of that?

6 MR. SANDERS: That's a pretty good characterization  
7 of the issue is that as long as the system can be expected to  
8 shut down when it's isolated with its own load, then it's much  
9 less of a safety threat, assuming everything works like it  
10 should work.

11 MR. GRANIERE: Okay. Okay. Anybody at the table,  
12 tell me if I'm wrong when I sort of summarize this way. It  
13 says that large systems aren't necessarily bad as long as they  
14 are part of a very large electricity user to begin with.

15 SPEAKER: That's a good characterization, Bob.

16 MR. GRANIERE: Okay.

17 MR. WALLACE: Yes, Bob. Wayne Wallace. In fact,  
18 it's really almost the same as a residential system. If  
19 somebody has 200 amps of service, we do a two, three, four,  
20 five kW system for them. Here's a commercial place that has  
21 their own giant transformer, and they're, you know, 30 to  
22 \$50,000 a month electric bill. It's kind of a relative size,  
23 if you will.

24 MR. GRANIERE: Okay.

25 MR. WALLACE: So it's just -- the only difference is,

1 it's just a larger system. Everything is being the same. It's  
2 installed, you know, it's IEEE, it's UL, it's NEC.

3 MR. GRANIERE: Okay.

4 MR. JONES: Bob, Jeremy Jones. Real quick. I think  
5 the Connecticut program will allow up to -- and I can provide  
6 the exact number. I believe it's 90 percent of the building's  
7 load. And they will allow -- serve their simple  
8 interconnection up to that level, and higher becomes a more  
9 complicated issue. But we could provide some examples of how  
10 that's been handled.

11 MR. GRANIERE: Okay. Let me see if I heard you  
12 right. You're saying that if the system -- if the on-site  
13 system serves nine-tenths of the building's load, there's no  
14 safety issue?

15 MR. JONES: I believe that's how their program is set  
16 up.

17 MR. GRANIERE: What do you think of that?

18 SPEAKER: That seems too high to me. There could be  
19 many instances in that case where the building's load, just  
20 because of facilities being off, would be less than the output  
21 capability of the facility, the solar facility.

22 MR. JONES: And in coordination with a net metering  
23 policy, I don't see how that would be a risk to the grid  
24 necessarily. It would just mean that occasionally you may  
25 export power, which you would then later consume through -- you

1 know, assuming that there were a net metering policy in place.

2 MR. GRANIERE: Well, I guess we've got something we  
3 could talk about here. Because, you know, it seems like these  
4 numbers are pretty big. I mean, this is -- this is a fairly  
5 large range from 10 percent to 90 percent. It's kind of a big  
6 range.

7 SPEAKER: Again, I think that the goal was to -- that  
8 a number somewhere like 90 percent would allow you to size a  
9 system such that it might provide over the course of a year  
10 nearly all of the energy that you need on site, but not  
11 additional energy.

12 MS. CLARK: Bob, this is Susan. Just to be clear in  
13 my own mind, I thought today we're talking about  
14 interconnection and sort of separating that from the issue of  
15 net metering.

16 MR. GRANIERE: Right. And that's why I'm confused.  
17 You know, I understand the notion of the 90 percent, but what I  
18 thought we're talking about here is that we have a system on  
19 there that is going to provide most of the need. It's a big  
20 system. In other words, it's a big electricity user, and is  
21 there any special things that need to be taken care of on  
22 interconnection precisely because it's a big system that serves  
23 so much? And I think the point you're making is that if it  
24 goes down improperly or something that could be a problem. Is  
25 that's basically what's going on here?

1           SPEAKER: Bob, the concern we have there is if it is  
2 a big system, and it's using -- serving, essentially, a lot of  
3 the customer's load, then when the customer's load is at a much  
4 lower level, then it could be having a larger flow back to the  
5 grid, which then could be a problem if there's a problem with  
6 the grid. In other words, if we open up the section of the  
7 grid that serves this area, and you have a large system  
8 connected that may not shut off automatically, then we have a  
9 concern with that.

10           MR. GRANIERE: Okay. Okay. I think I understand  
11 now.

12           MR. JONES: This is Jeremy Jones.

13           We would agree that the system, if it were that  
14 large, would have to have safety and interconnection compliance  
15 to ensure that it would not continue to operate in the event  
16 that the grid were off. And most of the industry equipment at  
17 this point already has that inherent to the design.

18           MS. HARLOW: This is Judy, and this is for the solar  
19 guys. I just want to get a feel for what the market is like  
20 today. Is it a common practice or is anyone putting in a  
21 system that's 90 percent -- capable of handling 90 percent of  
22 their load today, other than perhaps a small residential  
23 customer?

24           MR. WALLACE: This is Wayne Wallace. I can help  
25 answer that. We don't see -- in fact, I don't know of any



1 commercial application in Florida, if you guys do, I don't  
2 know, that serves up to 90 percent of the load. Looking at a  
3 large facility like that that we were mentioning earlier, the  
4 30,000-plus-a-month customer, I mean, they would have to have a  
5 10, 20, 30 million-dollar PV system, and the economics just  
6 aren't there presently today. So, again, a 100 kW system is a  
7 very small percentage of -- you know, talking about these  
8 30,000 and up monthly customers. It's less than 10 percent  
9 completely on their annual bill.

10 I think maybe in the Connecticut thing, I was  
11 thinking about that, maybe that's an annual thing. Because in  
12 Connecticut in the winter months there is some, you know, solar  
13 energy available. It's very low, so maybe -- I don't know  
14 maybe in the summer months that they might get 90 percent. In  
15 the winter months they might get one percent. I don't know.

16 MR. HINTON: This is Cayce Hinton. I was curious  
17 whether there is a threshold point where we can look to safety  
18 as an issue as far as the amount of energy being put back into  
19 the grid. If we're talking about a PV system that's providing  
20 90 percent of a customer's load and whether it's residential  
21 and they've got a, you know, a five kW system on their house or  
22 commercial, they've got a 100 kW. Say the residential customer  
23 goes on vacation one day, turns everything off, so everything  
24 they're producing is going back to the grid. When is it a  
25 safety issue at that point? Is it just as long as it's a five

1 kW system there's not really going to be a safety issue, but if  
2 it's a 100 kW system there is a safety issue? Is there some  
3 threshold there that we can look to as a point of, you know,  
4 we're going to be endangering the grid if that amount of energy  
5 is allowed to go back?

6 MR. SANDERS: This is Tom Sanders. Well, currently  
7 we have the 10 kW limit, which experience in the industry has  
8 shown is acceptable for an application. So, once again, we're  
9 comfortable with that, and a larger system is just something we  
10 just haven't had a lot of experience with.

11 MR. REEDY: Bob Reedy with a comment. As long as it  
12 meets the very stringent design standards for anti-islanding,  
13 there really can't be a safety issue concern. The safety issue  
14 is backfeed. Up to the point of the system being disconnected  
15 and a backfeed scenario developing, we're just talking about a  
16 feeder that has less flow from the substation transformer out  
17 to the customers. So there's not any issue that you can have  
18 regarding safety. So it's a moot point unless there is an  
19 island scenario.

20 Basically, the power lines are pretty dangerous to  
21 touch, whether it's being backfed -- I mean, whether there's  
22 flow from the customer or from the utility. They're high  
23 voltage and that's the safety issue.

24 MR. WALLACE: This is Wayne Wallace.

25 I'd like to just comment, also, with what Bob said.

1 Our five kW inverters, 10 kW inverters and 125 kW inverters  
2 have the same safety design features in them, anti-islanding.  
3 They are UL approved. Oftentimes a lot of these commercial  
4 systems that we see throughout other places, unfortunately not  
5 yet in Florida, they are multiple 42 kilowatt inverters that  
6 are -- I mean, the safety is the safety, so if the -- I mean,  
7 if it's a five kilowatt or 100 kilowatt, it's all the same.

8 MR. GRANIERE: Okay. I think we're -- I'm getting  
9 lost in trying to understand this, is that there's this safety  
10 issue that has to do with something happens in the network, and  
11 because of what happens in the network, these systems have to  
12 shut off automatically. That's safety issue number one.  
13 That's that islanding thing, right?

14 And then there is the other -- and then tell me if  
15 I'm wrong here. Is there another safety issues associated with  
16 a large unit just selling into, just pushing back into the  
17 distribution system when nothing is going wrong, it's just  
18 pushing back in?

19 SPEAKER: Nothing really wrong with that.

20 MR. GRANIERE: Nothing wrong with that. Okay.

21 Any more questions? Okay.

22 We get to this somewhat more technical -- not  
23 technical, more complicated idea. Let's say, just as a  
24 hypothetical, since the numbers we've been throwing out range  
25 from 10, 25 and 100, that seems to just say that there's three

1 tiers here. There's the zero to ten, there's the 11 -- well,  
2 the 10.01 to 25, and the 25.01 to 100. Okay. That seems like  
3 there's three natural tiers there.

4 The question that I have is that if we were to  
5 streamline up to 100, and we were to find an expedited way up  
6 to 100, should the streamlining and expedited procedures be the  
7 same for all three of those tiers, or should there be  
8 differences between the tiers?

9 MS. CLARK: Bob, this is Susan. I guess when you  
10 describe these natural tiers, it seemed to me that -- well, why  
11 are they natural?

12 MR. GRANIERE: They're on -- well, first of all, it's  
13 just a hypothetical, as I said to begin with. And all I'm  
14 using is the numbers that other people have thrown out. So if  
15 I were to justify my numbers, I would say the ten number is  
16 justified because it's already there.

17 MS. CLARK: Right.

18 MR. GRANIERE: The 25 number is justified because it  
19 takes maximum advantage of the current Florida rebate program.  
20 And the 100 number is justified because there's a person here  
21 saying, of course, not subject to cross-examination and  
22 everything, but saying that there are these 12 or so customers  
23 out there who are looking to do 100. So natural in that sense,  
24 just that sense. Okay. So it is a hypothetical.

25 MS. CLARK: Okay. Well, given that, let me just give

1 you a general answer to that. The experience that the  
2 utilities have with the 10 kW and lower shows that a  
3 standardized process can work so long as the equipment to be  
4 connected can be standardized. We also believe that it's  
5 possible to standardize or streamline the process for something  
6 larger than the 10 kW as long as it can be done through a  
7 qualified inverter. But we would say that we need further  
8 experience before we can determine what that size limit should  
9 be in terms of the kilowatts.

10 MR. GRANIERE: Okay. Could that experience be  
11 obtained through studies, or does it actually have to happen in  
12 the field?

13 MR. WALLACE: This is Wayne Wallace. Maybe I could  
14 add to that. In California there are literally within the last  
15 year dozens and dozens of systems installed in excess of 25,  
16 50, 100 kW. In fact, right on PG&E's system. Of course, they  
17 are the largest in the country that have systems  
18 interconnected, PV systems. So as far as the -- you know,  
19 maybe the local utility -- or Florida utilities don't have  
20 experience, but we can certainly help get that information to  
21 the utilities in Florida to see what, you know, in California  
22 they're doing, specifically PG&E, to say, look, here's a track  
23 record. Here are inverters. Here are some solar program  
24 managers at PG&E and other utilities in California that have  
25 been doing these systems now for -- well, for seven years plus

1 almost, some of them.

2 MR. GRANIERE: Well, I guess -- I understand that  
3 things larger than 10 kW have been installed. I understand  
4 that. I don't think we're talking about the fact whether they  
5 can be --

6 (Tape change.)

7 MR. GRANIERE: Of course they can be installed. What  
8 we're trying to find out here is that if they're installed  
9 under a streamlined, expedited, standardized procedure, is  
10 there any danger involved? We've already established that  
11 installing them under the current QF procedures do not create a  
12 problem. That's what was just said. We're trying to find out  
13 is that if we were to give up the QF procedures and go to  
14 something that's more standardized, more expedited, more  
15 streamlined, is it still just as good? And then the question  
16 becomes do we need laboratory experience to find out if that  
17 works or can this only happen with field experience?

18 MS. HARLOW: Tom, this is Judy. I have a question  
19 for Power and Light. How large are the PV units that you guys  
20 are putting in to comply with the requirements for your RIM  
21 pricing program, and how far along are you with those systems  
22 and would that help the utilities in gaining experience? Even  
23 though it's not an outside party installing those units, it  
24 seems like there would be knowledge to be gained from putting  
25 in your own systems that you're doing now.

1 MR. SANDERS: Unfortunately, I'm not very familiar  
2 with those particular installations, but every additional  
3 installation that you make above 10 kW adds to the experience  
4 level. And as anybody that does a cursory evaluation of a  
5 project can tell you, if they've done something similar in a  
6 similar environment, it makes the study quicker and more  
7 accurate.

8 MR. GRANIERE: Okay.

9 MS. HARLOW: I believe my recollection is that those  
10 systems are 250 kW, but I'm not -- I'm not sure.

11 MR. REEDY: Bob Reedy with a comment. Well, actually  
12 two comments. Frequently, the larger systems are assembled  
13 from a composite of smaller systems. One of the nice things  
14 about PV systems altogether is they're very modular. You can  
15 add a 10 kW block, and then another 10 kW block, and then  
16 another 10 kW block. And there are design reasons that favor,  
17 instead of one large inverter, for instance, a 100 kW inverter,  
18 that favor a series of smaller ones. And generally that's the  
19 trend is some blend of larger than you would see on a  
20 residential installation, but not one massive set of inverters  
21 and such. So that's the first comment.

22 The second is systems eligible for the rebate in  
23 Florida have to be certified and reviewed by FSEC under the  
24 current regulation. And we would propose that that certainly  
25 could continue and do a lot to address the issue of safety and

1 compatibility with different codes and those issues.

2 MS. HARLOW: This is Judy again. Would FSEC have the  
3 resources to inspect larger systems that were interconnected?

4 MR. REEDY: We either can or will. We're mandated to  
5 do that, so that is our charge. We currently do, because there  
6 are not that many systems going in, but we might have to ramp  
7 up -- we hope to be able to ramp up actually as growth occurs.

8 MR. WALLACE: This is Wayne Wallace. I'd like to  
9 comment. A couple of designs that we have already worked on  
10 for systems larger of 100 kW, working with the solar module  
11 manufacturers, the solar inverter manufacturers design from  
12 wire size for modules all the way down to inverters and input  
13 into the existing load centers the design review process to the  
14 building departments. You know, this is something that -- you  
15 know, here we are licensed contractors, solar and electrical,  
16 and doing everything to code, submitting designs, engineering  
17 drawings, mechanical drawings to building department, the  
18 design review at the building department alone can take two to  
19 three to four weeks.

20 These systems are to code. Safety is looked at.  
21 These electrical engineers at all the building departments  
22 throughout make sure our designs are proper, safe, and these  
23 are installed the way they should be installed, just like  
24 they're doing in California. So to me they're just like small  
25 systems, it's just they're larger.



1           MR. GRANIERE: I think that's the central question,  
2 are the larger ones just like small systems? That's what we're  
3 trying to get to. Because if the larger ones are just like  
4 small systems and expedited and streamlined works for small  
5 systems, then you would think they would work for larger  
6 systems. But if they aren't just like small systems, then  
7 there may be something different. And we're sort of spinning  
8 our wheels here on this one, because I'm not hearing a  
9 definitive answer here. Either these larger systems -- either  
10 there's a position out here that the larger systems are not the  
11 same as the small systems, or it is a position that they are  
12 the same. And I just need -- I mean, I'll be frank to say that  
13 I'm not hearing an answer to that question by anybody.

14           MR. REEDY: Bob Reedy. The answer is yes, they're  
15 the same. It's a composite of smaller systems.

16           MS. HARLOW: So is the concern then from the  
17 standpoint of the percentage of the customer's load? Because  
18 earlier we had numbers thrown out about other states' rules,  
19 and they have a criteria based on percentage of the customer's  
20 loads. And I'm new to the subject, so tell me why that --  
21 bottom line, why would a regulator want to put that in?

22           MR. JONES: I think the goal there was not a safety  
23 concern necessarily, although you certainly want to make sure  
24 that if you have 100 kW service, you're not putting 500  
25 kilowatts of solar on it and potentially overloading that line.

1 So there is a safety concern in it, but they also just wanted  
2 to make sure -- Jeremy Jones again -- that they're sizing the  
3 system to use that energy on-site, not to be a generator.  
4 They're not a utility, they're not a power plant, they're  
5 trying to generate their own energy. But there probably is an  
6 inherent safety issue with making sure that the system is not  
7 so big that it's producing too much power for the line coming  
8 into that facility.

9 MR. GRANIERE: Yes.

10 MR. POPE: This is Bill Pope with Gulf Power Company.

11 I wanted to kind of clarify some things with regard  
12 to the different sizes of systems and the standards. The  
13 standards that cover the inverter-based devices is IEEE 929,  
14 and it has three distinct breakdowns of sizes. And the zero to  
15 10 kW, the distinction between it and the next bracket, which  
16 is greater than 10 kW to 500 kW, is in the protection of  
17 clearing times for the devices. It's a little more lenient in  
18 the zero to 10 kW. It gets a little more quicker and faster in  
19 the 10 kW to 500 kW. So they really aren't the same, but we,  
20 as the utilities, are not uncomfortable with that. I think  
21 what we need, and Tom Sanders referred to it, is a little more  
22 experience with those systems. And I think that, and I'll  
23 speak for Gulf Power Company, that we, as the utility, are  
24 willing to get with the solar people and look at the inverters  
25 and see if we can find a way. The issue is can we streamline

1 something. I think that that's where we need to focus.

2 MR. GRANIERE: Right.

3 MR. POPE: And I just wanted to clarify that.

4 MS. HARLOW: Mr. Pope, while you are here, yesterday  
5 we heard that IEEE Standard 929 was superseded by -- I'm  
6 looking at my notes, 1547. Do you agree with that? And this  
7 is Judy.

8 MR. POPE: This is Bill Pope again.

9 No, I really don't, because IEEE 929 specifically  
10 deals with inverter-based devices, and it could be solar, it  
11 could be windmills, it could be fuel cells. But they focus on  
12 the inverter itself as the device. And it not only covers the  
13 protection part of it, but also some things about wave forms  
14 and harmonics that are different than IEEE 1547. So they  
15 somewhat overlap, but it has not been superseded, no.

16 MR. GRANIERE: Okay. And what does the 1547 -- how  
17 does that differ?

18 MR. POPE: It mainly deals with rotating-type devices  
19 like your generators, your home generators, and things like  
20 that. And I've heard some references to UL 1747 -- 41, 1741,  
21 and I may not have gotten the latest information, but I think  
22 that UL is looking at larger than 10 kW devices, but I'm not  
23 sure that they're actually putting their stamp on larger  
24 devices. Maybe you all could help me with getting some  
25 information about that.

1 MR. GRANIERE: And when you say larger than kW, you  
2 mean --

3 MR. POPE: Larger than 10 kW.

4 MR. GRANIERE: What's larger? I guess I'm losing --  
5 what's the device you're talking about?

6 MR. POPE: The inverter. The inverter --

7 MR. GRANIERE: The inverter. Okay.

8 MR. POPE: The output capability of the inverters  
9 larger than 10 kW.

10 MR. GRANIERE: Okay.

11 MR. WALLACE: This is Wayne Wallace. We're happy to  
12 forward as much information as we can to help the communication  
13 to streamline this. Thank you.

14 MR. GRANIERE: Okay. Great. So I guess what this  
15 says is that the idea is that there could be like field pilots  
16 on this? Is that a general -- does that feel fair to say that  
17 there would be like -- one of the things we could do here is  
18 field pilots on streamlining?

19 MR. POPE: This is Bill Pope again. I believe so. I  
20 think that we can provide some written comments later as to --

21 MR. GRANIERE: Okay.

22 MR. POPE: -- where we kind of get -- go there.

23 MR. GRANIERE: Okay. Great. Thank you.

24 MR. BROWN: Just one addition. This is Michael  
25 Brown. All the cut sheets for the larger inverters that would

1 be used in a commercial system, they're compliant to IEEE 519,  
2 929, 1547 and UL 1741, and they're stated as such. And I only  
3 have one copy of these cut sheets with me today, and I'm  
4 leaving at lunch. So, like Wayne said, if you get me your  
5 information, or Wayne, or even Jeremy, we all have -- we all  
6 have access to this information.

7 MR. GRANIERE: Can we get that, and we'll make a copy  
8 and give you back your one copy.

9 MR. JONES: Jeremy Jones. And the UL 1741 mark is  
10 being applied to all range -- and I know that you were just  
11 touching on that, but there are 500 kilowatt inverters that are  
12 UL 1741 approved and stamped (phonetic) as such.

13 MR. BROWN: And pretty much we hit on this  
14 yesterday -- this is Michael Brown again -- is that the  
15 industry is overengineering everything now. And pretty much if  
16 you go in and buy the smallest grid tie inverter that you can  
17 find, it's going to be compliant to all these issues. And it's  
18 just because the industry is expecting people to build on these  
19 systems.

20 MR. GRANIERE: Well, you know, I don't have a problem  
21 with something that's safer, more safer, more safe, I guess,  
22 rather than less safe, I mean. So, I personally don't have a  
23 problem with that. Maybe I'm wrong, but, you know, I've seen  
24 situations where you literally do have hot wires lying on the  
25 ground connected to those big yellow machines with unskilled

1 people taking power off of them. So, yes, you know, I would  
2 like to see a little more safety rather than a little less  
3 safety. So overengineering for me is not a bad word, but  
4 that's just me.

5 SPEAKER: I agree.

6 MR. REEDY: Bob Reedy. And as was said, the rotating  
7 machines are really a big concern, because they often have  
8 the -- there are a lot of factors that go into play when you  
9 have a rotating machine driven by an engine, for instance. And  
10 it's our observation, though, that inverter-based systems, no  
11 matter how large they are, are incredibly safe and well  
12 situated to feed into the grid. So we'd be happy to provide  
13 all the technical assistance we can in that area, and it  
14 wouldn't be coming originally from FSEC. We can just arrange  
15 to be sure that national and international projects and studies  
16 are available for that.

17 MR. GRANIERE: Great. I think the next session is  
18 labeled as participant benefits. And I guess we could either  
19 do this really quickly, and if we can, we could do it before  
20 the break. But if we can't, then we perhaps should take a  
21 break now. But the question that's just being put forth is let  
22 us assume that we actually do streamline these procedures, what  
23 benefits do you guys get and what benefits does the utility  
24 get? And if we could answer those quickly now, we could take  
25 care of this section right now and then take a break. But if

1 we can't, then maybe we should take a break and come back.

2 MR. BROWN: This is Michael Brown. I think that  
3 anytime you can streamline stuff and offer better service to  
4 the public, you're promoting goodwill, everybody is happier.  
5 The second that you gum up the works for anybody or delay  
6 things, everybody gets upset. It's not just a convenience  
7 factor, though. You do have some issues about somebody, say,  
8 they invest all their money on the front end, and everything,  
9 and there's not a set time frame that they can expect things to  
10 be done on the utility side. Then they're up in the air, and  
11 there is confusion. And they could have a viable system that's  
12 100 percent compliant, it has passed inspections and everything  
13 else, and yet they can't intertie it, and they can't utilize it  
14 for an undefined period of time. So streamlining is -- it's  
15 good customer service.

16 MR. GRANIERE: Okay. Does streamlining increase or  
17 decrease your costs?

18 MR. BROWN: It increases the costs because you end up  
19 working a lot more with the customer, and also working with the  
20 utility. I mean, if a customer calls up and they say I have an  
21 issue, they've put forth a substantial investment, you can't  
22 just say, well, just wait. Wait. You have to take your time  
23 out and go and talk to the utility, too, and make nice with  
24 everybody. So it's a time consumer is what it is. Not having  
25 it streamlined actually adds work to the contractor or the

1 retailer.

2 MR. GRANIERE: So streamlining would reduce your  
3 costs, not increase them?

4 MR. BROWN: Yes.

5 MR. GRANIERE: Okay.

6 MR. WALLACE: This is Wayne Wallace.

7 If I can add, streamlining this interconnection  
8 agreement above 10 kW to whatever it is, 100, or 200, or  
9 whatever, definitely helps the public, specifically  
10 corporations, businesses that like to do solar. It helps them  
11 expedite their goals to leave an environmental footprint. It  
12 helps them take advantage of the Department of Environmental  
13 Protection rebate. I believe it helps the utility with their  
14 peak demands, because solar throughout the day is, you know,  
15 helping shave off some of that.

16 MR. GRANIERE: You know, I understand that, but  
17 that's actually putting the system in. What I'm talking about  
18 here is what benefits do you get by streamlining it. So are  
19 you saying that streamlining these procedures will get you more  
20 customers so that you could put more of these things in the  
21 ground, is that what you're saying?

22 MR. WALLACE: Simply, yes.

23 MR. GRANIERE: Okay. Thank you.

24 Utilities?

25 MS. CLARK: Bob, this is Susan Clark.



1           Yes, I think the utilities likewise see benefits in  
2 standardizing the process in terms of the contract terms and  
3 conditions, the physical interconnection process itself, the  
4 billing procedures, and any other activity that is repetitive  
5 that can be -- if you have done it before, it's easier to do  
6 and accomplish on a repeat basis if it is standardized.

7           MR. GRANIERE: Okay. So we're looking here, saying  
8 the potential benefits are on the overhead side, the billing  
9 and all that other stuff, and the administrative side, and  
10 then, perhaps, some on the actual work side, you know, we  
11 actually go and do the physical interconnection. Okay. Great.

12           Oh. I was just about to go on a break. No, that's  
13 okay. I'm only kidding.

14           MS. SZARO: Gosh, you know how to make a girl feel  
15 important. Just from the municipal utilities' prospective --  
16 Jennifer Szaro -- we feel that streamlining the process would  
17 really give the municipal utilities a great deal of assistance  
18 in following some guidelines for systems of different sizes.

19           Right now I'm rewriting our interconnection  
20 standards, and I'm having a heck of a time, because we don't  
21 know what to do with the larger systems in the two megawatt to  
22 20 megawatt range. We need some clarity on that. We need some  
23 clarity on systems that are three-phase.

24           Do we keep those under the simplified interconnection  
25 or, you know, do we bump those up to a different level? So

1 right now we have our interconnection standards set for 20 kW  
2 and smaller under one tier, and then it goes up after 20 kW.  
3 We're looking at changing that to 100 kW, and we would really  
4 love some guidance from the Public Service Commission on  
5 appropriate standards for the different sized systems. So we  
6 would like one standard. That way if a vendor is doing  
7 business in several different territories, they can all kind of  
8 know what to expect. It also saves us money on our legal  
9 staff, so --

10 MR. GRANIERE: Okay. Okay. Thank you. Okay.  
11 Great. How about a ten or fifteen-minute break?

12 (Recess.)

13 MR. GRANIERE: Okay. Thank you for returning. And  
14 we have another speaker here who would like to sort of give his  
15 insights on the difference between 10 kW and 100 kW units.  
16 This is Mr. Cowart from the City of Tallahassee Utilities.

17 MR. COWART: Thank you. Yes. This is Ben Cowart,  
18 City of Tallahassee.

19 And I'll have to preface my statement by saying that  
20 I'm just a dumb old mechanical engineer and not an electrical  
21 distribution engineer. But it seems like I got lost in the  
22 discussion on the difference between a 10 kW and a 100 kW  
23 system on the system.

24 And I think the issue that needs to be discussed or  
25 at least needs to be aware of is that when you design your

1 distribution system for the users and the load that's there,  
2 you do that to serve 100 percent of that. And you start  
3 taking, whether it's 10 kW off or 100 kW off, and your system  
4 then, when you go to look at adding that next, say, big  
5 commercial unit on there, you look and see, well, my system is  
6 not overloaded, I can handle that.

7           You add that next load to the system, and now say the  
8 100 kW system goes off-line. That host is now pulling their  
9 full 100 percent of their power needs, that could get into a,  
10 you know, low voltage situation that I think gives -- to me the  
11 gist of the question of what is the safety, the safety is not  
12 in the inverter or, you know, what comes with the system.  
13 Sure. You don't want to, you know, shock anybody on a -- you  
14 know, become an island. But the system is if the host has to  
15 start relying on the utility for 100 percent of their power  
16 needs, what is that going to do to the system as a whole? Is  
17 that going to be browns, you know, low voltage situations.

18           And I think the issue that I was trying to reconcile  
19 through the safety is that, the protection of the distribution  
20 system for that circuit. And if you get too many on there, and  
21 you're relying on those systems to work, when they are not  
22 working, you know, what's the effect of that.

23           I appreciate the time.

24           MR. GRANIERE: Anybody care to respond? I think what  
25 I'm hearing is the situation was you have this user who

1       apparently is important to this part of the distribution  
2       system.  What happens if that person were to go off line  
3       unexpectedly?  Would that hurt something, I guess, is what I'm  
4       hearing.  Because what I'm hearing is the situation that says I  
5       have -- I am so close to my limits that I cannot tolerate any  
6       unexpected outcome, which generally we can tolerate unexpected  
7       outcomes because we have things called reserves, and things  
8       like that.  So the situation that I'm hearing here is that  
9       there's not enough reserves to take care of an unexpected  
10      outcome where the unexpected outcome is a customer going  
11      offline who is normally a self-generator and now asks for power  
12      from the utility.

13               MR. COWART:  Or a partial.  It doesn't have to be a  
14      100 percent self-generator, but just a partial.  If their solar  
15      system goes off line, what's the effects to that distribution  
16      system?

17               MR. GRANIERE:  Yeah.  So, basically, here's --  
18      basically, the issue that I hear being raised is not that the  
19      system has a problem --

20               (Tape change.)

21               MR. GRANIERE:  -- on its own, what does the system  
22      do?

23               MS. CLARK:  Bob, I understood his point to be that  
24      you could have low voltage problems in a discreet distribution  
25      area depending on what happens to an on-site generation where

1 you design the system to meet the load with some expectation  
2 that that load is going to be met on-site. And then when it's  
3 not, the distribution is not there.

4 MR. GRANIERE: Okay.

5 MS. CLARK: Or it's not adequate. But Tom has a  
6 better explanation, and it's a different one, I think.

7 MR. GRANIERE: Uh-huh. I just hope it doesn't  
8 matter. I mean, moving right along now.

9 MR. SANDERS: I hope we can continue to serve the  
10 load. This is Tom Sanders.

11 I know that's one of the provisions of the current  
12 rule is that no one is allowed to connect without us giving  
13 them written notice that it's okay. And when we give them an  
14 okay, then that implies that we know they are there and we  
15 should plan our system accordingly so that when they're not  
16 there, we can still serve all the load, and that's also where  
17 the standby service rate comes from.

18 MR. GRANIERE: (Inaudible.)

19 MR. SANDERS: Someone has got to pay for that.

20 MR. GRANIERE: Absolutely.

21 MR. SANDERS: So that's it.

22 MR. GRANIERE: Okay. Okay. But that is generally  
23 the idea. And that is the support for a standby charge. The  
24 support for the standby charge is that knowledge of their  
25 existence requires planning for their absence is essentially

1 what happens. Am I right?

2 MS. CLARK: Yes.

3 MR. GRANIERE: Okay.

4 MR. JONES: Jeremy Jones.

5 I'd like to question -- the standby charge, I'm  
6 curious if it is necessary, because typically a PV system will  
7 have a very limited effect on a customer's demand charge. So  
8 when you look at a commercial customer, because of the method  
9 for calculating demand charges, it's usually done over, you  
10 know, highest demand over a fairly small interval. So they're  
11 typically still going to be paying a demand charge very similar  
12 to what they paid before they started operating a PV system.  
13 And my question, I guess, is would that not cover the capacity  
14 requirements that the utility needs to have on standby?

15 MS. CLARK: Bob, when you talk about capacity, are  
16 you talking about generating capacity or are you talking about  
17 the capacity of the distribution system?

18 MR. JONES: Well, the customer's actual demand that  
19 the utility is charging to them, the kilowatt measurement.  
20 That demand measurement is unlikely to be reduced very much as  
21 a result of the resource.

22 MS. CLARK: You know, Bob, I'm going to venture into  
23 an area that I'm -- you know, it's something that I understand  
24 at the time when I'm working on something that's rate related  
25 and when I'm not, it's less clear to me. But there is a

1 consideration of demand on the transmission and distribution  
2 system that is considered in rates. So you have a demand  
3 factor in that type of facility, even though it's fixed and  
4 does not change -- that particular facility does not change in  
5 output. You have to size it to meet the demand, and you  
6 incorporate that in the different charges you charge to  
7 different rate classes. And then, of course, you have a demand  
8 charge that's related to the generation.

9 MR. GRANIERE: Okay.

10 MS. CLARK: I guess what I want to say is that it's a  
11 complex analysis to determine the cost of service and to  
12 determine the cost of service that is appropriate to use when  
13 developing your standby rates.

14 MR. GRANIERE: Sure. Let me see if this makes sense  
15 from what I heard so far. It says that the presence of these  
16 people is recognized up front in the planning process. Is that  
17 correct? Okay. And since it's recognized up front in the  
18 planning process, there has been investment made in  
19 anticipation of how they need to sell them. Is that correct?

20 MS. CLARK: Yes.

21 MR. GRANIERE: Sell to them. Then what happens is  
22 that when the base rate is calculated, I presume that  
23 additional investment to serve these customers is excluded from  
24 the base rate and somehow captured in the standby rate.  
25 Because if it's not excluded from the base rate, then it has

1 already been captured.

2 MS. CLARK: You know, I think you're mixing terms  
3 that you can't mix, base rates and standby rates, because I  
4 think standby rates are a base rate.

5 MR. GRANIERE: Okay. That's okay. So, once again, I  
6 need to get --

7 MS. CLARK: As opposed to a fuel or a conservation  
8 cost-recovery charge, and that sort of thing.

9 MR. GRANIERE: Okay. Let me try it this way. We  
10 have all of the -- we have all of the infrastructure costs in a  
11 pile. And those infrastructure costs include this investment  
12 in anticipation of serving these customers. And that's one big  
13 pile of money.

14 Now, we are going to take that pile of money and  
15 we're going to split it up into different services. And some  
16 of those services are going to be residential services, some of  
17 those services are going to be commercial, some of those  
18 services are going to be industrial, and some of those services  
19 we'll call special. Special being backup and standby. Okay.

20 So what I'm thinking then is that whatever goes into  
21 recovery from standby, from the standby people, are not being  
22 recovered from the charges to non-standby people, which means  
23 that if you never charge a standby rate, ever, for the whole  
24 year, you've basically come up short.

25 MS. CLARK: By the way you've framed your question,



1 you infer that one month you might be on a standby rate,  
2 another month you might be on a regular -- a class of service  
3 rate, not a standby rate. That's not the way it works. You  
4 get on a rate, and that's the rate that applies.

5 MR. GRANIERE: Aha. Okay. Now -- okay. The light  
6 just went out over my head. What you're saying now is that the  
7 rate class for the PV customer is not residential, but it's  
8 standby.

9 MR. ASHBURN: You dragged me up here, Bob.

10 MR. GRANIERE: I dragged you up here. Sooner or  
11 later I knew you would get up here.

12 MR. ASHBURN: This is Bill Ashburn.

13 We're talking cost of service and rates, I'm here for  
14 standby. And for the IOUs -- I don't know how the munies, the  
15 co-ops work -- for the IOUs, the cost of service is that the  
16 standby stays with the class of service that it starts with.  
17 Okay. So when you talk about base rates, all the costs just go  
18 in the base rates. Okay. There's no separate other group for  
19 standby costs. They're all kept there.

20 Now, what happens is in a rate design we create a  
21 standby rate within the same class of service, and we separate  
22 customers who have generation and look at them from two  
23 perspectives. One is supplemental service, which is when they  
24 buy from us under normal circumstances, and standby service.

25 MR. GRANIERE: Okay.

1 MR. ASHBURN: Okay. It's all in the same tariff.

2 MR. GRANIERE: Okay.

3 MR. ASHBURN: The supplemental service is priced  
4 exactly the same way as service when they don't have  
5 generation.

6 MR. GRANIERE: Okay. So like they're a residential  
7 customer? Yeah.

8 MR. ASHBURN: If they're a commercial or a  
9 residential customer, the price is exactly the same if they had  
10 no generation.

11 MR. GRANIERE: Okay.

12 MR. ASHBURN: And that supplemental, the amount of  
13 load that's considered supplemental and the amount of load  
14 that's considered standby is a negotiation, in a way, between  
15 the customer and the utility to figure out how much of their  
16 load is being stood by for. And that negotiation entails a  
17 discussion of what is their normal service under their meter  
18 that they're buying from us; what is their generator capable  
19 of; how often is their generator run? There's a lot of give  
20 and takes as the customer goes into service. And then that  
21 level amount is occasionally changed over time as the generator  
22 does better than expected, worse than expected, changes. And  
23 this is not just PV oriented, this is any generator.

24 MR. GRANIERE: Okay.

25 MR. ASHBURN: Because sometimes their operations

1 change or they get more steam, or whatever it is. The standby  
2 rate is the energy is the same. So when you buy standby energy  
3 rates, the energy that you purchase, part of the rate is the  
4 same as if it was normal service. The only real difference is  
5 in two things. One is a little extra kick in the customer  
6 charge because of some extra things we have to do for  
7 processing and so forth. It's not much. I think it's like 25  
8 bucks a month or something on the demand charge, which is where  
9 we mostly have focused on. The demand charge that's then used,  
10 is we use the standard demand charge, and we turn it into a  
11 daily demand charge.

12 MR. GRANIERE: Okay.

13 MR. ASHBURN: So you take the standard demand charge,  
14 whatever it is for each company, and say it's eight bucks, or  
15 something like that, and divide it up by the billing days,  
16 which is not every day through 30 days, but, you know, the  
17 weekdays, because these are all on time-of-use kind of thing,  
18 so we only look at the days that would be billed demand or the  
19 time of use, which is weekdays, not the weekends.

20 So you divide by those days, and you get a daily  
21 demand charge. So as you use service under standby, under  
22 whatever your contractual amount is, you pay a daily demand  
23 charge for each day you buy service. Now, that's the -- so if  
24 you add up, actually -- if your generator is down the entire  
25 month, and you take standby service for the whole month, it

1 actually turns out to be slightly more for some reason. But  
2 it's slightly -- but it's effectively the demand you would have  
3 taken if you were under standard service.

4 Now, to help pay for the standby for the months that  
5 you're not running, we basically take that daily demand charge,  
6 and it's effectively two days' worth of service. So every  
7 month you're paying two days' worth of the monthly demand  
8 charge. And then if you use standby service for two months,  
9 you've already paid for it. You don't pay any more. But as  
10 you use days beyond two days' worth of service through the  
11 month, the daily demand charge kicks in. And that's the  
12 general structure of how the demand works.

13 Now, when you get to rate cases, that's just looking  
14 back at some historical period or projected period, and all  
15 those billing determinants and so forth get factored in to  
16 determining what the rates are and the revenues likely to be  
17 recovered. So there isn't some separate class, separate  
18 calculation of standby. It's driven by the classes of service  
19 of where you are at.

20 MR. GRANIERE: Okay. I think I understand. So it's  
21 not exactly an independent class of service that has received  
22 its own allocation --

23 MR. ASHBURN: Right.

24 MR. GRANIERE: -- of transmission and distribution.

25 MR. ASHBURN: That's right.

1 MR. GRANIERE: That has not happened.

2 MR. ASHBURN: Right.

3 MR. GRANIERE: That's all taken care of inside the --  
4 for lack of a better word, the standard rate.

5 MR. ASHBURN: The standard rate.

6 MR. GRANIERE: Okay.

7 MR. ASHBURN: And that was really driven in part  
8 because the Commission determined way back when we first set  
9 them up that they wanted the supplemental service that they  
10 would buy to be identical if they didn't have a generator.

11 MR. GRANIERE: Generator. Okay. So that all goes  
12 back in there.

13 MR. ASHBURN: Right.

14 MR. GRANIERE: And then each month they pay for two  
15 days at the monthly rate, whatever it is.

16 MR. ASHBURN: Right. 10 percent.

17 MR. GRANIERE: Yeah. And that's regardless of  
18 whether they --

19 MR. ASHBURN: Use any.

20 MR. GRANIERE: -- use it or not.

21 MR. ASHBURN: Right. If their generator runs the  
22 whole month --

23 (Simultaneous conversation.)

24 MR. GRANIERE: Then everything is hunky-dory.

25 MR. ASHBURN: Right.

1 MR. GRANIERE: If, however, they were down two days  
2 for whatever reason, they wouldn't have to pay anything  
3 extra --

4 MR. ASHBURN: The same amount.

5 MR. GRANIERE: -- because they've already paid that  
6 up front.

7 MR. ASHBURN: Right.

8 MR. GRANIERE: So it's sort of like a -- economists  
9 have a word for that, and I should know better as to what it  
10 is, but I forget things these days. But what they're doing is  
11 they're prebuying two days every day. And if for some reason  
12 it goes longer than two days, then they kick in with an  
13 additional charge each day. That's only a demand charge, but  
14 not an anergy charge.

15 MR. ASHBURN: The energy charge is just what it would  
16 have been, regardless if they were on standby or not.

17 MR. GRANIERE: It just keeps flowing along.

18 MR. ASHBURN: Right. Fuel and energy and everything  
19 else is the same.

20 MR. GRANIERE: Okay.

21 MR. ASHBURN: The Commission determined that 20-what  
22 years ago in a docket, and all the IOUs have essentially that  
23 design.

24 MR. GRANIERE: Yes. I know what you're buying;  
25 you're buying an option. Okay. Okay. I understand that

1 you're buying an option. Okay. So the standby charge is  
2 buying an option. Okay. Thank you.

3 MR. REEDY: Bob Reedy with a comment there.

4 Certainly those structures were assembled not  
5 contemplating photovoltaics. They were developed over the  
6 years and classically involved self-generating sites that had  
7 reciprocating engines or other types, even steam turbines type  
8 of arrangements. I think we're all agreeing -- not agreeing,  
9 that's not the word you use in this setting -- but there's a  
10 lot discussion that we're talking about photovoltaics. And  
11 things can be very simple if we focus on that, because the  
12 nature of the photovoltaic systems is extremely well-behaved.  
13 There's no maintenance. The two days might be a maintenance  
14 period, you know, presumption of a maintenance period or  
15 something of that nature.

16 So I would suggest that we could -- if you look at a  
17 building as a black box, and you look at the demand, you look  
18 at the energy, you look at the time-of-day behavior, you really  
19 can't tell me -- if you can't see that there's a PV system on  
20 the roof, if you're just looking at instrumentation, I would  
21 argue you can't tell me that there's a PV system on that  
22 building. And I think the rate class with its demand charge  
23 for large -- for commercial takes care of that. I mean, I  
24 think that's the way rates are constructed is you look at the  
25 demand, you look at the energy, you look at the time of day.

1 And whatever you do, if that customer was a store that decided  
2 to shut down and take a siesta, or whatever, during the hot  
3 part of the day, you would not know that they had, as opposed  
4 to a store that had PV that came on in the hot part of the day,  
5 you wouldn't know it. And your rate would take care of it.

6 So I would think that if we could do -- talk strictly  
7 about PV, things do get simpler. And if you're a residence, I  
8 still have trouble with the term standby, because standby in my  
9 experience has always referred to predominately an entire  
10 generation capability, not a parallel operation. And then we  
11 have to be ready to stand by to serve when that unit is down.

12 I think we're really talking more about demand  
13 charges, capacity charges, and they roll all the way through  
14 the system from the T&D all the way up to the generation. The  
15 demand charges on the commercial class rate class take care of  
16 that.

17 MR. GRANIERE: Yeah. I think I understand what  
18 you're saying. I mean, when it's all said and done, you're  
19 saying that there should not be a standby charge.

20 MR. REEDY: That certainly is what --

21 (Simultaneous conversation.)

22 MR. GRANIERE: That's what you're saying.

23 SPEAKER: Can I interrupt for a second? All of our  
24 standby rates expect that the generation being stood by is  
25 running parallel with us. They're intended to be standing by



1 for when the generator that is running parallel behind the  
2 meter shuts down. That's what the supplemental and standby  
3 component of the same rate is about. The supplemental is the  
4 amount you're buying from us when your generator isn't running.

5 Many of our people on standby rates do not have  
6 generation that exceeds their peak load. In fact, the  
7 Commission requirement was that anybody whose generation was in  
8 excess of 20 percent of their site load had to be on the  
9 standby rate. People whose generation was below 20 percent of  
10 their peak load could choose to be on the standby rate.

11 In fact, there are many instances where we've told  
12 customers who are under 20 percent of their load, you would do  
13 better if you went on the standby rate because of the way your  
14 system operates. And they freak out about it and say, no, I  
15 don't want to go there, that kind of thing. But we evaluate  
16 customers who have generation, and it runs in parallel whether  
17 they would be better off or not on the standby rate when they  
18 are under 20 percent. But when they're in excess of 20 percent  
19 of their site load, they must be on it by Commission rule.

20 MR. GRANIERE: When you're saying in excess, their on  
21 site is in excess of --

22 (Overriding noise.)

23 SPEAKER: Their generation on site is in excess of  
24 their site load, and it is running in parallel. When someone  
25 has a generator, and they disconnect from us before they make

1 their generator hot, we generally call it -- at least Tampa  
2 Electric would call that emergency, but probably other  
3 utilities call it other things. They do not need to be under  
4 the standby rate, because we're not standing by for them. When  
5 they turn on their generator on an emergency situation, we're  
6 not serving them, so we're not standing by, and they don't have  
7 to be on the standby rate.

8 MR. GRANIERE: Okay.

9 MS. CLARK: Bob -- oh.

10 MR. HARRIS: I'm sorry. I was going to ask a  
11 question real quick. Larry Harris.

12 You mentioned an evaluation you have to make. How  
13 intensive is that? Is that a huge engineering evaluation or is  
14 it something -- we were talking about streamlining earlier. Is  
15 this the kind of thing that you all would need to look at each  
16 individual homeowner or small business or whatever, or was it  
17 the kind of thing that's -- can be pretty easily standardized  
18 as a formula if your historical 12-month bill is, you know,  
19 1,000 kilowatt hours and you're putting in this size  
20 photovoltaic, you would be this much percentage. And,  
21 therefore, this --

22 SPEAKER: This is not very complicated. The billing  
23 people can do it fairly quickly based on billing units, just  
24 running it through one rate versus another. And, you know,  
25 we'll talk to -- sometimes you can do it in advance when

1 they're getting ready to go on, and say, you'd be better off  
2 here, if there's a choice. In excess of 20 percent, it's not a  
3 big deal.

4 MR. GRANIERE: So it's no big deal.

5 SPEAKER: It's often when you are doing the standby  
6 rate and you have to figure out where -- how much of their load  
7 is being stood by for and how much is supplemental, there's  
8 some back and forth trying to figure out what's the right  
9 number between the two of you. And usually it's just two  
10 engineers talking and, you know, they don't always see eye to  
11 eye about how the unit is going to do and what their load is  
12 going to be, particularly if it's a brand new situation. And  
13 so you do the best you can. And then after a few months or,  
14 you know, however long it is, sometimes the experience shows  
15 something different just based on events, and then you're back  
16 to talking to each other again, and you just reset the number.

17 MR. GRANIERE: Okay. So am I correct in saying that  
18 each customer has their own standby rate, so to speak?

19 SPEAKER: Well, they're on a rate, okay.

20 MR. GRANIERE: Right.

21 SPEAKER: But there's a contract you sign to be on  
22 standby, and it says here is how much is my site load, and here  
23 is how much is my generator size, and that's--

24 MR. GRANIERE: So it's a negotiated rate?

25 SPEAKER: It's a contracted amount that you use in

1 the billing process.

2 MR. GRANIERE: Okay. Okay.

3 SPEAKER: And that can change based on events and  
4 change in process, and so forth.

5 MR. GRANIERE: So is there any way to make that  
6 shorter, or is that - or is that sort of just one of those  
7 things you just have to do?

8 SPEAKER: I suspect -- you know, again, as we said,  
9 size matters, you know, equipment matters. As Bob is saying  
10 here, a PV is pretty predictable, you know. And you're going  
11 to know how much it runs, how big it's going to be, when it's  
12 going to run. It's very predictable compared to someone else  
13 who is running a process-oriented load perhaps. So it could be  
14 the negotiation with a PV for a standby rate is very quick. I  
15 mean, you just know what it is very fast.

16 MR. GRANIERE: Okay.

17 SPEAKER: Whereas, you know, a co-generator that's  
18 got a process and is growing over time, that could be a long  
19 discussion. You know, it just depends.

20 MR. GRANIERE: Okay.

21 MS. CLARK: Bob, this is Susan. I think one thing  
22 Bob Reedy brought up sort of is an area that I wanted to  
23 comment on, and that's the notion of sort of we seem to shift  
24 from talking about something that would apply to PVs and  
25 something that would apply to all renewable generators. And as

1 we were talking this morning, it seemed to me important to  
2 comment that I think when we were talking about streamlining,  
3 the possibility of doing it, it likely will be okay to do it  
4 for the PV systems, but if you are looking at other types of  
5 generation, the same ability to standardize may not be there.

6 MR. GRANIERE: Okay.

7 MR. HARRIS: I'm sorry, Larry Harris again. Susan,  
8 just off the top of your head, then, if the staff decided that  
9 they wanted to sort of move forward as a first step and have a  
10 rule that would apply to PV units, and then we'd call it, I  
11 don't know, utility obligations with regard to photovoltaics.  
12 And it would include the things we've talked about yesterday  
13 and today, these interconnection agreements, streamlining,  
14 maybe something to do with net metering.

15 Off the top of your head is that something that you  
16 think the IOUs would support or would you be concerned that  
17 that could be used by, then, subsequent different renewables,  
18 and you would think that it wouldn't be as easy to get a PV  
19 rule out because of all of these concerns that these other  
20 generators might have would have to be folded in?

21 MS. CLARK: Well, I think it's -- Bob has made the  
22 point that they're not here today or yesterday to discuss these  
23 issues, and if they were important to them, that they would be  
24 here. And, certainly, you have an existing -- you've already  
25 carved out the notion of PV in an existing rule. And what

1 you're talking about now is perhaps expanding on that to  
2 encourage more PV systems.

3 MR. HARRIS: I guess the question I'm asking you,  
4 then, is let's say you all were somewhat inclined to make some  
5 concessions on the -- hypothetically, if someone were inclined  
6 to make some concessions on net metering. And you think, well,  
7 for these PV systems maybe we can live with the idea of, you  
8 know, true -- if the meter runs backward to zero, we can live  
9 with that at retail for these PV systems. And let's assume  
10 that everybody agrees that it's 25, you know, kilowatt or less.  
11 And the utility say we can live with that in concept.

12 But then if I was a utility, I think my concern would  
13 be, am I going to have to worry about other renewables then  
14 coming along and saying, well, you did it for the PVs, you  
15 should do it for us, too. And, therefore, you would feel  
16 obligated as a utility to sort of fight that, because you were  
17 worried about sort of opening the door that other renewables  
18 could use down the road.

19 And that's an easy example. And I guess I'm saying  
20 if we have a separate PV carve-out rule, do you have to have  
21 those concerns, that we can't give too much, even though we  
22 would be willing to on PV, because we're worried about, you  
23 know, a waste burner, or a phosphate mine, or somebody coming  
24 down the road.

25 MS. CLARK: I think it's always a concern when you

1 make an exception or do something different, there's somebody  
2 else waiting in the wings that also wants to be treated that  
3 way. The question then is, is that what the public policy  
4 should be? So, yes, it would be normal to be concerned about,  
5 you know, opening up the door in one area, and then others that  
6 are not similarly situated saying, I would like that, too.

7 MR. HARRIS: Thank you.

8 MR. REEDY: And I just would -- Bob Reedy -- I would  
9 supplement that.

10 As a former utility engineer, I've had trouble with a  
11 lot of my answers, because what I would say about PV and  
12 inverters is different than an induction generator, or some  
13 other type of system. So it could get very clear if we were  
14 able to make that distinction.

15 MR. HARRIS: Thus need for this to have been recorded  
16 today is so we can begin building a record that we can use if  
17 we go down the road of a rule that starts to support what  
18 staff's recommendation is on the policy and get us to where --  
19 and I'm not saying staff is going in any direction right now,  
20 but if we did go in this direction, we're starting to build a  
21 record, and that's why there will be a docket, and this stuff  
22 will be in it, and why the sign-in sheets and the transcript  
23 are important. So it actually does make sense why we do this  
24 crazy stuff.

25 MS. CLARK: The other thing, when we were talking

1 before the break about the streamlining, it was pointed out to  
2 me that you don't want to go to streamlining before it's  
3 appropriate, before it is amenable to a streamline process,  
4 because what's likely to result is you streamline it and then  
5 find out it's not working, and you have to go back and redo it.  
6 So it is important to, you know, conclude that it is amenable  
7 to a streamline process.

8 MR. GRANIERE: You know, I think that's where we got  
9 into the discussion of can we do streamlining sort of in a  
10 laboratory or do we have to do it in the field. And I think  
11 what I heard here was that it has to be done in the field, and  
12 that's why we talked about pilots for streamlining above ten  
13 is, I think, what we were talking about here. But, you know,  
14 so we got to the point that said, no, we couldn't do it in  
15 the -- we couldn't do it in isolation, you know, inside a  
16 building like this, or we couldn't do it with studies. And the  
17 only thing we could do would be to get field experience. But  
18 to get field experience means we actually have to do it, which  
19 means, whala, pilots or something like that.

20 So I guess everybody -- so I guess if that's the  
21 general idea, that would mean that each utility would have a  
22 pilot somewhere along the line on how to do this above ten. So  
23 TECO would have a pilot, and Gulf would have a pilot, and FP&L  
24 would have a pilot, and Progress would have a pilot. So that  
25 we could -- then everybody would get their pilots together and



1 decide what's working and what's not working, and things like  
2 that.

3 And then the only thing we need to look at from this  
4 point of view is that we just don't let those pilots drag on  
5 forever, but instead get done in a reasonable period of time.  
6 And then somebody will decide what the reasonable period of  
7 time is. But that's what I'm hearing. Tell me if I'm wrong.

8 MS. CLARK: Well, I think what you've also heard is  
9 the willingness to work together with the renewable industry to  
10 see if --

11 MR. GRANIERE: Right.

12 MS. CLARK: -- we can reach some --

13 MR. GRANIERE: Right. You know, they'll be part of  
14 it.

15 MS. CLARK: -- common ground as to what can work now.

16 MR. GRANIERE: Okay. Great.

17 MR. JONES: Bob, it's Jeremy Jones.

18 Related to the pilot, is there anything specific to  
19 Florida that would require us to actually do pilots in the  
20 state here, because we don't have a lot of experience in the  
21 state with these larger systems, when there are instances in  
22 other states within the country that have done all of this  
23 before, and it's very well established. Is there an  
24 opportunity that, perhaps, we could look to some of those as  
25 our guideline?

1           MR. GRANIERE: Well, I would guess that -- since I'm  
2 not designing the pilots, okay, but let's just make believe  
3 that I was. Okay. What I would do is I would say, okay, let  
4 me go look at what's happening elsewhere and try to get my  
5 version of best practices, and then from that best practice, my  
6 version of best practice, I'd go out and put that up as a  
7 strawman to the other side, whoever that happens to be. So if  
8 I'm a utility, I'd put it up as a strawman to the renewable  
9 side. If I'm a renewable, I'd put it up as a strawman to the  
10 utility side. We would talk a little bit about it. We would  
11 get an idea, then we would have a design for the pilot, and  
12 then the pilot would go forward.

13           So the answer is that, in my mind, the best that  
14 other states can give you is a set of best practices, but it  
15 cannot give you what's good for your state unless you're  
16 willing to assume that electricity systems are exactly the same  
17 everywhere in the world. And I'm not an engineer, as a  
18 professional person, but I'm pretty sure that there is problems  
19 in different parts of the country that don't exist in other  
20 parts of the country, even though it's an interconnection grid,  
21 a western grid, and (inaudible) or anything like that. So the  
22 short answer to your question is, no, we need to do the pilots.  
23 At least that's what I think.

24           MS. CLARK: Bob, this is Susan. I would just --  
25 before we jump to that conclusion, I think there should be an

1 opportunity to see if there is already some --

2 MR. GRANIERE: Sure.

3 MS. CLARK: -- mutual agreement on what higher level  
4 than the 10 kW can be done --

5 MR. GRANIERE: Well, I mean, you know --

6 MS. CLARK: -- in a standardized process.

7 MR. GRANIERE: You know, all I'm saying is that if --  
8 if we work from a foundation that says in order to get to  
9 standardization we need more experience, and that experience  
10 has to be in the field, well, then, pilots are necessary. If,  
11 however, we're willing to take that support away or that  
12 foundation away, and say we can get to some agreement without  
13 field experience, okay, that's good, too. You know whatever it  
14 has to be, but it can't be going back and forth, back and  
15 forth. You've either got to do one or the other, but we've got  
16 to do something.

17 MS. HARLOW: At this point, though, we do -- this is  
18 Judy. We do have experience with the under 10 kW systems. So  
19 we're much further along as far as experience than we were just  
20 a short period ago because of the new rule and the utilities'  
21 efforts. And so I think we can use that experience and build  
22 on it to move forward with, perhaps, slightly larger systems.  
23 The question is at what size system do we have more concerns  
24 about safety than a 10 kW system, and I'm still unclear on that  
25 point.

1 MR. BROWN: This is Michael Brown.

2 I don't know if it's an answer, but here's the  
3 reality of it. If you have an old house, okay, just to put  
4 things into perspective. If you have an old house -- I mean,  
5 say something built in the '40s, or something, say you only  
6 have 100 amp service. That's, in effect, almost a 25 kilowatt  
7 system, a 25K system. So when you're talking -- I mean, a 250  
8 kilowatt system. So, in effect, these small systems, what's on  
9 the table right now is kind of insignificant until you get into  
10 the megawatt systems, which is really what the issue is and  
11 what the industry really is looking to Florida to do before  
12 they take Florida seriously, is they're looking to see  
13 megawatts go in.

14 All of the under a megawatt size, as far as a system  
15 design, is cookie cutter for the industry. It's a no brainer.  
16 They can come in. They have structures and templates for all  
17 that size a system. They want to see some major power  
18 production out of the state before they take us seriously. And  
19 that's where the issues really arise, and that's where the real  
20 study goes in. Because we're looking at systems, and what's on  
21 the table right now are systems that are residentially sized.  
22 Even if you're talking 100 kilowatts, it's still -- that, in  
23 effect, really is like a residential service.

24 MR. GRANIERE: Okay. You know, I understand what --  
25 I think I understand what you're saying, but I'm -- and there's

1 no disrespect intended on this particular question. But I've  
2 just got to ask it. Is there a megawatt solar system anywhere?

3 MR. BROWN: Yeah.

4 MR. GRANIERE: Where?

5 MR. BROWN: California has some. They're all over  
6 Europe, Japan.

7 SPEAKER: Hundreds of systems around the world are  
8 over a megawatt, many over two megawatts.

9 SPEAKER: There's actually ten megawatt systems in  
10 Arizona. I think we were just talking earlier, I think it's,  
11 you know, numerous, numerous megawatt systems in this country.

12 MR. GRANIERE: So there's a ten megawatt solar system  
13 in Arizona, is what you're saying?

14 SPEAKER: It's at a military base. I believe, it's,  
15 you know, Air Force.

16 MR. GRANIERE: Is that true? I don't know.

17 SPEAKER: I'm not sure. In fact, John Musiello  
18 (phonetic), Progress Energy, he and I were discussing it just a  
19 little bit ago.

20 SPEAKER: (Inaudible. No microphone.)

21 SPEAKER: Yeah. Yeah. A large system.

22 MR. GRANIERE: A what?

23 SPEAKER: (Inaudible) megawatt.

24 SPEAKER: Is that a solar system or a PV system?

25 SPEAKER: It's a PV solar system.

1 MR. GRANIERE: Is that one of those concentrated  
2 things that goes hmmm? No.

3 SPEAKER: (Inaudible. No microphone.)

4 SPEAKER: It's a tracking PV system.

5 SPEAKER: (Inaudible. No microphone.)

6 SPEAKER: Yeah, very large system. It's like a  
7 million-dollar-a-year savings in incentives. A government  
8 project.

9 MR. REEDY: Bob Reedy.

10 Judy, I guess you didn't get an answer directly, and  
11 I'd like to try from my view and say that if we are able to  
12 partition again and stipulate PV, inverter based, which all PV  
13 is inverter based, there are no safety issues. In other words,  
14 if it meets the codes, it's inherently -- it's extremely  
15 fail-safe and far more -- and as a utility, there are many  
16 other issues that can be called safety problems, and this is  
17 not one of them.

18 MS. HARLOW: Well, then we go back -- this is Judy  
19 again -- we go back to the customer's load. Is the issue the  
20 percentage of the customer's load, the capacity of the system  
21 relative to the customer's load?

22 MR. SANDERS: Tom Sanders.

23 I know that is one of our larger concerns is the  
24 amount of power that would be pushed back to the grid in the  
25 event of an isolation.

1 MS. HARLOW: And, Michael, if I could -- this is Judy  
2 again. If I could just get a clarification for what you meant  
3 by, "for the industry to take us seriously"? Are you talking  
4 about the PV industry building manufacturing plants in Florida?

5 MR. BROWN: No, I'm also talking about distribution  
6 and -- see, right now the rates here, and this came up  
7 yesterday, is the price is very high. And in a lot of other  
8 states and Germany, Japan, the reason -- the company is willing  
9 to invest in wholesaling to areas, to districts and stuff.  
10 And, also, there is not a huge surplus of product out there.  
11 The demand is so high around the world that they're restricted  
12 as to where they're actually planning on sending their stuff.

13 Like Sharpe has some projects going on in Florida,  
14 but they're not actively willing to distribute in Florida,  
15 because it's just not -- they don't see the market there.  
16 And when I posed these questions to the people in the industry,  
17 people from Sharpe or Sanyo, there are some multi-junction  
18 concentrator type cell module manufacturers in California, and  
19 while I would like to see some of that stuff, they don't want  
20 to come into -- they don't want to occupy their time on a  
21 market that isn't proven. And they don't see the market in  
22 Florida growing until there are some significant  
23 commercial-sized systems going in, because it's just not going  
24 to be publicly viewed. You know, right now there is a large  
25 percentage of the public that still thinks that this is science

1 fiction, that it doesn't work.

2 MR. GRANIERE: I understand that part. But are you  
3 just simply saying that Florida can't get product to build  
4 solar systems? Is that what you're saying?

5 MR. BROWN: Right now we're paying a premium. We  
6 aren't getting the same deal as the larger markets.

7 MR. HARRIS: And if you were able to grow your  
8 business by 100 percent, and you start selling -- you know, I  
9 don't know what current sales are. You're selling ten systems  
10 a month now, and you start selling 100 systems a month  
11 residential, you know, these little 100 kilowatt systems. I'm  
12 hearing you say you think you would still have the same  
13 problems. You'd go to the trade show and tell Sharpe, I'm  
14 selling 100 a month. And they'd say, you know, 100 kilowatt  
15 units is not even worth our time to put a warehouse in and  
16 start shipping and buy the containership and make these really  
17 big -- you know, we'll still sell them to you at this premium  
18 price, but at even 100 a month, it's not worth our while to put  
19 a warehouse and a containership a month of units. Versus if  
20 you were able to say we've got not only these residential  
21 sales, but we're able to sell these megawatt commercial units.  
22 At that point you can get their attention, and Sharpe might  
23 think about diverting a containership every six months to a  
24 Florida port as opposed to bringing them into California, or  
25 something.



1 MR. BROWN: That's exactly what I'm saying is just as  
2 soon as they actually see a physical large installation in  
3 Florida. It's like Bob was just talking about, the -- and  
4 Tom -- not Tom -- Wayne were talking about the multi-megawatt  
5 system in Arizona. It was in the paper yesterday. It's big  
6 news. And that's what the manufacturers are looking for.  
7 They're looking for a market that is making some noise, so that  
8 they can come in and have their brand. You know, they want to  
9 brand it.

10 MR. HARRIS: To clarify my questions, though, you  
11 don't see high sales volume on small residential things as  
12 making that splash, creating that news that would get their  
13 interest and make them really focus?

14 MR. BROWN: No. In fact, it's not going to happen.  
15 The residential sales and everything, and that's one of the  
16 reasons why a lot of the contractors don't do a lot of  
17 photovoltaics. Most of them concentrate on the water. Most  
18 electricians aren't on board because they're making their money  
19 everywhere else. There's not a big mark-up on this, even  
20 though the price is high. The margin is not there. And the  
21 only way that we can actually make sales now is by reducing our  
22 margins versus what the industry standard is in states that do  
23 have the larger systems and do have the larger markets. So  
24 we're actually making less money than them. If we're going to  
25 match their rates, we actually make less money than they make.

1 MR. REEDY: Bob Reedy.

2 Judy, to answer your question in a different way, we  
3 have -- there is one PV module manufacturer that is looking to  
4 build in Florida. I don't know who it is, because of  
5 confidentiality. But we were given some questions, and the  
6 feedback, they were very concerned there was not a net metering  
7 law in Florida. And that was a big -- and they're looking to  
8 build a plant in the service territory of one of the utilities,  
9 obviously, which would be very good for everybody, jobs and  
10 revenue. And that was a specific concern they expressed. They  
11 still may do it, but that was a concern.

12 MR. GRANIERE: Are you saying that a manufacturer is  
13 concerned about net metering?

14 MR. REEDY: They're concerned about -- the way the  
15 question was worded, and the response was worded, was that they  
16 see that as an indication of the regulatory structure of the  
17 state and, therefore, the market.

18 MS. SZARO: Can I -- yeah, I wanted to -- this is  
19 Jennifer Szaro.

20 I wanted to clarify that remark a little bit, as  
21 well. I don't think it's necessarily the net metering as much  
22 as it is the intention of the state to support the development  
23 of a market here. And they view that more along the lines of,  
24 I think, interconnection of larger systems as being impedance  
25 in the market. And so you get a situation where -- I know that

1 we've had a few companies come to us and ask about what the  
2 state of the market is. Big companies, some of the biggest  
3 players in the world.

4 And, basically, they've said, look, you're not set up  
5 for this market. You're not ready for us, and we have larger  
6 fish to fry. You don't have interconnection standards for  
7 large systems. What they do is they tend to -- on an economy  
8 of scale it's cheaper for them to go in, do a third-party  
9 agreement with a large system, come in, put a big system in,  
10 like a one megawatt system or larger. That gets them,  
11 basically, free advertising. It gets them market pool. Then  
12 they are able to go ahead and put these volume systems in  
13 there.

14 That's the reason we're not getting volume systems in  
15 Florida, is because they don't -- they're going to -- that's  
16 their structure. They go in, they put a big system in, they  
17 make a big to-do, they get attached to a big program like a  
18 SMUD program, or an Austin Energy program, a New Jersey  
19 program, a New York program, and they get the market backing of  
20 the state or the utility. And then they go in and they put --  
21 the basis of that is that then they go in and put all these  
22 little systems in after that.

23 So if they can't have that structure to work within  
24 from a market perspective of having the local marketing  
25 support, the state marketing support, and the infrastructure of

1 interconnection, specifically in net metering, as well, they  
2 have told me flat-out that they're not interested. And we've  
3 talked about doing a one megawatt in our area briefly, and  
4 we're interested in that. And we really want to get  
5 manufacturing in the I-4 corridor area for Orlando. And  
6 they're just like, well, talk to your other utilities and see  
7 if you can make a case, because we're not going to come for one  
8 utility.

9 MR. WALLACE: This is Wayne Wallace commenting.

10 I'd also like to add it is completely a policy issue.  
11 The states that have good interconnection agreements, also good  
12 net metering agreements, and even renewable portfolio  
13 standards, which that's really a legislative issue which  
14 Florida is presently working on, those three things in place  
15 make for a good environment for solar development. And, again,  
16 that is what, you know, like I said yesterday and continue to  
17 say, that's what the public Floridians are asking for.

18 MR. GRANIERE: Okay. All right. To some extent,  
19 let's let reality intrude for a minute. Out in -- where is  
20 that, New Mexico, Nevada, where I saw those things. There's  
21 quite a bit of land out there, you know. In fact, a neat place  
22 is right next where Yucca Mountain is. You know, I'm sure  
23 there's quite a bit of land out there, along with quite a bit  
24 of sun.

25 Now, a one megawatt system, how much land does it

1 take?

2 MS. SZARO: It doesn't take anything. We put it on a  
3 building.

4 MR. GRANIERE: You put it on a building. Okay. And  
5 how much space would that take?

6 MS. SZARO: Generally the rule of thumb is, what, 100  
7 square feet per kW.

8 SPEAKER: If I may add, a one megawatt system is  
9 about 100,000 square foot, I believe.

10 MR. GRANIERE: So there's 100,000 -- so, I guess,  
11 it's on a big old --

12 MS. SZARO: We have a site already.

13 MR. GRANIERE: Okay. So you have a site. So it's on  
14 a building, so it's on a roof somewhere. So land is not an  
15 issue?

16 MS. SZARO: No. We can put it on a parking garage.  
17 I mean, believe me, there are plenty of buildings, roof space  
18 that we could use to accommodate large systems.

19 MR. GRANIERE: Okay. So why isn't your one megawatt  
20 application enough to get this person in --

21 MS. SZARO: It's not --

22 MR. GRANIERE: -- when it says it wants more  
23 utilities? I don't understand that.

24 MS. SZARO: It's not representative of the state's  
25 policy toward renewables, toward photovoltaics specifically.

1 They can't do all their projects in Orlando. I mean, they  
2 could, but that's not a very good business proposition.

3 MR. GRANIERE: But wouldn't, like, one project here  
4 in Orlando help them out?

5 MS. SZARO: Well, I'm not saying that we're not going  
6 to do it. We are going to do it, but I wouldn't say that  
7 that's going to bring the manufacturer to put a facility in  
8 Florida.

9 MR. GRANIERE: Okay. And the one megawatt system,  
10 would that require -- wouldn't that be one of those standard,  
11 really complicated negotiations?

12 MS. SZARO: We don't see it as a complicated  
13 negotiation personally. I mean, that's where we're looking for  
14 some clarification from you.

15 MR. GRANIERE: So, in other words, what I'm hearing  
16 you say is that your position -- you company's position right  
17 now is that your company could complete this one megawatt  
18 installation in terms of --

19 (Tape change.)

20 MR. GRANIERE: -- that you need to do before you make  
21 the installation in, say, three months?

22 MS. SZARO: I think probably three to five months.

23 MR. GRANIERE: Okay.

24 MS. CLARK: Bob, this is Susan Clark.

25 Can I ask a question in terms of Jennifer asking for

1 clarification from the Commission. As I understand it, you're  
2 with Orlando Utilities and --

3 MS. SZARO: And why am I asking for clarification?

4 MS. CLARK: Yes. It just seems to me that you can do  
5 what --

6 MS. SZARO: You're right. We can do whatever we  
7 want, but we look to the Public Service Commission, and we look  
8 to our investor-owned utilities to provide us with some  
9 guidance and oversight. And we tend to follow the rules that  
10 you follow. So if you're going to do it, we're much more  
11 comfortable doing it.

12 So, sure, we can go out and do whatever we want  
13 pretty much within reason, but we would like some  
14 standardization in the industry. It gives us something to fall  
15 back on, a comfort level that right now I don't feel we have.  
16 We're kind of out on our on this, and it's not a very  
17 comfortable feeling.

18 MS. CLARK: I guess one other thing I would ask. I  
19 had understood one of the real issues for these manufacturers  
20 coming in was the idea that there needed to be more in terms of  
21 grants and rebates from the state for the installations of  
22 these facilities, but that's sort of just to remind you that  
23 those are the other issues that are relevant to their concern  
24 about the market.

25 MR. GRANIERE: I mean, if I'm doing the math right,

1 there is -- a one megawatt system has, what, a million watts,  
2 is that right?

3 MS. SZARO: That's correct.

4 MR. GRANIERE: Okay. And the state rebate stops at  
5 25?

6 MS. SZARO: KW, that's correct.

7 MR. GRANIERE: So that means that there's 975 kW that  
8 aren't getting subsidized then?

9 MS. SZARO: That's correct.

10 MR. GRANIERE: You don't need much, do you?

11 MS. SZARO: (Inaudible.)

12 MR. GRANIERE: I mean, I'm kind of confused. I mean,  
13 it's 975 kilowatts that aren't being subsidized. I mean,  
14 sometimes you've just got to say something like that.

15 MS. SZARO: We're still doing it, but, you know,  
16 obviously, it would be great if we could have more --

17 MR. GRANIERE: Subsidy.

18 MS. SZARO: I mean, there are ways around that, and  
19 we are looking at other financial models to suit our business  
20 proposal.

21 MR. GRANIERE: Okay.

22 MR. JONES: Bob, this is Jeremy Jones.

23 Through the federal tax credits and through the sale  
24 of renewable energy credits, which is a little bit of an iffy  
25 market, but there's opportunities to sell those, the economics



1 of the system can still work. And particularly at the megawatt  
2 size you can drive down the cost of the installed system  
3 several dollars per watt compared to a small residential  
4 system. So the costs are quite a bit lower. So I do believe  
5 that there are opportunities to get systems that large  
6 installed if the regulations kind of allow it to be done fairly  
7 easily.

8 MS. HARLOW: This is Judy. I'm wondering about the  
9 manufacturers now, and I know I'm outside the industry, so this  
10 is easy for me to say, but I have seen some positive happenings  
11 in Florida within the last few years. The Commission has put  
12 in the 10 kW rule. We've heard from the industry today that  
13 this has been helpful. I know that the utilities have  
14 interconnected systems, and they're gaining knowledge from  
15 that. We also have the state rebates. I've now heard Orlando  
16 talking about a one meg system. And we also have Power and  
17 Light with their green pricing program, a very successful  
18 program.

19 And I'm having a senior moment, but I think the  
20 commitment is 250 kW per every 10,000 customers. And the last  
21 time I looked, you guys had between 25,000 and 30,000 customers  
22 on that. So that could be three-quarters of a megawatt  
23 commitment. So my concern is since we do have positive things  
24 happening, what additional would it take to anchor this  
25 industry in the state for them to give the state the commitment

1 so that our customers could get lower prices?

2 MR. WALLACE: This is Wayne Wallace.

3 I'd like to make a comment on that if I may. This  
4 all really kind of started for Florida with the Energy Policy  
5 Act, federal, with the federal tax credits. Commercial  
6 businesses in Florida can now get their 30 percent federal tax  
7 credit on their investment for solar PV systems specifically.  
8 They can get their accelerated depreciation.

9 With the State of Florida, with the Department of  
10 Environmental Protection coming on with their rebate program,  
11 even though it's only up to 25 kW, a lot of businesses are  
12 looking at doing larger systems. And, again, we just had  
13 recent inquiry on numerous 100 kW systems and larger. So when  
14 you -- you know, when the industry looks at the state of  
15 Florida, they see the federal tax credit, obviously, the state  
16 of Florida rebate. The three other things that, you know,  
17 would be good to help the solar development in Florida, net  
18 metering, obviously, utility interconnection agreement, also,  
19 and renewable portfolio standards. With those three things in  
20 place, this state is a very viable place for solar PV systems.  
21 And that's how the history has really worked in states that  
22 have those three components in place.

23 MR. REEDY: Bob Reedy.

24 Judy, the single greatest thing, I believe, that  
25 would create that sense of credibility with manufacturers of

1 equipment is a net metering rule that's universal. I think  
2 that is the single greatest obstacle today. There are positive  
3 things happening, but it's voluntary, and I think that's sort  
4 of the litmus test.

5 An RPS, as Wayne mentioned, would be very helpful.  
6 But an RPS is such a bigger issue, I don't believe that the  
7 manufacturers, the PV manufacturers are really that concerned  
8 with an RPS, unless it had a carve-out for solar energy in it.  
9 And that would be the type of RPS that would be attractive to  
10 them. Now, I know we're drifting far from the current issue  
11 when we start talking about RPS. But you asked the question,  
12 and that would be my opinion.

13 MS. SZARO: I mean, I have to add that I really think  
14 that just from discussing, you know, interconnection issues on  
15 our part, we have a 110-page interconnection standard at the  
16 moment for anything larger than 20 -- or smaller than 20 kW.  
17 And I'm trying to rewrite that right now, which is why I'm  
18 here. And they don't want to deal with that. They don't want  
19 to deal with a 110-page process. So I would really like to see  
20 some uniformity across the state in how we handle systems.

21 I really don't care -- it's not that I don't care,  
22 but I don't see the smaller systems as big of an issue for us.  
23 It's how do we deal with these systems that are larger than  
24 20K, larger than 100K, for that matter. I've been reading  
25 through the FERC requirements and the FERC standards, and I was

1 surprised that they weren't more addressed here today, because  
2 they have draft interconnection centers on their web site for  
3 systems through 20 megawatts, and I haven't heard any  
4 discussion about that at this point.

5 But, you know, what is our state doing with regard to  
6 the FERC requirements? How are we addressing those issues for  
7 interconnection? Does it come into play at all, and if so --

8 MR. GRANIERE: Well, that's Order 890. And Order 890  
9 says that there are certain things that the state has to do to  
10 show that they're in compliance. And Order 890 also made a --  
11 contains a federal statement as to what they consider small,  
12 and that's 20 megawatts. That's what they consider small. But  
13 we do know that when they're using the word "small," they're  
14 thinking of IPPs. They're thinking of people who are prepared  
15 to be in the main business of selling wholesale. They're not  
16 thinking of distribution-sized connections. They're not  
17 thinking of anything like that.

18 In fact, in order to avoid the interconnection of  
19 those units, there must be a showing in the state, as I  
20 understand that order, that says those units can sell without  
21 impediment into the wholesale market. And if the state cannot  
22 show that they cannot sell without impediment into the  
23 wholesale market -- the interstate wholesale market, not the  
24 intrastate wholesale market, but the interstate wholesale  
25 market. If they cannot show that there are not impediments to

1 that, then the utilities are required to interconnect them.

2 MS. SZARO: But it doesn't -- I mean, it provides  
3 standards for interconnection.

4 MR. GRANIERE: Sure.

5 MS. SZARO: It provides example standards for  
6 interconnection --

7 MR. GRANIERE: Sure.

8 MS. SZARO: -- for three different tiers up to -- is  
9 it 100 kW, and then 100 kW to two megawatts, two megawatts to  
10 20.

11 MR. GRANIERE: Absolutely.

12 MS. SZARO: So tell me how do those existing sample  
13 standards relate to our standards that we have right now in  
14 Florida? How they can be reviewed and implemented, if  
15 appropriate, for us? And what should we, as utilities, be  
16 doing in response to the existing standards? What's expected  
17 of us as utilities for, for instance, 100 kW to two megawatt?  
18 Well, that may not be an IPP. That may be a customer,  
19 according to what I'm hearing. And we want to be prepared with  
20 an appropriate interconnection standard to address that size  
21 system with that type of customer.

22 And as far as I can see, I went through everything  
23 that I could find, we really don't have anything that's  
24 appropriate, other than, you know, something that would be more  
25 appropriate for an IPP, which is not what we're talking about

1 here.

2 MR. GRANIERE: And that's exactly why we're here.

3 MS. SZARO: But I'm not really getting any answers.

4 I mean, I'm not really getting any --

5 MR. GRANIERE: That's because we are here at our  
6 first informational workshop. That's because we haven't opened  
7 up a procedure to find the answers to those questions. That's  
8 because we're just starting. That's why we're here. We don't  
9 have an answer. That's why we talked about things like tiers,  
10 and that's why we talked about different levels, and that's why  
11 we talked about different rules and different tiers and  
12 different things for all of these things. No, if you look  
13 through the rule -- I'm pretty sure if you looked through the  
14 rule, you won't find the answer in that rule to those things.  
15 It's more like --

16 MS. SZARO: Right.

17 MR. GRANIERE: -- here's what we'd like you to do.  
18 There's guidance, but you've got to find an answer. And that's  
19 what we're here for, to try to find an answer.

20 MS. SZARO: But we haven't really been discussing  
21 that. We haven't been discussing the specifics of --

22 MR. GRANIERE: That's because we don't know what  
23 we're discussing yet. That's what we're doing right now. We  
24 are setting the framework to find out what we will eventually  
25 start to discuss. But we need to set it out. We just didn't

1 come in and say we're going to follow the exact thing that the  
2 Order 890 said.

3 We are trying to find some ground that says here's  
4 where we all agree about what we're going to discuss, and,  
5 also, where we can make progress. Rather than coming in  
6 alternatively and saying, here's Order 890, we're going to do  
7 this and go forth and do good things.

8 MS. SZARO: Well, you know, I'm not proposing that we  
9 do that, but I'm proposing that we at least look at the  
10 language in the FERC order and ask ourselves how does it apply  
11 to Florida.

12 MR. GRANIERE: Okay. Let me make this suggestion,  
13 then. You know, as a utility and a person who has to deal with  
14 this, would you be prepared to write a white paper that says  
15 how you think 890 applies to Orlando?

16 MS. SZARO: Absolutely.

17 MR. GRANIERE: Good. You got it.

18 MS. SZARO: Bob is helping me.

19 MR. GRANIERE: I mean, you've got it. You know,  
20 you've got it, submit it, we'll look at it. I mean, it will be  
21 part of the record. We got it, we'll submit it, we'll look at  
22 it, and we'll get the ball rolling on that particular issue.

23 SPEAKER: (Inaudible. No microphone.)

24 MR. GRANIERE: Pardon?

25 SPEAKER: (Inaudible. No microphone.)

1 MR. GRANIERE: Oh, okay. Okay, 2000. You're right.  
2 Okay. One of those interconnection things. Okay. But I do  
3 remember the part about are our three lines going out to  
4 Georgia enough to put us in compliance? I always wondered  
5 about that one, you know. You know, because, you know, Texas  
6 has three lines going out, too. I mean, I just wanted to --  
7 just pointing that out. They've got three; we've got three.  
8 They get special treatment. We don't. That doesn't sound  
9 good. I mean, that's all I've got to say. That doesn't sound  
10 good. But that's just an observation.

11 Okay. All right. It looks like it's --  
12 unfortunately, it looks like it's lunchtime. You know, so I  
13 guess we have to come back. So how about an hour lunch?

14 (Lunch recess.)

15 (Tape change.)

16 MR. GRANIERE: Are we ready? I guess not.

17 Okay. I guess this one -- we've been hinting around  
18 this question here. See, I knew we'd get to your question, you  
19 just didn't read my agenda. And then you would know that we  
20 would have gotten to the question.

21 The first question in the eligibility is should there  
22 be restrictions on the number of tiers that are eligible for  
23 streamlined interconnection? The simple way of thinking of  
24 this is that should there be a lot of tiers, or just a couple  
25 of tiers, or no tiers at all?



1 MR. WALLACE: Bob, Wayne Wallace. I'd like to  
2 respond to that.

3 You know, I think we've heard from the utilities that  
4 streamlining the simple utility interconnection agreement for  
5 PV potentially up to 25 kW for residential is something that's  
6 possible, I believe. So residential, that's pretty easy, it  
7 seems.

8 Commercially, on the other hand, we want to do  
9 what's -- you know, where all parties can win. I don't know  
10 where that number is, but, you know, I can throw out a  
11 suggestion.

12 MR. GRANIERE: Okay.

13 MR. WALLACE: We would like to see, you know, maybe a  
14 couple of tiers there I'm thinking. Maybe Bob could help me on  
15 this, and other solar constituents. Maybe if you do a  
16 residential up to 25 kW, a commercial up to 100 kW with  
17 standard inverters that are used residentially -- I mean, it's  
18 basically just like a larger residential system. And then from  
19 100 kW to, let's say, two megawatts. You know, things get a  
20 little different there, but I think maybe that would be another  
21 tier we would look at. So it's just kind of something to look  
22 at, some options.

23 MR. GRANIERE: So I think I've heard a change in  
24 position from earlier. If I recall earlier, it was there was  
25 no number on the residential, but there was thinking of 25 for

1 commercial and manufacturing mainly because the commercial and  
2 manufacturing at 25 to obtain the maximum benefit from Florida  
3 at \$100,000. That's my recollection. But now you're saying  
4 that you would like -- your suggestion is 25 for residential  
5 and 100 for commercial, is that what I heard?

6 MR. WALLACE: That is correct.

7 MR. GRANIERE: Okay. I don't forget, see.

8 MR. WALLACE: And then I also added that third  
9 component as another tier, systems of 100 kilowatt to two  
10 megawatt.

11 MR. GRANIERE: Okay.

12 MR. HARRIS: Something I heard -- this is Larry  
13 Harris -- something I heard mentioned earlier was -- maybe it  
14 was the same thing, or maybe I misunderstood. I thought  
15 somebody had mentioned the idea of doing it as a percentage of  
16 the load. Is that something like where the tiers would be, or  
17 where the tiers would be something, you know, up to -- and I  
18 get confused whether it was 10 percent, or 90 percent, or  
19 whatever it was. But is that the same thing or is that an  
20 alternative way of doing this where the tiers would not be flat  
21 numbers, but they would be percentages. And if that's the  
22 case, is that administratively more burdensome? Because  
23 somebody has to go out and calculate, or can you just look at  
24 the service and say, oh, it's a 100 amp service; and so,  
25 therefore, whatever percentage of that is this much. As long

1 as the PV system is under that, we're good to go.

2 MR. REEDY: Bob Reedy.

3 I would just comment that, yeah, if we're a  
4 percentage of the service size, then whatever that percentage  
5 is. So many things are taken care of in terms of the  
6 electrical characteristics of the interconnection. So that if  
7 we set a number, I have no particular problem with the ones  
8 that Wayne suggested. But practically in the field, what's  
9 going on is you have a connection and you have -- everything is  
10 designed to handle a certain amount of power flow. And as long  
11 as you're a certain percentage below that, it should not  
12 matter.

13 There's an argument for, you know, having a number in  
14 your head so that you can always -- you don't have to go look  
15 at the service. But that could create a situation where you  
16 could actually have a larger -- if you had a tier like 100, if  
17 the service was only 75 kVA, or kW, then, you know, you could  
18 potentially have a larger export than the service is rated for.

19 Now, there's a lot of ways to catch that. If you  
20 detect a certain amount of ambivalence here on my part, it's  
21 simply that we mostly would look for uniformity around the  
22 state in whatever was done. Either system probably could work,  
23 and there's rationale for going either way, in my view.

24 MS. CLARK: Bob, this is Susan Clark.

25 I think the way we approached this was that you

1 shouldn't arbitrarily set these tiers. What should be the  
2 driver is that the same process be applied to generation that  
3 has the same characteristics. That's what you would -- that  
4 would be what the driver is, not some arbitrary number.

5 MR. SANDERS: Bob, this is Tom Sanders.

6 In the same vein as Susan's comment, the 20 percent  
7 of the load may turn out to be another designation point just  
8 because that point between standby supplemental service being  
9 offered or not, and also is a designation of an area where we,  
10 you know, feel pretty strongly that it wouldn't be an islanding  
11 problem on the grid. So I'm not sure that if that corresponds  
12 to a particular kilowatt level, but it's something else to  
13 consider.

14 MR. GRANIERE: Okay. So what I'm starting to hear is  
15 that it's getting a little bit harder to find standardization.  
16 If we don't go with a kW -- you know, some percentage of the  
17 energy usage, and if we don't go with a kW number, but we go  
18 with the same process, the same characteristics, then we have  
19 to try to -- and that becomes the way we look to do things, in  
20 like a streamline fashion, then we need to work on what types  
21 of generation have the same characteristics. Would that be  
22 fair?

23 MS. CLARK: Well, I think the kilowatt level is part  
24 of the -- is of the same characteristic.

25 MR. GRANIERE: Okay. Great. So we could -- this is

1 just a notion is that can we tie it to some sort of number or  
2 some sort of concept that's measurable? And that let's us see  
3 it, and we always know where it is, and we sort of minimize the  
4 role of subjectivity in the process. Is that fair?

5 Okay. So what we have, then, is that I think what  
6 I'm hearing is that we can either go with kWh, or kW, or some  
7 combination of the two, which is not unreasonable, either,  
8 sometimes. In fact, we actually could do that. We really  
9 don't -- but we need to work out where the break points are  
10 right now. We just need to work where the break points are.  
11 And then once we work out the break points, then we need to  
12 work out whether there's any differences or not between the  
13 break points. Would that be fair?

14 MR. WALLACE: Yes, Bob, but may I add -- Wayne  
15 Wallace.

16 Would it be fair to say that residentially we could  
17 easily say PV systems, utility interconnection up to 25 kW,  
18 because that's something that the utility would be in agreement  
19 with?

20 MR. GRANIERE: Well, I think that right now, since  
21 this is an informational type workshop, that we can talk about  
22 these numbers. And, you know, it's clear that, you know, the  
23 number that -- as an installer and a part of the solar industry  
24 would prefer it would be 25. I think it's probably premature  
25 to ask for that kind of commitment from the utilities at this

1 time. And I'm sure that that would occur in a more formal type  
2 process. And I don't think there is anybody here who could  
3 reach a stipulation like that or an agreement like that anyway.  
4 I mean, it is something that you could -- we could put out,  
5 something to think about. But I don't think it can go much  
6 farther than that right now.

7 MR. REEDY: Bob Reedy, just to add.

8 I understand that. And I just think that it would  
9 be -- in this informational stage, it's helpful to point out  
10 that 100 amps, 240 volts is 24 kW. And many homes can draw  
11 more than that briefly or not, depending on how much strip heat  
12 they have along with water heaters, electric water heaters and  
13 stoves. So, you know, even at -- my point of that  
14 informational comment is even at 25 kW, it's in the realm of  
15 everything that the utilities deal with at the residential  
16 level.

17 MR. GRANIERE: So I think the way I'm going to  
18 interpret that is that says that if someone puts a 25 kW system  
19 on their property, that they can do everything. Is that what  
20 you're saying?

21 MR. REEDY: I'm just saying that in terms of  
22 electrical behavior, this is very low. It's not pushing any  
23 limits at all in terms of what's happening electrically on the  
24 system and is dealt with on a daily basis by the utility.

25 MR. GRANIERE: You know, I guess -- you know, once

1 again I'm going to say that I'm not an engineer, and I'm not,  
2 you know, real good on all of the ways the system works, you  
3 know, as to how the power is actually flowing back and forth.  
4 But I do seem to know that I don't think I've ever lived  
5 anywhere where the demand that was drawn in that place was 24  
6 kilowatts at any one time. I mean, it's usually up there  
7 around maybe six.

8 So I'm trying to figure out why is 24 or 25 kilowatts  
9 all that important to a residential person, because I just  
10 can't imagine -- maybe I'm wrong, but I just don't know any  
11 house that draws that kind of kilowatts at one time.

12 MR. WALLACE: A water heater is typically 4.5 kW. An  
13 oven or range can be, you know, 4 or 5 kW, depending on how  
14 many elements are running.

15 MR. GRANIERE: Okay.

16 MR. WALLACE: And then if a strip heat kicks in, you  
17 can add up numbers quickly.

18 MR. GRANIERE: Yeah. But I'm just saying that I've  
19 lived in those kind of places, and that's what I'm trying to  
20 get to. I mean, I've lived in those kind of places. Yeah.  
21 You know, I had -- you know, I had a strip heat and I had an  
22 electric thing, and I had a water heater in the apartment.  
23 That's where I live right now, you know, except that I've got a  
24 heat pump, you know, out in front of my bedroom window instead  
25 of strip heat, which is there if it ever gets cold enough to

1 actually have to turn it on. But I'm still finding 25  
2 kilowatts is a pretty big number.

3 SPEAKER: For residential.

4 MR. GRANIERE: For residential. I'm still finding  
5 that as a pretty big number for residential. I mean, the way  
6 you get to that number is everything has to happen all at once.  
7 I mean, everything has to happen all at once. (Verbal  
8 expression). And what's the probability of that happening?  
9 Probably pretty small.

10 MR. WALLACE: If I may add comment. Wayne Wallace.

11 I don't understand, you know, why is 25 kW a big  
12 number? I mean, let me also add this. Solar panels, solar  
13 modules, when we say 25 kW, those are what is like a perfect  
14 scenario. The system probably realistically puts out about 17  
15 kW after you go through the efficiencies and the actual  
16 sunshine in the area. And then if it's five peak sun hour days  
17 per day, that system is probably putting out X amount of  
18 kilowatt hours a day. And then it also boils down to like an  
19 economy of the whole thing. Most people will they do a 25 kW  
20 if the rebate is only 5kW? Probably not.

21 But there are the very few circumstances where  
22 somebody that's very well to do that wants to give back just as  
23 a green thing to do, and they may want to do a 20 kW system on  
24 a cabana. So, you know, they're a residential consumer, but  
25 they've got -- their electric bill is way above that and beyond



1 that anyways.

2 MR. GRANIERE: Well, I guess -- you know, I  
3 understand those positions. But, unfortunately -- well,  
4 fortunately or unfortunately, I could go out in the parking  
5 lot, and I can look at a 20 kW system, and it's pretty damn  
6 big.

7 SPEAKER: (Inaudible.)

8 MR. GRANIERE: Yeah, that's big. That's big, you  
9 know. What kind of residence can have one of those things on  
10 them? Obviously not a zero lot. I'm pretty sure that's not  
11 it, unless the zero lot is really big. So there's a lot of  
12 roof space, but that's a pretty big thing up there, isn't it?

13 SPEAKER: (Inaudible.)

14 MR. GRANIERE: Yeah, but that's big. That's really  
15 big, and it's out there in the parking lot. Yeah, really big.

16 SPEAKER: (Inaudible.)

17 MR. GRANIERE: I'm just having trouble with that. I  
18 mean, you know, it's something we could talk about, but I'm  
19 just -- I'd like to hear from the utilities about, you know,  
20 what size they think is a good size for residential. Because,  
21 I mean, you're entitled to your opinion as to what size it is.  
22 And I'm just -- and all I'm doing is I'm just looking to say  
23 this is what I see. And I just never saw that much on any  
24 house anywhere. I mean, I never just saw that much on any  
25 house anywhere. And I'm just wondering where that would go on

1 a residential application.

2 MR. HINTON: Bob, just one thought. This is Cayce  
3 Hinton.

4 A house big enough to put in a 20 kW system on its  
5 roof or on its property would probably be big enough to use it,  
6 too. You figure if the house is big enough to actually install  
7 that much PV, then they've probably got a pretty large electric  
8 bill to go along with it. Just a thought.

9 MR. GRANIERE: And all I'm going to say to that again  
10 is that's a real big house. And usually there are other  
11 characteristics that go along with a really big house.

12 MR. SANDERS: Bob, this is Tom Sanders.

13 And we just have to agree with you that the current  
14 10 kilowatt application seems to satisfy most residential  
15 needs.

16 MR. GRANIERE: So you think that there's a  
17 possibility that maybe 15 would be a nice number?

18 MR. SANDERS: For a really big place, I guess.

19 MR. GRANIERE: Yeah. Okay. Not quite as big as a  
20 25, though, huh?

21 MR. SANDERS: When we thought about the 25 limit, we  
22 were also thinking in terms of the percentage of load, that  
23 maybe the two could together for a commercial application.  
24 Maybe that would be, you know, a small step in the right  
25 direction where if it's less than 25 percent of their peak load

1 and it's a 25 kW system, you know, maybe that is an easy pill  
2 to swallow.

3 MR. GRANIERE: Okay. So we'll look into it further.  
4 But, you know, I mean, I think we just need to, you know, try  
5 to find -- you know, sharpen this up a little bit more.

6 Okay. How about the -- well, I guess we just got to  
7 that one. Should there be a charge -- should there be a change  
8 to the capacity size of renewable generators that are eligible  
9 for streamlined interconnection? Well, I guess that's exactly  
10 what we're talking about. So that answer would be yes.

11 Okay. Should there be restrictions on the type of  
12 renewable energy providers that are eligible for this  
13 streamline? Okay. Now, we get back to the idea should this  
14 only be focused on PV, or should this be brought out to a  
15 bigger set of renewables for streamlined interconnection, or  
16 should it be streamlined only for PVs?

17 MS. CLARK: Bob, I think it makes sense to streamline  
18 it to the extent you can.

19 MR. GRANIERE: For all types or just PV?

20 MS. CLARK: No, for all types.

21 MR. GRANIERE: Okay. For all types.

22 MS. CLARK: It seems to me that one of the things  
23 that the IOUs have thought about is if you can do it through a  
24 qualified inverter, that probably would be the key.

25 MR. GRANIERE: Okay.

1 MS. CLARK: And let me at this point, again, talk  
2 about this is not -- we should not tie what we do in  
3 interconnection to net metering. They shouldn't be tied as  
4 issues that -- if you would do something for interconnection,  
5 it doesn't mean you should also allow the net metering. They  
6 shouldn't go hand-in-hand.

7 MR. GRANIERE: I mean, this is -- I'll just say this  
8 for me, Bob, personally. I totally agree with you that I think  
9 they are two separate documents and two separate things that  
10 are done. We could streamline without net metering, and we  
11 could, of course, net metering -- we could, of course, net  
12 meter without streamlining. So, you know, they're not tied to  
13 the extent that they -- you know, you can't do one without the  
14 other. What we would hope, of course, is that there is some  
15 types that have both, if you know what I mean, both net  
16 metering and streamlined interconnection. That would be good.  
17 Okay?

18 MR. REEDY: Bob Reedy.

19 I'd have to agree with Susan that an inverter, if  
20 it's an inverter output, there is no way to really -- they  
21 behave the same way no matter what the primary power source for  
22 energy is, if it's a fuel cell or any other inverter-based  
23 technology in terms of electrical behavior in the  
24 interconnection.

25 MR. GRANIERE: Okay. So I think that probably what

1 we -- what I think this particular group of staff needs to  
2 understand better is what is the real importance of this  
3 qualified inverter to all of this discussion. Because I've  
4 heard the word, but I really don't know what it means. And so  
5 if you could -- if someone could volunteer to help me out and  
6 provide us with some sort of brief summary of what that  
7 actually does, I think that would be helpful.

8           Because it's starting to come in, at least for me, to  
9 say that as long as these -- as long as there is the right  
10 inverters there we're on pretty solid ground. And the right  
11 inverter is something called a qualified inverter, but I really  
12 don't know exactly what that is. And what I'm thinking is that  
13 qualified means it meets all the standards, right? And then,  
14 of course -- but beyond that, I don't know, and I don't think  
15 anybody on the staff here knows what it means to -- what it  
16 means when something meets all the standards. You know what  
17 I'm saying? Like, you know, it says it meets all the  
18 standards. And I say, okay, well, what does that mean? Does  
19 that mean I could spell a big word or -- you know, I don't  
20 know. That's what I'm trying to find out.

21           MR. REEDY: Bob Reedy.

22           MR. SANDERS: This is Tom Sanders. I wish I was an  
23 expert on this particular area. My general understanding is  
24 like yours, if it's UL approved and meets IEEE 929 and also  
25 1547, that it's going to be an acceptable inverter. But maybe

1 one of the solar representatives here has got a better  
2 definition for the currently --

3 MR. GRANIERE: But I'm sure that somebody out  
4 somewhere could, like, write a page or two and say what that  
5 really is. I just need a volunteer.

6 MR. REEDY: Bob Reedy. We'll volunteer to do that.

7 MR. GRANIERE: Okay.

8 MR. REEDY: And we'll copy everyone and --

9 MR. GRANIERE: Okay. Great.

10 MS. CLARK: You want us to tell you what would be --  
11 what constitutes a qualified inverter.

12 MR. GRANIERE: Inverter, yes. Yeah, you know, beyond  
13 just the fact that it meets the standards. I know that, but I  
14 don't know what you get when you meet the standards.

15 MS. CLARK: You mean what safety and what does it  
16 provide?

17 MR. GRANIERE: Yes.

18 MS. CLARK: Okay.

19 MR. GRANIERE: Yes, you know -- you know, like I  
20 heard it provides certain safety things and probably some other  
21 things beyond that, I would guess. And if that's, you know,  
22 what we -- so then we could always know what we're talking  
23 about when that word comes up, because that word is more than  
24 just two words. It brings up a whole mental picture, and the  
25 mental picture I get is kind of a blank screen. So that's --

1 you know, I'm trying to, you know, get us something a little  
2 bit more concrete.

3 SPEAKER: A little bit clearer definition from the  
4 utilities?

5 MR. GRANIERE: Yeah. Okay.

6 I guess we have touched upon this next question,  
7 which was should the streamlined interconnection be confined to  
8 on-site or customer-side interconnection, and which would mean  
9 that it would be -- it would not be applied to someone who  
10 interconnects at transmission. What's the utility's position  
11 on that one? I mean, I don't think the PV people have much to  
12 say about that, unless they're doing some grid-sized PV  
13 application, which would be fairly large. So this has to do  
14 with the other types of renewables.

15 SPEAKER: We feel that it should be on the customer's  
16 side of the meter. Of course, we also have some transmission  
17 connected customers, too, so --

18 MR. GRANIERE: Yeah.

19 SPEAKER: -- it doesn't necessarily have to be only  
20 at distribution.

21 MR. GRANIERE: Okay. So, am I hearing you say that  
22 there may be some renewables that we could streamline  
23 interconnection on the transmission side, or, no, we cannot?

24 SPEAKER: It depends how big again.

25 MR. GRANIERE: Huh?

1 SPEAKER: It would depend how big again. How large  
2 of an installation relative to the customer in particular.

3 MR. GRANIERE: Okay. So that would mean that you  
4 can't streamline it, I guess. See, I guess what I'm having  
5 trouble with is a streamline process on a case-by-case basis.  
6 You know, it seems to me to be counter-intuitive. So I'm  
7 just -- so I'm looking for either a yes or a no on the  
8 transmission side. I mean, in general, yes or no.

9 SPEAKER: At this time no.

10 MR. GRANIERE: No. Okay.

11 SPEAKER: A short answer.

12 MR. HARRIS: Any questions?

13 (Inaudible.)

14 MR. GRANIERE: Okay. We have -- I mean, we have one  
15 of the -- one of the eligibility restrictions just popped up,  
16 which is that if you connect on the transmission side, you  
17 probably won't be eligible for streamlined stuff. Are there  
18 anything else that we might want to consider as to why some  
19 sort of renewable provider might not be eligible for  
20 streamlined interconnection?

21 MS. CLARK: I think it is the technology of it, and  
22 can it be standardized. I mean, I guess I've made the jump  
23 that when you talk about streamlining, I view it as something  
24 that can be standardized. And I think that it -- what I  
25 understand is for the higher capacity renewable resources there



1 is less opportunity to standardize.

2 MR. GRANIERE: Okay. Okay. So for the higher  
3 capacity renewables, less opportunity. But let's use the  
4 example that Cayce suggested one day that someone puts a  
5 digester in their backyard. Okay. So it would be a little  
6 tiny guy, and it would be -- you know, it would be something in  
7 your backyard that's, you know, doing things to biomass, and it  
8 would look like a PV, but it really wouldn't be a PV. It would  
9 be a digester. It would be a biomass thing. And let's say  
10 it's less than 10 kW, okay, for now. Could that be  
11 streamlined?

12 MS. CLARK: It would seem to me if the -- I guess if  
13 the concerns about the interconnection were the same, and it  
14 could use the same interconnection device or process, then yes.

15 MR. GRANIERE: Okay. So what it boils -- so the  
16 technology is not all that important, it's really the  
17 interconnection characteristics that are the more important  
18 thing? Okay. Great.

19 Do you guys feel that that's okay? Solar guys? You  
20 know, we always like (inaudible). Yeah. It's in there.  
21 Everybody wants to make money, right?

22 Okay. Next, alternatively -- well, I think we've  
23 already decided there probably will not be one streamline  
24 procedure. That, you know, we'll need to go more along maybe  
25 tiers or something like that.

1 MS. CLARK: Yes.

2 MR. GRANIERE: You know, if we do that. So the  
3 answer to that is no.

4 Okay. And, on 15, as to what types of renewable  
5 energy providers should not be eligible for standby electricity  
6 service, I think we answered that, is that since they're buying  
7 an option, as I understand it, anybody can be eligible for  
8 standby service.

9 MR. JONES: Bob, this is Jeremy. Can I back up to  
10 the last question real quickly?

11 MR. GRANIERE: Sure.

12 MR. JONES: If the two requirements are meeting the  
13 safety issues and sizing it, whether that's based upon not  
14 exceeding too much of the customer's load or not, if those are  
15 the requirements, and they're able to be met at a 10 kW level  
16 or a megawatt level, and they're the same requirements at  
17 either level, then what would be the purpose of the tier?

18 MR. GRANIERE: Well, that's exactly what we were  
19 talking about. And so the answer is right now we're working on  
20 the tiers, because we don't have agreement that they are the  
21 same. So to get off of the tier idea, we need a showing on  
22 somebody's part that they are the same.

23 MR. JONES: Okay.

24 MR. GRANIERE: We just can't just say, poof, they  
25 are, or, poof, they aren't. So it's better to work along the

1 lines and say they aren't the same, and that the size of the  
2 system does matter, and then create that as, I guess -- what's  
3 that legal word? Would that be a rebuttable presumption type  
4 deal? And then let someone else come in and say, no, this is  
5 why it's not the case.

6 It doesn't mean that we're not going to do it. It  
7 just means that -- so it's -- it's not a deal breaker. That  
8 means you come in and say we're not going to get  
9 standardization. The difference will be, will there will be  
10 three different standardizations based on the size of the  
11 system, or will there be only one standardization because the  
12 size of the system doesn't matter, but in the end we will have  
13 some standardization that we don't have now.

14 Now we have standardization for 10 kW. At the end of  
15 this we'd have standardization for three -- right now three  
16 levels or about. They might not all be the same, but there  
17 would be three as opposed to the alternative of only one all  
18 the way up to a megawatt. But there's still more  
19 standardization now than there was before. And the answer is  
20 to get more standardization. Now, I know what you would like,  
21 but that's not necessarily what we are going to get. Okay.

22 MR. WALLACE: All right. Bob, Wayne Wallace. I have  
23 a question on the -- I'm really uneducated on this standby  
24 electricity, so I don't really even understand that. When  
25 you -- when you say which energy providers, I mean, is this

1 something that -- like large, oh, I don't know, waste burners  
2 or something that --

3 MR. GRANIERE: No. Basically -- you know, I can  
4 understand why you don't have an understanding of it. This is  
5 one of those things that rate people do and people who worry  
6 about and people who design really big systems worry about.  
7 But my understanding of it is -- now, is that the way the  
8 standby works is that, basically, a consumer who chooses  
9 on-site generation buys an option to be served if, for some  
10 reason, their generation goes off line, because the alternative  
11 of not buying that option would be that if you go off line, too  
12 bad for you. And that's what it boils down to. And that's  
13 what it boils down to.

14 So it says -- and a customer could do that if they  
15 wanted to. I mean, there's no reason why you have to buy  
16 standby service. You could just say I don't want to buy  
17 standby service. I mean, conceivably somebody could say that.  
18 And then if their system breaks down, they just don't have any  
19 electricity. And right then it's too bad for them. So,  
20 basically, you're buying an option. And they're planning for  
21 the option -- and they're planning for the option that you buy.  
22 But if no one bought that option, then they wouldn't plan for  
23 it, and that would be that. But then when your system went  
24 down, you'd be without electricity.

25 MS. CLARK: Bob, this is Susan Clark.

1           I think as pointed out by Bill Ashburn today, that if  
2 you have generating for other than just emergency purposes, you  
3 would be eligible for the standby service. If you supply more  
4 than 20 percent, you would be required to be on standby  
5 service.

6           MR. GRANIERE: Yeah. Right. Yeah, I know. And, you  
7 know, those were some of the things, and I don't see anything  
8 that's wrong with that. It's just part of, you know, to  
9 further on. But that's -- all of those things are further on  
10 because the standby service is out there if someone didn't have  
11 it. And if no one had it, that would just -- you know, it  
12 would just be you wouldn't get it. But you have to be  
13 self-sufficient.

14           MR. REEDY: Bob Reedy.

15           It's my understanding that the standby, when these  
16 rules were developed, really PV was not an option, a real  
17 option at all. And as a result, standby is a very -- I mean,  
18 self-generation, excuse me, is relatively -- in the past has  
19 been a relatively small percentage of customers. And when you  
20 have a small sample group, the structures of ratemaking -- you  
21 can see why I say it's my understanding, because then I'm  
22 covered, because I may not understand very much. But, anyway,  
23 the behavior of the sample of the rate class is such that it's  
24 hard to apply. So, basically, you come up with what amounts to  
25 a negotiated contract for service. And that means you sit down

1 and --

2 MR. GRANIERE: Sure.

3 MR. REEDY: -- talk it out. And it's usually a  
4 customer -- we're talking about a customer that's large, it's  
5 an industrial process. There's a lot of clout in the hands of  
6 that customer before they build their facility. You know,  
7 well, I won't build my plant unless you give me a good deal or  
8 some type of thing. So I think it really doesn't work well  
9 with the world we're talking about. We're talking about PV  
10 systems that at most will go on Big Box stores or those types  
11 of commercial installations. And the negotiated rate type of  
12 concept may not apply.

13 And I'm just suggesting that if we looked at those  
14 stores as they're looked at today when they don't have  
15 generation, then all the rules and the processes that are  
16 involved in ratemaking do work, and that's where my comment  
17 about how the demand charges take care of all this. Because  
18 the demand --

19 MS. CLARK: Bob --

20 MR. REEDY: -- the demand structure says, you know,  
21 you're no different if you're -- if you're off -- if you decide  
22 to shut down your business and go home for a siesta in the  
23 afternoon, it looks the same looking into the electrical system  
24 as if you turned on some PV during that part of the day and  
25 it's taken care of.

1 MS. CLARK: Bob, this is Susan. I have a question as  
2 to why we -- yesterday and today, why are we even discussing  
3 the standby service? To the extent how does it relate to the  
4 interconnection? I'm asking you how --

5 MR. GRANIERE: Okay.

6 MS. CLARK: -- you all see it relating.

7 MR. GRANIERE: Well, the reason normally is that the  
8 standby service is normally part of the interconnection  
9 efforts, because you generally do the standby negotiations at  
10 the same time you're doing your interconnection. So you do  
11 both of them together.

12 MS. CLARK: Okay. So you see it as part of the  
13 interconnection agreement?

14 MR. GRANIERE: The interconnection standard, you  
15 know. And that's how it was described by what's his name,  
16 Mr. Ashburn. And --

17 MS. CLARK: Who?

18 MR. GRANIERE: The guy from TECO.

19 MS. CLARK: Okay.

20 MR. GRANIERE: And, you know, it was basically  
21 described that way, that they sit down and they -- and it's --  
22 and the standby charge is determined through contract and  
23 negotiated on a case-by-case basis. So it's not really a  
24 standby rate that applies to everybody. So you would say that  
25 both of those things happen at the same time.

1           And I think really what Mr. Reedy is saying is that  
2 in his -- what I'm hearing him saying is that he really doesn't  
3 see a need for a -- for a standby charge for PVs, because -- I  
4 don't think it has much to do with the fact that it is stable  
5 or anything, it's just that they're so small they don't matter.  
6 And I don't know if that's true or not. But that's what I'm  
7 hearing, that they are just small enough that they don't  
8 matter.

9           And so -- but then, of course, that wouldn't be the  
10 case if the -- you know, if the PV was a megawatt, then they  
11 would matter. And so it would be a different situation then.  
12 So I guess, once again, we're down to the -- the idea of how  
13 big is it. But it always seems to come back to that, how big  
14 is it?

15           MR. REEDY: How big it is -- excuse me, Bob Reedy --  
16 with respect to the load, I think is still a relevant question.

17           MR. GRANIERE: Yeah, that's what I'm saying, how big  
18 it is with respect to the load.

19           MR. REEDY: It's not an absolute number.

20           MR. GRANIERE: Yeah. And that's what I think. You  
21 know, it keeps coming down to that. And --

22           MR. REEDY: And I just -- I just believe that the  
23 current self-generation, even the largest utility, maybe we  
24 could get an idea from them, but even the largest utilities  
25 probably only have, you know, a few of these types of



1 customers.

2 MR. GRANIERE: Yeah. I mean, that's what I'm saying.  
3 I'm saying that what I'm hearing you say is that it's not a big  
4 enough or a widespread enough deal that you actually need a  
5 rate like this on the books, is what I'm hearing. But on the  
6 other side, there is the other side that says, but the person  
7 is buying an option from you, and you do have to serve them,  
8 and you do have the requirement to serve them. And so if you  
9 want that protection, then you should be willing to pay some  
10 price for that protection and that option.

11 So there are two sides to the argument. One says  
12 that it's a de minimus problem, and it really doesn't affect  
13 anything, so why go through the work of getting it. And the  
14 other side says, yeah, but you are buying an option, and you  
15 are getting the protection and everything else, because -- and,  
16 basically, someone else is bearing all of the risk that they  
17 have, even if it is a small de minimus risk. So that becomes a  
18 judgment call, and it really doesn't say who is right or wrong.  
19 It's just a plain old judgment call at -- you know, at some  
20 time. And right now the judgment here is that if you buy an  
21 option, you should pay for it.

22 MR. REEDY: And my question would be if -- excuse me,  
23 Bob Reedy. I'll pose it in specific terms. If I'm a Big Box  
24 store, and I apply for service. And not saying I may have  
25 emergency generation, we all understand how that fits into the

1 picture. That's disconnected when the grid goes down. But I  
2 apply for service, and I'm going to be a 500 kW peak demand.

3 MR. GRANIERE: Uh-huh.

4 MR. REEDY: If I install 100 kW of PV on my roof.

5 MR. GRANIERE: Right.

6 MR. REEDY: My question would be how is it different  
7 in the ratemaking process? This is not a standby customer.  
8 They have some self-generation, partial self-generation, but  
9 how is it different and could it be distinguished in the rate  
10 process than if I just chose between the hours of 11:00 a.m.  
11 and, say, 6:00 p.m. to turn off 100 kW of my discretionary  
12 loads, maybe I have chiller -- freezers or some type of  
13 chilling, or I would change my air conditioning profile. And I  
14 do this actively today to lower my demand charge. How is that  
15 different from turning on some PV to meet that demand and allow  
16 me to continue to run those services? My belief is that today  
17 utilities are ambivalent to that. It's built into the rate  
18 through the demand structure.

19 MR. GRANIERE: I think what -- I think that -- from  
20 what I'm hearing you saying it's not the thing that we're  
21 talking about. You're saying that you have a 500 kW load, the  
22 other guy is only giving you 400 of it, and you're going to  
23 supply the 100 of it.

24 MR. REEDY: No, sir.

25 MR. GRANIERE: Right. And then here's my question,

1 and I think this is the question that we come down to. Let's  
2 say you don't supply the 100 of it. Do you want them to supply  
3 that 100, or are you willing to do voluntary load management?  
4 And if you're willing to do voluntary load management, let's  
5 say are you willing, if you do voluntary load management, to  
6 the fact that you don't actually do it, for whatever reason,  
7 would you be mad if I came there and said you owe me a million  
8 dollars because you didn't do what you said you were going to  
9 do.

10 MR. REEDY: No, sir. That's not really the question  
11 I'm posing.

12 I'm posing a very specific question. I have a 500 kW  
13 service, so my demand could be up to 500 kW. I can operate --  
14 in fact, let's go ahead and let me go in service, and I operate  
15 for two years. And during those two years, in order to avoid  
16 demand charges or minimize my demand charges on peak, I  
17 activate my own internal controls, like Disney does and many  
18 other stores, Wal-Mart, and I minimize my demand.

19 MR. GRANIERE: Sure.

20 MR. REEDY: Now, after two years I decide to put a  
21 100 kW PV system on my roof.

22 MR. GRANIERE: Okay.

23 MR. REEDY: Big roof.

24 MR. GRANIERE: Okay.

25 MR. REEDY: And because of that 100 kW system, I made

1 that investment, I say, you know what, now I can run these  
2 store displays during the middle of the day or I can run -- I  
3 can change my process, I can open another line of --

4 MR. GRANIERE: Sure. Okay.

5 MR. REEDY: So I do that. Nothing has changed in  
6 terms of my demands of the utility. The understanding with the  
7 utility, the planning process, I'm just running my internal  
8 process differently. If the system shuts down for some reason,  
9 or it's a cloudy, rainy, or it's a really cloudy day or  
10 something, then the demand goes to 500 kW, it behaves the same  
11 as if my load -- internal load management controls, which last  
12 year, oops, we screwed up, and we ran up to 500 kW. So I'm  
13 submitting here that without you looking at my store, you  
14 cannot tell me whether I had PV there or not, all you can see  
15 is that my demand went up.

16 MR. GRANIERE: No, I think I could. Because,  
17 basically, what you're saying is that you're saying you could  
18 incur a demand charge of 500 times whatever the kW demand  
19 charge is, and that's what you would have been paying each  
20 month, but you've decided not to do that. Instead, you've  
21 decided to only do 400 each month. So if I looked at your  
22 bill, I'd say you're a 400 kW customer. And then you come  
23 along and say, oh, poof, I have another 100 kW, so now I'm a  
24 500 kW customer. But as far as I'm concerned, you're still a  
25 400 kW customer. And then if you knock off, then you're still

1 a 400 kW customer, because that's what I planned you for --

2 MS. CLARK: Bob --

3 MR. GRANIERE: -- a 400 kW customer.

4 MS. CLARK: This is Susan Clark.

5 I guess I'm still trying -- I thought what we were  
6 concentrating on is --

7 MR. GRANIERE: Well, basically, what we're getting to  
8 is the fact that he's -- that the argument -- that the  
9 discussion here is, is a standby charge necessary for PVs and  
10 small renewables, is what we're getting to.

11 MS. CLARK: Well, I know that was on your list of  
12 issues to be discussed at later workshops when you had the  
13 initial workshop --

14 (Tape change.)

15 MR. GRANIERE: But --

16 MS. CLARK: As I understand it, what rate you're on  
17 or the issue of the standby rate is not part of an  
18 interconnection agreement. It is a consideration that the  
19 customer would look at in terms of deciding what rate to be on,  
20 and at least if they're generating more than 20 percent, they'd  
21 have to be on the rate. But I thought our focus was more on  
22 the interconnection itself.

23 MR. GRANIERE: Well, I would think -- you know, I  
24 have to respectfully disagree on this one, because I kind of  
25 think that the interconnection agreement is a contract and part

1 of -- from what I'm hearing, part of that contract is the  
2 standby charge. And if that's the case, then -- but if that's  
3 not the case, then we don't have to worry about it.

4 MS. CLARK: That's not the case.

5 SPEAKER: (Inaudible.)

6 MS. CLARK: Not a part of the interconnection  
7 agreement.

8 SPEAKER: (Inaudible.)

9 MR. GRANIERE: Okay.

10 SPEAKER: (Inaudible.)

11 MR. GRANIERE: Okay.

12 MR. REEDY: Bob Reedy. I would point out, though,  
13 that standby charges are a major factor in deciding whether or  
14 not to interconnect and whether or not to even build a system,  
15 a PV system. So it may be in a technical -- I mean, in a  
16 legalistic sense they can be separated, but in a practical  
17 sense of whether it makes a good business decision to install  
18 PV systems, if you are a commercial customer, standby charges  
19 are a significant thing. And, thus, my somewhat dogged  
20 determination to cast what I believe is a rather more common  
21 scenario than the reciprocating engine, steam cycle industrial  
22 types of scenarios, negotiated rate scenarios.

23 In order to have development of a common standard  
24 going onto commercial stores where everything is very  
25 traditional and well-behaved, we've got to have an

1 understanding on standby rates, as well. So I just believe  
2 that they cannot be separated. And I also believe that they  
3 cannot be identified, because even if I manage my -- in my  
4 hypothetical there, if I manage my load to 400 kW, my deal with  
5 the utility in signing up is it's a 500 kW service. And they  
6 are certainly prepared through their rates to serve that. And  
7 typically if my load management program is internal, I often --  
8 you know, stores will screw up and get hit with high demands.  
9 So there's plenty of notice that that is potentially possible  
10 and it should be recovered through the demand charges.

11 MR. GRANIERE: Well, the only thing -- well, one of  
12 the things I did learn is that standby rates will be a  
13 contentious issue. Okay. So we've learned that. And now --  
14 and we need to decide how contentious that will be in the part  
15 of getting more renewables on the ground and, hopefully, it  
16 won't be a deal breaker on the smaller stuff, which is where  
17 we're looking for the standardization, and where we're looking  
18 for the net metering, that it doesn't become a deal breaker on  
19 those types of things.

20 But, you know -- but it's nice to know where the deal  
21 breakers are, and so I guess we've found one. And now we just  
22 need to do, what we are going to do about it. But it seems  
23 like we've found one. And, of course, when you can't -- when  
24 something like this happens, I guess somebody else will decide  
25 the issue, and that will be that.

1 SPEAKER: (Inaudible.)

2 MR. GRANIERE: All right. There is no such thing as  
3 a deal breaker, except -- unless you are two private companies,  
4 of course, which you're not. So that takes care of that.

5 MR. HARRIS: Bob, Larry Harris. One of the things  
6 I'm hearing, though, is this sounds like it is a much bigger  
7 issue, not just for the PVs, but for everyone else. I see  
8 Michelle in the back of the room. She's probably listening and  
9 thinking, you know, rate structure, wait a second. They've got  
10 jurisdiction over munies and co-ops, and rate structure  
11 arguably. So what I'm thinking is, hearing this conversation,  
12 it strikes me as this is almost a third staff informational  
13 workshop on a third track where you would have not only the  
14 IOUs and the PVs in, but I would guess the munies and co-ops  
15 would be interested, very interested. I would suspect that you  
16 would have the other renewable generators very interested.

17 The challenge is keeping them from hijacking it. And  
18 you have, you know, IMC coming in and saying, we've got, you  
19 know, 250 megawatts of standby, and we want to hijack this  
20 entire proceeding and talk about reforming our 250 megawatts  
21 versus, you know, somebody coming and talking about, you know,  
22 these small one megawatts. But that's what I'm hearing, and I  
23 don't think anybody -- I know I'm certainly not competent to  
24 talk about these rate structure issues. And I think we have  
25 specialized staff who just do that.



1 MR. GRANIERE: Sure.

2 MR. HARRIS: I'm sure the utilities have specialized  
3 people and the munies and co-ops have specialized people. And  
4 I would guess some of the bigger renewable companies probably  
5 even have people who -- you know, the waste burners and the,  
6 whatever they call themselves, municipal solid waste, probably  
7 have specialized standby people, and they probably can provide  
8 a pretty good background and really fill the universe of what  
9 are the issues, what are the policy decisions that have to be  
10 made.

11 And listening to what I heard from this side of the  
12 table earlier, you know, they were discussing what can the  
13 state of Florida do to move forward and show that we are  
14 interested in, you know, photovoltaic or interested in  
15 renewables. This sounds like the kind of thing that is a very,  
16 very large elephant in the room. But it also has some  
17 potential for the Commission to really start staking out some  
18 policy declarations. I like what you said, which is that we  
19 don't want it to be a deal breaker for net metering or  
20 interconnection agreements.

21 MR. GRANIERE: Yes. Basically, the streamlined  
22 interconnections and the net metering, I certainly would hope  
23 that this would not be a deal breaker on those, because it  
24 doesn't seem to be -- I just hope it won't. I mean -- but I,  
25 you know, would think that, you know, if there's a policy on

1 this issue, then the resolution will be found somehow. You  
2 know, that's what we know about, you know, private negotiations  
3 versus these public/private type deals, you know. Private  
4 ones, they do have disagreement points and people walk away  
5 from them. On these public/private ones, there is no such  
6 thing as a disagreement point. All there is is a point that  
7 doesn't require a third party to make a decision. That's what  
8 it boils down to.

9 In this kind of environment, and you know as well as  
10 anybody does, that if there is a disagreement point between two  
11 parties, then there's a third party who steps in and makes the  
12 decision. Or nothing happens. I don't know. One of those two  
13 things happen.

14 So I guess we can't go any farther on this. We've  
15 sort of exhausted it for now, and that's about it. But I think  
16 you're right, we need to get up to the standby rate and start  
17 that as a bigger thing. And I think as, you know, as we said  
18 earlier, that, you know, the other people didn't come. And  
19 they probably didn't come because they didn't think they had a  
20 dog in this fight. But now we've found out that probably on  
21 the standby rates they do. And so those who --

22 MR. REEDY: Small commercial and -- Bob Reedy --  
23 small commercial and residential is 99 percent of what  
24 certainly at FSEC we're concerned about --

25 MR. GRANIERE: No, I know. We understand that. I

1 mean -- I mean, we understand that we're talking about --

2 MR. REEDY: Those are all below the -- they're not  
3 even eligible for standby service, and so --

4 MR. GRANIERE: And so if they are not eligible for  
5 standby service, then we're really wasting our time.

6 MR. REEDY: Yes, sir.

7 MR. GRANIERE: I mean, so then -- so I guess then we  
8 have -- it's gone as far as it's going right now. There's  
9 nothing else left to say.

10 As for the next area, which is technological issues,  
11 I think we talked about this, why our technology restrictions  
12 are important. And we finally found out that probably they are  
13 not that important. What's more important are the  
14 interconnection characteristics. And I think that's what we  
15 learned today.

16 Why is it important for safety requirements to be  
17 included in the interconnection, regardless of whether the  
18 renewable energy provider is eligible for standardized  
19 streamlined interconnection. I think we figured that out, too.  
20 It has to do with that qualified inverter. And once we learn  
21 about that, then we'll know about why they're important and why  
22 they're not.

23 How does the interconnection of the renewable energy  
24 provider differ from the interconnection of the non-renewable  
25 energy provider? Well, basically, what we're working on here

1 right now is generally most of these guys are on the customer  
2 side rather than on the transmission side. And so they're not  
3 really IPPs, although they may be some day. But right now they  
4 don't look like they're IPPs, except for those municipal solid  
5 waste guys who are IPPs. So, you know, we have -- but nobody  
6 here at this table is in that business, so they have to show up  
7 at a different time to talk about their stuff.

8           And then we come down -- and I don't think anybody is  
9 thinking about an IPP, someone with like 100 megawatts of power  
10 asking for net metering. Somehow I just don't think that  
11 that's going to happen. And so I don't think that that's an  
12 issue, either.

13           So then we get down to the financial and rate-related  
14 issues, which are what factors that should be considered when  
15 developing an interconnection charge? Well, we already know  
16 the factors that are considered on this, at least for the 10 kW  
17 stuff. And I'm sure there's other factors that are shown in  
18 the interconnection charge for people that are bigger than  
19 that, and that's where we need to find out some more  
20 information. Because if we're going to streamline to a higher  
21 level than 10 kW, we need to know what we can do to set tariffs  
22 or charges like that, much along the same way that we do a 10  
23 kW type deal, which we don't have right now. Okay. So that's  
24 an area we need to think about and talk about.

25           And I think right now that the people who can speak

1 to these issues are the IOUs, more than any of the solar people  
2 here. So what I'm going to just ask is that if you all can  
3 think about what we need to do to boost these numbers up. And  
4 I think by the time we leave here today, we just need to set  
5 tentative breaks just so we sort of get some idea so we have  
6 some framework of which to talk about these issues in.

7 Not that they're meaningful in the sense that these  
8 are where the breaks will be, but just something to say instead  
9 of saying the breaks are X, Y and Z, we'll just give numbers to  
10 those X, Y and Z, so we just get an idea as for what we look at  
11 or have to look at differently to do that type of stuff. But,  
12 of course, I mean, this is a workshop, so anybody who wants to  
13 talk about these things right now is, you know, more than free  
14 to do that, but I think it's pretty much the IOUs that would  
15 have to do the talking on this one.

16 Okay. Moving along. What are the factors that  
17 should be considered when developing a charge for standby  
18 power. We've already figured out what that is. That's another  
19 workshop. So off we go.

20 What are the additional costs that the host utilities  
21 incur when they interconnect customer -- when they interconnect  
22 customer-side renewable energy? And, actually, I didn't hear  
23 too much at all about additional costs. But that would be nice  
24 to know. You know, what are the actual additional costs that a  
25 utility incurs when it does interconnect customer-side or

1 on-site generation?

2 MS. CLARK: Generally, it would be metering, meter  
3 reading and billing costs. And, also, depending on the  
4 interconnection installed, there might be operation and  
5 maintenance expenses for ongoing maintenance and future  
6 replacement of facilities.

7 MR. GRANIERE: Okay.

8 MS. CLARK: And then under your current rule, that's  
9 billed to the customer.

10 MR. GRANIERE: Okay. And that's currently billed to  
11 the customer. Okay.

12 Aha, we got to the cross-subsidization issues, and  
13 I'm just going to pass over that one right now. Okay. You  
14 know, if that's all right with you. And I'm actually working  
15 on a little bit of a schematic thing that, you know, tries just  
16 to give an alternative view of what this subsidization is or  
17 isn't. And I'll be glad, once I finish it, I'll put it in the  
18 record and share it with everybody. Okay? You know, it  
19 just -- and I'll tell you up front what I'm trying to do. What  
20 I'm trying to do is follow the dollars, okay? And see what  
21 happens as we follow the dollars. And then finally get to the  
22 point to see what's happening. And, hopefully -- and I'll even  
23 tell you what I'm planning on doing. I'm planning on starting  
24 with a two-person system, then I'll increase it to a  
25 three-person system, and then I'll increase it maybe to a four

1 or five to see if anything changes as I add one. But what I  
2 suspect is that once I get from two to three, I'll have  
3 everything I need to know, you know, in the schematic. And  
4 then the rest becomes just a whole bunch of people. But other  
5 than that, I think I've captured everything from going from two  
6 to three. That's my gut feeling. But I'll work it out and see  
7 what happens.

8 MS. CLARK: We would appreciate the opportunity to  
9 look at it and --

10 MR. GRANIERE: Oh, of course. Absolutely. You know,  
11 I'll work it out and share it with everybody, and then they can  
12 tell me where I, you know, went wrong. Okay?

13 And then we have how important is the revenue effect.  
14 Well, you know, we have sort of hinted around on this, and the  
15 only thing that I could think of right now is Judy and I -- who  
16 is not here. That's okay.

17 SPEAKER: Dentist appointment.

18 MR. GRANIERE: That's right, dentist appointment.  
19 She told me about that.

20 There was somewhere in the past that we heard we had  
21 something like 46 new systems tacked on since the new rule, but  
22 we didn't know how many systems that were there before the new  
23 rule. So let's say that there was 200 systems tacked on at 10  
24 kW a system, something like that. I'm pretty sure that when  
25 we -- when we start to roll that all into a ratemaking exercise

1 that's done over the entire utility, that we're talking about  
2 something that's going to change the rate from maybe out there  
3 in the fourth or fifth decimal place. So what I'm really  
4 saying is that it's not a big deal from -- that's my gut  
5 feeling. But, you know, I'll be glad to read anybody or, you  
6 know, anything that says it is a big deal. Okay?

7 MS. CLARK: Bob --

8 MR. GRANIERE: But my gut feeling is that it isn't.

9 MS. CLARK: This is Susan Clark.

10 I think I was looking for a little more explanation  
11 of what revenue effect you were talking about. Are you talking  
12 about the cost of streamlining the process or the potential  
13 cost or revenue impact of more renewable resources coming on  
14 the system?

15 MR. GRANIERE: Well, what I'm saying is that I think  
16 both of those things will be actually like in the grand scheme  
17 of things not a really big revenue issue. I think that the net  
18 metering won't be a big revenue issue, and I also think that  
19 the streamlining being restricted to, you know, not the entire  
20 world or anything like that, but something that's manageable,  
21 that the additional revenues that are incurred to do the  
22 streamlining will be more than recovered on the back end by not  
23 having to spend so much time doing these things in the future.

24 And as for what will be the treatment of the  
25 additional costs that are uncovered -- you know, incurred to



1 get the streamlining done up front, you know, that's beyond me.  
2 I don't know what they do with that. You know, maybe there's a  
3 clause somewhere. I don't know. But I just don't know what's  
4 going to happen to that.

5 But what my expectation is and what is always the  
6 expectation of streamlining is that once you do the work to get  
7 it streamlined, on the back end there's more than enough cost  
8 recovery that you really don't need a revenue requirement  
9 treatment on it. But, anyway. But I'm not going to get there.  
10 That's not what I do. But that's just my thinking. And the  
11 thinking generally is that streamlining makes things easier,  
12 less costly and speedier. I won't say more efficient, because  
13 I hate that word. So we use speedier, easier, and less costly.

14 So, that's the last question. So it's 2:30,  
15 everybody is happy. And so I sort of made a closing statement.

16 I just want to thank everybody here who came and  
17 provided their expertise and input and listened, even if they  
18 didn't talk, but listened.

19 And I want to thank you, Tom, for the work that you  
20 did.

21 I want to thank everybody here for coming and talking  
22 and sharing their stuff. I think it was really useful.

23 I want to thank you, Bob. Your presentation was  
24 really good. It helped me understand what was going on. I  
25 would appreciate if you would give us a copy so we could

1 include it in the record.

2 I want to thank, of course, Larry for all the legal  
3 stuff. He did what he had to do, but he really did it good.  
4 So I'm so happy about that.

5 MR. HARRIS: It's tough.

6 MR. GRANIERE: I know it's tough work. You know,  
7 sometimes, you know -- you know, sometimes that full day is a  
8 real bummer, you know. And so, you know -- and so we'll get to  
9 that.

10 And everybody else, thank you so much. And I hope  
11 you have a safe trip home.

12 MS. CLARK: Thanks, Bob.

13 SPEAKER: Bob, can you just explain real quick what  
14 the next steps will be, and if there will be any future  
15 opportunities for participation, how we stay in touch and that  
16 sort of thing?

17 MR. GRANIERE: Okay. Yes, there will be future  
18 opportunities for participation. Anything that you'd like to  
19 supply to us in written format, please do. We'll include it in  
20 the record. If you want to call us up and talk to us about  
21 anything, please do. We'll do that. And we will notice when  
22 the next meetings are held to deal with these issues. Okay.  
23 But there will be future meetings.

24 SPEAKER: (Inaudible) sign-in list.

25 MR. GRANIERE: Yeah, you're on the sign-in list, so

1 you will get everything.

2

\* \* \* \* \*

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2 STATE OF FLORIDA )

3 : CERTIFICATE OF REPORTER


4 COUNTY OF LEON )

5  
6 I, JANE FAUROT, RPR, Chief, Hearing Reporter Services,  
7 FPSC Commission Clerk, do hereby certify that the foregoing  
8 proceeding was heard at the time and place herein stated.

9  
10 IT IS FURTHER CERTIFIED that I transcribed the  
11 proceedings from cassette tape, and that this transcript  
12 constitutes a true transcription of my said cassette tapes.

13  
14 I FURTHER CERTIFY that I am not a relative, employee,  
15 attorney or counsel of any of the parties, nor am I a relative  
16 or employee of any of the parties' attorney or counsel  
17 connected with the action, nor am I financially interested in  
18 the action.

19  
20 DATED THIS 21st day of May, 2007.

21  
22  
23  
24  
25  


JANE FAUROT, RPR  
Official FPSC Hearings Reporter  
FPSC Commission Clerk  
(850) 413-6732