


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. UNDOCKETED

In the Matter of

INTERCONNECTION OF SMALL PHOTOVOLTAIC
SYSTEMS; NET-METERING OF CUSTOMER-OWNED
RENEWABLE RESOURCES AND INTERCONNECTION
OF CUSTOMER-OWNED RENEWABLE RESOURCES



ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY

VOLUME 2

Pages 101 through 139

PROCEEDINGS: STAFF WORKSHOP

DATE: Monday, October 15, 2007

TIME: Commenced at 9:30 a.m.
Concluded at 5:45 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR
Official FPSC Reporter
(850) 413-6732

DOCUMENT NUMBER-DATE

09580 OCT 19 07

FLORIDA PUBLIC SERVICE COMMISSION

FPSC-COMMISSION CLERK

P R O C E E D I N G S

1
2 MR. FUTRELL: Okay. If everybody will take their
3 seats we will resume the workshop here.

4 Okay. We left off in Section 5(a), Sub 4, which is
5 the indemnification language. Staff has tried to clarify that
6 by specifying in the first sentence that the customer shall
7 hold harmless. That was our, as I understand, our main change
8 there to try to clarify that situation. We would like to
9 have -- get some input on this statement, especially the idea
10 we heard in some of the comments about a symmetrical, this
11 needs to be symmetrical. I'd like to get some comments about
12 that.

13 And, Jason, I know you had some thoughts on that,
14 too. Could you talk about that, please?

15 MR. KEYES: Sort of two items. Usually where there
16 is indemnification language in the rules it is bidirectional,
17 so the utility indemnifies the customer as well. But, also,
18 when you're talking about indemnification, you're usually
19 talking about holding harmless and indemnifying the person
20 against third-party claims. So as this language reads, we're
21 saying -- if I've got a solar installation, I'm not going to
22 blame the utility unless they have been negligent, and usually
23 you would have to prove some sort of negligence anyway.

24 But you usually don't refer to the other person, to
25 the other party when you are talking about indemnification.

1 It's about third-party indemnification. So what that means is
2 I'm running my solar system, my neighbor has a problem, my
3 neighbor goes to sue the utility, the utility wants
4 indemnification that I say I won't blame the utility, and I
5 will hold you harmless and I'll defend you against the claims
6 by my neighbor against the utility.

7 And, the other way around, if I've got a great big
8 system and I've got money and my neighbor wants to go after me
9 when they have a problem, that the utility will indemnify me
10 and say, yes, if it's our fault, and I didn't do anything wrong
11 that they will indemnify me. So for some reason this language
12 is broad and it doesn't -- the way to fix it is to say
13 indemnify the investor-owned utility for all losses to third
14 parties resulting from the operation of the customer-owned
15 renewable generation.

16 And it comes up a bit, actually up in the previous
17 section where they say that there will be a statement in the
18 interconnection agreement that you won't blame the utility for
19 damage from normal and abnormal conditions. And I would want
20 to say something there about abnormal conditions not caused by
21 the negligence of the utility. So, for instance, if the
22 utility didn't install a surge protector and a surge destroyed
23 my system, I think that I'm within my rights to blame the
24 utility for having just fried my million dollar system.

25 MR. FUTRELL: Any comments?

1 MS. CLARK: Is he proposing language? I mean, I'm
2 not sure --

3 MR. FUTRELL: I'm not sure.

4 Are you proposing language in the previous section,
5 Sub 3?

6 MR. KEYES: Yes, Sub 3. By the way, on the
7 numbering, just when you go back to it, there's a 5.A, there
8 isn't a 5.B, so it makes sense instead of having 5.A --

9 MR. FUTRELL: We've already picked that up. We
10 caught that.

11 MS. CLARK: Is there a page and a line that I can
12 look at?

13 MR. KEYES: Page 5, Line 1, so damage from the normal
14 and abnormal conditions not caused by the utility's negligence.
15 And I suppose it will come after operations, abnormal
16 conditions and operations not caused by the utility's
17 negligence that occur on the electric utility system.

18 MR. FUTRELL: Could you repeat that?

19 MR. KEYES: And other system components from damage
20 from the normal and abnormal conditions and operations, not
21 caused by the utility's negligence, that occur on the electric
22 utility system in delivering and restoring power.

23 So if it is the utility's negligence that caused the
24 problem, then it would still be liable for that.

25 MR. FUTRELL: Does everybody have that language? Any

1 reaction to that proposed language?

2 MR. KEYES: Then you've got the language for
3 Section 4 there, just adding a provision that the customer
4 shall hold harmless and indemnify the investor-owned utility
5 for all loss to third parties resulting from the operation.

6 MS. CLARK: Mark, I don't know that I have an initial
7 reaction to them, a concern, but to me those are the things
8 that we need time to look at and think about and their
9 implications and compare them to other rule provisions to make
10 sure we can be comfortable with those changes.

11 MR. TRAPP: Can that be embraced in your
12 post-workshop comments?

13 MS. CLARK: Yes.

14 MR. TRAPP: Thank you.

15 MR. HINTON: Could you also address the matter of
16 Subsection 4, I guess it's 5.4, the indemnification language,
17 making that symmetrical, or is the customers indemnifying the
18 utility for loss of third parties due to operating their
19 system, but also the utility indemnifying the customer for the
20 loss to a third party?

21 MR. TRAPP: Do we have a sentence for that or is this
22 just a concept we want to address?

23 MR. HINTON: I know that in IREC's model they have it
24 going both ways, so I am going to punt to him to come up with
25 some good symmetrical language.

1 MR. KEYES: I will be happy to. And, actually,
2 IREC's language is good. We just went through this in New
3 Mexico, and that language gets so thick when you try to do a
4 bidirectional. You say one party identifies the other party
5 against the first party, it gets confusing.

6 MR. HINTON: I already made one attempt and failed
7 miserably.

8 MR. KEYES: And it works pretty well if you just
9 break it out into two separate clauses, so there is what you've
10 got here and then a second sentence that says a provision that
11 the utility shall hold harmless and indemnify the customer for
12 all losses to third parties resulting from the operation of the
13 utility's electric distribution system except when the loss
14 occurs due to the negligent actions of the customer. And I'd
15 be happy to write that out, but, basically, it's a lot cleaner
16 to just have a second sentence to say that, instead of trying
17 to somehow force it all into one sentence.

18 The other thing that happens in indemnification
19 language is the standard in contracting has been that you
20 indemnify everybody. So it's not just the utility, you would
21 be indemnifying the utility and their directors and their
22 shareholders and anybody else you can think of, and the same
23 would go for the customer. And so you can add a third sentence
24 to the language, and I'll provide that, what we have in New
25 Mexico, that says when we talk about -- in this section when we

1 talk about this customer or the utility, we mean everybody
2 associated with it.

3 MR. FUTRELL: Any other comments on the
4 indemnification?

5 MS. CLARK: Comments on what?

6 MR. FUTRELL: The indemnification provisions.

7 Good. Okay.

8 Let's move on to Section 5, Line 9, where you get
9 into the insurance requirements. We touched on that earlier
10 where it would be one million dollars for Tier 2 and no more
11 than two million for Tier 3, and that the utilities would
12 recommend but not require insurance for Tier 1.

13 Yes, sir.

14 MS. SHEEHAN: Mike Sheehan with IREC. I guess -- let
15 me give you a little background on who I am so you'll
16 understand the context of my next statement.

17 First off, I have worked for three different
18 utilities, Commonwealth Edison Chicago, Virginia Power, Puget
19 Sound Energy. I have 30 years of utility experience, plus I
20 work with IREC, as a consultant to IREC. But I was also a
21 member of IEEE 1547, and under that context this question of
22 liability is very perplexing to me because I'm not quite sure
23 in the 30,000 systems that are out there on photovoltaics in
24 the system in the United States, I know of no instance where
25 photovoltaics or inverter-based systems have caused a problem

1 on the utility. So I would like to know the cause of why this,
2 the cause being what level of insurance and why insurance is so
3 onerous in this section.

4 MR. FUTRELL: Again, we recognize that to try to
5 encourage small systems -- we understand for residential most
6 of it is covered in general liability insurance. For larger
7 systems, it appears that for business owners, good general
8 liability insurance it's wise to have levels of this amount.
9 We checked into the availability. In areas that availability
10 is not an issue; affordability doesn't appear to be an issue;
11 it appears to be good sound business practice to have this. We
12 also, by increasing Tier 3, by doubling Tier 3, we felt we
13 needed to recognize that by increasing the insurance
14 requirements for those larger systems.

15 MS. SHEEHAN: Yes, but I'm still perplexed by what
16 problems are they going to be fixing by having this reliability
17 on the systems. And, first off, I'll have to have a context of
18 what problem exists from a PV system that could feedback to the
19 utility system and cause that kind of a problem. And the
20 analogy I would use is in the northwest, you have the Grand
21 Cooley Dam behind you, and this a 10 kW or a 100 kW system.
22 I'm not quite sure I understand the kind of system as what is
23 going to drive what here as far as cause a problem. And most
24 of these inverter-based systems don't have any kind of
25 capability. Again, the 30,000 that are in existence today,

1 I've never heard of one -- as a member of the EEI Committee on
2 Distributed Generation, I've never heard of a PV or
3 inverter-based system causing problems. Is this really
4 proportional to the kind of problem that's out there?

5 MR. FUTRELL: So in your mind there is -- do you
6 support no requirements for insurance provisions?

7 MS. SHEEHAN: Well, at a much higher level than
8 what's here in the Tier 1 and Tier 2. And I would say in the
9 New Mexico arrangement 250 kW is where the insurance started
10 kicking in.

11 MR. FUTRELL: Okay.

12 MS. SHEEHAN: So it is a much higher level than here.
13 And I'm just sort of perplexed by how the number got to where
14 it is here. What is the basis of how it was started and why it
15 was such a level.

16 MR. HINTON: I can tell you the original PV rule had
17 a requirement for \$100,000 of liability insurance. That rule
18 only went up to 10 kW. Looking at a number of states, some
19 states don't require anything, some states require more than
20 what we are requiring here. We kind of came down in the
21 middle. And, frankly, that is one of the questions that I was
22 going to raise, as well, you know, asking the utilities what
23 are they looking to guard against by having this liability
24 insurance and does the indemnification language that's already
25 in here now obviate the need for liability insurance in the

1 eyes of the utilities, and if you can give me some specific
2 examples of why you think it should --

3 MS. CLARK: Here is what I think people seem to be
4 forgetting, at least what I hear the question being asked is,
5 is the damage from this facility to the utility system or the
6 utility system to this system. What about the third parties?
7 This liability is also designed to cover damage to third
8 parties' property or person. And it seems to me that it is
9 entirely appropriate to require that kind of insurance when you
10 operate these kind of generation systems, even if they are
11 inverter based.

12 And with respect to the indemnification, I don't
13 think that cuts it for this reason: You may be responsible,
14 but if you don't have the assets to pay for that
15 responsibility, what good is it to the person who was injured?
16 That is what insurance does for you. It provides the funds
17 that if there is damage to a third party, either property or
18 person, that the insurance is there to cover it.

19 Along those lines, it seems to me that the rule
20 suggests it's good for customers, even small customers, to have
21 the insurance, 100,000 in insurance. And I think we heard at
22 the last workshop that's not a significant amount. It's what
23 people seem to normally carry anyway. We heard from one
24 gentleman regarding how much it cost for him. I think they
25 have \$2 million worth of coverage, and it was not significant.

1 But it does have the effect of having the money there if there
2 is damage, not just to the two parties in this contract, but
3 also to third parties. For that reason, we would also suggest
4 that it not be just a recommendation, but for Tier 1 it be a
5 requirement that they carry the 100,000 in liability insurance.

6 MR. HINTON: Just a little commentary before I let
7 you guys respond, too. As somebody who used to run a small
8 business, from my perspective you have got to be crazy not to
9 carry liability insurance when you are running a business. And
10 from the small business I was involved with, we carried a
11 million dollars worth of insurance, and that's why I didn't see
12 this as very onerous at all. Because we already had this, and
13 we were a very small business.

14 So just from me approaching this, you know,
15 personally, I wouldn't install anything that generated
16 electricity if I didn't have liability insurance just because
17 of the potential of, you know, causing injury or damage to some
18 third party. And the state of things these days, everything is
19 going to go to court in that situation. So that was just my
20 own personal perspective in looking at this.

21 MR. GRANIERE: I have a question. On this liability
22 insurance, what protection is the utility getting against
23 action by the customer? I'm not quite understanding that.

24 MS. CLARK: You're asking what protection the utility
25 is getting from an action by the customer?

1 MR. GRANIERE: Right. The customer has the
2 insurance.

3 MS. CLARK: Right.

4 MR. GRANIERE: Okay. And presumably the customer
5 does something that kicks in the insurance. How does that
6 impact the utility?

7 MS. CLARK: Well, to my way of thinking would be what
8 if something happened to the utility's distribution system
9 because of something that happened, maybe it didn't island
10 (global phonetic) or something like that. And then the
11 insurance is there to cover that damage that the customer has
12 caused to the utility system. It also covers when that damage
13 occurs to a third party.

14 MR. GRANIERE: Okay. Presumably, then, the utilities
15 are self-insured. So if it were to go the other way, then the
16 claim could go against the utility, is that correct?

17 MS. CLARK: Yes. If the utilities are liable for
18 their negligence, there would be a claim against the utilities
19 for that.

20 MR. GRANIERE: So, basically, the utilities carry
21 self-insurance, and so this is just a symmetry for the other
22 people to have insurance.

23 MS. CLARK: Bob, I'm not sure if they are
24 self-insured. I'm not sure how they would cover these kind of
25 things, but they would be liable, and presumably it's fair to

1 say that they would be considered a deep pocket, the one to go
2 after. And by the customers having this insurance, it will
3 hopefully have the advantage of having those claims being able
4 to be paid by those insurance rather than having a lot of
5 incentive to go after the utility as opposed to the real entity
6 that was liable.

7 MR. GRANIERE: And then this indemnification
8 language, if I understand it right, that takes care of a third
9 party going after the utility if it was the generator's
10 problem, and vice versa, it prevents a third party from going
11 against the generator if it was the utility problem. Is that
12 basically what we have got there?

13 MR. KEYES: That's correct. I believe that
14 Ms. Clark's point is that that doesn't help the utility if the
15 customer doesn't have insurance to cover the damages. And my
16 point is that there hasn't been a case.

17 MR. GRANIERE: You know insurance -- I mean, this is,
18 you know, insurance is like insurance. There is actually some
19 people out there in the world who never have a car accident,
20 but they have insurance all the time. So, you know, I don't
21 think that's a reason for not having insurance, but I am just
22 trying to figure out what it actually does and, you know,
23 because as far as insurance is concerned, I think that most
24 insurance arrangements to avoid adverse selection require a
25 whole lot of symmetry to make sure that all of the parties

1 aren't gaming the system, and that's what I'm just talking
2 about.

3 MR. KEYES: It is unlike car insurance, and there are
4 lots of car accidents. I mean, I don't have asteroid insurance
5 in case one hits my home, because while it has happened
6 probably sometime, it is very, very, very unlikely. Well, it
7 is about unlikely as a PV system causing damage to my neighbor.

8 MR. GRANIERE: Taking the chance of jinxing myself, I
9 haven't had a car accident in 25 years, but I pay that every
10 year, far too much, of course, but I pay that every year. So
11 that's just the way it is.

12 MS. CLARK: I'm not sure that I was answering a
13 question when I made my point about the fact that we think that
14 Tier 1 customers shouldn't -- you shouldn't just make the
15 recommendations, you should also have it as a requirement in
16 the rule that they carry that, liability insurance.

17 MR. HANSEN: I don't know where I read this, but it
18 was a government document stating that solar photovoltaic
19 systems were very, very safe and they have never had an
20 accident which would require some kind of a lawsuit. That's in
21 government documents, if you look it up on the Internet, but I
22 don't have it in hand right now. And I agree with the
23 gentleman down there, that having insurance for the sake of
24 having insurance is ridiculous. Like he said, a meteor could
25 hit you on the head, but I don't know if I would buy insurance

1 for that. Thank you.

2 MR. JONES: Dell Jones. I guess what I would like to
3 know is just, if possible, the utility could just point to a
4 case in a worst-case scenario from an actual occurrence that
5 actually happened to justify some of these insurance
6 requirements. Because as we have heard already that, you know,
7 there is no known cases. I have a hard time understanding
8 from -- especially the small systems, I mean, 10, 20 kilowatts.
9 I mean, if I try to imagine the worst-case scenario, I can't
10 imagine how I could cause harm to a neighbor or the
11 distribution system with that small of a load. Like I say, it
12 just doesn't follow logic with -- I mean, just show some
13 support of the fact that insurance is needed based on some
14 actuarial information where occurrences have happened, and then
15 we can take up the issue. But just to have insurance for
16 something that could, maybe, possibly, sort of, might happen
17 doesn't really make a lot of sense to me.

18 MR. FUTRELL: Would you like to respond?

19 MS. CLARK: You know, I guess I go back to the notion
20 that I was reading in a case or something where electricity and
21 the generation of electricity is an inherently dangerous
22 business to be in. It seems to me that one of the issues we
23 have talked about is the need to make sure these things get
24 islanded so there is no feedback. I can't tell you the things
25 that may, in fact, occur. But it seems to me that the amounts

1 of insurance that you are looking at are things that
2 residential customers and businesses should be carrying anyway.
3 And for that reason, I don't see it as onerous, and it does
4 protect not just the utility and the customers, but third
5 parties who likewise may be injured by whatever accident may
6 occur, or negligence.

7 MR. FUTRELL: Mike, I would like to ask you a
8 question. You referenced 250 kW as kind of a break point, what
9 levels of insurance would be, if any, in your mind.

10 MS. SHEEHAN: Well, before I answer that question,
11 let me step back and say within the question of insurance and
12 doing damage, the IEEE 1547 requirement is for 30 kW and
13 smaller to have the anti-islanding. And the question of
14 insurance is if the inverter doesn't work, the inverter
15 manufacturer is on the hook. I mean, the customer is not going
16 to be on the hook. They will be sued, but they will go right
17 to the inverter manufacturer who didn't perform, and then the
18 UL process kicks in.

19 So I think there is a whole question of how that
20 insurance and the revenue is going to be captured and how it is
21 going to be paid back. So I think to assume that the customer
22 is going to be paying all of that back is probably a notion
23 that sounds good, but in reality the inverter manufacturer has
24 to be the one that stands behind that, and the UL process and
25 all the testing and all the requirements that went into

1 determining what was safe and what was not safe. So that is
2 the first statement of where that fits in.

3 And I think the number I remember was a million
4 dollars in New Mexico. I think that was -- for the 250 kW
5 system that was the number that they used. And, again, that
6 250 kW in New Mexico was the number. Below that you are
7 talking about a system that is not -- I mean, it is very
8 unlikely for any kind of system to be feeding back and causing
9 problems with the utility system.

10 Remember, the utility system is a very robust system.
11 And to assume that a PV system can go back and hurt the utility
12 or impact the utility -- and I agree with the comment that
13 third party is an issue, but there is a complicated issue when
14 you come back to inverter-based technologies that have been UL
15 approved. And, again, 30,000 of them out there in space. We
16 are not talking about accidents that happen every day. We're
17 talking about accidents that have never happened. So what are
18 we trying to insure for, what are we paying for and what is the
19 customer getting for the benefit? And I think, you know, the
20 risk aversion part of the utility, I understand the basis for
21 that, and I appreciate what they are trying to get at, but I
22 think the question has to be where is it prudent to be making
23 those decisions? And I think that is where you step back and
24 say 30,000 systems in the U.S., there is a lot of places where
25 this is not required, at what break point do you make it,

1 30 kW, 250? I think there are a lot of different numbers you
2 can choose and they may be arbitrary at times, but you may want
3 to go back and revisit this as you get more and more
4 comfortable with that line or where that demarcation can take
5 place.

6 MR. REEDY: A technical contribution to the
7 discussion is that one of the challenges with the islanding
8 protections and testing of that is that it is almost impossible
9 to create a scenario in the laboratory where a system will
10 island. I mean, you can do it in the laboratory, obviously,
11 but if you start applying any of the real world to it, it
12 becomes a challenge to even test the capability of it. San
13 Deao Labs (phonetic) has done most of the work in this area,
14 and it's just almost inconceivable in the real world for a
15 small system to create an island that gets beyond the building
16 that it's in.

17 MR. TRAPP: I'm just curious. I thought of a crazy
18 hypothetical out here. We seemed to be focusing on islanding
19 problems and things of that nature, but it seems to me we get
20 complaints all the time about somebody picking an avocado out
21 of their in neighbor's yard and getting fouled up with the
22 electric lines and winding up suing the electric utility. If
23 you are commingling electrons on that power line from a
24 customer source or the utility source, doesn't that make you a
25 party to that lawsuit?

1 MR. REEDY: It's an interesting question, but I think
2 if you say yes, and so pro rata, the eastern interconnection is
3 one party and you are the other. The eastern interconnection
4 is some, you know, several hundred thousand -- somebody tell
5 me, it's huge -- gigawatts, and that is one logical way to do
6 it. Say, yeah, you are one one-millionth of a party to this
7 damage, that might be a rational way to do it.

8 MR. PALECKI: I gave an avocado seed to my brother
9 ten years ago, and I made sure he planted it in his backyard
10 away from the power lines, and it produces good fruit and it's
11 safe.

12 MR. REEDY: In Miami it is mangoes.

13 MR. GRANIERE: I have a question. Oh, go ahead.

14 MR. TOTH: Bill Toth. One thing I don't see in the
15 language for liability insurance, many companies especially
16 some of them that are going to be putting in the larger systems
17 will be able to self-insure for these amounts. I don't see any
18 provisions in here for allowing self-insurance.

19 MR. FUTRELL: So that would be self-insurance in --

20 MR. TOTH: They have asked us to back up that amount.

21 MR. FUTRELL: Right.

22 MR. TOTH: I know that is done frequently in the
23 environmental industry.

24 MR. FUTRELL: Uh-huh.

25 Jason.

1 MR. KEYES: There is language like that in the FERC
2 rules as well, that if the customer can show evidence of
3 ability to self-insure, then the utility won't be unreasonable
4 about allowing them to self-insure.

5 MR. FUTRELL: Is there some sort of a means test or
6 something they have to show?

7 MS. KIESLING: Actually, it doesn't go into any great
8 detail. There is some discussion of it in Order 2006, FERC
9 Order 2006. So you could prove that through your balance sheet
10 or through evidence of some letter of credit or something.

11 MR. TOTH: Or assets, things of that nature.

12 MR. FUTRELL: Right.

13 MR. KEYES: One other point. When you asked
14 Mr. Sheehan about the anticipated costs, he responded that in
15 New Mexico they require a million dollars of insurance for
16 systems over 250 kW. The discussion at that point is what sort
17 of costs could we anticipate? And the worst scenario that the
18 utilities came up with was that a transformer got blown, a
19 major transformer got blown, and that would be on the order of
20 100,000 or \$150,000.

21 And the other scenario is that you have a utility
22 lineman out there who gets hurt because the islanding didn't
23 work. There are two parts to that one, as Mr. Sheehan pointed
24 out. The inverter manufacturer is in big trouble then. But,
25 also, for the lineman to get hurt, the lineman ignored the

1 first rules of operating on a line. You always assume that the
2 line is live, and you ground yourself. So that was generally
3 accepted as not something that would be the fault of the
4 customer.

5 MR. FUTRELL: Any comments on the self-insurance,
6 idea of self-insurance?

7 MS. CLARK: You know, I think it would depend on what
8 is adequate evidence of self-insurance. I wouldn't imagine
9 that would be a problem as long as the money is there and
10 available for the payment of any claims.

11 MR. FUTRELL: I would ask if you have got some ideas
12 on language to provide that in your comments.

13 Yann.

14 MR. BRANDT: Yann Brandt. I have a general question
15 about -- you know, the example Mr. Hinton pointed out is that,
16 yes, most businesses have general liability. Are we talking
17 about a general liability policy or are we talking in specific
18 an interconnection liability insurance specifically naming the
19 utility as an additional insured under that policy? If we're
20 talking about the latter, yeah, every business has general
21 liability insurance for daily business.

22 I'm sure that if you bring to an insurance company I
23 want an interconnection liability insurance, naming the utility
24 as an additionally insured, for an insurance company that
25 really knows nothing about UL standards, IEEE standards, it's

1 going to be a bigger problem. And I'm actually going through
2 this exact example right now where I'm asking for my insurance
3 to name FPL as an additional insured under my interconnection
4 agreement. I'm going through a series of technical questions.
5 Why do we have to do this? What can go wrong? They need to
6 know what the extent of the possibility of the damage is to
7 assess what the increase in cost is going to be before they can
8 just issue that insurance.

9 If we are talking about just a general liability
10 insurance, that's day-to-day stuff that we can get. But if we
11 are talking specifically to that interconnection, we have to be
12 more specific in, one, the language of the rulemaking, and,
13 two, that the insurance companies are aware of the lack of
14 possibility of damage to the grid and to the utility. Before
15 we go down that road, we are going to cause a whole backlog of
16 insurance training and education before we are able to get that
17 insurance.

18 MR. HINTON: In our mind at this point we are just
19 discussing general liability insurance, not a specific policy,
20 although we may be disagreeing up here.

21 MR. BRANDT: Is that the same thing that the
22 utilities are looking at or are the utilities thinking it's a
23 specific interconnection insurance naming them as an additional
24 insured?

25 MR. TRAPP: I guess, I was under a different

1 understanding than Cayce may be, because I'm relying on the
2 provision of this in our current interconnection and standard
3 rule, Rule 17.087, which is referenced both in our cogeneration
4 rules and in our renewables rules for purchased power contracts
5 between renewables and/or QFs and utilities. And I thought we
6 were paralleling that here to some degree in that it's pretty
7 specific in that language that this holds the utility harmless,
8 has them specifically listed as an insured under the policy,
9 and it's an interconnection policy. So I thought that is what
10 we were doing, was basically doing an interconnection general
11 liability policy.

12 MR. HINTON: Bob, from my perspective --

13 MR. TRAPP: Am I wrong?

14 MR. HINTON: Well, I was looking at the original
15 small PV rule and the insurance requirements there that
16 requires \$100,000 for these 10K systems. And it states the
17 homeowner's policy that furnishes at least this level of
18 liability coverage will meet the requirements of insurance. To
19 me that was going toward the liability policy already attached
20 to a regular homeowner's policy, not specifically designated
21 for an interconnection. And so I just extrapolated that out to
22 the business general liability, as well.

23 MR. FUTRELL: We carried forward that I have a
24 general liability policy. We carried that forward into this
25 rule.

1 MR. TRAPP: I guess I assume, though, that the people
2 that -- because I was not a party to that rulemaking. The
3 staff that were involved in that rulemaking, I just assumed had
4 researched that a homeowner's policy would meet the
5 requirements of the basic insurance interconnection standard
6 requirement here, and there was a parallel and carryover there.
7 If we're talking about a different type of insurance, I think
8 we need to make that clear.

9 MR. HINTON: Yeah, from my understanding, it wasn't.
10 From my understanding, it was the \$100,000 liability policy
11 that you generally get with your homeowner's policy is what
12 they were talking about here.

13 MR. TRAPP: To cover what situations, though?

14 MR. HINTON: Just general and any liability
15 situations.

16 MR. TRAPP: Anything that happens. And then are you
17 carrying that concept over into the million and two million
18 dollar policies? I think that may be the question that the
19 parties are putting before you here. Are the one and two
20 million dollars the same concept, or just general liability for
21 anything that happens?

22 MR. HINTON: Well, that was --

23 MR. TRAPP: Or was it more specific to
24 interconnection?

25 MR. HINTON: Well, we may need to address that. In

1 my mind it was -- I had in my mind the general liability policy
2 that a business would carry. I spoke with my own homeowner's
3 policy provider, and I also contacted the insurance provider
4 that I used to have a business liability policy with a decade
5 ago or so, and asked them specifically if I had a PV system on
6 my roof is this policy going to cover occurrences that result
7 from me having this PV system. Both of them said, yes, at this
8 point it's not being excluded from general liability policies.
9 They said that may change, but right now it is not being
10 excluded so it would be covered.

11 I know that the people at the Department of Insurance
12 that we spoke to about this had some concerns that even though
13 it is not specifically excluded, that insurance companies would
14 start to try do exclude after the fact. You know, a claim
15 comes in, and the insurance company would say, well, no, we
16 never contemplated that. So they have that concern. But right
17 now -- I mean, in my mind going forward that this was just a
18 general liability policy. If we need to change that, we need
19 to change it.

20 MR. TRAPP: Well, I think that clarifies things well.
21 And if that's our starting point, that's our starting point.
22 And if that is what staff is intending, if we were at agenda
23 today, if that was the explanation for this rule language,
24 that's is what you all need to comment against. Because,
25 again, I thought we had adopted some looser language, but still

1 captured the intent of this rule. And you're saying that's
2 different, and I think everybody needs to know that.

3 MR. FUTRELL: Any other comments on insurance before
4 we move to the next section?

5 Okay. First, Section 6 is the section on manual
6 disconnect switch, and we have combined language from different
7 sections into one.

8 MS. CLARK: I'm sorry, Mark, I was sort of distracted
9 by you talking about insurance. We did have a question on
10 5.B.1, not necessarily related to the insurance issue. Oh, I'm
11 sorry. What are --

12 MR. FUTRELL: 5.B.1?

13 MS. CLARK: B.1. Let me see.

14 MR. FUTRELL: We're not there anymore.

15 MS. CLARK: The old 5.B.1. I'm on Page 5, Lines
16 22 and 23. Are we beyond that or not?

17 MR. HINTON: That's the new Section 6, we are about
18 to discuss it.

19 MR. FUTRELL: Manual disconnect switch.

20 MS. CLARK: Then I am not too late. I will wait
21 until you finish talking about that, and I'll jump in. Thank
22 you.

23 MR. FUTRELL: Again, we have combined language on the
24 disconnect switch. Lee Colson with our staff has put together
25 a line diagram to try to capture our understanding exactly

1 where the disconnect switch is. We have gotten some mixed
2 signals from different sources. We would like to have a little
3 discussion today about how it's implemented, try to get an
4 understanding of it. Obviously, from our research and from the
5 previous workshop there was a discussion about the need for the
6 disconnect switch. It is inconsistent across the states. Some
7 have good reasons not to require it; some have good reasons to
8 require it.

9 We talked with an engineer at National Renewable Lab,
10 and he understood both sides of it. He seemed to think it was
11 a good idea, but, again, there are good engineers out there on
12 either side of the issue. We want to talk about that and also
13 talk about using this diagram as a basis to try to understand
14 exactly where the disconnect is happening, who it's
15 benefitting, understand how it is set up and what parties are
16 benefitting from the inclusion of the disconnect switch.

17 So, Lee, would you mind walking us through your
18 diagram?

19 MR. COLSON: Yes.

20 Lee Colson, Commission staff.

21 What I did was I put together, as he said, a
22 simplified schematic of a photovoltaic installation. You can
23 see that we started at the photovoltaic array. What I
24 understand is that there is a manual optional disconnect for
25 the DC side. It goes into the inverter. The inverter is an

1 automatic AC disconnect. And on the -- form the inverter I put
2 in what I labeled -- it's optional, it's may be a meter,
3 because some of the customers were concerned, they wanted to
4 know how much of the PV system that they were using and how
5 much was being supplied to the utility. So that's an optional
6 meter, a monitor. And then it goes into the customer panel.
7 The customer panel will distribute it to the customer, or if
8 you have any excess it will go out to a smart meter, which is
9 optional, or to a directional meter owned by the utility. And
10 that's what we are understanding is happening there. If you
11 all would have comments, we would gladly appreciate it.

12 MR. TRAPP: Let me focus this by going to the IOUs
13 first, because I think you all are the ones that want the
14 switch.

15 Do you still want the switch?

16 MS. CLARK: Yep.

17 MR. TRAPP: Arkansas and California say, yes, except
18 for systems with inverters complying with IEEE 1547. And then
19 there are a couple of other states that take that viewpoint to
20 IEEE 1547 pretty well covers it for the manual disconnect. And
21 then based on the chart that Karen put together, it looks like
22 it's yes or no; yes or no; yes or no; yes or no.

23 MS. CLARK: Bob, I was kidding you when I said yep.
24 I'm looking at that and trying to digest it. I'm not an
25 engineer, and I'm hoping one of our folks that's helping us --

1 MR. TRAPP: The first question is if you have got one
2 of those IEEE things that we adopted earlier --

3 MS. CLARK: Say that again.

4 MR. TRAPP: If you've got one of those IEEE standard
5 island inverter, utility approved inverter thingies has a
6 switch in it already, do we need a redundant switch?

7 MS. CLARK: Tom Sanders is going to come up and talk
8 to you about this.

9 MR. SANDERS: Thank you. Tom Sanders, Florida Power
10 and Light. It's my understanding that the visible disconnect
11 switch, where visible is the important word, is what is needed.
12 The inverter may provide the isolation and theoretically
13 provides that isolation automatically, but it is not a visible
14 break that you can see. And I think that's a problem that our
15 people would have, and the fire department, for example, has,
16 and that is why currently the standard is to have a visible
17 disconnect switch.

18 MR. TRAPP: Is it your standard or is it the fire
19 department's standard?

20 MR. SANDERS: I'm not that familiar with the fire
21 department. It is just my understanding that that would be
22 their need, to see the visible break as our people do, as I
23 understand most people that work with electrical appliances are
24 interested in seeing a visible break.

25 MR. TRAPP: I understand the concern, but I'm trying

1 to get at jurisdiction here. My understanding is based on
2 copies of the 1547 standard that staff got, it makes reference
3 in there to local building codes, things of that nature, which
4 I assume would cover fire concerns about the PV, you know.

5 Okay. The utility comes out, they pull the meter, no
6 electricity to the facility, except there is a PV in there
7 doing something. That's the fire department's problem. If
8 it's covered by the code, and they have required the switch.
9 So I guess what I am getting down to, why do you need the
10 switch?

11 MR. SANDERS: Well, our interest there is to
12 disconnect it. If there is a problem with the PV system, and
13 we have a need to disconnect, then we want to be able to
14 isolate the device and still be able to provide the customer
15 power.

16 MR. TRAPP: So you are not satisfied taking the meter
17 out?

18 MR. SANDERS: Well, if we take the meter out, then we
19 don't have to provide power at all.

20 MR. TRAPP: Right.

21 Your turn.

22 MS. SHEEHAN: Mike Sheehan, again, with IREC. I
23 guess I have four -- the best practice is what I would like to
24 start off with. First off, I think you put your finger on it.
25 The first question is jurisdiction. Having the utility go on

1 the customer's side and require equipment on the customer's
2 side of the meter is problematic from a jurisdictional point of
3 view, because that is National Electric Code, and that's not
4 part of their privy. Again, the fire department has the
5 requirement to do that on a PV system, and most PV systems have
6 a disconnect on themselves.

7 Second, I think there is a liability question that
8 most utilities have not recognized. And, basically, if you
9 look at the California utilities because they have gone through
10 it so many times, the liability question is once you put that
11 switch on the other side, the customer's side of the meter, the
12 linemen or the person that puts that lock on, that is a
13 qualified worker. A qualified worker walking into a customer's
14 facility, and if there is anything not in compliance with code,
15 they are now liable for what is going on within that facility.

16 I think the utilities had better think twice about
17 requiring a qualified worker to walk onto somebody's place, put
18 a lock on there and then say, hey, this is required, because
19 the third question is the precedent. You set the need to open
20 and close this switch, if something goes wrong and you don't
21 open and close that switch every time, and you have thousands
22 of these on the system, I think you are going to have another
23 precedent where you have to open and close these systems every
24 time you have an outage, and that is something I don't think
25 they want to be doing.

1 And the last system is best practices, and it goes
2 back to your comment about who does it and doesn't do it. You
3 will find out that the utilities that have a lot of these
4 systems figure out, hey, at some point there is a break point
5 we want to have this where we can feed back in the system.
6 Whether that is 100 kW, 200 kW, you want to have a switch
7 there, but you're going to operate that at a lot higher level
8 than at the customer's site like this. And it is typically not
9 a 10, 20 or 30. It is way up a lot higher than that.

10 MR. TRAPP: How high?

11 MS. SHEEHAN: Again, each state does it differently.
12 I would say 100 kW or 50 kW, in that range is where it
13 typically would take place.

14 MR. TRAPP: So Tier 2, Tier 3?

15 MS. SHEEHAN: Again, you do that at the transformer.
16 You wouldn't do it at the customer site. You might do it at
17 the transformer, just disconnect them at the transformer.

18 MR. TRAPP: Which takes the whole customer load out.

19 MS. SHEEHAN: Right.

20 MR. FUTRELL: Yes, sir.

21 MR. CASTRO: Orlando Allen Castro (phonetic) with the
22 Orlando Utilities Commission. Just to clarify. I mean, I
23 think we also note that -- we should note that we need to be
24 talking also about all renewable generation. Because we have
25 been focusing a lot on inverter-based technologies, which, of

1 course, there are the unlikely events that these inverter-based
2 technologies, as you mentioned before, which would fail to
3 operate and would island. But we need to look also beyond that
4 and look at the other types of technologies that may require
5 the manual disconnect.

6 On the other side of that, I do agree with you as
7 well with the fact that once you get beyond a meter you are
8 looking at NEC requirements, or guidelines, or codes versus the
9 National Electric Safety Code. So, you're right, once you go
10 beyond the meter, you need to start looking out whether we are
11 qualified to even work beyond the meter. So those are just
12 some comments.

13 MR. TOTH: Bill Toth. My question would be if you're
14 going to put a system on, it has to meet with the requirements
15 of Section 3. In Section 3, those various IEEE and UL codes,
16 do those cover the issues that we are talking about in those
17 standards? Is it already covered? Are we beating a dead horse
18 here?

19 MR. CASTRO: Again, I think IEEE does address manual
20 disconnects, visual open breaks. But, again, as to the details
21 as to what side, I'm not very familiar with that. But I do
22 remember seeing in IEEE 1547 addressing manual or visual open
23 breaks.

24 MR. TOTH: I can agree with that. I don't know if it
25 was a requirement, though. Do you remember whether it was

1 actually required?

2

3 MR. CASTRO: No, I don't, sorry.

4 MS. SHEEHAN: It is not required in 1547.

5 MR. JONES: And on the manual DC disconnect that
6 powers up the inverter, basically, that's a code requirement.
7 So there is the DC disconnect to the inverter that would shut
8 the whole inverter down. So you have a disconnect that's
9 usually located right at the inverter, and it's an open-air
10 disconnect as, you know, the code requires. So, you know, to
11 have one on the AC side of the inverter and one on the DC is
12 just redundant.

13 MR. HINTON: Well, I think the problem at the DC
14 disconnect is that's going to likely be up on the roof, would
15 it not?

16 MR. JONES: No, they are typically located within
17 arm's length of the inverter.

18 MR. HINTON: The inverter is down at ground level,
19 not up on the roof?

20 MR. JONES: Well, they could be, but it's not typical
21 to have it up on the roof. In a residential system, a large
22 commercial system that inverter could be located up on the roof
23 or it could be located down below.

24 MR. HINTON: Okay. Because I think the utility's
25 concern is they want it accessible, so they could walk up to

1 the house and flip the switch.

2 MR. JONES: Well, a surefire way is just pull the
3 meter.

4 MR. HINTON: And that leads to another question that
5 I had, if I could. You mentioned the problem with pulling the
6 meter is that you can't provide service to the customer if you
7 pull the meter to disconnect the PV system or the renewable
8 system, is that correct? I thought you just said that.

9 MR. SANDERS: Yes. Just looking at this diagram, if
10 you pull the meter, you have disconnected the customer in
11 addition to the PV system.

12 MR. CASTRO: With the manual disconnects, all they do
13 is lock out the renewable generation; the customer would still
14 be able to receive electricity from the utility?

15 MR. SANDERS: Right. Just as it is shown here in the
16 diagram.

17 MR. FUTRELL: So your understanding is that diagram
18 accurately captures how you are understanding the systems are
19 being installed, and where these disconnect switches are
20 located?

21 MR. SANDERS: That's right.

22 MR. FUTRELL: And it is your understanding it is
23 consistently installed in that manner?

24 MR. SANDERS: That's right.

25 MS. SHEEHAN: Going back to my point earlier, I think

1 if you step back and ask the liability question, once you have
2 got a utility worker on the other side of the meter, and they
3 are a qualified electrical worker, there is a certain liability
4 that they are going to be taking on. Then the second part of
5 that equation is if you now operate or require that switch to
6 be operated, and you don't operate that switch, every time
7 there is an outage or every time there is an event, what kind
8 of liability are you setting yourself up for?

9 MR. TRAPP: Could I ask the question this way? If we
10 just leave this out of the rule, does that prevent a utility
11 from addressing it in their standard interconnect contract with
12 some kind of case-by-case consideration?

13 MS. SHEEHAN: I would consider that to be very
14 onerous, because that is a very haphazard way of doing it,
15 because you don't know what your costs are going to be.

16 MR. TRAPP: Well, I guess what I'm saying is, is this
17 an issue that needs to be completely litigated and all the Ts
18 crossed and the Is dotted in the rule format, or is it
19 something that could go on as an implementation issue in
20 contracts?

21 MS. SHEEHAN: Well, from the best practices point of
22 view, I think if you look at where the utilities are that have
23 the most PV, I would say New Jersey and California, and in
24 those examples you will find that this disconnect is not
25 required.

1 MR. TRAPP: But how do they address it in the
2 rulemaking? Do they say in the rule it's not required or do
3 they just omit any mention of it at all?

4 MS. SHEEHAN: They omit the requirement.

5 MR. TRAPP: This is what I'm getting to. If we omit
6 it, if we completely omit it from the rule, it's not a rule
7 requirement, does that prohibit a utility from addressing
8 specific problems they may have with a certain type of
9 installation in their tariff? For instance, the gentleman -- I
10 missed your name. But the gentleman mentioned --

11 MR. CASTRO: Orlando Castro.

12 MR. TRAPP: Mr. Castro mentioned that this may not be
13 a problem for solar inverter type applications. But what if it
14 is a problem for a rotating machine application? Is that
15 something that can be addressed on on that type of case-by-case
16 basis in the standard interconnect tariff as opposed to having
17 to address it in the rulemaking? That's my question.

18 MS. SHEEHAN: I would say that that should be a
19 practice if you are going to have a synchronous machine, you
20 would want to have that as a disconnect, you would want to have
21 that there. But, you know, as a photovoltaic or any kind of
22 asynchronous generator that goes through an inverter-based
23 system, I don't think there is a requirement to have it. There
24 is no need to have it. But, you know, the question is going to
25 be if somebody has a Honda generator in the backyard, do they

1 have a requirement to have that? There is no requirement to
2 put one of those on, and yet there are lots of people out there
3 who have Honda generators in their yard.

4 MR. TRAPP: There were a lot of problems with people
5 plugging those Honda generators into their house circuits, too,
6 and creating all kind of havoc that I think the government was
7 trying to address, too. I think what I'm hearing you say is if
8 we put a solar exemption in here, you're all right.

9 MS. SHEEHAN: I would say inverter based.

10 MR. TRAPP: An inverter exception, similar to the way
11 California and Arkansas have done.

12 MS. SHEEHAN: Yes.

13 MR. GRANIERE: I have a question on the -- Bob
14 Graniere -- on the idea that you can't pull the meter because
15 you want to keep giving service, but can you give me an example
16 as to when that would happen? When would there be a situation
17 where you want to keep giving the house service, but you would
18 want to go out and do the manual disconnect?

19 MR. SANDERS: Well, in the event that you had a
20 problem on the system or any of the other reasons that is
21 listed that would allow the utility to disconnect the
22 customer's generation and lock that switch in the open
23 position. So for any reason that's currently in the rule that
24 would give us the right to disconnect the generation, you would
25 want to still be able to, and I think the customer would still

1 want to receive service.

2 MR. GRANIERE: So I would guess that that benefitted
3 you guys, and so why wouldn't you want to pay for that?

4 MR. SANDERS: Well, it also benefits the customer.
5 You can receive service.

6 MR. GRANIERE: Well, then, how about sharing the
7 payment?

8 MS. SHEEHAN: Can I step in the middle of this
9 discussion just as a third party to the discussion? I think
10 there -- and this is my utility hat speaking, so I'm speaking
11 in terms of using a meter as a disconnect switch is not
12 considered to be proper and safe, because it's not a load break
13 switch. It's okay to disconnect the meter when there is no
14 load on it, but it is not okay to be doing it while it is under
15 load. And there is a safety issue with pulling meters under
16 load, and that is kind of the question that's on the table that
17 hasn't been spoken to.

18 And I want to make sure it is clear that using the
19 meter as a switch -- there are states that say less than five
20 kW, they have done testing and all of that kind of stuff, of
21 when they can pull it, but that is for like small wind and
22 small hydro systems. So I would be concerned about doing that
23 as a disconnect switch in thinking it's safe and it's the
24 customer power. It's not the customer power issue, it's a
25 safety issue related to the meter.

1 MR. SANDERS: I would like to add to that as someone
2 who actually has pulled meters before earlier in my career.
3 And you can draw quite an arc. As a matter of fact, it's
4 standard practice when you pull the meter is to grab the meter
5 and yank it out quickly to the side of your head just in case
6 you do draw an arc. It's not a load break device.

7 MR. REEDY: On that subject, I have looked at the --
8 Bob Reedy. I have looked at the reasons listed. The first two
9 are emergencies. The first is emergencies. The second one is
10 a hazardous condition. I don't think that saying that we are
11 going to keep the customer in service because there is a
12 hazardous condition, but we are going to keep them in service
13 is a particularly rational way to go at it. And with those two
14 conditions, I would say the proper way to disconnect the house
15 would be to pull the jack and the transformer, which would, in
16 turn, turn off the neighbors. But we are still talking about a
17 hazardous condition or an emergency.

18 And we are talking about something that, as we have
19 seen before, has never happened in the history of these
20 systems, especially with inverter-based systems. Then we go on
21 and we say, okay, we are going to exercise this switch if there
22 is a power quality problem. Now, power quality problems, if
23 you have worked in that area of the utilities, are very
24 mysterious, they take a lot of research and investigation to
25 determine where that harmonic is coming from and what we're

1 going to do about it. And we often find it is something, an
2 insulator that's cracked and causing some noise or something of
3 that nature. But we certainly don't go start shutting off
4 systems because there's a power quality complaint. It's a due
5 process. It's a long and lengthy thing. So we have time to
6 engage the customer, discuss it. And, ultimately, if they are
7 found to be the source of it, they can be ordered to turn it
8 off, and there is a process for doing that.

9 Then the fourth one is failure to maintain insurance
10 requirements. And I find it hard to believe that we are going
11 to not follow some sort of process that involves discussion and
12 lawyers and everything rather than going and shutting off
13 somebody. Because, I will tell you, if I have a system that is
14 worth a lot of money to me, and it's generating, and you don't
15 agree that I have the right kind of insurance and you shut me
16 off and it costs me a lot of money, I'm going to have something
17 to say about that.

18 So the reason I work through these four conditions is
19 to say if there's an emergency, and if there's a problem that
20 warrants shutting off the PV system, then it warrants shutting
21 off the entire load. And there's a way to do that now that is
22 safe, and we don't have to even pull the meter. We can
23 disconnect the transformer. Because these disconnects have to
24 be, as written here, near the meter for the load. Sometimes
25 that can involve a lot of money because the system may be

1 remote and require a lot of wiring. So it is not a cavalier
2 thing that we are talking about. And we look at the other
3 states, look at the experience they have, they found the
4 solution, is you don't need to do that on an inverter-based
5 system.

6 MR. HANSEN: I have that exact same problem right
7 now. If you require the disconnect switch to be next to the
8 meter, it's going cost me another \$1,000 for my little system
9 because the system is not located close to the meter, and I
10 have to run a separate wire. Otherwise, I use the existing
11 wire that feeds that area and that feeds that wire. So it
12 would cost me an extra \$1,000 at the meter if the disconnect
13 has to be located near the meter. Thank you.

14 MR. FUTRELL: There are several states -- there are
15 some states that require a disconnect switch except for the
16 inverter-based systems compliant with 1547. Is that something
17 that anyone has particular heartburn about, that concept? And,
18 again, requiring a disconnect switch except for inverter-based
19 systems that are compliant with 1547.

20 MS. CLARK: I heard Bob Trapp ask that question about
21 carving out an exception for the inverter-based, and I don't
22 know that the potential installers have -- if that is what
23 would satisfy what they are concerned about.

24 MR. TRAPP: My understanding was they nodded their
25 heads yes, so I think it's in your court.

1 MR. SANDERS: That still doesn't give us the
2 opportunity to lock the device open if there's a problem.

3 MS. CLARK: And I do recall in one of the workshops
4 somebody from the utilities talking about an instance where
5 they did want to lock out the system but continue to provide
6 the customer with electricity because there was something wrong
7 with the system, and there was a need to be able to just
8 isolate that portion of the service, but I don't remember the
9 particulars of it.

10 MR. TRAPP: Well, I'm disturbed a little bit because
11 I'm hearing what I think is an entire industry over here saying
12 that, you know, they think they have demonstrated their case in
13 other states, that they have such a problem-free record that
14 they really don't need this extra expense. But then I'm
15 hearing my local utilities over here saying in an abundance of
16 caution, because we are going to act like -- is it Missouri
17 that makes you show things? Show me, show me, show me.

18 So I don't know what to do other than to challenge
19 you again, if you could come up with some examples of
20 horrendous things that have happened because somebody did not
21 have one of these switches. That would help me a whole lot.

22 MR. FUTRELL: Okay. Bob Reedy talked about the
23 conditions --

24 MS. SHEEHAN: I just wanted to add one more comment,
25 and I just want to make sure it is a clarification. One of the

1 reasons why inverter-based systems are so much more inherently
2 safe is they are injections as current based, as opposed to
3 synchronous generators that generate voltage. And being a
4 voltage device, I think the synchronous generators require an
5 open disconnect for a safety reason, that's why they can feed
6 back and control the system. So islanding is a lot more --
7 it's a possibility -- there's a higher probability of islanding
8 with a synchronous generator than there is with an asynchronous
9 generator. So if you just keep that in mind, the asynchronous
10 generation is inherently only in just current. It doesn't
11 inject voltage. That is the reason why inverter-based systems
12 are so much more inherently safer.

13 MR. CASTRO: But going back to the question of
14 whether leaving it up to the standard, the IEEE 1547, it does
15 state when required by the area EPS operating practices and
16 readily accessible, lockable, visible break isolation device
17 shall be located between the area EPS and the DR unit, which is
18 essentially saying between the utility and the photovoltaic
19 system. It doesn't mention or doesn't specify exactly where,
20 but it is just saying somewhere along the lines in between.
21 The only problem I see with that is that if you -- here it's
22 vaguely saying that it's up to the utilities. So if you don't
23 address it in this rule, you are going to have an issue with
24 consistency across the board with different standards.

25 MR. TRAPP: Would you read that statement again?

1 MR. CASTRO: Under IEEE 1547, 4.1.7, isolation
2 device. When required by the area EPS operating practices a
3 readily accessible, lockable, visible break isolation device
4 shall be located between the area EPS and the DR unit, DR
5 referring to distributed resources, and the area EPS referring
6 essentially to local utility electric power system.

7 MR. TRAPP: That is the point of clarification I was
8 looking for. The authority there is referenced when required
9 by the utility.

10 MR. CASTRO: When required by the utility, which I'm
11 assuming that means it's up to the utilities under IEEE.

12 MR. TOTH: Excuse me. Bill Toth. And where does it
13 say that it needs to be located between what and what?

14 MR. CASTRO: Between the area EPS, which is the
15 electric power system, essentially, the local utility power
16 system, which would be under the guidelines of the National
17 Electric Safety Code, which is up to the point of meter, that's
18 the area EPS, and the DR, which is the distributed resources,
19 which is any type of distributed generation or renewable
20 generation. But it doesn't specify exactly where, whether it
21 would be beyond the meter, after the meter, or before the
22 meter.

23 And, again, it goes into the issue, which I would
24 argue is that the visual break or whatever kind of break it is,
25 so that we are not violating National Electric Code, would have

1 to be before the meter. Whether it's beyond the meter, right
2 after the inverter, you know, you raise a good argument. You
3 know, you can't sit there -- how can the utility come in and
4 lock it? I mean, we're not going to -- from my perspective, we
5 wouldn't want to make ourselves subject to those type of
6 liabilities.

7 MR. TRAPP: And that is part of the conflict I'm
8 having with this whole thing, because my recollection of our
9 rules say that the utilities are to establish a point of
10 delivery, and that's a precise point. Anything on the
11 customer's side of the point of delivery is inside wiring.
12 Anything on the other side of the point of delivery is
13 utility-owned operations. And it seems difficult to me to
14 install a switch that effects inside wiring that is a utility
15 piece of equipment. Although, I do recognize the meter is kind
16 of floating in that equation sometimes, depending on whether
17 you have got an overhead or an underground situation.

18 So it seems to me from a practical sense you want
19 that piece of equipment to be under the National Electric
20 Safety Code, not the National Electric Code. And at the same
21 time, you don't want it interrupting necessarily the full load
22 of the customer. So I've got kind of a definitional problem.

23 MS. SHEEHAN: And if I could add some comment.
24 Basically, in 1547 it's a consensus document. And so in the
25 consensus process there is a need to recognize that it was

1 inverter-based technologies and synchronous generators and
2 asynchronous generators. And I think the question is how you
3 harmonize all of those. And the answer here is leaving it up
4 to the local area utility was the way it was harmonized to
5 agree upon -- as you stated, there was a whole bunch of states
6 that are in some cases, some states in another case. And the
7 point is that with this amount of information, with 30,000 of
8 these things out there, and not having a problem with
9 inverter-based technology, I think that the disconnect switch
10 is going to be a thing of the past.

11 MR. TRAPP: Uh-huh. And therein lies part of my
12 problem. Because we have taken great pains, I think, in this
13 proposed rule to recognize and basically assume as our own the
14 1547 standard. Yet here I'm hearing an argument that says, no,
15 on this specific issue let's vary from the standard and write
16 something that differs from that consensus viewpoint.

17 My understanding of this proposed rule is it's almost
18 exactly the same language that is in the standard, let the
19 utility decide whether they need a disconnect switch. But you
20 are saying for PV, no, we don't need one.

21 MR. REEDY: I would suggest that Orlando's -- excuse
22 me, I should ask for recognition. The point that Orlando
23 brought out is well met, absolutely with the scenario we
24 propose. If there is a hazardous condition or an emergency,
25 pull the transformer, go to the house that is offending, pull

1 the meter, boot it, lock it, they're disconnected, end of
2 story. The other customers are fine. We meet the objective of
3 that, and we meet the requirements of the utility.

4 MR. TRAPP: And you contend that's in conformance
5 with 1547?

6 MS. SHEEHAN: Yes.

7 MR. REEDY: Our expert says yes.

8 MR. HINTON: I thought 1547 said somewhere between
9 the distributed resource and the electric power system. That
10 would seem to well into the local electric power system if you
11 are going to the transformer to do the disconnect.

12 MR. REEDY: Well, the mechanism was to -- because
13 it's not correct to pull the meter on the house under load, it
14 is just a sequence. You just use the transformer to disconnect
15 that house and all the others that are on that transformer
16 because it's an emergency. And then we disconnect the -- pull
17 the meter, boot it, and put it back in and lock it, which
18 disconnects that house, and then we re-energize the
19 transformer. That is the sequence that meets everyone's
20 requirements. The utilities pull transformers off all the
21 time.

22 MR. FUTRELL: I just want to go back with Orlando, if
23 you would. Is that your understanding, that the transformer
24 would meet the requirements of 1547, the scenario Bob has
25 described?

1 MR. CASTRO: In my opinion, I don't think so, just
2 because, like you mentioned, you are going further into the EPS
3 system. I mean, I agree that under emergency operation that
4 would be something that a utility can do and certainly has
5 exercised before.

6 I guess my understanding, the way I interpret the
7 1547 standard is essentially trying to put those measures so
8 that you are not affecting other customers while operating the
9 system for one particular customer. And so it goes back to,
10 you know, I guess for lack of better words, you are going to
11 have the other customers suffer for something they don't have
12 in place. That's just an opinion.

13 I would suggest having it closer to the meter, but,
14 again, would the meter suffice as a visual break. But
15 considering the fact that you cannot pull that meter under
16 load, that's is where I think they are going with the
17 recommendation of having a visual, lockable, readily accessible
18 disconnect.

19 MR. FUTRELL: Questions?

20 MR. REEDY: I have a question, Orlando. How do you
21 disconnect a nonpaying customer?

22 MR. CASTRO: In those procedures -- because I'm not
23 very familiar with that. I don't work in the RPS section or in
24 the metering section of our department, but my understanding is
25 if not under the opening up a transformer, you know -- it's a

1 good question. I don't know.

2 MR. REEDY: I would suggest you pull the meter. And
3 the person doing that work would tend to listen to make sure
4 air conditioners are not running and minimize the load and
5 probably knock on the door, that's the courtesy part, and see
6 if anyone is home. But there is a provision, and it's done
7 every day, hundreds of times a day around the state of Florida,
8 and I think that we're creating quite a convoluted scenario
9 here that says we can't do this under an emergency or hazardous
10 condition, and I don't believe it. So I think we are covered.

11 MR. HANSEN: I think I answered my own question. I
12 was going to say why don't you just throw the main and lock the
13 panel. My main happens to be outside, and the question -- I
14 guess most of them are probably inside, I don't know, but that
15 is okay.

16 MR. FUTRELL: Any other comments on the disconnect?
17 Okay. Comments on the conditions for disconnect.

18 MR. SANDERS: Excuse me. Just one other comment on
19 the switch location. Mr. Trapp had commented about the point
20 of interconnection, and the point of interconnection generally
21 is at the meter. And in this case where we have the
22 distributed resource connected on the customer side of the
23 meter, we look at that point as a common point where one leg is
24 coming in from the utility to the meter, and another point is
25 to the service to the house, and at the same point the switch

1 then goes to the distributed resource.

2 So in this case in the picture, it's on the opposite
3 side of the service box as the meter which, you know, gives
4 benefit to the connection for the customer where he can
5 disconnect the distributed resource and still receive service.
6 And it all kind of meets at a common point, which is why we
7 want the switch as close as possible to that common point. I
8 know in some existing locations that may not be the case, but
9 going forward it makes sense to do that.

10 MR. TRAPP: And I believe what you have just
11 described is required in the Chapter 17 rule for
12 interconnection of a location very close to the point of
13 delivery. But, again, that rule was designed, I think, for
14 very large, I mean, very large interconnections in the tens and
15 20s and 30-megawatt or higher range.

16 I think the question that I'm struggling with here is
17 for these small systems, very small systems down to the
18 residential, Tier 1 in particular. Do we need that level of,
19 you know, engineering precision? And then how far into Tier 2
20 and Tier 3 do we have to reach to get to that level of
21 engineering precision? And I'll be honest with you, I'm
22 struggling with it; I don't know what the answer is.

23 MR. SANDERS: Well, I do know for a number of people
24 that have installed generators for hurricane emergencies, they
25 have switches that they have put in place so that when power is

1 lost, you know, they throw the switch and they take the power
2 from the unit. So there is that switch there that they use in
3 those cases.

4 MR. TRAPP: But do you control it? Do you control
5 that switch?

6 MR. SANDERS: No, that's a customer-controlled
7 switch, but it is still a switch.

8 MR. TRAPP: A switch.

9 MR. SANDERS: A visible switch.

10 MR. TRAPP: Right.

11 MR. COLSON: Bob, I have one question for the
12 utility, for the investor-owned utility. In the diagram that I
13 drew up I put in a smart meter, and the question I would like
14 for you to answer is if the utilities are now installing smart
15 meters, would you still need that disconnect switch?

16 MR. SANDERS: That smart meter is a utility meter?

17 MR. COLSON: Yes.

18 MR. SANDERS: We only have one meter that's a smart
19 meter that can register all the power that needs to be
20 monitored going and coming in the utility's service territory
21 as opposed to going into the customer's service. So I'm not
22 familiar with having series meters, unless one of them isn't a
23 smart meter and we need one to monitor the power going in and
24 the other to monitor the power going out.

25 MR. COLSON: It would be just one meter. I just had

1 the smart meter as an option. If there was no smart meter, you
2 would have a regular meter.

3 MR. SANDERS: If we had a smart meter, we probably
4 wouldn't need a regular meter.

5 MR. COLSON: Right.

6 MR. GRANIERE: I have one question. Maybe I can get
7 my head around this, because I'm really having a little trouble
8 with this one.

9 I saw two disconnects up there. There was the DC
10 disconnect and then there was this AC disconnect. Right? Now,
11 if you push the DC disconnect button, the solar panels shut
12 off, right? They just go away. If you push the AC disconnect
13 button, what happens?

14 MR. REEDY: The solar panels also go away unless you
15 have a battery storage system.

16 MR. GRANIERE: So the solar panels go away no matter
17 which button you push?

18 MR. REEDY: Either one. You have to have synchronous
19 connection.

20 MR. GRANIERE: So why do you need two buttons?

21 MS. SHEEHAN: Because you may want to work on the
22 solar panels and leave everything else in place. You may want
23 to work on one set of arrays and you want to shut that off.
24 There are different arrangements you can set up. Schematically
25 just one array, but you may want to set up and work on one set

1 of the array.

2 MR. HINTON: You could also continue charging
3 batteries, too.

4 MR. GRANIERE: Yeah. I mean, if you are charging
5 batteries, but homes generally don't charge batteries, one
6 thing. But that's okay. If they do; they do.

7 But from what I'm trying to understand is the idea
8 was that if it wasn't an emergency the reason you need this
9 switch is so that the utility can continue to send power into
10 the house, but disconnect the photovoltaic system from doing
11 anything, right?

12 MS. SHEEHAN: (Indicating yes.)

13 MR. GRANIERE: Well, if you push the manual DC
14 button, that's exactly what happens. So why do you need the
15 other button?

16 MR. JONES: Dell Jones.

17 In addition to that, many inverters have -- here's an
18 idea, an on/off switch. So right on the face of the inverter
19 you can turn off the inverter as well. So to go with a DC
20 disconnect and an on/off switch on the inverter and then an AC
21 disconnect -- and a lot of inverters now have little small bus
22 fuses up underneath the inverter, where if you pull the bus
23 fuse out of the bottom of the inverter, the inverter also goes
24 off. So you have really got four means of shutting this thing
25 off.

1 MR. TRAPP: But what we are really dealing with here
2 is an issue of control. Who has control over those switches
3 and buttons? Who's going to put the lock on them? And that's
4 why I need more clarification from the investor-owned utilities
5 as to why they need this level of control over whatever switch
6 or button we've got.

7 MR. CASTRO: Orlando Allen Castro.

8 One comment about that. I mean, you're right. You
9 have all of those measures in place to turn off the
10 photovoltaic array, but I think what's important is the visual
11 break. You know, could you use the removable fuse as a visual
12 break? Possibly. But I think that's from a utility
13 standpoint. As you guys may know, I mean, that's what they are
14 looking for, is that visual break.

15 Going back to Bob's comment about, you know, just
16 pulling the meter as a visual break, that certainly suffices,
17 meets the criteria of the visual break. And I guess it just
18 goes back to how you want to -- you know, the question whether
19 the practices of pulling that meter under, whether it's load or
20 not under load, I guess if you can turn off the main disconnect
21 from outside and then pull the meter, if you didn't want to
22 pull it under load, then you could possibly do that as well.
23 So I think that might answer the question as far as meeting the
24 requirement.

25 But I go back to how you word it in here in the rule,

1 because if you don't put anything regarding manual disconnects,
2 and you leave it up to the IEEE, for the utilities to follow
3 the IEEE standard, then I can see -- you know, as we have
4 already seen it where a customer will come in and say, well, we
5 want to do this, this, and this; and we say, well, we are going
6 to require, as an example, we will require this manual
7 disconnect, because we are not required by this rule to do it,
8 but it's up to our discretion under IEEE.

9 And the customer is going to say, well, wait a
10 second, FPL didn't require this or Progress Energy didn't
11 require this. So what's going to happen is, again, it goes to
12 a matter of consistency. Somehow you've got to address whether
13 the manual disconnect, whether it's going to be required or
14 not, something should be mentioned in the rule.

15 MR. GRANIERE: Just a suggestion on that. If it's
16 truly a matter of control, as Bob suggests, and I kind of agree
17 with him, it would seem to me that when you want control you
18 pay for it. So you want a meter, pay for it, or whatever it
19 is. You know, you want the switch, pay for it.

20 MR. KEYES: One way to address this is to say that --
21 to address FPL's concern about being able to access the visible
22 break is to require that there be a map at the meter and a sign
23 that says there is a photovoltaic system disconnect switch map
24 below. And, you know, for the gentleman down at the end to
25 say, go behind the house, there's is a big switch, and use the

1 DC disconnect.

2 MR. HANSEN: That's what I want.

3 MS. CLARK: Mark, we had a question.

4 We had asked about a three-phase system, that the
5 switch be gang operated. I think maybe we can address that
6 concern as well when we respond to you about the need for the
7 manual switch. We had tentatively thought of a way to address
8 that, and that would be on Page 5, Line 23, to refer to an open
9 position with a single utility padlock, just somewhere where
10 you see that everything you have to turn off is in one
11 location. And we thought that may be a way to address that.
12 But we will cover those in our comments on the need for the
13 manual switch.

14 MR. FUTRELL: Thanks.

15 We're going to take a little break, short break. We
16 will come at 3:15, and we will finish up the conditions for
17 disconnect and move on.

18 (Recess.)

19 MR. FUTRELL: Let's take our seats and try to finish
20 this up.

21 MS. CLARK: Mark, Bob had committed that maybe we
22 could come up with some language over lunch, and when it's your
23 pleasure to do that, I'm prepared to suggest some language.

24 MR. FUTRELL: Great. Let's go ahead and do that.

25 MS. CLARK: This was on Page 4, and it was Lines

1 21 through 23. I guess let's start reading the sentence and
2 pick up on some of the language Bob gave and some that we may
3 be tweaking it just a little bit. It would read, "The customer
4 shall notify the investor-owned utility at least ten days prior
5 to initially placing the customer equipment and protective
6 apparatus in service. And the investor-owned utility shall
7 have the right to have personnel present on that date," period.

8 Then to address the previous suggestion we had with
9 respect to annual testing, to insert at the end of that
10 sentence, "Upon reasonable notice and at reasonable times, the
11 utility may, at its own expense, inspect customer equipment and
12 protective apparatus." That would be an additional sentence to
13 follow the sentence that ends on line -- I'm sorry, Page 4,
14 Line 23. Did I misspeak before and say Page 5?

15 MR. FUTRELL: Could you repeat that, please?

16 MS. CLARK: So the two sentences would read, "The
17 customer shall notify the investor-owned utility at least ten
18 days prior to initially placing the customer equipment and
19 protective apparatus in service, and the investor-owned utility
20 shall have the right to have personnel present on that date,"
21 period.

22 And then the next sentence would be, "Upon reasonable
23 notice and at reasonable times, the utility may, at their own
24 expense, inspect the customer equipment and protective
25 apparatus."

1 We had another conversation about the other device
2 that islands, that performs an islanding function or the
3 automatic isolating function. This would be on Page 3, Lines
4 15 through 18. Upon looking at it again, we think if on Page
5 16 that comma is taken out, so there is not a comma after
6 Subsection 4.A, and take that comma out and make it clear that
7 what you're talking about is the device performing that
8 function. That clarifies for us the understanding that not
9 only must the equipment comply with Paragraph A, it must also
10 comply with Paragraph B, that Paragraph B is not meant to be
11 separate in any way. The two run in tandem. That was all I
12 had.

13 MR. FUTRELL: Anybody have any comments on
14 Ms. Clark's proposed language? If not, let's move on to the
15 disconnect switch, the provisions for conditions for allowing
16 disconnect. Bob Reedy touched on those earlier. Does anybody
17 else have any comments on those provisions?

18 MR. HANSEN: I have a comment.

19 MR. FUTRELL: Yes, sir, Mr. Hansen.

20 MR. HANSEN: On Page 5, Line 21 and 22, I would
21 suggest crossing out the "but in close proximity to," all
22 right? And then on Line 24, right after padlock period, add
23 this sentence: A map to show the location of the disconnect
24 switch shall be provided at the utility meter location. The
25 idea of this is that you could have the meter at some remote

1 location and then the utility would know exactly where it was.

2 Thank you.

3 MR. FUTRELL: Any comments on Mr. Hansen's idea? Any
4 comments on the conditions for disconnect?

5 MR. TRAPP: If there's no comments on Mr. Hansen's
6 suggestion, do I take that to mean concurrence?

7 MS. CLARK: I am glad you asked, Mr. Trapp. What I
8 would like to do is I think we had commented to get back to you
9 on that whole issue of the manual switch and whether it's
10 needed for the inverter, and at that point we would comment on
11 that suggestion as well.

12 MR. TRAPP: What about the solar folks down here?

13 MR. REEDY: Bob Reedy. Where I was headed in my mind
14 was for the smaller systems there was no manual disconnect
15 requirement on inverter-based systems, and then larger tiered,
16 Tier 3 certainly maybe would be.

17 MR. TRAPP: So, we can expect a proposed carve-out
18 from you in your post-workshops comments, is that --

19 MR. REEDY: Absolutely.

20 MR. TRAPP: -- fair?

21 MR. REEDY: Yes.

22 MR. TRAPP: Okay.

23 MR. FUTRELL: Okay. Cayce had a few questions to
24 close this out.

25 MR. HINTON: And going towards when the manual

1 disconnect switch is actually utilized, I was curious about how
2 the utility notifies the customer that the manual disconnect
3 switch has been opened, and when does the utility generally
4 reconnect that, and should we have provisions in this rule that
5 lay that out with specificity stating that, you know, you need
6 to contact. Let the customer know that you have opened this
7 switch, and when you plan on reconnecting.

8 MS. CLARK: Cayce, you would like information on how
9 that is done now?

10 MR. HINTON: Yes. That was brought to my attention
11 over the phone this week, that that is, you know, another hole
12 that we haven't necessarily addressed is if this switch is
13 utilized, how does the customer find out that their PV system
14 isn't working anymore. And when, you know, do you let them
15 know when you are plan on reconnecting.

16 MS. CLARK: I don't have the answer for that question
17 right here, but we will answer it in post-hearing comments and
18 get back to you, as well.

19 MR. FUTRELL: Let's move on to Section 7, the new
20 Number 7, the administrative requirements. Cayce went through
21 several of the changes in his summary earlier, providing a copy
22 of the application on the web site, and also some of the notice
23 requirements, provisions that are in there for going back and
24 forth between the applicant and the utility. Any comments or
25 concerns on the way we have changed Section 7?

1 MS. CLARK: Let me start out with one question. We
2 had suggested that the customer begin parallel operations
3 within 180 days after they execute the agreement. Our concern
4 there was not having an end time when parallel operations must
5 begin results in a stale application. The circumstances and
6 conditions on the grid may have changed or the distribution
7 system may have changed making that parallel operation maybe
8 something that should be looked at again. We still think that
9 should be in the rule and are curious as to what your thoughts
10 were in not including that suggestion.

11 MR. FUTRELL: Part of our thinking was that it just
12 seemed like there was a lot of moving pieces into getting a
13 system like this up and running that the customer has to deal
14 with, and it may not be feasible to meet that deadline.
15 Hopefully, they will be able to, but there are a lot of other
16 things happening. There's local code review. There is getting
17 the system installed, the various contractors they have to
18 juggle. There may be instances where that 180 may not be met.
19 And it just seemed onerous to us to put that on the customer.

20 Bill.

21 MR. TOTH: Yes. Bill Toth. The other thing is many
22 of these systems are guaranteed for, at least the ones that we
23 deal with, for 20 years. If the system is on, and if it's
24 going to change in 180 days, am I going to have to change in
25 180 days? Am I going to have to revamp my entire system after

1 I have already put it up?

2 MS. CLARK: I don't think that's what we are
3 suggesting. We're suggesting that within 180 days of the
4 application being made that the system be up and running. In
5 other words, you can't wait three or four years from the time
6 you've made your application and it has been executed by the
7 utility to actually bring your system up and running. We
8 weren't talking about when it was already running.

9 MR. TOTH: Bill Toth again. I understand that, but
10 the principle is still the same. I mean, if it is stale in 180
11 days, that means my system is no longer compatible. I don't
12 see why the 180-day requirement is there, because there are
13 many things that can affect when that system is -- you know,
14 labor shortages, material shortages. We have those pesky
15 little things called hurricanes that can, you know, affect
16 contracting and the ability to put that up there. I think that
17 180-day time frame is not really reasonable, considering the
18 fact that once I have gotten my system on there it's going to
19 be operating under those conditions for 20 years or more.

20 MS. CLARK: Let me be a little more specific, then.
21 I think we had in mind a situation where you have somebody come
22 in and say they are going to put on a 100 kW system, you know,
23 maybe on one of these stores. You're in an area where there
24 are a number of stores that could do the same thing.
25 Currently, if you put one or two on there, you could

1 accommodate it. And if those are up and running, then the
2 third one you might have to do something different.

3 What happens if you have an outstanding application,
4 you have the other ones applied for and running, and you need
5 to do something in order to be able to put that third system
6 on. There ought to be a time frame within which you know what
7 your system is -- it looks like, and you are not concerned that
8 there is another application out there that has been executed
9 and may come on-line at some future time. It's just giving
10 certainty to planning as to when a particular customer system
11 may come on-line.

12 MR. TRAPP: What if instead of such an absolute
13 cutoff, I mean, what if you were to start the sentence with
14 normally 180 days and then describe what happens next. We can
15 revisit, the utility may revisit, or the utility may express
16 concerns or may -- the utility may evaluate change case, or a
17 door opener, in other words, as opposed to a door closed.

18 MS. CLARK: I think that's --

19 MR. TRAPP: For your consideration.

20 MS. CLARK: I think that's one thing that we could
21 think about, how to address the concern about a stale
22 application that may affect -- because the system has changed,
23 if they, in fact, put it in, you might run into problems.

24 MR. HINTON: Something along the lines of normally
25 systems must be up and running within 180 days of a completed

1 application. After 180 days the utility has the right to
2 request an updated application, something along those lines.

3 MS. SHEEHAN: Mike Sheehan from IREC. I guess the
4 question I have is the application is one thing, but I think
5 the signed contract is really where the time clock needs to
6 start, not at the point of the application. And, clearly,
7 contracts sort of mean things to people, and so at that point
8 that is something that I think should be -- and whether 180
9 days is reasonable is, and with material the way it is today, I
10 would think that is pretty unreasonable. But some time frame
11 may be worthwhile at least considering.

12 MS. CLARK: This is Susan Clark. We had referenced
13 it with when the contract is executed by -- when the agreement
14 is executed by the utility. So it would be at the time of
15 contract, not application.

16 MR. HINTON: Yes. I misspoke in what I said.

17 You mentioned some time frame may be appropriate, but
18 180 days might not be it. Do you have an alternative
19 suggestion?

20 MS. SHEEHAN: I'll look into it.

21 MR. GRANIERE: Does this 180 days, or whatever the
22 time frame, have something to do with the service drop
23 capacities or something like that, something about -- if I
24 understood the example, there were three people there who
25 wanted to put 100 kW on their roof, and they all presumably use

1 the same facilities or some facilities that were common. And I
2 think the example was if the first two come on, like when the
3 first two come on, everything is okay, but if the third one
4 were to come on, something would happen back farther that would
5 require some upgrades or something, is that the idea?

6 MS. CLARK: I guess I'm just -- I think that those
7 applications would be done with reference to the system as it
8 is currently configured. And if you wait awhile, has that
9 configuration of the system changed or have there been other
10 customer-located systems that have come on that would affect --
11 maybe bringing another one on would affect the quality of the
12 service in there.

13 Bob, don't take that to mean this is true. I mean,
14 this is definitely what would happen. It's more an example of
15 why you would be concerned that you don't have an extremely
16 stale agreement out there that had you been looking at it at
17 the time they intend to start parallel operations, you would
18 have required something else for the safety of the operation of
19 the system.

20 MR. GRANIERE: Yeah, that's what I was trying to get
21 to. Once again, Bob Graniere. Because I was going back to
22 that part of the rule that says 90 percent of the service thing
23 which gets you to their meter, I think. And so, if it is
24 always just 90 percent of that, right -- well, that pushes back
25 a certain distance. But from what I'm thinking you're saying,

1 it's somewhere even deeper in there that will require something
2 to change if there is too many of these things on-line. Is
3 that the general idea of what might happen?

4 MS. CLARK: I think that is the possibility.

5 MR. GRANIERE: So that's what you're trying to get
6 to?

7 MS. CLARK: Yes, that's an example.

8 MR. GRANIERE: So that is what we are trying to get
9 to. Okay. Thank you.

10 MS. SHEEHAN: Mike Sheehan from IREC again. I guess
11 that is a queuing question that almost fits into the FERC
12 requirements of when people get on-line and what the sequence
13 of events are, and on one feeder if they reach a certain level.
14 So there is a whole queuing question that leads you down a path
15 of keeping track of what's in the queue.

16 MR. TOTH: Bill Toth. What if all three of those
17 systems actually come in at the same time or within a week or
18 two of each other? The first two systems are going to have one
19 requirement, and then in order to fulfill the agreement or
20 complete the agreement for the third one, those changes are
21 going to have to be anticipated prior to that agreement being
22 made or the first two can't come on-line. I mean, that has to
23 be anticipated or in that third agreement. Because what if all
24 three of them come on within 180 days, as they are going to,
25 you know, as they are made, and the first two change the

1 circumstances for the third one?

2 MS. CLARK: I think --

3 MR. TOTH: It would already have -- my point here is
4 that situation or that requirement would have already been
5 dealt with. Am I missing something here?

6 MS. CLARK: I think the idea is how long do you have
7 to anticipate, sort of, the one system for which you have a
8 contract out there still has to be accounted for in some way in
9 your planning. I mean, if they haven't come on-line in three
10 years, is it reasonable to assume that they are not going to
11 come on-line? It just seems that there should be some end date
12 beyond which the utility doesn't have to plan for that being
13 part of the load or part of the configuration of the system.

14 MR. TOTH: Bill Toth again. I would agree that three
15 years is unreasonable on the other end of the scope, but I
16 believe 180 days is also unreasonable. There has to be some
17 middle ground that we can reach with that. With construction
18 being what it is down here, or at least down in the Bonita,
19 Fort Myers, Naples area, that 180 days could be a difficult
20 burden to meet.

21 MR. FUTRELL: Bill, what would be a reasonable number
22 of days that you would consider acceptable?

23 MR. TOTH: Off the top of my head, that would be
24 difficult. We will work on that. I know 180 days -- for
25 instance, okay, several years ago if you wanted to build a

1 house, you bought preconstruction and they told you they were
2 going to build your house in a year. Well, a year came around,
3 then they were saying, well, no, it is going to be 18 months.
4 It's not that way now, but it was that way several years ago.
5 So it's hard to put an exact number on that type of thing.

6 MS. CLARK: We would agree it needs to be a
7 reasonable time frame.

8 MR. TRAPP: I, for one, hope we have these congestion
9 problems, and I look forward to the next rulemaking where we
10 address allocating system resources and things of that nature.
11 I would encourage the parties, for the purposes of this
12 rulemaking, to put something out there that we can deal with in
13 the next few days.

14 MR. FUTRELL: Jason.

15 MR. KEYES: Personally, I think that a year is plenty
16 of time. I agree, a half a year is kind of short. And I don't
17 know what we are going to find by going back and reviewing it
18 in any great detail, but a year seems like enough time to me.

19 And I believe that Mr. Toth's situation about the
20 third system coming on-line in the same line section was
21 addressed by Ms. Clark. I think she has got it just right,
22 that the screen actually in FERC and in the IREC screens is
23 15 percent of line section peak load. So a line section is
24 often -- peak load will be somewhere around 10 megawatts. And
25 so if you get up to a megawatt and a half of systems on the

1 same line section, then you ought to look at that next one.

2 So if there was half a megawatt, a half megawatt and
3 then another a little more than half a megawatt, that that
4 third one, even though they came in -- you know, it was Monday,
5 Tuesday, Wednesday, the guy that came in Wednesday is out of
6 luck, and he will have to pay to upgrade the system or at least
7 to have the study. And so I think it's a reasonable suggestion
8 to say, well, if number one drops out, and you don't need to
9 have the extra protection for that third customer, you should
10 not make the third customer go through all of that. And so at
11 some point somebody ought to drop out of the queue. And I
12 think a year is plenty, or is reasonable.

13 MR. TOTH: Bill Toth. If I had to pull a number off
14 the top of my head, I was going to say a year, also. I think
15 that's reasonable.

16 MR. TRAPP: We have got two one years. How about it,
17 Susan?

18 MS. CLARK: We'll certainly address that in our
19 post-hearing workshop comments. I do understand the concern
20 with the ability to build and be on line in that deadline. And
21 I think the utilities, you know, have the same idea that you
22 need to make it match what is likely to be out there and what
23 is the time period after which it becomes stale that you do
24 want to relook at it.

25 MR. FUTRELL: Okay. If there is nothing else on

1 Section 7, the requirements --

2 Do you have something?

3 MS. CLARK: No, I think this is just a clarification.

4 And this is on the rescheduling of the inspection. We don't
5 understand that ability to reschedule to allow that 30-day
6 period to be shortened. It has reference to when you can't
7 schedule it in the 30 days, and you want it sometime after
8 that. In other words, you couldn't have the customer request
9 it be rescheduled and you wind up having to meet a 20-day
10 deadline to do that inspection.

11 MR. TOTH: What section is that?

12 MS. CLARK: I'm on 7.D, and this would be Page 7,
13 Lines 13 through 17, particularly the last sentence where it
14 says the investor-owned utility shall reschedule the inspection
15 within 10 business days of the customer request. In other
16 words, on Day 10, suppose they have set a time for the
17 inspection on the 28th day. The customer can't come in on the
18 10th day and say, you know, I want it rescheduled and get it
19 rescheduled to within -- on the 20th day.

20 MR. HINTON: I think the intent of this is
21 inspections have to be completed within 30 days.

22 MS. CLARK: Right.

23 MR. HINTON: Now, the customer may run into a problem
24 getting their local code officials out there, and so they will
25 say, well, I need you guys to come out later, because I'm still

1 getting these local code guys, and so I will give you a call
2 when that is done. And then once they give you a call, then
3 within 10 days you need to go ahead and get in there and
4 inspect.

5 MS. CLARK: Then we are on the same page.

6 MR. HINTON: Okay.

7 MR. FUTRELL: If there is nothing else, we will move
8 to net metering.

9 As Karen summarized earlier, we made a couple of
10 changes to recognize the customers continue to pay their
11 customer charge or their applicable demand charge, and also
12 changing at the end of the 12-month period the customer will be
13 paid for any excess energy delivered at the utilities as
14 available energy tariff. And, also, that also carries forward
15 to when the customer leaves the system, any unused credits are
16 paid at that same rate.

17 Comments on the net metering provisions.

18 Gwen.

19 MS. ROSE: Gwen Rose with Vote Solar. If I'm
20 interpreting the net metering rules in general correctly, I
21 think they are actually very good. And I want to thank you for
22 drafting a sound net metering policy. I did have a question,
23 hoping for clarification on the metering requirements.
24 Generally, the nice thing about net metering is customers can
25 use the meter they already have, it spins in both directions,

1 and then you look at the net. And I'm not sure if I'm reading
2 this as it requiring a dual register meter or not. Does it
3 still allow customers to use their bidirectional meter as
4 already installed?

5 MR. TRAPP: Do you want an opinion?

6 MR. FUTRELL: I think it does.

7 MR. TRAPP: My opinion is yes. However, I think the
8 state is under certain federal and state, if not mandates,
9 encouragements, to move toward smart metering. And I think
10 some of our larger investor-owned utilities have taken steps
11 toward that end. My belief, quite frankly, is the old
12 mechanical kilowatt hour meter, if not currently demising, is
13 going to be demised pretty soon. But I don't think this rule
14 is requiring that there will be automatic replacement of those
15 kilowatt hour meters. I think this rule only acknowledges the
16 fact that the world is moving toward smart meters. That's all
17 that was intended, and that those costs should be borne by the
18 utility.

19 MS. ROSE: Right, as part of a general migration, all
20 customers would --

21 MR. FUTRELL: Dell.

22 MR. JONES: Dell Jones. Actually, to that point, a
23 single five-dial meter that spins forward and backwards, I
24 don't know that it would really meet this requirement, capable
25 of measuring the difference between electricity supplied to the

1 customer from the electric utility and the electricity
2 generated by the customer. Because a standard five-dial meter
3 that spins forward and backward, at the point in time that you
4 read the meter, it will actually read the net difference, but
5 not a cumulative total of the amount of electricity generated
6 from the renewable device. Because you would have to look at
7 net, how much went out and net how much came back at all points
8 in time, as opposed to some end-of-the month reading.

9 MR. TRAPP: I stand corrected. This rule requires
10 net metering -- I mean, requires smart metering.

11 MR. JONES: Right. And that's what I am saying. To
12 Gwen's point, then that would either be a dual registering
13 meter or two separate meters. One meter as shown in this
14 diagram that could actually measure the amount of energy being
15 produced by the solar system and read in this diagram as meter
16 sensor optional to smart meter. And that would calculate the
17 total amount of renewable energy generated. And then, again,
18 you've got the other meter all the way over to the right-hand
19 side of the diagram that is not going to really capture just
20 the net that went to the customer, because some is going to go,
21 again, back into the grid.

22 MR. TRAPP: I stand corrected again. This may
23 require two of those meters. I guess the point is the utility
24 is going to pay for them, and pay for that metering, and the
25 billing is going to be as if they had a single old register

1 kilowatt hour meter.

2 MR. HINTON: It states that the meter has to measure
3 the difference between the two. Wouldn't a single meter that
4 is spinning forward and backwards still end up measuring the
5 difference between the two, the net?

6 MR. JONES: Well, the way I read this is that it is
7 the -- well, if it's the -- and delivered to the electric grid.
8 So let's say one -- today I might put two -- my air conditioner
9 is not working, it's a nice cool day, I might put two kilowatt
10 hours back on the grid. But tomorrow if it is really warm, I
11 might pull all of that back again. So, maybe it's semantics,
12 but it is really whether it is a cumulative total that went
13 back on the grid and a cumulative total that came to the
14 customer's house.

15 MR. HINTON: Yeah. I think this could be read both
16 directions. I read this and I see the key being the word
17 difference, meaning it's going to be net.

18 MR. JONES: Well, that would be a calculation between
19 reading -- you know, that's not really embedded within the
20 meter. That's a calculation that you would make after you make
21 two meter readings.

22 MR. HINTON: If you had dual metering capability.
23 But if it's spinning, you have a spinning meter, it spins
24 forwards and backwards, what you end up with is the difference
25 between the two.

1 MR. JONES: Right. And I'm just pointing out that it
2 seems subject to interpretation here.

3 MS. SHEEHAN: Mike Sheehan from IREC. Jumping a
4 little bit ahead, if you go to Line 24 on Page Number 9, it
5 says one of the requirements is that total kilowatt hour
6 customer-owned renewable generation delivered to the electric
7 utility. That would sort of imply that that has a separate
8 meter on the PV system or on the renewable system. So I think
9 there is a little bit of clarification that needs to go into
10 how many meters there are and where the meter locations are.

11 MR. HINTON: Yeah. Taking into account the reporting
12 requirements, I agree with Bob now. This does require smart
13 metering.

14 MR. TRAPP: Smart metering, whether it's a smart
15 meter or a calculation from old meters, I guess what I thought
16 we were doing here was requiring the utilities to account for
17 what generation was being produced by a renewable so we knew.
18 Because I think it is important for us to know, but not to let
19 that be a burden with respect to the net metered customer;
20 hence the requirement for the payment by the utilities for the
21 metering arrangement. I think the intent is, again, from a
22 billing standpoint just to allow the customer to offset at
23 retail his generation against his consumption. We view that as
24 an extended means of conservation.

25 The problem comes in when you get beyond the meter

1 and get on the grid, and then we have made other changes,
2 proposed changes to price that are more akin to the way we do
3 other cogeneration that enters the grid. But with respect to
4 the metering, I think my intent was to know what was generated
5 and what was consumed, so that we could track the progress of
6 the program, and that that metering and tracking be accounted
7 for by and paid for by the utilities and general body of
8 ratepayers.

9 MR. FUTRELL: Karen.

10 MS. WEBB: Forgive me if I'm wrong, but it was my
11 understanding from prior workshops and from talking with
12 internal staff that there was some disagreement as to what type
13 of meter would be required, so the wording was generic on
14 purpose to put the onus on the utility to find the way to do
15 this. If it is your existing equipment, that's fine; if you
16 need something further, then see to that.

17 MR. TRAPP: That's fair.

18 MR. JONES: I was going to say, within most smaller
19 and certainly larger inverters there is a calculation of the
20 total energy that has been produced by the photovoltaic system
21 embedded typically within the inverter. And again you have
22 also got the standard old five-dial meter that can come right
23 off of the inverter itself. And I believe that if we have a
24 robust REC market, anybody that wants to participate in that
25 REC market, you are going to account for how much total energy

1 was produced and when and from what service address. And one
2 of the things that I also see, if it's a reporting requirement
3 that the PSC has that requires the utilities to come up with
4 how much total renewable energy was generated through renewable
5 energy resources, and it's only the IOUs that have to do this
6 and not the municipal utilities, then you are really not
7 capturing all of the renewable energy that was produced within
8 the state of Florida.

9 MR. FUTRELL: I want to just interrupt you. The
10 reporting requirements apply to all utilities.

11 MR. JONES: Okay.

12 MR. FUTRELL: We have made that clarification.

13 MR. JONES: All right. But I was going to say, I
14 think that a REC market -- I mean, if it's just a simple
15 five-dial meter that comes off of a system, those metering
16 costs aren't really that onerous, and then a lot of inverters
17 also have that in there. The question might be whether that --
18 accuracy and that complies with the, you know, whatever
19 standards are going to be required for that meter to measure
20 the total kilowatt hours received by the interconnected
21 customer from the electric utility.

22 MR. TRAPP: Are we discussing Section 8 or are we
23 discussing the REC section, because it seems to me your
24 arguments seem to be more directed -- where is that section,
25 Mark?

1 MR. FUTRELL: Section 9, Line 24.

2 MR. TRAPP: Yeah. It seems to me a lot of your
3 comments may be directed more toward that section than the one
4 we are on, or is there so much commonality between the two that
5 we need to discuss them together?

6 MR. JONES: Well, it would be nice, at least from a
7 system integrator's point of view to know whether, you know,
8 there is going to be a requirement for a bidirectional meter
9 that only accounts for how much goes out onto the grid and back
10 again. And then it seems for a REC person or somebody who
11 wants to account for how much total renewable energy they
12 generated, they are going to have another meter in a different
13 location, as well. So, I don't really have any comments on
14 what's the better way to do it, but they are hand in glove.

15 MR. TRAPP: I agree with you, and staff has had a lot
16 of discussion about these two sections, about how to put them
17 together. You know, quite frankly, right now there is not
18 particularly a REC market in Florida. There may be. We have
19 got an RPS workshop process going on, and there is certainly
20 legislation and gubernatorial interest in it. So Section 9 may
21 be a look ahead type of section. But I agree with you, it can
22 mesh very easily with Section 8, and the metering requirements,
23 what the utility decides to do in Section 8 can have some
24 influence and affect on your costs in Section 9.

25 MR. KEYES: I just want to chime in that I had the

1 same reading of that, going back to where we were, Section 8(b)
2 that Mr. Hinton had, that if you're just measuring the
3 difference, that you can do that with a single meter. You
4 know, a bidirectional meter at the end of the month will tell
5 you the difference between generation and load. Given all of
6 this discussion, I think it would be worthwhile to clarify that
7 and say it measures the difference over the course of the month
8 or something.

9 And then in 9(c) and (d), if you have got -- if you
10 have got a requirement that the utilities will report the kW
11 capacity of the systems, you can say for (c) and (d) that those
12 numbers can be estimated based on available data. Because
13 you're going to have an awful lot of systems. I would guess at
14 least half of the systems will have some sort of production
15 meter to measure the generation of the system. If you've got
16 the measurement of the generation, then for half of the systems
17 out there you can say, well, the other half probably works just
18 about as well as the first half, and so you can get that 9(d),
19 the total generation. And if you have that, just a
20 mathematical formula, but it is really simple, to get to 9(c)
21 about the total energy that was used by the interconnection
22 customers.

23 MR. ZAMBO: I have got some comments on Section 8 if
24 you are still on.

25 MR. FUTRELL: Rich, go ahead. We're still in this

1 section.

2 MR. ZAMBO: Okay. Rich Zambo on behalf of the
3 renewable QFs.

4 To be honest with you, this hasn't gelled to the
5 point of it being an issue yet, because I just became aware of
6 it this morning. So it's more in the nature of a concern. So
7 I just wanted to share it with you and see what we can do. I'm
8 on Page 8, Lines 18 through 20, and I'm thinking in terms of a
9 commercial customer who is taking service under a demand rate,
10 a non-time-of-day demand rate. It says regardless of whether
11 the customer is selling electricity or delivering electricity
12 to the grid, the customer shall continue to pay the customer
13 charge or demand charge. How do you decide which one he pays?
14 That would be one question.

15 And then another is there are stand-by tariffs out
16 there, and I apologize, I haven't had a chance to research
17 this, because as I said, this issue or concern just came to me
18 this morning. The utilities typically have stand-by service
19 for self-generating customers that requires you to take service
20 under those tariffs if you generate, I think, 20 percent or
21 more of your electrical needs.

22 So I'm concerned with how that is going to interplay
23 with this rule. I know the rules are in different sections of
24 the Commission's rules, but I'm not sure that is enough of a
25 delineation. And so I'm just kind of raising this ahead of

1 time, rather than we wait until we get too far down the road
2 and then find out we have got a customer who is maybe paying a
3 customer charge, a demand charge, and a stand-by charge, or
4 none of the above, which would be the preference.

5 I guess customer charge makes sense, but -- and the
6 other issue is if you are a -- our other concern is that if you
7 are a general service customer, who doesn't have access to a
8 time-of-day rate, you can theoretically totally eliminate your
9 on-peak demand and yet have to pay a full demand charge under
10 this wording. I would just offer that as food for thought,
11 because I think that is ignoring benefits that these net
12 metering customers are bringing to the system and potentially,
13 you know, acting as a disincentive because they may not earn as
14 much money as they think they would if it's only applied
15 against their energy charge. And that's all I have.

16 MR. TRAPP: Do you want to respond or do you want me
17 to? I'll take a whack at it, if you want.

18 Again, my own personal opinion of the rule draft was
19 that with regard -- if I can get them in order, Rich. Your
20 first point I think was the otherwise applicable demand charge
21 and customer charge. I think that was intended to -- I think
22 the rules are intended to look at residential, commercial and
23 industrial customers and their imposition on the system and
24 they would be, for the power they use, billed under the
25 applicable retail rate schedule.

1 With respect to your question on stand-by -- and I
2 would note, however, that the impact of a generating source on
3 the customer side of the meter may impact your customer
4 classification, may put you in a different customer
5 classification. So to me maybe some clarification. The
6 otherwise applicable says to pay the applicable. Maybe it
7 should say to pay the otherwise applicable, or maybe that
8 doesn't clarify, I don't know. But I think the intent was to
9 charge you the rate schedule that your resulting demand and
10 energy charges put you into, whatever that may be.

11 With respect to the stand-by charges, I don't think
12 that staff -- at least I didn't contemplate that this rule
13 would charge you stand-by rates, that this rule would waive you
14 from the stand-by rate requirements that are over in the cogen
15 side of things, because this is -- again, the customer side
16 carve-out rule. And then with respect to the customer who was
17 not a time-of-day meter customer, maybe not getting the full
18 benefit of the coincident peak impact of his generation, I
19 suggest to you that the customer's best interest is to get on
20 the right rate schedule. And maybe he ought to get on a
21 time-of-day rate schedule.

22 MR. ZAMBO: Well, that's if there is one for that
23 customer class. I haven't looked at the tariff books. I don't
24 know if all customer classes have access to time-of-day rates.
25 But your point is well-taken, Bob, it would behoove the

1 customer to take a look at the schedule. But as far as
2 changing rate classes in the case of a PV system, for example,
3 I mean, by definition they are not going to be generating at
4 night. So if they are not on a time-of-day schedule, and they
5 don't have batteries, they're going to have -- I'm sorry. If
6 you are looking at the off-peak periods, they are going to
7 still be setting a demand that they are going to get charged
8 for.

9 MR. TRAPP: But if this is a residential account,
10 most -- I mean, again, if you believe that solar tracks air
11 conditioning and sun load and everything, it would seem to me
12 their peak demand would be lower with a solar installation than
13 it otherwise would have been.

14 MR. ZAMBO: Possibly yes.

15 MR. TRAPP: And the same thing with commercial to the
16 extent that you're -- well, I don't know, Wal-Mart runs its
17 refrigeration at night, but it probably doesn't have as much
18 refrigerating load. It certainly has the same lighting load.
19 Again, the air conditioner is variable. Industrial,
20 two-megawatt industrial, that is the one I surely don't have a
21 feel for.

22 MR. ZAMBO: They would probably be better off going
23 back to a non-demand rate. You may end up getting people
24 mitigating to different --

25 MR. TRAPP: Again, if their new load characteristics

1 qualify them for a nondemand rate, I would think that that
2 would be the rate they would be put on. I think that was the
3 staff's intent. Please correct me if I'm wrong, anybody down
4 there.

5 MR. GRANIERE: Bob Graniere. There is a tariff
6 person here. When do the demand charges generally kick in in
7 Florida?

8 MR. ASHBURN: Well, for us a demand rate kicks in at
9 50 kW. I think some of the other ones are at different levels.
10 Some are at 25 or 20. It just depends. Each utility has a
11 different spot.

12 MR. GRANIERE: And that applies to the peak demand?

13 MR. ASHBURN: Billing demand, yeah, which is monthly
14 billing demand.

15 MR. GRANIERE: Oh, monthly billing demand. Okay. So
16 that would apply to some of Tier 2 and all of Tier 3, then?

17 MR. ASHBURN: Well, we're talking about load rather
18 than size of the generator, so it's hard to say.

19 MR. GRANIERE: Okay. How would that differ, then?

20 MR. ASHBURN: Well, it depends on how big the load is
21 and how big the generator is.

22 MR. GRANIERE: Let's say you have a two megawatt
23 system, and just for the sake of argument, there's someone that
24 has a two-megawatt renewable system out there, and it meets all
25 of the requirements, and it's being used primarily for its own

1 consumption, okay? What is the load that we are talking about
2 that would get charged the demand charge?

3 MR. ASHBURN: The part that comes in from the
4 utility.

5 MR. GRANIERE: The part that comes in from the
6 utility would be the part. So if that was under 50 kW, there
7 wouldn't be one?

8 MR. ASHBURN: Right. Now, what we typically do is
9 look over a period of time, Bob. I mean, you know, we start
10 putting demand meters at lower than 50 kW to start looking at
11 peak load. And usually there is a part in the rule that says
12 if you hit 50 kW so many times in the last six months, or
13 something like that. There is a variety of different tariff
14 provisions depending on the utility.

15 MR. GRANIERE: So in that example from the fellow who
16 sent in the letter, I'm just thinking of that example, where he
17 was putting a system on his rooftop, but if was an empty
18 warehouse, if you remember that letter. I'm just trying to get
19 a sense for what the load would be that the utility supplied.

20 MR. ASHBURN: I didn't read the letter, so I don't
21 know.

22 MR. GRANIERE: Oh, you didn't read that one.

23 MR. ASHBURN: It really depends on how big the
24 generator is, how it's going to run, how big the load is, how
25 much -- I think what Bob is suggesting is you look at what the

1 service is from the utility into the building. And whatever
2 that load shape is or demand would determine what tariff it
3 would fall under. And I don't know, but I would think,
4 depending on the renewable generator, how reliable it is, how
5 much it operates, all of this stuff, is going to depend. If it
6 is a PV, it is only going to run during the day for so many
7 hours. So if it goes off because the sun went down, and it's a
8 manufacturing building, the load goes right back up to what it
9 was during periods you are going to get the full demand charge.

10 MR. GRANIERE: Okay. I'm just trying to get a feel
11 for how it is done, so there is an idea for how that charge is
12 kicking in.

13 MR. ASHBURN: It will affect the load factor. We can
14 have very, very low load factor large customers, because they
15 are using power at different times.

16 MR. GRANIERE: But none of that would affect the net
17 metering part, would it?

18 MR. ASHBURN: No.

19 MR. GRANIERE: No. Okay.

20 MR. ASHBURN: No, I don't think so.

21 MR. GRANIERE: Yeah. I didn't think it would affect
22 the net metering part. These would just be -- you know, this
23 is the customer's characteristics determines whether it needs
24 to get a demand charge. And if it does need to get the demand
25 charge, then its usage characteristics determine what it might

1 be.

2 MR. ASHBURN: Right. I think that is how I read the
3 rule. That is how we interpreted it.

4 MR. TRAPP: That is the clarification I was seeking
5 from you, Bill, in particular, since you are more
6 rate-oriented. Did anything I say sound foul?

7 MR. ASHBURN: Well, I wouldn't ever say anything you
8 said sounded foul, Bob.

9 MR. TRAPP: You're so gracious.

10 MR. ASHBURN: I don't know, I'm trying to go over all
11 the things you've said recently about it.

12 MR. TRAPP: Basically, the fact that you have got a
13 generating source on your side of the meter is going to change
14 your billing characteristics for the purposes of the sales from
15 the utility to the customer. And you're going to assess that
16 as if it was any other customer with those kind of billing
17 characteristics.

18 MR. ASHBURN: Right.

19 MR. TRAPP: That would apply to the generator part of
20 it.

21 MR. ASHBURN: I think the one question you might have
22 brought up in your conversation, because it is not here, is
23 whether they would be on stand-by or not.

24 MR. TRAPP: And that's the one I was most interested
25 in your opinion on, because, I mean, I think we have been going

1 all along assuming that these would not invoke the stand-by
2 rates, but I would be interested to --

3 MR. ASHBURN: I think all of the utilities have the
4 same number of 20 percent. If you're generating in excess of
5 20 percent of your load with your own generation, you fall
6 under the stand-by tariffs. I think all the tariffs -- I think
7 all the utilities -- that goes back to stand-by.

8 MR. TRAPP: So you think these rules could kick in
9 the stand-by?

10 MR. ASHBURN: Absolutely. I think they could.

11 MR. TRAPP: Do you think they should?

12 MR. ASHBURN: I think they should. They are still
13 stand-by. I mean, the renewable generator still could be off
14 and we have to serve it. So I'm not sure how it is different
15 from the cogen, if it's off for maintenance or something else.

16 MR. TRAPP: Rich has identified as a major issue that
17 hasn't been identified to date in this docket, then.

18 MR. ZAMBO: I have tried my best to distinguish this,
19 but I didn't make any sense out of it, so I'm --

20 MR. TRAPP: You know, I'll have to be honest with
21 you, I think staff, at least my dumb perspective, I just
22 assumed that stand-by was out of the picture in these rules.
23 But you're saying that they could -- I think we need to address
24 that, everybody.

25 MR. ZAMBO: Well, in that case the applicable demand

1 charge would then be the stand-by charge, not the normal
2 billing.

3 MR. ASHBURN: That's for a demand customer, right?
4 You are talking about a small residence there is no demand
5 charge, so it's, you know --

6 MR. ZAMBO: Right. But would the stand-by rates
7 apply to them? I don't know if the tariff is specific about a
8 demand customer or not.

9 MR. ASHBURN: Well, ours says that if you are a GS or
10 RS customer and you are stand-by, then you go onto the
11 time-of-use rate.

12 MR. ZAMBO: Okay.

13 MR. ASHBURN: Which for a PV might be very
14 beneficial, actually. But, you know, that's what our tariffs
15 say. But for the demand rates, you're right, there is, you
16 know, a demand based stand-by rate that is very specific,
17 different. It has all the different demand charges, and I
18 don't know that it would be different. I mean, you would just
19 look at the load, again, going in, and we have a whole set of
20 rules about those have been developed for a long time.

21 MR. ZAMBO: Right.

22 MR. TRAPP: But are they in -- are they in 17,
23 Chapter 17 in reference to stand-by rates in the cogen tariffs
24 in Chapter 17?

25 MR. ZAMBO: It is in 17, but it's a very vague

1 reference.

2 MR. ASHBURN: The utilities came in for dockets and
3 had their stand-by rates approved. There was a lot of
4 rulemaking that went on back in the '80s about stand-by rates.

5 MR. TRAPP: You've got authorizing language in the
6 rules, and then you've got the specific tariff
7 implementation --

8 (Simultaneous conversation.)

9 MR. ASHBURN: And it may be a little different,
10 depending on their own tariff structure, and so forth.

11 MR. ZAMBO: My recollection is that it ties it back
12 to the FERC regulations. They have to be consistent with the
13 FERC requirements. And I don't think the Commission has a
14 specific rule. It was implemented by an order back in, gosh,
15 '87, '88, '89, somewhere around there.

16 MR. TRAPP: Do you have a recommendation at this
17 time, Rich, as to what you would prefer the rule to say?

18 MR. ZAMBO: I do not, because as I said, this just
19 became a concern this morning. And so let me -- if I could, I
20 would put that in some post-workshop comments. And I'm sorry
21 to have raised it.

22 MR. TRAPP: Susan, do you know if the IOUs have a
23 position?

24 MS. CLARK: You know, I think that as we were looking
25 at this, we looked at the order. There was actually an order I

1 think that required customers to be on the stand-by rate, and I
2 don't -- sitting here now, thinking why the logic of that would
3 change.

4 MR. TRAPP: And do you all?

5 UNIDENTIFIED SPEAKER: No.

6 MR. GRANIERE: Okay. I think I can think why the
7 logic of that would change. Let me see if I understand. My
8 recollection of stand-by rates was generally for a customer
9 that was doing most of their own generation, and they were more
10 or less separated from the grid.

11 MR. ZAMBO: No.

12 MR. GRANIERE: Well, just let me finish. And then
13 get to a point is that if all of a sudden they fell down and
14 they went off the system, that they needed to have power.
15 Okay. That's not it?

16 MR. ASHBURN: No, that is not it.

17 MR. GRANIERE: Okay. So stand-by is that when they
18 are not generating they draw power?

19 MR. ASHBURN: Right. That is the basis of it, and it
20 is not even all. It's more than 20 percent of their load.

21 MR. GRANIERE: Yeah. And then you said that in order
22 for that to happen, they actually have to be generating more
23 than 20 percent of their load.

24 MR. ASHBURN: They have to have self-generation for
25 20 percent or more of their load.

1 MR. GRANIERE: Oh, 20 percent or more of their load.

2 MR. ASHBURN: Yes.

3 MR. GRANIERE: Okay. So in this world, then, it
4 would seem to me that what happens is that the stand-by rate
5 becomes whatever the normal rate is that they would have been
6 on if they weren't doing anything, because that is -- so their
7 stand-by rate would be their normal rate as if they weren't
8 actually doing anything, so you wouldn't have to do anything.

9 MR. ASHBURN: No. The stand-by rate is intended to
10 say that when you are taking the service that Bob was talking
11 about, the normal service that you take, even though you are
12 running your generator, you pay exactly what the otherwise
13 applicable rate is for all the other customers. Then there is
14 some conditions within the rate to deal with the fact that we
15 are standing by to serve the load when your generator doesn't
16 work.

17 MR. GRANIERE: So it is doing that. The stand-by
18 thing is doing that?

19 MR. ASHBURN: Yes, but it only has components
20 associated with the part serving that generator. Now, again,
21 we're talking about the demand type, the large demand stand-by
22 rates. Again, for RS and GS customers it's just the time of
23 use rate.

24 MR. GRANIERE: It would just be the rate they --

25 MR. ASHBURN: Right. So there is no actual payment

1 for -- you know, when the generator is down, otherwise, if
2 it's -- when it's down, you pay whatever the time-of-use rate
3 level is.

4 MR. GRANIERE: It becomes business as usual.

5 MR. ASHBURN: That's right.

6 MR. GRANIERE: Okay.

7 MR. ASHBURN: But it requires you, in that case, to
8 be -- at least for Tampa, I don't know if all the utilities are
9 that way, but it requires you to be on the time-of-use rate.

10 MR. GRANIERE: Right. But that's a tariff decision.
11 The Commission can say yes, no, whatever. Right?

12 MR. ASHBURN: The Commission always retains that
13 power, as you know, Bob.

14 MR. GRANIERE: I know. That's what I'm saying.

15 MR. ZAMBO: Well, let me just jump in here. If you
16 get to some of those Tier 2 and Tier 3 customers, it's not
17 going to be true that they would fall into RS or GS time of
18 day. They will fall into a stand-by tariff.

19 MR. ASHBURN: The large demand one, right.

20 MR. ZAMBO: And the demand charge is based on their
21 coincidence. So their coincident peak demand probability. And
22 that was litigated 20 years ago through extensive hearings, and
23 those numbers were based on the technology that was out there
24 in those days. Maybe it needs to be relooked at.

25 MR. ASHBURN: What was designed at the time was it

1 turned into a daily demand charge. So what happened was the
2 Commission determined a certain percentage and said this much
3 percentage is what you're standing by for, and I forget what it
4 was, 17 percent or something like that. And they said, okay,
5 that is sort of the typical amount that won't be around, and
6 you will pay that every month, regardless of whether you take
7 or not. And then if you used more than that, you pay that much
8 every month. It turned out to be about two and a half days
9 worth of demand charge. And then if your generator is down and
10 you go into stand-by mode, you just pay a daily demand charge,
11 which is the monthly demand charge divided by the 20 days, or
12 whatever is, the billing days, and it just accumulates through
13 the month. So it is not like you get hit with a full demand
14 charge for the whole month. You pay a little bit and then it
15 is a daily increment if your generator doesn't run very much.

16 MR. ZAMBO: Well, that's not exactly right, as I
17 recall it. I'm questioning your description, but as I recall
18 there is a demand ratchet in there, too, right? So if you set
19 a demand -- if your generator was down for an entire month and
20 you continued to do business as usual, you would set a stand-by
21 demand that would then be yours for the next 24 months, I
22 believe.

23 MR. ASHBURN: It could be.

24 MR. ZAMBO: I haven't looked at these tariffs for a
25 while, but a lot of these things are -- this could become a

1 real can of worms. This could become a real significant issue.

2 MR. GRANIERE: But are we in agreement that this
3 might only be as significant issue for the large Tier 3s?

4 MR. ZAMBO: Bob, I haven't looked at those tariffs.
5 Tom indicated as low as 25 kW, but I'm not sure if it's
6 mandatory to go to a demand rate at 25 or it becomes optional.
7 I just haven't --

8 MR. ASHBURN: Each utility is at a different point
9 where it starts, and then you are into a demand rate.

10 MR. ZAMBO: Yeah. But it certainly could pick up
11 some of these commercials, some of these commercial
12 installations.

13 MR. ASHBURN: Right.

14 MR. ZAMBO: I will try to address that in
15 post-workshop comments as best we can. Thank you.

16 MR. KEYES: So one issue I would see with the
17 stand-by charge is, obviously, our solar generator goes down
18 every time it's a cloudy day. So that doesn't seem appropriate
19 to have that same sort of charge when it's a different sort of
20 system than a cogenerator that you are counting on being there
21 all the time.

22 And the other comment was on the demand charge. If
23 my peak that is the basis of my demand charge for the next
24 month was 100 kilowatts, that's something I did last month, and
25 now I put in a solar system that's a 100 kW solar system, there

1 should be some way of saying, gosh, my demand, my peak demand
2 in the future is probably going to be a lot lower than it was
3 before. It is probably not -- I'm probably not going to hit
4 100 kW again, to say as soon as the system gets installed, the
5 demand charge ought to be adjusted down by maybe half the
6 capacity of the system. So, for instance, in my example you
7 would say, a 100 kW system just went in, we're going to say the
8 demand charge is going to be based on 50 kW until proven
9 otherwise, if it turns out the load is higher.

10 MR. ZAMBO: I would think it has less likelihood of
11 having an effect on a PV generally, particularly a larger PV,
12 say putting it on a store, like a Wal-Mart or something like
13 that, because the load is going to come right back up at night
14 when the PV is not running, and you are going to pay your full
15 demand charge and there won't be any stand-by, because it goes
16 away. So I think PV has less risk of the stand-by rate kicking
17 in and causing any concerns whatsoever under the way this has
18 been drafted. It may for something that is a much higher load
19 factor.

20 Really, the stand-by rates were designed for things
21 like Steve does, the high, high load factor renewable
22 generators or other QFs that ran all the time, 90 percent load
23 factors, that kind of thing, and would just go off occasionally
24 on a weekend. But for a PV, I just don't think it's a big
25 significant difference, because as the PV goes down, and it's

1 on a big one, on a big store or a school, the likelihood is the
2 school is still going to be running at night with a lot of
3 load. And I just don't know that you are going to see a very
4 big difference.

5 MR. KEYES: A school is actually the one example I
6 could think of where it is closed down at night, and so you
7 probably would affect demand on a school --

8 MR. ZAMBO: Perhaps, but they are also on in the
9 morning when the sun isn't up yet.

10 MR. KEYES: Right. So I can imagine maybe it
11 wouldn't affect the demand in a huge way. I would think it
12 would go down, you know, if it went anywhere. I guess I need
13 to understand better what happens with the stand-by tariffs,
14 and it seems simpler from your explanation to say that stand-by
15 rates won't apply to these systems or something.

16 MR. GRANIERE: Just an observation -- Bob Graniere.

17 It would seem that the stand-by rate doesn't really
18 fall in when you are talking about intermittent power, that
19 would be wind, solar, because, you know, it goes on and off
20 every day.

21 MR. ASHBURN: If it's intermittent enough they won't
22 hit 20 percent, so they won't be required to be on it.

23 MR. GRANIERE: Okay. Would that happen to solar
24 because they go on and off?

25 MR. ASHBURN: I don't know.

1 MR. GRANIERE: Okay. Maybe it won't. How about one
2 those digesters? What do you think would happen with one of
3 those, because, you know, in general they are always --

4 MR. ASHBURN: I would think a digester would be a
5 higher load factor, assuming the fuel was more around and
6 available and wasn't relying on an intermittent source like
7 solar or wind. I would think it's a higher load factor, but I
8 don't know how big a digester could get.

9 MR. GRANIERE: But that would be a candidate perhaps
10 for a stand-by charge is what you are saying?

11 MR. ASHBURN: Yes.

12 MR. GRANIERE: Okay. How about combined heat and
13 power, how would that work?

14 MR. ASHBURN: Well, talk to Steve. He has basically
15 combined heat and power. He has been on it for 20 years or so.
16 Again, it depends on the size and how high a load factor it is
17 on what the impact would be.

18 MR. DAVIS: Steve Davis from Mosaic. For our
19 combined heat and power systems, we are already on a contract
20 stand-by type of demand and we do pay it. You know, there are
21 some advantages, believe it or not, is that one of the things
22 if you really do need to be able to pull in power off from the
23 system and know that it's going to be there. To the extent
24 that you are just pulling power from the grid to replace what
25 you would normally have supplied from your generator, that's

1 actually billed on Tampa Electric's system anyway, and probably
2 on everybody's at a slightly lower unit cost than what
3 supplemental power is billed at.

4 But, you know, it's sort of a -- just something for
5 people, especially, you know, like sort of commercial type of
6 endeavors to be aware of if you were going go out and install,
7 let's say, a solar cell on top of a commercial operation
8 building. I guess when I read this, the concern that hit me
9 would be that the interpretation could be that you would still
10 pay the full demand charge as if you -- you know, let's say you
11 do have a good month where there is nothing going on as far
12 as -- you know, you could almost just balance out total kWh
13 coming in the door versus total kWh going out the door and
14 still have to pay your demand charge, which would, I think,
15 radically impact the economics of these systems that you are
16 contemplating installing.

17 MR. TOTH: Bill Toth. I had a conversation with
18 staff, and let me just see if I understand, and I'm dealing
19 with a commercial building here, okay, the example that you
20 gave. The commercial building operates from 8:00 to 5:00,
21 let's say. Those are its normal operating hours. Peak demand
22 is going to be during that time, because they're going to be
23 shut down 6:00 o'clock or so for the next, you know, 12 hours
24 or so, 12, 16 hours. That is also the peak generating time for
25 my solar system.

1 Now, if I'm a commercial building that has a demand
2 charge, and I'm producing energy down to a level where I'm not
3 incurring those demand charges during the day, I'm not paying
4 demand charges. I'm only paying for what I'm using. And if
5 I'm not using enough to be in a demand situation, then I don't
6 have to pay the demand charges for that period of time when I
7 am not using that demand.

8 In the evening when I shut things down, I'm not in a
9 demand situation. I'm using very little energy for the next 16
10 hours, you know, 15, 14, whatever it is, and I'm not paying
11 demand charges because I'm not at a level -- so I can actually
12 reduce my demand charges to zero, let's just say for the sake
13 of this discussion under the scenario. What I'm hearing here,
14 or what I think I'm hearing is now I've got to go to a stand-by
15 rate, or am I incorrect in my interpretation of my conversation
16 with staff on how this is going to work?

17 MR. FUTRELL: Bill, if you have some thoughts on
18 that, but it's my understanding that even if you have some --
19 at night there is some draw on the system demand at night, then
20 you would pay a demand charge based upon what you -- the demand
21 in the evening.

22 MR. TOTH: For the draw in the evening, correct. But
23 I'm saying if you don't.

24 MR. ASHBURN: Or the early morning. If the building
25 starts up or 7:00 or 8:00 in the morning, the sun may not be up

1 in the winter, for example, and there could be a demand there,
2 yes.

3 MR. TOTH: No, but my question is if my solar
4 during -- let's just say it's a six-hour period which is when
5 my big demand time is, and I'm offsetting that kilowatt hour
6 usage that is now putting me in a non-demand situation, it
7 could even be I'm producing more putting back into the grid at
8 this point where I will be taking it out later. I understand
9 if I am taking it out later and I'm demand, I'm still paying
10 the demand. But I'm not paying any demand charges during that
11 period of my peak performance when I am putting back into the
12 grid. Is that understanding correct?

13 MR. ASHBURN: The demand charge is based on a
14 30-minute measurement, that's typically for all utilities,
15 30-minute measurement in the month. So if any 30-minute period
16 during the month, during the demand area, assuming you're not
17 on a time-of-use rate, it gets a little complicated. But on a
18 standard rate we pick a 30-minute period, and the highest
19 demand that we see from you is what is multiplied times the
20 demand rate, whether it's at 7:00 in the morning, 3:00 in the
21 afternoon, 4:00 in the morning, it doesn't matter.

22 MR. TRAPP: But, Bill, I think -- to try to clarify
23 here. I think what I heard you say, at least for the Tampa
24 Electric Company system, was that if the customer produces
25 20 percent of his consumption with his own generation, the

1 applicable rate tariff he now qualifies for is not a retail
2 residential/commercial/industrial GS or GSD, but stand-by
3 rates.

4 MR. ASHBURN: That's right.

5 MR. TRAPP: So you have just transformed yourselves
6 from a GSD customer to a stand-by customer, and those rates
7 will be applicable.

8 MR. ASHBURN: Right.

9 MR. TRAPP: If you are at less than 20 percent for
10 the TECO system, total generation relative to total
11 consumption, then you would be on the otherwise applicable
12 residential/commercial/industrial rate schedule, which could be
13 a general service or a general service demand rate, and the
14 demand charge you're going to be charged is going to be based
15 on your -- what is it, a 12-month peak?

16 MR. ASHBURN: Well, we look at a 30-minute period in
17 the month, and that gets applied by the bill. You can also
18 choose, if you want to be, to be on the stand-by rate. This
19 confuses people an awful lot of times. Sometimes people win
20 going on the stand-by rate. That happens. It depends on your
21 load shape and a variety of factors. So we have actually had
22 customers who we went in and showed them if you went to the
23 stand-by rate, you would actually save money. And most of the
24 time they just are afraid of it and don't do it. But it is
25 possible to save money.

1 MR. TRAPP: So all the rule really says is that, you
2 know, warning, warning, you could be in a new rate
3 classification by putting in your solar. And we're not making
4 any policy decisions, I don't guess, in this rule one way or
5 the other. We are just saying that your new load
6 characteristics with your generation is going to determine what
7 rate schedule you're in. And there is a whole, you know, list
8 of rate schedules you need to be looking at.

9 MS. ROSE: Hi, this is Gwen, Vote Solar.

10 This is our particular concern, and particularly if
11 stand-by rates end up becoming an economic disincentive for
12 installing solar. And what some other states have done through
13 a net metering rule is provide a sort of safe harbor exemption
14 from moving to stand-by fees. And it is difficult to talk
15 about this without assigning some numbers and looking at load
16 factors. But if this becomes an economic disincentive, I would
17 suggest -- I would encourage looking at safe harbor language to
18 protect customers from --

19 (Simultaneous conversation.)

20 MR. TRAPP: I don't know what the impact is now,
21 because this is really the first real discussion, I think, we
22 have had on it. But I agree with you that we need to keep our
23 eyes open if it becomes a problem and address.

24 MR. ZAMBO: And I'd like to just raise or make two
25 points. One is I'm not sure it is 20 percent of generation. I

1 think it is capacity -- I think it is demand. So if you have
2 got a one megawatt load and you install 200 kW, I think that is
3 the trigger.

4 MR. ASHBURN: Everyone's tariff is different. Our
5 tariff says load, and we've interpreted that as energy in the
6 past.

7 MR. ZAMBO: Okay. But if it says load, does that
8 mean you are saying --

9 MR. ASHBURN: We have in the past interpreted that as
10 energy.

11 MR. ZAMBO: Okay. And the second thing, I forget.
12 Excuse me.

13 MR. GRANIERE: Bob Graniere. Would it be fair to say
14 that everyone who is on stand-by rates doesn't necessarily pay
15 a kW rate? Because that's what I seem to be finding as to
16 being the situation. Not everybody would have to pay. I mean,
17 merely going on stand-by rates doesn't mean that you must pay a
18 kW rate.

19 MR. ASHBURN: Right. We have a stand-by -- we have a
20 stand-by application for every level of service. So we have
21 stand-by application for residential and all the way up
22 through, except for lighting, they don't typically have their
23 own generators. But for any of the RS, GS level, interruptible
24 tariffs we have, we have a stand-by application.

25 MR. GRANIERE: Now, are these kW rates, as I heard

1 you speak of, they aren't hourly kW rates, they're are --

2 MR. ASHBURN: The stand-by demand portion is a daily
3 demand, but it is measured on 30-minute periods.

4 MR. GRANIERE: And it doesn't matter if you are
5 drawing demand for 24 hours or only 12 hours?

6 MR. ASHBURN: Right.

7 MR. GRANIERE: Okay. So it doesn't make the
8 adjustment that Mr. Toth was talking about or he was alluding
9 to, that there was a time that he put no demand on the system
10 during the day, but on the other times he did put a demand on
11 the system. And I guess what he was getting to, and correct me
12 if I'm wrong, he was saying that he didn't want to pay any
13 demand charge for those eight hours or six hours. Am I right?

14 MR. TOTH: This is Bill Toth.

15 No, I was asking the question trying to clarify my
16 understanding based on discussions I had with staff. I was
17 trying to find out exactly how it is going to work.

18 MR. GRANIERE: So does it bother you that you would
19 pay a demand charge that was a daily demand charge?

20 MR. TOTH: I don't know. I would have to look at the
21 numbers and see if it looked like it was a fair situation or
22 not.

23 MR. GRANIERE: Okay.

24 MR. FUTRELL: Rich.

25 MR. KEYES: So just to reiterate what Gwen Rose said,

1 that it is almost impossible to go out as a solar installer and
2 try and convince somebody to put solar on their roof, and they
3 say, "oh, am I going to save money?" And you say, "Well, it
4 depends. See, there are these stand-by charges, and here is
5 how it kind of works." If you can't show them that they are
6 going to save money by putting solar up, then they're not going
7 to go for it. And so what is useful to have is the safe harbor
8 language that says you are not going to go to some other rate,
9 you are not going to go to stand-by charges if you wouldn't
10 have been on -- if stand-by charges wouldn't have applied to
11 you otherwise.

12 It would be very helpful to be able to say you'll
13 save money because you are consuming less energy, but you also
14 might save even more if you're going to a different tariff
15 schedule or something, you know, or a lower demand charge. But
16 the safe harbor language would help a lot.

17 MR. HINTON: Well, could you all present some
18 potential safe harbor language in your post-hearing comments,
19 not just citing to another state that has done it, but an
20 actual sentence that deals with it?

21 MR. KEYES: Absolutely.

22 MR. FUTRELL: Rich.

23 MR. ZAMBO: I would just comment that with the
24 language as it is, if you are a demand customer you are going
25 to pay a demand charge, and that demand charge is going to be

1 higher than what you would pay as a stand-by customer unless
2 you are very unreliable. My experience with my clients has
3 been the stand-by rate is lower. It's a discounted demand
4 rate, and it's not paid hourly. You pay a monthly charge for
5 it, and in exchange for that you are allowed to use it for a
6 certain period of time. When you go above that amount of time,
7 then you do pay a daily demand charge. But if you have got a
8 reliable system, you need to look at the rates and analyze
9 them. But if you have got to take what is in this rule and
10 take your ordinary demand charge versus a stand-by charge, you
11 may be better off with a stand-by rate. So I'm not sure a safe
12 harbor would solve your problems or your concerns.

13 MS. ROSE: Gwen here. I think the question is an
14 issue of choice. If the stand-by rate is going to save you
15 money, that's a choice, and that's customer education. But
16 being switched automatically to a different tariff is more my
17 concern.

18 MR. HINTON: I was going to ask this question a
19 little earlier. If somebody's usage characteristics would
20 change through self-generation, does the utility automatically
21 switch their rate class, the rate class you have them under, or
22 do you approach the customer and say this is where we think you
23 should be?

24 MR. ASHBURN: That's a complicated question. It
25 depends, as I like to say at work, and they all say, "That's

1 all you ever say." For example, your load shape might change
2 so that you would be better off on a time-of-use rate. The
3 common use rates in Florida are optional. So we will go to a
4 customer and say, "Look, your load pattern has changed. You
5 would be better off with a time-of-use rate." Sometimes they
6 go; sometimes they don't. It's optional.

7 Some customers have their load grow and suddenly they
8 have moved out of one tariff into another, say, from a
9 non-demand rate to a demand rate level. And we will go to them
10 and say, "Look, your load grew and you are now above 50 kW,
11 say, and you should be on a demand rate." And they will say,
12 "Whoa, it was a one-time thing, and this happened and that
13 happened, and it will never happen again." So we might let
14 them slide. And then they go back down, and we leave them
15 where they are. So it just depends on what the circumstances
16 are whether we make them change or not change on whether it is
17 an option that they have or whether it is a requirement that
18 they move. And it's just every circumstance is slightly
19 different.

20 MR. TRAPP: I'm a little confused, I guess, by what
21 is meant by safe harbor. And I guess maybe I would like,
22 before we see it in written comments, a little more explanation
23 of that. Is that something that just says the utility has to
24 put the customer on the most favorable rate schedule available,
25 or is that something that says that -- what does it say?

1 MR. KEYES: It says if the customer didn't have solar
2 on the roof, what rate schedule would they be under? They can
3 either go with that rate schedule or they can go with something
4 better. If the fact of the solar system is up there qualifies
5 them for some other rate schedule, then they have the choice to
6 go to that. But the default setting would be whatever they
7 would have been on if they didn't have a solar system.

8 MR. FUTRELL: So is the point to give the customer
9 the choice, put in the customer's hands to make the choice as
10 opposed to the utility making some sort of observation of
11 changed characteristics and then it making the change, is that
12 the point?

13 MR. KEYES: Right.

14 MR. FUTRELL: To give the customer the authority to
15 make its decision on which rate schedule to go onto.

16 MR. KEYES: This became a big issue with switching to
17 time-of-use rates in California, and there were a sizeable
18 number of customers that when they went to time-of-use rates
19 which was supposedly going to help the people install solar,
20 some of them were large customers who had fairly small PV
21 arrays, and it ended up on their time-of-use rates they were
22 paying more than they used to or that they would have if they
23 didn't have the array. And so they were pretty upset about
24 that. And you would like to have some sort of language that
25 says you are not going to be worse off because you've put in

1 solar. We are not going to charge you more because you have
2 solar.

3 MR. ASHBURN: So is that suggesting they would pick
4 the lower of the two? Is that how it works, or no one
5 switches.

6 MR. KEYES: You would pick the lower of the two up
7 front. It is not like a month-to-month. You have to say,
8 okay, so here is your rate on this one, here is your rate on
9 this one. You would get to say up front.

10 MR. TRAPP: The rate they otherwise would have had
11 without solar, so that means you have to back out the solar
12 generation for purposes of calculating the demand charges?

13 MR. KEYES: I would think that you would need to. So
14 then you would need to get some sort of coincident peak, which
15 can be done.

16 UNIDENTIFIED SPEAKER: That's complicated and messy.
17 I wouldn't know how to do that for a forecasted test year with
18 billing determinants if you have a changing load profile.

19 MR. TRAPP: I would be interested in seeing the
20 comments.

21 MR. FUTRELL: Any other comments on the net metering
22 section?

23 MS. CLARK: Yes, Mark.

24 As we had indicated in our post-workshop comments,
25 Gulf and Progress suggested the elimination of the waiver of

1 the metering costs. As I said with respect to the application
2 fee, Gulf and Progress continue to believe that costs should
3 not be waived since such waivers result in other customers
4 subsidizing the expenses attributed to net metering customers.

5 Now, with regard to the changes to Subsection 8(e)
6 through (g), Gulf and Progress had suggested paying for excess
7 energy on a monthly as opposed to annual basis, and this was
8 not incorporated. The rule does change the payment for unused
9 energy credits to the COG-1 as available tariff, but still has
10 the reconciliation at the end of the calendar year based on an
11 average annual rate. This is a move in the right direction,
12 but Gulf and Progress continue to believe that the
13 reconciliation should be done on a monthly as opposed to annual
14 basis.

15 While the monthly approach still results in a subsidy
16 to net metered customers, the subsidy is not as significant as
17 with the annual approach. Further, from an administrative
18 standpoint, the utility can best reconcile and pay for excess
19 energy on a monthly basis rather than annual, and FPL agrees
20 that from an administrative standpoint, it is preferable.

21 So we wanted to make those comments with regard to
22 the changes you have made for net metering.

23 MR. GRANIERE: I have a question. Would Progress, or
24 Gulf, or FPL be happy with monthly excess payments at the
25 retail rate?

1 MS. CLARK: Let me be clear that in the post-workshop
2 comments it was Gulf Power and Progress that focused in on the
3 rate being at the avoided cost rate --

4 MR. GRANIERE: Okay.

5 MS. CLARK: -- as opposed to net metering.

6 MR. GRANIERE: So the answer would be no. So,
7 basically, this approach eliminates the carry forward benefit
8 of net metering, right?

9 MS. CLARK: It eliminates carrying it forward to the
10 next month and then reconciling it at the end of the year. And
11 I think there were some net metered customers who preferred
12 that.

13 MR. HANSEN: I have a comment. I would just like to
14 clarify something I said before, where I was all for the 10 kW
15 as the level for Tier 1. That was only, basically, to help
16 isolate Tier 1 from Tier 2 and 3. If you want to raise it up,
17 that is fine, but in order for the individual to put in a solar
18 system, there has to be an incentive. Right now in Florida, as
19 I understand it, there is only 34 solar systems put in for
20 individuals. And I was talking to a gentleman that sells these
21 systems, and they don't even deal with individuals because it
22 is not worth it. And it's the individual, the homeowner which
23 this net metering was made a law 20 years ago for. It wasn't
24 for the commercial people and 90 percent of our discussions
25 here are for the commercial people.

1 So, if I put a system in, there should be a way that
2 I can at least pay off this system within a reasonable amount
3 of time. The way the system works right now, it would take me
4 75 years to pay off my system. If we adopt the way that you
5 are going to do it, with the excess being paid off at the COG-1
6 rate, it may take 20 or 30 years. So the emphasis for the
7 homeowner must be on trying to get some excess, and if he does,
8 he should get retail price for that.

9 If that would happen, then the homeowner, you'll see
10 many, many people get involved in this. And if it doesn't
11 happen, they won't because you can't afford it. So my
12 suggestion is, that on Line 24 on Page 8, between the word
13 credits and the little word at, that you just insert this
14 sentence, this phrase, "For Tier 1 at retail rate and for Tier
15 2 and 3," and that's all. You just insert that between those
16 two little lines, and that will give Tier 1 retail rate across
17 the board. And that is as far as I can understand -- and I am
18 putting in a system now, and anything I've figured out, that is
19 the only way that I could pay this system off within a
20 reasonable time being 6, 10, 12, 15 years.

21 MS. ROSE: From our perspective the monthly carry
22 over of net excess generation is critical. First, I think that
23 the way you have characterized in here is correct. You
24 basically say it is a one-for-one kilowatt hour swap. There is
25 not really a sale of electricity happening. And if we can

1 carry that over for a year, what happens beyond a year with
2 annual net excess generation, whether it is paid at avoided
3 cost, or whether it is donated to the utility, or in Oregon
4 whether it is donated to low income programs, that's what they
5 do there, is, I think, a separate question. But for a
6 customer -- let me back up.

7 We talked about the subsidization of net metering,
8 but there is an implicit bias there that forgets to look at
9 what the benefits of net metering or net metered generation
10 provides. So you have a customer that is paying usually a flat
11 rate for their power. When they are producing excess, it's
12 generally going to be during peak times. That's going to be
13 going into the grid, and that's high value peak power that the
14 utility gets to, basically, sell to the neighbor. But then
15 they get to sell power or they get to give power back to that
16 customer at off-peak periods, which is a lower cost.

17 So it's a benefit to the utility, and, you know, we
18 could run through what the benefits are of photovoltaic
19 generation, but I think preserving the ability for customers to
20 carry over those credits from month-to-month allows them to
21 size their system to take advantage of the seasonal
22 differentiation of the way solar produces power. Without it,
23 you're going to have customers sizing system to meet winter
24 load rather than maximizing it for the course of the year to
25 offset their consumption.

1 MR. JONES: I was just going to concur with Gwen. As
2 a small system owner myself, it's so nice this time of the year
3 when the air conditioner is off. You can end up with, you
4 know, maybe two months in the spring and two months in the fall
5 where you have a net, you know, negative feedback. I would
6 just like to get that power back again, you know, for the
7 winter or the summertime. And, you know, it really would take
8 a lot of the wind out of the sails for, you know, potential
9 system owners to know that, you know, they put that power out
10 during, like Gwen said, those peak summertime periods when the
11 utility sees a real advantage to having that generation
12 created, and yet is not given consideration for the value of
13 that at other times of the year.

14 So as a small system owner and certainly as an
15 industry person, I can convey that that's an important issue in
16 a sales process or a justification for a homeowner that they
17 sort of net out on an annualized basis, not, not a month to
18 month to month. And it is a real critical issue, I believe.

19 MR. TOTH: Bill Toth. I just want to concur with
20 what they said as far as the carry over. I like the
21 gentleman's idea down there. I'm sorry, I forget your name.

22 MR. GRANIERE: Bob.

23 MR. TOTH: Bob. Monthly is good as long as it is at
24 the retail rate. That would work fine.

25 MR. FUTRELL: Jason, you had a comment?

1 MR. KEYES: One other practical consideration there
2 is that part of the reason why lots of states have gone from
3 monthly to an annual process is because people are sizing their
4 systems to at most meet their own load. And so in any given
5 month they are not exceeding their load by much if they do at
6 all. And so when you have any sort of payout like this, like
7 they're suggesting, you end up with a lot of administrative
8 expense for something very small. You know, cut a check for
9 four dollars kind of thing. And it's just easier
10 administratively to just carry it over month-to-month.

11 In fact, several states have now gone to saying it is
12 too much of a hassle to keep track of it over the course of a
13 year. You know, they can just keep it rolling it over to the
14 next year. We are never going to pay them much. We are going
15 to pay them avoided cost, or some states don't pay at all, but
16 they let them roll it over on an ongoing basis. So, at least a
17 year makes sense.

18 MR. HANSEN: One other point is I don't know how many
19 snowbirds would actually put a system up, but if they did, the
20 power company could be using that power for six months out of
21 the year. That would be a direct benefit to them. It would be
22 distributed power and it would allow them to be selling this
23 power for the whole six-month period, and it would also provide
24 the snowbird, when they come back, to enjoy a very low electric
25 bill. But for the period when the generation is at maximum,

1 they are not even here. So if they could get retail price for
2 everything that they generate, it would help the distribution
3 of power throughout Florida and it would eliminate a lot of the
4 line losses and it would prevent the electric utilities from
5 being overloaded in the summertime. This is one of the big
6 advantages of the solar voltaic system.

7 MR. FUTRELL: If there's nothing else, let's move on
8 to Section 9, the renewable energy certificates, or RECs. We
9 got into this a little bit on the metering discussion. Again,
10 staff is anticipating the possibility that markets may develop
11 in Florida. RECs are being sold in Florida. We are trying to
12 anticipate that. We have done that in the renewable generator
13 standard offer contracts that Bob mentioned earlier. We had
14 provisions there for RECs, and we are trying to be proactive on
15 this and get out ahead. Any comments on the language we have
16 here?

17 Bill.

18 MR. TOTH: Yes. Bill Toth. The requirements in --
19 where is it -- 12, 13, 14, and 15 where it talks about the --
20 well, it is in direct conflict with -- you have got to go down
21 to 10 -- 24 and 25. Who's going to decide the purpose of the
22 meter that's going to measure those two things, because they
23 are both measuring the same thing, and one is a reporting
24 requirement of the utility and the other is a REC requirement,
25 but it is the same measurement.

1 MR. HINTON: Actually, did you say Line 24 and 25, is
2 that what you were referring to?

3 MR. TOTH: Yes, under reporting requirements.

4 MR. HINTON: Right. That's customer-owned renewable
5 generation delivered to the electric utility. Under Subsection
6 9 dealing with renewable energy certificates, that's talking
7 about total electricity generated by the renewable energy.
8 That's what is delivered to the utility and what is consumed by
9 the customer. The reporting requirement is just what's going
10 back into the grid on Line 24 and 25. But to get the
11 certificate, the customer will need to be able to account for
12 what their total generation was, even what the utility never
13 knows about because they just consume it.

14 MR. TOTH: Okay. Then what about Line 21?

15 MR. HINTON: That's the nameplate capacity of the
16 customer-owned renewable generation system.

17 MR. TOTH: So if you have got, like, a 6 kW system,
18 that is what that would be reported as? Okay.

19 MS. CLARK: Mark, this is Susan Clark. We are in
20 disagreement with the provisions in 9. It seems to us that
21 what you are proposing here to the net metering and through the
22 payments you have provided for excess energy as well as the
23 waiver of fees result in net metered customers being subsidized
24 by other customers. And for that reason the RECs associated
25 with them should belong to the general body of ratepayers.

1 One of the concerns we would like to raise is the
2 notion of addressing this in the rule, the ownership of the
3 RECs. When you have had discussions of setting up a REC
4 system, under what conditions should ownership be retained, if
5 you are paying more than avoided cost, shouldn't the other
6 customers have some claim to those RECs?

7 I would urge you not to address that in this rule
8 given the fact that I have seen in the past where you make
9 these small decisions dealing with specific areas and don't
10 address the larger policy decision that you should make which
11 is if you were going to pay above avoided cost, what is the
12 fair way to deal with RECs. And I think that should be done as
13 an overall assessment of what the policy should be.

14 Rather than making a decision here while it's only
15 these small facilities, it would be appropriate as an added
16 incentive to allow them to retain the RECs, and then you go to
17 the next decision you have to make relative to this, and the
18 suggestion is made, well, you have done it here, you have
19 allowed that ownership to stay, why not do it here. I think
20 the better policy is to look at it from an overall standpoint
21 as to what is fair when you have the other customers paying
22 more than avoided cost.

23 MR. JONES: Just for clarification, are you saying
24 that all of the RECs associated with the production from a
25 photovoltaics system belong to the entire rate base or only

1 that energy that was netted back to the utility?

2 MS. CLARK: And I think that's one of the issues to
3 me that really needs to be addressed in an overall policy,
4 because I think you can have other instances where the entire
5 ownership of the REC maybe should be split for one reason or
6 another because of -- I don't know how it is being paid for,
7 but I just think that the idea of who has ownership of the REC
8 and when payment in excess of avoided cost by some level should
9 require that ownership to shift should be looked at in a global
10 consideration of an RPS policy.

11 MR. JONES: Well, I don't know that you are really
12 paying for the RECs, I mean, if you are being compensated for
13 full retail value. I guess you could make a distinction that
14 if I don't have a photovoltaic system and I reduce my energy
15 load in my home, you know, I have created the same effect as
16 if -- if I have reduced my load consumption in my house by two
17 kilowatts or I have a two kilowatt photovoltaic system, the
18 effect is the same to the grid, and I don't know that you
19 deserve those RECs.

20 MS. CLARK: And I understand that there are some
21 states that attach RECs to what you were talking about, that
22 energy efficiency. What I'm suggesting is I think the whole
23 sort of gambit of what might generate RECs needs to be looked
24 at. And in generating those RECs, if there is subsidization
25 either through tax credits or anything like that, then some

1 thought needs to be what should be the policy of the state with
2 regard to ownership of those RECs. Does the fact that there is
3 subsidization being provided from all the other customers or
4 taxpayers change who should claim ownership and be able to
5 count them as credits towards an RPS.

6 MR. TRAPP: If staff were to accept your position
7 that it's premature to address this now and, therefore, not
8 include this paragraph in the rule, would your clients commit
9 not to include that paragraph in their tariffs?

10 MS. CLARK: To not address the --

11 MR. TRAPP: Not address who owns the RECs in their
12 tariffs until this RPS policy is settled? I mean, quite
13 frankly, that's the experience we have seen is we enunciated
14 this policy in the cogeneration side of the equation, and we
15 had a big fight about it because you all kept putting it in the
16 tariff and we kept having to fight it in the tariff. And then
17 the Commission finally did enunciate policy in that rulemaking
18 that basically --

19 MS. CLARK: It gives them the right of first refusal.

20 MR. TRAPP: No, it doesn't.

21 MS. CLARK: I'm sorry, Bob, I was thinking about the
22 renewable cogeneration rules.

23 MR. TRAPP: Yes. That's what I'm referring to, too.

24 MS. CLARK: They are allowed to put in their tariff
25 the right of first refusal, I thought.

1 MR. TRAPP: No. Rule 25-17.280, tradeable renewable
2 energy credits. Tradeable renewable energy credits and tax
3 credits shall remain the exclusive property of the renewable
4 generating facility. A utility shall not reduce its payment of
5 full avoided cost or place any other conditions upon such
6 government incentives in a negotiated or standard offer
7 contract unless agreed to by the renewable generating facility.

8 Now, granted these rules are based on avoided cost.
9 I think your argument is based on some above avoided cost
10 consideration --

11 MS. CLARK: Right.

12 MR. TRAPP: -- to assign some portion of the RECs
13 to the utility, so I understand the difference there. But I
14 just don't want to acquiesce to a position that is premature to
15 address this now, and then have it come up in the tariffs and
16 have to fight it on a tariff basis by basis. Sometimes you can
17 win the battle and lose the war. And so if we are going to
18 address it, let's address it. If we are not going to address
19 it, let's agree not to address it until the proper time when
20 the RPS is resolved either by statute or by this Commission.

21 MS. CLARK: I think if the agreement is to address it
22 as some part of the RPS and looking at it from a global
23 standpoint, then we would not put it in the tariffs having
24 suggested that be the approach you take. But I do think that
25 the difference between what you were discussing was the fact

1 that it was based on avoided cost, not paying in addition. And
2 I believe the rule had in there that there was a discussion
3 about not giving the right of first refusal. And as I recall,
4 there was some statement at agenda that that could be included
5 in the tariffs.

6 MR. TRAPP: Well, I hope you are listening to the
7 comments on the other side of the room, and they strike me as
8 if there is a fairness issue here with regard to you getting
9 all the RECs when we only may be talking about some netting
10 involved here. I mean, some of the proposals I've heard, at
11 least on the RPS side of the workshops we have been having,
12 will assign great value to these RECs. I mean, great value to
13 these RECs. And I'm more inclined to say we are premature to
14 assign that great value at this point in time in the
15 recommendation than I am to just give them away willy-nilly.
16 And you know my longstanding position is that at least based on
17 the avoided cost principles, RECs belong to the customer; they
18 can do what they want to with them.

19 MS. CLARK: As long as it is based on avoided cost.

20 MR. TRAPP: I grant you we begin negotiating once we
21 get above avoided cost, determining the balance between subsidy
22 and equity or fairness.

23 MS. CLARK: And what I'm suggesting is that the same
24 sort of issues will come up in other applications that RECs may
25 be generated and available, and the question is to the extent

1 there is incentive subsidization that are provided to the
2 customers, should there be some allocation of those RECs to
3 those customers/entities that provided the incentives.

4 MR. TRAPP: I certainly appreciate your arguments,
5 and I hope that they come forward in the discussions before the
6 full Commission because I think they need to hear these and
7 weigh them. They vote, we don't. But I have to also tell you
8 that if you start out with the basis that what we are trying to
9 do here is essentially promote active conservation, and the
10 principal reason for this rule is offset, then I have to side
11 more with the concept that any additional benefits that are
12 generated by that conservation belong to that customer. And
13 perhaps only the net that goes to the grid that gets on our
14 cogen side, maybe we can talk about that, but it seems to me
15 the lion's share of the RECs belong to the customer. That's
16 just my opinion.

17 MR. BRANDT: Yann Brandt. Just a quick comment on
18 the RECs. I think the way the paragraph is written is right
19 on. We're discussing the value of the electricity right now
20 that we are net metering, and that was one of the previous
21 paragraphs. When we get into renewable energy credits, we can
22 talk all day long about the value of renewable energy credits,
23 and if you think that -- we need to distinguish that there is
24 two items in that energy that we are producing. There is the
25 actual electricity that we are putting back onto the grid that

1 is being resold at a retail rate to another customer, and then
2 there is the intangible renewable energy credit which we are
3 going to use towards the RPS.

4 I would welcome the utilities to purchase the
5 renewable energy credits at whatever multiplier they propose
6 towards that value, because if we are going to assign a
7 multiplier or an extended value to that renewable energy credit
8 and the electricity from that, then we can't just buy it for
9 whatever little value we are assigning to it by doing what you
10 are asking for. I think we really need to separate the two and
11 discuss, one, the value of the electricity here, and then we
12 are going to assign the value of the renewable energy credit at
13 the RPS workshop or whatever other function. We really need to
14 separate the two and keep it the way it is here.

15 MR. TOTH: Bill Toth.

16 I would agree with what he said 100 percent. I
17 believe if we are doing it on a cost avoidance basis, as you
18 said, the RECs belong to the small system or the customer, not
19 the utility. I keep hearing that the other ratepayers are
20 going to be subsidizing the solar customers, but I have not
21 seen any evidence, numbers to substantiate this claim. I would
22 like to challenge the utilities to provide some proof that
23 there will actually be subsidizing going on under the
24 circumstances that we are talking about, including the
25 benefits. And they can't just look at the negative side of

1 this, they have got to look at the positive side of the not
2 lost, you know, in transmission, the on-site generation and not
3 having to build future plants. I mean, I know they don't want
4 to look at this side of it, but I would like to see some
5 numbers to substantiate the claim I keep hearing that other
6 ratepayers are subsidizing the renewable energy purchasers. I
7 have not seen any numbers to substantiate this, any evidence.

8 MS. ROSE: This is Gwen Rose. I wondered if I could
9 just add a little bit to that. I haven't seen studies done in
10 Florida, but I can point to at least three studies that were
11 done to quantify the value of distributed renewable energy
12 according to peak generation, peak demand, deferred T&D
13 upgrades, or avoided T&D upgrades and then transmission losses,
14 which can run between -- depending on obviously location, you
15 know, between 7 to 10 percent, or 13 percent. Those numbers
16 change, but even during peak periods transmission losses go up
17 even more.

18 So, anyway, when they looked at this study in Austin,
19 Texas, they found the distributed generation benefit to be 11
20 cents; when they looked at it in New York, they found it to be
21 16 cents; and when they looked at it in California, they found
22 it to be 23 cents. And those are all values that aren't being
23 captured when we talk about distributed generation. So, again,
24 just to reiterate, when we are talking about the cost of net
25 metering, let's talk about the benefits provided by that power

1 to the ratepayers and to the utility.

2 MS. CLARK: You know, I would just point out that's
3 what you do when you develop your avoided costs. You look at
4 those things and you come up with what customers would
5 otherwise pay for the energy to be generated by the utility.
6 And to the extent you're paying above avoided cost, there is
7 some subsidization going on.

8 MR. TOTH: And I would like to see evidence to
9 substantiate that statement. Based on what she said just down
10 there, I don't know that that's true.

11 MS. CLARK: That's what we do when we put out the
12 standard offer contracts and do the need determinations as to
13 what the cost is going to be to provide that generation. Those
14 are where you find that information.

15 MR. GRANIERE: Just an observation on the avoided
16 cost issue. It really kind of boils down at the end as to how
17 you measure it. That's what it finally boils down to at the
18 end. And probably if it went to the avoided costs, then the
19 discussion would be what is and is not included in the avoided
20 cost. And I think that we are talking of the subsidy, it can
21 either occur in one of two ways. It can be the avoided cost
22 way, is that is there a net benefit involved from a traditional
23 economics point of view, or are we talking about a situation of
24 really the potential for lost sales that may have to be made up
25 from someone else.

1 I would point out that the second argument for
2 subsidy, the lost sales argument, does, in my opinion, carry
3 much more traction in a system that is either losing sales or
4 is stationery. If, however, that system has growing sales,
5 that argument has much less traction because there's people
6 replacing there. So, unfortunately, it seems to me, and this
7 is my personal opinion, that the lost sales argument has less
8 traction in Florida than I would say in a place like Michigan
9 or Indiana.

10 But the other issue, the avoided cost issue, that's a
11 much more ticklish issue because the discussion really boils
12 down to what is the time frame within which to measure the
13 avoided cost. If the time frame is very short, it's as
14 available energy. If the time frame is kind of longer, it's
15 building a new plant. I don't know which one you want to use,
16 but that is what the argument becomes down the road.

17 MR. FUTRELL: Let's take five.

18 (Recess.)

19 MR. FUTRELL: Let's get started. We have got just a
20 little bit more to go, and if we can get into Section 10 on the
21 reporting requirements. We have made these applicable to all
22 of the utilities, muni, co-op, and investor-owned utilities.
23 We have made one clarification on 10(e) that would be specified
24 about the previous calendar year. Any comments on the
25 reporting requirements?

1 MS. CLARK: One question, Mark. On Page 9, Lines
2 20 and 21, when you say the total number of customers and total
3 kW, do you want that reported as of the end of the previous
4 calendar year? The report is due April 1st, and I would
5 presume that the totals you would want are also as of the
6 previous calendar year. Not just for that calendar year, but
7 the total will be run every December 31st.

8 MR. HINTON: Yes. And it's not for the previous
9 calendar year, but we could set a deadline, as of this date
10 what is the total.

11 MR. TRAPP: Well, on Line 19, would you like to add
12 the words, "Shall report the following for the previous
13 calendar year by April 1st of each year," is that what you are
14 getting at, Susan?

15 MS. CLARK: Yes.

16 MR. HINTON: Well, I don't know if that will get to
17 the total.

18 MR. ASHBURN: I mean, customers come and go during
19 the year, so --

20 MR. HINTON: For (a) and (b), if you did that it
21 would just be for the previous year.

22 (Simultaneous conversation.)

23 MR. TRAPP: Cumulative totals?

24 MR. HINTON: Cumulative, a running tally of what we
25 have total.

1 MR. ASHBURN: So, for 20, for example, you want the
2 number that were connected during the year, but some came on
3 and some came off, or do you want them as of the end of the
4 year, or what do you want?

5 MR. TRAPP: All of the above sounds good to me.

6 MR. HINTON: There you go.

7 MR. FUTRELL: Specify that it would be effective as
8 of the end of the calendar year.

9 MR. ASHBURN: That's fine; just which, that's all.

10 MR. HINTON: It would be a total interconnection.

11 MR. ASHBURN: If you clarify it might be better to
12 say that, particularly for (a) and (b) if you had said as of
13 December 31st of the prior year or something like that, that
14 would help.

15 MS. CLARK: As of the end of the previous calendar
16 year.

17 MR. TRAPP: I think that was the intent to capture
18 calendar year data. Now, whether or not we want the end of the
19 year, or average for the year, if we have any additional data
20 requests we will send them.

21 MR. HINTON: The reason why we have, you know,
22 because you look down on (c) and (d), it does specifically say
23 for the previous calendar year. (A) and (b) were designed to
24 be running tallies, so we can say as of the end of the previous
25 calendar year, but it is meant to be cumulative for all

1 previous years.

2 MR. TRAPP: No, wait a minute. I don't think so,
3 Cayce. You want to know the total number of customers you had
4 on-line at the end of the year.

5 MR. ASHBURN: I think you want them at the end of the
6 year, because then (f) is asking for information about each one
7 of them, and I would assume you would want the count as of the
8 end of the year to have the information about what do they use,
9 and what their ratings were, and that kind of thing.

10 MS. CLARK: I think we're saying that the reporting
11 will be total number of customers on renewable generation
12 interconnection as of the end of the previous calendar year.

13 MR. FUTRELL: Right. The effective stop date is
14 December 31st, whatever the world looks like on that day.

15 MR. ASHBURN: Right. And that would apply to (a),
16 (b), and (f).

17 MR. FUTRELL: And (a), (b), and (f) would be for
18 whatever is accumulated from when they first got on the system
19 to that date.

20 Anything else on reporting?

21 MR. TRAPP: Michelle came back. Can I ask my one
22 co-op question that I always ask?

23 I can't get through a workshop without calling you to
24 the mike.

25 MS. HERSHEL: I knew I should have left.

1 MR. TRAPP: We started the workshop with you and we
2 now end the workshop with you, so I have to ask for the record,
3 do you have a problem with the shift to basically reporting
4 that we have done in the rule?

5 MS. HERSHEL: No.

6 MR. TRAPP: Thank you.

7 MR. FUTRELL: Moving on to 11, dispute resolution.
8 We have tried to simplify that. Referring to two processes,
9 one the less formal customer complaint process, and one a more
10 formal process where a party can initiate a formal proceeding
11 with the Commission and give the customer the option of
12 selecting the process they would like to pursue.

13 MR. JONES: Excuse me, Mark. I just had one comment.
14 Just going back, again, I was just thinking, on the information
15 collected it might be helpful, again, for conveying RECs and
16 identifying a generating ID, or a unique ID associated if we
17 ever go to a registry on RECs, if you are going to collect
18 (inaudible) information, renewable energy, gross power rating,
19 geographic location by county, it might be interesting either
20 to get -- you don't want to have published a person's address,
21 maybe a unique generator ID which could be maybe a meter
22 number, or a meter number that the system is tied to, at least
23 for purposes in the REC reporting that it might be helpful, so
24 that you can facilitate, you know, good accounting of the RECs
25 and you don't end up with double counting for a system. So

1 just a suggestion, you know, if you're going to collect all of
2 that information, maybe, again, a site ID or something along
3 those lines.

4 MR. FUTRELL: I guess we didn't contemplate getting
5 into -- that that would be more on the order of the RPS and
6 data requirements for the RPS. We just looked at this as more
7 as overall high-level data so we wouldn't get into any kind of
8 confidentiality concerns and high-level data on what has been
9 happening with these as a result of these rules.

10 MR. HINTON: Sooner or later we're going to have to
11 talk to the legislature about this, so we've got to start
12 gathering the information.

13 MR. FUTRELL: Okay. I think at the beginning of the
14 workshop -- I'm sorry, Mr. Hansen.

15 MR. HANSEN: I just have a real simple question. In
16 the overall scheme of things, what is your projection that you
17 think that this will be clarified and enacted into law or
18 regulation?

19 MR. FUTRELL: And I may need some help from Ms.
20 Gervasi, but as I said earlier, we are going to take a
21 recommendation to the Commissioners at the December 18th agenda
22 conference where they will decide whether or not to propose a
23 rule.

24 And at that agenda they can take the rule staff gives
25 to them, recommends to them, make changes to it, or make some

1 other decision about going forward. But if they choose to
2 propose a rule, then there will be opportunities for public
3 comment on it. Also there will be opportunities to request a
4 hearing if someone has a concern with the rule. That will
5 determine how quickly a rule becomes final if a party decides
6 to request a hearing, but it's hard to forecast out beyond the
7 early part of the year. It's very dependent upon actions taken
8 by the parties and their level of concern with the rule.

9 MR. TRAPP: Let me just elaborate, if I may, in a
10 supervisor's position.

11 We're staff; we don't vote. We just advise and
12 recommend to our Commissioners. Obviously, we are going to
13 have to come up with a proposed draft to put before them, and
14 that proposed draft is not going to -- we haven't reached
15 consensus here on many issues, so staff is going to have to
16 pick a preferred approach.

17 It is our practice, however, for staff to put forth
18 to the Commission a full narrative of the record, if you would,
19 in the case, and that's why the post-hearing comments for this
20 particular workshop are to me really important because, you
21 know, what I intend to -- I've challenged you throughout the
22 day, what I intend to now challenge my staff to do is to take
23 those written comments and to go through them point-by-point
24 and say we accept, we reject, we propose modification, and here
25 is why to be part of the recommendation that we give to our

1 Commissioners.

2 So, I think, you know, the draft that we give our
3 Commissioners will be a working model, if you would, of a rule
4 that we think from a staff perspective would best work. We may
5 not agree. Where we don't agree, there will be alternatives in
6 the REC saying, you know, Bob thinks this should be done this
7 way and Mark thinks it should be done that way, and here are
8 our reasons for it.

9 But in addition to that, I hope that we are able, and
10 I am going to challenge my staff to go through the written
11 comments from this workshop and say, you know, Party A, B, C,
12 D, E, F, G said this, this, this. We have incorporated it in
13 the rule, or we have not, and here is why. So that is what we
14 will be doing to present to our Commissioners.

15 Mark is correct, though, we have been told that the
16 December 18th agenda is when that recommendation will be voted
17 on by our Commissioners. Now, when it comes to them, they
18 vote, we don't. They control the docket from then on.

19 MR. HANSEN: Thank you very much.

20 MR. TRAPP: Sure.

21 MS. CLARK: Are you going to reiterate the dates? I
22 think you said the 19th for the transcripts.

23 MR. FUTRELL: Right. We are looking at the
24 transcript will be available on October 19th, and we'll make
25 sure that it is put upon our website, on the Commission's

1 website. Also, you can contact staff if you would like a copy
2 of it to get that out quickly. We are looking for comments on
3 October 26th. And then, again, the agenda would be on
4 December 18th.

5 MS. CLARK: Have you set any tentative dates for the
6 public hearing, if requested, or is that too much in the
7 future?

8 MS. GERVASI: We don't have shadow dates, I don't
9 believe.

10 MS. CLARK: Okay.

11 MR. FUTRELL: We would request, again, on the theme,
12 we have heard a lot today, specific rule language and as much
13 detailed justification as you can provide will be very helpful
14 to staff so we will fully understand what you are proposing and
15 why. So if you can do that, that would be helpful.

16 If there are no other questions, thank you very much
17 for coming. Have a good day.

18 (The staff workshop concluded at 5:45 p.m.)

19

20

21

22

23

24

25

1 STATE OF FLORIDA)

2 : CERTIFICATE OF REPORTER

3 COUNTY OF LEON)

4

I, JANE FAUROT, RPR, Chief, Hearing Reporter Services
5 Section, FPSC Division of Commission Clerk, do hereby certify
6 that the foregoing proceeding was heard at the time and place
herein stated.

7

IT IS FURTHER CERTIFIED that I stenographically
8 reported the said proceedings; that the same has been
transcribed under my direct supervision; and that this
9 transcript constitutes a true transcription of my notes of said
proceedings.

10

I FURTHER CERTIFY that I am not a relative, employee,
11 attorney or counsel of any of the parties, nor am I a relative
or employee of any of the parties' attorney or counsel
12 connected with the action, nor am I financially interested in
the action.

13

DATED THIS 19th day of October, 2007.

14

15



16

JANE FAUROT, RPR
Official FPSC Hearings Reporter
(850) 413-6732

17

18

19

20

21

22

23

24

25