


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 080148-EI

In the Matter of:

PETITION FOR DETERMINATION OF NEED FOR
LEVY UNITS 1 AND 2 NUCLEAR POWER PLANTS,
BY PROGRESS ENERGY FLORIDA, INC.



VOLUME 4

Pages 306 through 428

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN MATTHEW M. CARTER, II
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER KATRINA J. McMURRIAN
COMMISSIONER NANCY ARGENZIANO
COMMISSIONER NATHAN A. SKOP

DATE: Thursday, May 22, 2008

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: LINDA BOLES, RPR, CRR
Official FPSC Reporter
(850) 413-6734

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER-DATE

04415 MAY 23 8

FLORIDA PUBLIC SERVICE COMMISSION

FPSC-COMMISSION CLERK

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

INDEX

WITNESSES

NAME:	PAGE NO.
ROBERT NIEKUM	
Direct Examination by Mr. Burnett	309
Prefiled Direct Testimony Inserted	311
Cross Examination by Mr. Jacobs	330
SASHA WEINTRAUB	
Prefiled Direct Testimony Inserted	345
JOHN SIPHERS	
Prefiled Direct Testimony Inserted	366
J. MICHAEL KENNEDY	
Direct Examination by Mr. Burnett	379
Prefiled Direct Testimony Inserted	381
Cross Examination by Mr. Brew	398
Cross Examination by Mr. Jacobs	417
CERTIFICATE OF REPORTER	428

	EXHIBITS	ID.	ADMTD.
1	NUMBER :		
2	23		343
3	24		343
4	25		343
5	26		343
6	27		343
7	28		343
8	29		343
9	30		343
10	31		343
11	32		343
12	33		343
13	35		343
14	36		344
15	37		344
16	38		344
17	39		344
18	40		427
19	41		427
20	42		427
21	43		427
22	70 (Late-Filed) Economic Analysis of the	417	
23	Lieberman-Warner Climate Survey Act		
24	of 2007 Using CRA's MRN-NEEM Model -		
25	Summary of Findings		

P R O C E E D I N G S

(Transcript follows in sequence from Volume 3.)

CHAIRMAN CARTER: Good morning. We are resuming our hearing, and we were at the break and we are ready to call our next witness. You're recognized.

MR. BURNETT: Good morning, sir. We call Robert Niekum.

CHAIRMAN CARTER: Robert Niekum. Did I get it right?

THE WITNESS: Yes.

ROBERT D. NIEKUM

was called as a witness on behalf of Progress Energy Florida and, having been duly sworn, testified as follows:

D I R E C T E X A M I N A T I O N

BY MR. BURNETT:

Q Good morning, Mr. Niekum. Will you please introduce yourself to the Commission and provide your business address.

A My name is Robert Niekum. I'm the Director of Account Management, Origination and Cogeneration for Progress Energy Florida, and my business address is 299 First Avenue North, St. Petersburg, Florida.

Q Mr. Niekum, have you already been sworn as a witness?

A Yes.

Q Have you filed prefiled direct testimony and exhibits in this proceeding?

A Yes.

1 Q And do you have those with you?

2 A Yes.

3 Q Do you have any changes to make to your prefiled
4 testimony or exhibits?

5 A No, I do not.

6 Q If I asked you the same questions in your prefiled
7 testimony today, would you give the same answers that are in
8 your prefiled testimony?

9 A Yes.

10 MR. BURNETT: Sir, we request that the prefiled
11 testimony be entered into the record as read today.

12 CHAIRMAN CARTER: The prefiled testimony will be
13 entered into the record as though read.

14

15

16

17

18

19

20

21

22

23

24

25

**IN RE: PETITION ON BEHALF OF PROGRESS ENERGY
FLORIDA, INC. FOR NUCLEAR NEED**

FPSC DOCKET NO. _____

**DIRECT TESTIMONY OF
ROBERT D. NIEKUM**

I. INTRODUCTION AND QUALIFICATIONS

1

2 **Q. Please state your name and business address.**

3 **A.** Robert D. Niekum, P.O. Box 14042, St. Petersburg, Florida 33733.

4

5 **Q. By whom are you employed and in what capacity?**

6 **A.** I am employed by Progress Energy Florida, Inc. ("PEF" or "the Company") as a
7 Director of Account Management, Origination and Cogeneration.

8

9 **Q: What are your responsibilities as Director of Account Management,
10 Origination and Cogeneration?**

11 **A:** PEF provides wholesale power to electric cooperatives, municipal utilities and
12 investor owned utilities. PEF buys power from those same organizations as well as
13 from independent power producers, cogenerators and renewable energy suppliers. I
14 have responsibility for all long term contracts for purchases and sales of wholesale
15 electric energy for PEF, including the procurement of cogeneration capacity and
16 renewable energy. This includes administering all of these long term contracts,
17 negotiating extensions, resolving disputes, and administering payments to
18 cogeneration and renewable suppliers. All of the staff dedicated to the procurement
19 of renewable energy report directly to me.

1

2 **Q. Please describe your education background and professional experience.**

3

4 A. I received a Bachelor of Science degree in Electrical Engineering from the
5 University of Florida in 1976 and a Master of Engineering degree in Electrical
6 Engineering from the University of Florida in 1982. I have completed executive
7 management programs at Dartmouth College in 1996 and at Duke University in
8 2002. I am a registered Professional Engineer in the State of Florida.

8

9 Prior to my current position, I have had other management positions at
10 Florida Power Corporation as Director of Fuels Supply and Manager of Generation
11 Planning. I have provided testimony to the Florida Public Service Commission
12 ("PSC") on Need Hearings for Hines 1 and on Cogeneration issues. Prior to
13 working at Progress Energy, I worked at the Jacksonville Electric Authority in
14 engineering positions in System Planning and in Residential Load Research.

14

15 **Q. Are you sponsoring any sections of the Company's Need Study, Exhibit No.**
16 **___ (JBC-1)?**

17

18 A. Yes. I am sponsoring Section IV, C., 5, the "Future Renewable Fuel Generation"
19 subsection of the Need Study.

19

20 **Q. Are you sponsoring any exhibits with your testimony?**

21

22 A. Yes. I am sponsoring the following exhibits that I prepared or that were prepared
23 under my supervision and control and are accurate to the best of my knowledge:

23

- Exhibit No. ___ (RDN-1), which is a list of PEF's renewable contracts;

- 1 • Exhibit No. ___ (RDN-2), which is a copy of the National Renewable Energy
2 Laboratory's resources maps for wind and solar;
- 3 • Exhibit No. ___ (RDN-3), which is a copy of the Florida Public Service
4 Commission and the Department of Environmental Protection's An
5 Assessment of Renewable Electric Generating Technologies for Florida; and
- 6 • Exhibit No. ___ (RDN-4), which is a list of potential renewable suppliers
7 who responded to PEF's recent Request for Renewables.
8

9 **Q. What is the purpose of your testimony?**

10 A. The purpose of my testimony is to explain PEF's renewable energy portfolio along
11 with its ongoing efforts to develop and sustain renewable energy resources. I will
12 also discuss total viable and reliable renewable resources that are available now and
13 in the foreseeable future in Florida that might be available to PEF. Finally, I will
14 discuss PEF's ongoing negotiations with potential renewable energy providers and
15 PEF's actions to encourage new renewable projects in Florida.
16

17 **II. HISTORICAL OVERVIEW OF PROGRESS ENERGY'S
RENEWABLE ENERGY PROGRAM**

18 **Q. Briefly describe PEF's renewable energy program.**

19 A. PEF's renewable energy programs generally are divided between retail and
20 wholesale. Mr. Masiello will provide testimony on the retail programs. I will
21 discuss the wholesale programs.

1 On the wholesale side, PEF is actively pursuing contracts with electric
2 energy providers that use renewable resources to produce electric energy on a large
3 scale, usually at least 1 megawatt ("MW") or more. PEF currently has contracts
4 with five providers for more than 173 MW of renewable energy. In addition, PEF
5 has recently signed three contracts for an additional 267 MW of renewable energy.
6 Exhibit No. ____ (RDN-1) shows PEF's current existing and pending contracts.

7 We have not stopped there, however. In order to be even more proactive in
8 obtaining renewable resources, on July 19, 2007, PEF issued a Request for
9 Renewables to encourage renewable providers to open discussions with the
10 Company on potential new projects in Florida. The intent of this request was to
11 build upon PEF's strong track record of attracting renewable resources with flexible
12 negotiations while staying within the regulatory requirements for cost effectiveness.

13
14 **Q. When did PEF begin its Wholesale Renewable Energy program?**

15 **A.** The origins of PEF's renewable energy program began with the Public Utilities
16 Regulatory Policy Act (PURPA) of 1978. By the 1980s, Florida Power Corporation
17 ("FPC") began entering into long-term contracts with cogenerators and municipal
18 solid waste facilities. By the 1990s, FPC had over 800 MW of contracts with
19 qualifying facilities, so-called "QFs." With the creation of Progress Energy in 2000,
20 PEF continued searching for renewable energy projects and ultimately signed three
21 new contracts with two new suppliers and renegotiated contracts with several
22 existing smaller producers. The Company has continued its long-standing practice

1 of adding renewable energy resources to its generation portfolio throughout this
2 decade.

3 4 **III. RENEWABLE RESOURCES IN FLORIDA**

5 **Q. What sources of energy are considered renewable?**

6 **A.** Although there is no universal definition of a renewable resource, Section 366.91 of
7 the Florida Statutes ("F.S.") provides one: "electrical energy produced from a
8 method that uses one or more of the following fuels or energy sources: hydrogen
9 produced from sources other than fossil fuels, biomass, solar energy, geothermal
10 energy, wind energy, ocean energy, and hydroelectric power. The term includes the
11 alternative energy resource, waste heat, from sulfuric acid manufacturing
12 operations." The statute also defines municipal solid waste as a type of biomass.

13 14 **Q. Please discuss the availability of renewable resources in the Florida market.**

15 **A.** Because renewable resources use natural sources of energy, the market for such
16 resources is driven by the availability of energy that can be obtained from the
17 environment. Florida's geography and weather significantly limit the types of viable
18 renewable energy sources in the state. For example, traditional resources such as
19 hydro power or geothermal sources are essentially unavailable in Florida. Although
20 there is considerable debate about the development of economic solar and wind
21 resources, most research to date indicates that wind and solar power have limited
22 application within PEF's service territory. In Exhibit No. ___ (RDN-2) to my

1 testimony, I have included national wind and solar resource maps that illustrate this
2 point.

3 Future options may include some type of ocean wave or current sources,
4 but there are no successful ocean wave or current projects yet in Florida. There is
5 general agreement, however, that Florida does have a modest potential for
6 additional biomass development due to the availability of forest and farmland, and
7 a tropical climate with a long growing season. That potential, however, is
8 dependant upon, among other things, the development of reliable technology, land
9 costs, and local acceptance.

10
11 **Q. How much renewable capacity currently exists in Florida?**

12 **A.** In a presentation to the Florida Public Service Commission on August 15, 2007, the
13 Florida Reliability Coordinating Council ("FRCC") stated that there was 1,441 MW
14 of existing renewable energy capacity in Florida. In addition there was 125 MW of
15 biomass, 13 MW of landfill gas, and 88 MW of wood products planned in the 2008
16 – 2016 timeframe.

17
18 **IV. EVALUATING RENEWABLE ENERGY RESOURCES**

19 **Q. How does PEF evaluate renewable energy resources?**

20 **A.** Any renewable resource selling electric energy to PEF must be able to meet the
21 minimum standards as described in the Renewable Standard Offer Contract as
22 approved by the PSC. PEF gives consideration to the issues and end use categories
23 specified in Commission Rule 25-17.0021(3), Florida Administrative Code

1 ("F.A.C.") and the renewable criteria established by the legislature in Section
2 366.91, F.S. Particular items may be negotiated resulting in a negotiated contract,
3 however, the resulting contract must be approved by the PSC as reasonable and
4 prudent.

5 Some of the key issues that must be evaluated are:

- 6 • Does the supplier have a viable technology?
- 7 • Is there a fuel supply or energy source that is dependable?
- 8 • Can the supplier obtain financing for the project?
- 9 • Is there a reasonable business plan in place?

10 The vast majority of proposals we receive from renewable developers either have
11 no real technology or any viable method to convert an idea into a real project. PEF
12 nonetheless makes every reasonable attempt to hear out unconventional ideas
13 before making any decisions.

14
15 **Q. How does Progress Energy Florida evaluate the cost effectiveness of renewable**
16 **energy projects?**

17 **A.** Projects are evaluated in accordance with the PSC rules for Standard Offer
18 Contracts and Negotiated Contracts. The total Net Present Value of the payments to
19 the renewable resource must be less than the total expected expense of the utility's
20 own generation resources (avoided cost). In this way, the renewable resource must
21 be cost effective when compared to conventional resources. However, benefits of
22 renewable attributes such as Renewable Energy Credits (RECs) are not included in
23 the utility payment and may represent an additional revenue stream for the

1 renewable resource, as well as any tax credits or other local, state, or federal
2 incentives.

3
4 **Q. Has PEF been able to contract for renewable resources at or below avoided
5 costs?**

6 **A.** Yes, PEF has entered into a number of new renewable energy contracts with
7 developers who have been able to develop projects that are profitable at or below
8 these avoided costs.

9
10 **Q. Is renewable energy more expensive than current energy sources including
11 coal, natural gas, and nuclear energy?**

12 **A.** The cost of renewable energy varies a great deal depending upon the technology.
13 PEF has recently entered into contracts with the Florida Biomass Energy Group for
14 approximately 117 MW and Biomass Gas & Electric ("BG&E") for another 150
15 MW. The costs of these contracts are below avoided cost; that is, they are less
16 expensive than the cost of new fossil-fueled generation. On the other hand, our
17 experience with solar photovoltaics has shown that the cost for this type of electric
18 generation is much higher than avoided cost.

19 In January 2003, the PSC and the Department of Environmental Protection
20 ("DEP") issued An Assessment of Renewable Electric Generating Technologies for
21 Florida that listed levelized costs as low as 2.4 cents per kWh for municipal solid
22 waste facilities to as high as 47.4 cents per kWh for photovoltaics. (Attached
23 hereto as Exhibit No. ____ (RDN-3)). These costs may have changed since the

1 report was issued, but the range demonstrates the variability of costs for renewable
2 energy and is consistent with what we have seen from developers since 2003.

3
4 **Q. What is PEF doing to encourage the use of renewable energy?**

5 A. PEF has always been one of the most successful Florida utilities in securing
6 renewable energy contracts. These contracts represent a cooperative process
7 between the developer and the utility in order to bring a project to fruition. PEF has
8 worked on contracts for as long as it takes to get a workable agreement that is
9 satisfactory to all of the parties. The reality is that patient, hard work is often far
10 more effective in achieving positive results than any other action that a utility can
11 take.

12
13 **Q. Has Progress Energy Florida been able to identify renewable energy sources
14 that appear to be reasonable, feasible, and economic?**

15 A. Yes, this is demonstrated by PEF's recent contracts with the Florida Biomass
16 Energy Group, and BG&E of Florida. Our recent Request for Renewables also
17 demonstrates PEF's continuing desire to enter into power purchase agreements with
18 renewable providers.

19
20 **Q. Does Progress Energy Florida purchase energy and capacity from any other
21 renewable facilities?**

22 A. Yes. As early as 1980, PEF entered into an agreement to purchase energy from the
23 municipal solid waste ("MSW") facility in Pinellas County, Florida and in 1983,

1 PEF began purchasing energy from St. Joe Forest Products produced from waste
2 wood. The St. Joe Forest Products facility was shut down a few years ago, but the
3 Pinellas County MSW facility continues to operate reliably and is under contract to
4 deliver to PEF through 2024.

5 Currently Progress Energy Florida purchases capacity and energy from
6 municipal solid waste facilities in Lake County (12.75 MW), Metro-Dade County
7 (43 MW), Pasco County (23 MW), and Pinellas County (54.75 MW). PEF also
8 purchases capacity and energy produced by waste wood, tires and landfill gas from
9 Ridge Generating Station (39.6 MW). When added to the contracts with the Florida
10 Biomass Energy Group (117 MW) and BG&E of Florida (150 MW) the total
11 capacity of renewable energy under contract to PEF is over 439 MW.

12 PEF also purchases renewable energy from PCS Phosphate's waste heat
13 fueled facilities and from the SI Group's waste wood facility on an as-available
14 basis. Attached as Exhibit No. ___ (RDN-1) to my testimony is a table showing
15 PEF's current QF and Renewable Energy contracts as well as contracts that are
16 currently under negotiations.

17 18 **V. SOURCES OF RENEWABLE ENERGY**

19 **Q. Can you discuss the potential of hydrogen produced from sources other than**
20 **fossil fuels in Florida?**

21 **A.** First, hydrogen is a method to store energy not an energy source. That is, it takes
22 energy to create hydrogen and then the hydrogen can be transported and/or stored
23 until it is ready to be used. Traditionally, hydrogen has been produced from natural

1 gas. In order to produce hydrogen from renewable resources, a conversion process
2 must be utilized. Currently, the most common conversion method is to electrolyze
3 water thereby splitting water molecules into oxygen and hydrogen. Electrolysis is a
4 very inefficient process, so it takes much more energy to produce the hydrogen than
5 is stored in the hydrogen. Therefore, until newer methods of producing hydrogen
6 are developed, it makes more sense to use renewable resources to produce
7 electricity directly rather than to produce hydrogen that is then going to be used to
8 produce electricity.

9
10 **Q. What about biomass?**

11 **A.** Biomass makes sense in Florida depending, in large part, on land prices, technology
12 feasibility, and public acceptance. Florida is blessed with a sub-tropical climate that
13 allows year-round growth of biomass. This is a big advantage compared to the rest
14 of the country outside of south Texas and Hawaii. PEF recognized the potential of
15 biomass in Florida early on and was able to lock up two of the largest biomass
16 facilities in the world.

17
18 **Q. Can you describe the Florida Biomass Group project?**

19 **A.** Yes. The Florida Biomass Group, once known as the Biomass Investment Group or
20 BIG, has been assigned to the Innovative Energy Group of Florida, L.L.C. or IEG.
21 This facility is a closed loop project that is expected to produce as much as 145
22 MW of electricity. They will grow a crop they call E-Grass. They will be able to
23 harvest the E-Grass twice a year from a 20,000 acre farm. The E-Grass will be

1 converted to a bio-oil using a process called pyrolysis. Simply stated, pyrolysis is a
2 method of burning the E-Grass in an oxygen free environment producing bio-oil
3 and char. The char will be used as fertilizer for the E-Grass. The bio-oil is then used
4 in a traditional combined cycle power plant to produce electricity. This contract is
5 expected to save PEF's ratepayers an estimated \$113 million when compared to
6 avoided cost.

7
8 **Q. You stated that the IEG project is a closed loop project. What does that mean?**

9 **A.** In this case, closed loop means that the CO₂ from this project is captured in a closed
10 loop. First, as the E-Grass grows, it uses photosynthesis thereby absorbing CO₂
11 from the atmosphere. The CO₂ is contained in the bio-oil produced by IEG and is
12 released as the bio-oil is burned in the combined cycle facility. All the CO₂ released
13 is then re-captured by the E-Grass as it grows. In other words, the CO₂ just
14 continues to be released and re-captured in a closed loop.

15
16 **Q. Is IEG considering producing bio-oil from E-Grass grown outside of Florida?**

17 **A.** Yes. The cost of production may be substantially lower in other farming locations,
18 improving the economic viability of the project. However the closed loop
19 characteristic of the entire process is not changed by separating the distance
20 between the farm and the power plant, which will still be located in Florida.

21
22 **Q. Please summarize the Biomass Gas & Electric project.**

1 A. The Biomass Gas & Electric group will use a different technology than the IEG E-
2 Grass project. BG&E will use waste wood products such as yard trimmings, tree
3 bark, and wood knots from paper mills. The waste wood products will then be
4 gasified using a process similar to the process used in coal gasification and the gas
5 will be utilized in a combined cycle plant. The two BG&E facilities are expected to
6 produce 75 MW electricity per facility, for a total of 150 MW, which would make
7 them the largest waste wood biomass projects in the nation. These contracts are
8 expected to save PEF's ratepayers an estimated \$86 million when compared to
9 avoided cost.

10 The IEG project and BG&E projects demonstrate why PEF is excited about
11 the potential of biomass in Florida. These projects are expected to deliver reliable,
12 cost effective electric energy to our customers by using technology that is available
13 today.

14
15 **Q. You mentioned that municipal solid waste is included in the definition of**
16 **biomass as outlined in F.S. 366.91. What is the potential of additional**
17 **municipal solid waste as a fuel source in Florida?**

18 A. Municipal Solid Waste or MSW has a proven track record in Florida. For example,
19 PEF has contracts with four MSW fueled facilities totaling 133.5 MW. These
20 facilities are located in Lake County, Metro-Dade County, Pasco County, and
21 Pinellas County. I understand that additional MSW fueled facilities are being
22 considered in Florida. I also understand that there are some new technologies being
23 developed to better utilize MSW as a fuel. While MSW seems certain to continue

1 to be a resource in Florida, estimates that I have seen suggest that the maximum
2 additional capacity available from MSW fueled facilities is around 400 MW
3 statewide.

4
5 **Q. Let's go back to the list of defined renewable resources. What is the potential**
6 **for large-scale solar energy projects in Florida?**

7 A. While the future potential for small photovoltaic devices may be promising in some
8 areas of the country, the technology still has a way to go before photovoltaics are
9 cost effective on a large scale. Unlike biomass projects that can produce electricity
10 at or below avoided costs, photovoltaics are much more expensive. Recent costs
11 show that photovoltaics cost about \$0.32 per kWh or about five times the cost of
12 biomass generation. For the immediate future, photovoltaics cannot produce cost-
13 effective or reliable energy in Florida on a large scale basis.

14
15 **Q. What about the potential for generation from wind powered facilities?**

16 A. With current technology and the current understanding of wind resources in
17 Florida, wind powered generation does not seem to be very promising in Florida.
18 The map from the U.S. Department of Energy and the National Renewable Energy
19 Laboratory (NREL) is attached as Exhibit No. ___ (RDN-2) to my testimony. This
20 map shows that Florida only has marginal wind resources that are along the
21 coastline. There may be sufficient wind resources off shore in Florida, but
22 transmitting energy from off shore sources is, among other things, still very
23 expensive and often impractical.

1 As windmill and transmission technologies improve, they may unlock the
2 potential of wind in Florida. In the foreseeable future, however, wind powered
3 generation is not economic or feasible in Florida.

4
5 **Q. The next renewable source listed in F.S. 366.91 is ocean currents. What is the**
6 **state of ocean current technology?**

7 **A.** This technology is still in the developmental stage, and there are no successful
8 ocean current technology projects in Florida.

9
10 **Q. Is there any potential for hydroelectric power in Florida?**

11 **A.** Very little. Florida is not blessed with the elevation changes required for
12 hydroelectric power. There is a very small amount of hydroelectric power in
13 Florida, but no new viable projects have been found to date.

14
15 **Q. F.S. 366.91 includes waste heat from sulfuric acid manufacturing as a**
16 **renewable resource. Is PEF familiar with this technology?**

17 **A.** Yes. PEF had a contract with Mosaic for 15 MW of capacity and energy produced
18 from the waste heat resulting from the manufacture of sulfuric acid. That contract
19 expired at the end of 2007. Beginning in 2008, Mosaic intends to use that 15 MW
20 to serve its own load. In addition, PEF purchases such waste heat energy on an as-
21 available basis from PCS Phosphate.

22 As long as there are phosphate mining operations in Florida, the waste heat
23 from sulfuric acid manufacturing should be a viable source of renewable energy.

1 However, as PEF's contract with Mosaic demonstrates, most of the generation from
2 waste heat will be used by the mines that produce sulfuric acid for their own
3 operations rather than sold to others.

4
5 **VI. REQUEST FOR RENEWABLES**

6 **Q. PEF released a "Request for Renewables" in July. What is a Request for
7 Renewables?**

8 **A.** It is simply a request for anyone with a project that produces electricity from a
9 renewable resource to come talk with PEF to see if a purchase agreement can be
10 negotiated. It is less restrictive than a formal request for proposals and was PEF's
11 additional attempt to uncover any viable, cost effective renewable project for PEF
12 in Florida. Also included in the Request for Renewables (or "RFR") were requests
13 for information from those that install photovoltaic and solar thermal systems. The
14 solar responses have been forwarded to the DSM and Alternative Energy Group.
15 My department handled the responses seeking to sell all other types of renewable
16 energy to PEF.

17
18 **Q. How successful has the RFR been?**

19 **A.** We have received over 55 inquiries about selling renewable energy to PEF. The
20 responses have varied from a group that is proposing to build an underground
21 facility with a technology they are not willing to discuss, to wave energy, solar,
22 biomass, and biodiesel projects. Of these inquiries, 50 were clearly not likely to
23 result in viable contracts by the year 2017. Others, however, may have promise, and

1 we have entered into more substantive discussions, but it is too early to tell if any of
2 these inquiries will develop into purchase agreements. A table outlining these
3 inquiries and a status of our follow up is attached to my testimony as Exhibit No.
4 ____ (RDN-4).

5
6 **Q. Why is it too early to tell if these inquiries will become purchase agreements?**

7 **A.** Many of the inquiries are just looking for information about rate structures, service
8 area, etc. Some of the inquiries are from developers that do not yet have a
9 commercial technology or that have a technology that is not cost effective.
10 Further, there may be interconnection issues, and some projects may have trouble
11 obtaining financing for a variety of reasons.

12
13 **Q. Based on all the facts and information you have at this time, how much more**
14 **reliable and cost-effective renewable energy can PEF contract for between**
15 **now and 2017.**

16 **A.** The potential for substantial increases in the amount of renewable energy that is
17 reliable and cost-effective is limited. As I have previously discussed, the only new
18 reliable and cost-effective renewable resources that will be available to PEF within
19 this timeframe would almost certainly come from MSW and biomass projects.
20 With only an estimated additional 400 MW of MSW available statewide in the
21 foreseeable future as a best case scenario, this resource has finite limits. Biomass
22 projects are limited due to the significant volume of fuel that they require. Other
23 renewable alternatives such as solar, wind, and wave energy have not yet become

1 cost-effective, and these technologies are highly dependent upon intermittent
2 natural energy sources that can be a valuable energy resource but cannot be
3 depended upon to produce firm capacity.

4
5 **Q. Are there any risks for PEF in entering into contracts with new renewable**
6 **energy projects?**

7 **A.** Yes. The biggest single risk is that renewable energy producers that PEF enters
8 into contracts with may not bring their projects to fruition. For example, if new
9 renewable projects are not able to secure reliable fuel sources, are not able to
10 reliably put new generation technologies into operation, are unable to secure sites
11 for their projects, and/or are unable to complete their projects due to financial or
12 other logistical constraints, PEF will obviously need other reliable sources available
13 to meet PEF's generation needs.

14 Another risk is that these technologies may not be capable of the reliability
15 of a fossil-fueled generator. For instance, solar generators can only generate during
16 daylight hours and wind generators can only generate when the wind is blowing.
17 While new renewable energy technologies and projects are exciting and
18 encouraging, there is a real-world chance that some of these projects will never
19 advance to commercial operation or they may not operate as reliably as a fossil-
20 fueled generator, and PEF must be prepared for this contingency.

21
22 **VII. CONCLUSION**

23 **Q. Does this conclude your testimony.**

1 A. Yes it does.

2

1 BY MR. BURNETT:

2 Q Do you have a brief summary?

3 A Yes. Again, my name is Robert Niekum and I am the
4 Director of Account Management, Origination and Cogeneration
5 for Progress Energy Florida. I have submitted prefiled
6 testimony regarding PEF's renewable energy portfolio, along
7 with its ongoing efforts to develop and sustain renewable
8 energy resources. I'm available to answer questions regarding
9 my prefiled testimony.

10 MR. BURNETT: Thank you.

11 We tender Mr. Niekum.

12 CHAIRMAN CARTER: Thank you.

13 Mr. Burgess? Mr. Brew?

14 MR. BREW: No questions.

15 CHAIRMAN CARTER: Mr. -- staff?

16 MS. FLEMING: We have no questions.

17 CHAIRMAN CARTER: Commissioners? Okay. Well, let's
18 wait a couple of seconds.

19 Mr. Jacobs, we have Mr. Niekum on the stand. Do you
20 have any cross-examination for him?

21 MR. JACOBS: Just a couple of questions.

22 CHAIRMAN CARTER: I beg your pardon?

23 MR. JACOBS: Just a couple of questions for him.

24 CHAIRMAN CARTER: Okay. You're recognized, sir.

25 CROSS EXAMINATION

1 BY MR. JACOBS:

2 Q Good morning, Mr. Niekum. How are you?

3 A Good morning.

4 Q Your testimony has to do with the company's positions
5 on renewables; is that correct?

6 A Yes.

7 Q And in your testimony you indicate the effort and the
8 extent to which the company has undertaken to integrate
9 renewables into your generation; is that correct?

10 A Yes.

11 Q Is it a fair statement that your programs have been
12 tied to the idea that your customers would also engage in load
13 management as, in addition to undertaking renewables? Is that,
14 is that a fair statement?

15 A Well, the renewables that I am responsible for
16 obtaining are on the -- we get on the wholesale level. They're
17 generally large-scale renewable resources. The issues with
18 load management would be direct load control, all those
19 programs Mr. Masiello testified to. So to the degree that the
20 two integrate together, it's part of the overall process of
21 planning the system. But what I do generally is not directly
22 tied at all to the DSM program.

23 Q Help me understand then. So you're only dealing with
24 renewables contracts, RFPs that come out of the new Commission
25 rule then?

1 A Yes.

2 Q Okay. And so to the extent that a residential
3 customer who wants to engage, take solar, you wouldn't be
4 involved in that?

5 A No, I would not, because generally those are smaller
6 units that are either part of some solar program or would fall
7 under the net metering rules when they come into effect. Those
8 are usually not done with a PPA.

9 Q What about commercial customers or industrial
10 customers?

11 A Up until they hit the limits of the net metering it
12 would really depend on what they wanted to do. If a commercial
13 customer was putting in a large scale solar, say, of three or
14 four megawatts or any type of renewable program, then they may
15 come to us and ask for a power purchase agreement and sell that
16 power directly to us. But if they were offsetting some of
17 their own load with that solar program, then I wouldn't be
18 involved in that.

19 Q Could you describe the level and extent to which you,
20 you or your, your organization has done a market analysis or
21 survey which, which explores the, the potential, if you will,
22 of available generation, let's stick with solar, available
23 generation from solar and match that up to the, to your RFPs
24 that you have issued? In other words, have you gone and looked
25 at what the market provides or offers with regard to space and

1 potential facility and matched that up to your RFPs?

2 MR. BURNETT: Excuse me. I'll object as compound,
3 confusing.

4 CHAIRMAN CARTER: Rephrase. Rephrase, Mr. Jacobs.

5 MR. JACOBS: I thought it was fairly straightforward.

6 BY MR. JACOBS:

7 Q In designing your RFPs, what is your, what is your
8 market analysis that goes into that?

9 A Last year, if I -- last year we went, put a request
10 for renewables out that in effect was a little broader than an
11 RFP. We basically tried to cast a wider net of looking at
12 anybody that could produce some type of renewable energy that
13 would be something that we would find useful.

14 When you do something like that, you get quite a wide
15 variety of responses, some of which are really not feasible at
16 all. Sometimes people just have some ideas but no real
17 project.

18 But within all those responses there were several
19 that had real potential and we have signed one contract. The
20 second biomass gas and electric contract kind of fell under
21 that, that net. And then we've uncovered a number of others
22 that we are in negotiations with. So we have tried to find in
23 as creative a way as we can what resources are out there, and
24 so we have been looking for those resources.

25 Q Are you -- in the petition for need, you're familiar

1 that you include as an attachment the Commission's report on
2 renewables; is that correct?

3 A That's right.

4 Q And in that report there is an assessment of the
5 market for renewables particularly with regard to solar. Are
6 you familiar with that analysis?

7 A Yes.

8 Q And that analysis provides that because a lot of the
9 load in Florida is driven by air conditioning, that, and
10 because air conditioning occurs at a point in time during the
11 day when solar would generate, that air conditioning would
12 appear to be a good fit for solar renewables. Is that, is that
13 a fair statement as to the Commission's report?

14 MR. BURNETT: I'm sorry. Do you have the page number
15 you're referring to, sir?

16 MR. JACOBS: I will be happy to pull that up. It
17 will take me a few minutes, Chairman, Mr. Chairman. It's in
18 their, it's in their petition. I would hope they would have
19 that.

20 CHAIRMAN CARTER: Well, wait. Wait. Wait. Wait.
21 Let's hold on now. Let's hold on.

22 You can ask your question -- you can ask a question
23 based upon whether or not he has any knowledge. If he doesn't
24 have any knowledge of it, then, you know, you can go find it.
25 So, let's --

1 MR. JACOBS: Then, sir, if you'll give me about two
2 minutes, I'll pull and get him a page reference.

3 CHAIRMAN CARTER: Okay. You've got two minutes.

4 MR. JACOBS: Thank you.

5 CHAIRMAN CARTER: Let's take about a five-minute
6 recess.

7 (Recess taken.)

8 We are back on the record.

9 Mr. Jacobs, you're recognized, sir.

10 MR. JACOBS: Thank you, Mr. Chairman.

11 BY MR. JACOBS:

12 Q Mr. Niekum, I'm actually going to point you to your
13 testimony and what's been identified as Exhibit 25, RDN-3. Do
14 you have that?

15 A Yes, I do.

16 Q And I'm going to Page 31 of 81 of that exhibit.

17 A I'm sorry. I didn't hear the page number.

18 Q I'm sorry. Page 36, page 36 of 81 of Exhibit 25,
19 which is RDN-3 attached to your testimony.

20 A Okay. Page thirty -- oh. Okay. I have it.

21 Q Okay. And you see the section there labeled "Solar
22 Potential"?

23 A Yes.

24 Q Okay. And I assume that, that you've reviewed this,
25 this, this section of the report.

1 A Yes.

2 Q Is it, is it a correct conclusion that the conclusion
3 reached here is that solar is a good fit for peak, for
4 reduction of peak demand?

5 A This chart would tell you that the data that I've
6 seen for our utility says that it is not. The photovoltaic
7 generation curve you see here is one probably more typical of a
8 very high solar area, and it's probably -- for summer our load
9 does not really follow this curve from all the data I've seen.
10 Our peaks tend to occur much later in the day. And so this is
11 not a representation of any load data I've seen for Progress
12 Energy Florida.

13 Q Okay. And you've presented -- in your, in your
14 petition, in your assessment of renewables you represented that
15 distinction that, that renewables are more suited to your
16 system because of how your peaks occur?

17 A Well, we try to find renewable resources that will
18 help be available at the time a system peaks so that they could
19 be considered as part of our resource plan. If a renewable
20 resource generates power either randomly or at times that are
21 not really consistent with any of our peaks, then the resource
22 really could be an energy resource and we could, we could
23 purchase that power on an as-available basis but not as firm
24 capacity.

25 Q And do you, do you engage in that policy or is that a

1 practice that you look to?

2 A Yes, we do.

3 Q So to what extent do you buy energy from solar
4 resources?

5 A Right now all of our -- we're not buying any large
6 scale solar. We're currently in negotiations with several
7 developers that are looking at large scale solar, but we
8 currently do not have a PPA contract with any of them.

9 Q Are you familiar with the recent trend of, where
10 third party financiers are engaging commercial establishments,
11 i.e. Wal-Mart, Costco, where they are buying their roof space
12 in order to install systems?

13 A I'm only vaguely familiar with that. It's not
14 something that I normally deal with.

15 Q I thought you, you would be dealing -- oh, I see. So
16 in the event that -- let me walk, just walk through that for a
17 moment.

18 So if, if a large commercial customer were to come to
19 you in partnership with a, a financing company from Wall Street
20 and said, "We engaged in an arrangement where this financing
21 company is going to buy our roof space, install solar and
22 generate electricity," that, that would, you would not be
23 involved in that transaction to the company?

24 A It would be highly dependent on how ultimately it was
25 structured. There are different ways that can be done. Right

1 now we have not engaged in any contracts like that.

2 Q Okay.

3 A Again, these can sometimes be done on an individual
4 basis where they come in and put those units in, and that would
5 be more on the retail side. Mr. Masiello would deal with those
6 type of arrangements.

7 The contracts that I have worked on have all been
8 more like a generating station type or a freestanding solar
9 facility that we would interconnect to. So I haven't had any
10 experience with that arrangement.

11 And generally the arrangements that we do financially
12 with those, those kind of arrangements are more on the retail
13 side than the wholesale PPAs that I would deal with.

14 MR. JACOBS: Very well. Thank you. No further
15 questions.

16 CHAIRMAN CARTER: Thank you. Commissioners?
17 Commissioner Argenziano.

18 COMMISSIONER ARGENZIANO: And, Mr. Chair, I'm not
19 sure if Mr. Niekum can answer these questions and I'm just
20 going to ask. Because yesterday I was asking Mr. Masiello and,
21 about some solar issues, and I think what he answered me
22 yesterday was more about the nuclear power plant, which I
23 believe is baseload, and I was really asking, I think, more
24 about peak load. So if you can't answer the questions, then --
25 you know, I'd just appreciate it if you can. If you can't,

1 then maybe the company can help provide me with some of that
2 information maybe in the form of a late-filed amendment or
3 whatever needs to be done.

4 So in saying that, I guess I wanted to know a few
5 things because of the questions that come in from citizens out
6 there and some of the things that just come up during, I guess,
7 thinking about the issues before us.

8 What percentage of electric do you think is used from
9 water heaters in people's homes?

10 THE WITNESS: I, I used to work on that years ago,
11 and I would be -- I would feel wrong to give you an estimate of
12 what that is. But it is a substantial portion of many
13 residential bills, particularly if they are smaller homes and
14 you have in particular teenagers or children.

15 COMMISSIONER ARGENZIANO: Right. A larger family.

16 THE WITNESS: And so water heating can be a
17 substantial part of that bill.

18 COMMISSIONER ARGENZIANO: And that's part of -- whoa.
19 And that's part of baseload?

20 THE WITNESS: No. Water heating tends to be pretty
21 much, you know, in the evening and morning. You know, again,
22 people have different lifestyles. But, again, this is from my
23 experience many years ago doing load research on this, and it
24 tends not to be baseload as much as it is pretty much
25 lifestyle, morning and evening.

1 COMMISSIONER ARGENZIANO: Okay. Okay. And I don't
2 know, I don't have any clue about what a solar water heater
3 would cost. Do you have any idea?

4 THE WITNESS: No.

5 COMMISSIONER ARGENZIANO: I know that's a stretch,
6 but just in case you do, I'm --

7 THE WITNESS: No, I don't. I really don't.

8 COMMISSIONER ARGENZIANO: Okay. Okay. And, well, I
9 guess what I'm trying to figure out, and I know this is going
10 to sound simplistic or a little odd, but for my own reasons I'm
11 trying to figure out how many of these water heaters of the
12 17 million, billion dollars, you know, how many of them would
13 offset the baseload demand? Does that make sense?

14 THE WITNESS: I understand what you're saying. And I
15 think particularly when you look at solar energy, it tends to
16 be only available for the sunlight hours. So you get maybe
17 five really good hours, maybe six, just depending on the season
18 of when the energy is produced. Then the question is what do
19 you do with that energy and how do you make the best use of it?
20 This is where solar fits in rather well as a peaking supply
21 depending on the technology.

22 Now the advantage of solar water heating is, of
23 course, you're storing the energy and you're using it during
24 those peak times that you'd have normally used electricity. So
25 that has a value.

1 We're currently looking at some of the thermal solar
2 generation on the large scale that has some type of heat
3 storage mechanism that allows the solar energy to be moved a
4 few hours so that you can generate power closer to the utility
5 system peak. That greatly increases its value.

6 The problem still with solar is it's very expensive.
7 But to the degree you can align it with the most expensive
8 times you're using electricity anyway or running your most
9 inefficient units, it has real value. It just doesn't tend to
10 reduce baseload. It tends to reduce these peaking applications
11 and that tends to be where, in my opinion, it fits the best.

12 COMMISSIONER ARGENZIANO: So if I may.

13 CHAIRMAN CARTER: You're recognized.

14 COMMISSIONER ARGENZIANO: So if you were using a
15 solar water heater, I guess your water heater holds hot water
16 for I don't know how many hours but there's a number of hours.
17 So even if it's an offpeak period of time, wouldn't that then
18 be baseload time?

19 THE WITNESS: Again, it's -- the answer is no. I'm
20 trying to think of a way to explain it.

21 COMMISSIONER ARGENZIANO: Okay.

22 THE WITNESS: The -- if you charge up the water
23 heater during the day to store the heat, the chances are most
24 of that water heating consumption occurs at one of the peak
25 times, morning or evening. Different methods have been tried.

1 When we used DSM for water heater control, we charge it up with
2 baseload at night so that we'd avoid the peaking. And in this
3 case you're just substituting solar energy to do the same job.
4 But in either case it eliminates the need for peaking capacity.
5 It doesn't eliminate the need for baseload capacity.

6 COMMISSIONER ARGENZIANO: Baseload. Okay. I guess,
7 Mr. Chair, what I'm trying to figure out is if you were to take
8 \$17 billion and put it into solar water heating, and I'm not
9 saying -- that's some of the questions that come in -- how much
10 would that remove off the baseload or the peak load, you know,
11 which way it would go? And that's basically if you could give
12 me some information. Plus what I just heard Mr. Niekum say
13 would help in my answers that, that -- the questions that are
14 coming up. That would be helpful, if you could.

15 MR. BURNETT: Yes, ma'am. And, Commissioner, I think
16 Mr. Crisp may be able to give you even more information on this
17 as well when he comes up.

18 COMMISSIONER ARGENZIANO: Okay. Great. Thank you.
19 I appreciate that.

20 CHAIRMAN CARTER: Commissioners, anything further?
21 Okay. Mr. Burnett.

22 MR. BURNETT: Nothing further, sir. We'd move his
23 testimony and Exhibits 23 through 26 into evidence.

24 CHAIRMAN CARTER: Exhibits, Commissioners, marked for
25 identification as 23 through 26. Any objections? Without

1 objection, show it done.

2 (Exhibits 23 through 26 admitted into the record.)

3 Now is Mr. Niekum coming back or --

4 MR. BURNETT: No, sir. If you're done with him, may
5 he be dismissed?

6 CHAIRMAN CARTER: You're excused, sir. You can call
7 your next witness.

8 Well, let's do this. Hang on. Ms. Fleming, would
9 this be the appropriate time -- I know that there's a
10 stipulation on Weintraub and Siphers. Are there exhibits
11 relating to those witnesses? Should we --

12 MS. FLEMING: Yes, Commissioner. I would suggest
13 that at this point we move in the prefiled testimony of Witness
14 Weintraub as though read.

15 CHAIRMAN CARTER: Okay. Any objections? Without
16 objection, show it done.

17 MS. FLEMING: And move in Witness Weintraub's
18 Exhibits 27 through 35.

19 CHAIRMAN CARTER: Exhibits 27 through 35 on your
20 list, Commissioners. Without objection, show it done.

21 (Exhibits 27 through 35 admitted into the record.)

22 MS. FLEMING: And as for Witness Siphers, I would
23 suggest that we move Witness Siphers' testimony into the record
24 as though read.

25 CHAIRMAN CARTER: Without objection, show it done.

1 MS. FLEMING: And Witness Siphers has Exhibits 36
2 through 39.

3 CHAIRMAN CARTER: Exhibits 36 through 39 for Witness
4 Siphers, any objection? Without objection, show it done.

5 (Exhibits 36 through 39 admitted into the record.)
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

IN RE: PETITION FOR DETERMINATION OF NEED FOR LEVY UNITS 1 AND 2
NUCLEAR POWER PLANTS

FPSC DOCKET NO. _____

DIRECT TESTIMONY OF
SASHA WEINTRAUB

I. INTRODUCTION AND QUALIFICATIONS

1

2 Q. Please state your name and business address.

3 A. My name is Sasha A. J. Weintraub. My business address is 410 South Wilmington
4 Street, Raleigh, North Carolina, 27601.

5

6 Q. By whom are you employed and in what capacity?

7 A. I am employed by Progress Energy Carolinas, Inc. ("PEC") as the Executive Director
8 of Regulated Fuels Department.

9

10 Q. What are your duties and responsibilities in that position?

11 A. I am responsible for the procurement of coal, natural gas, and fuel oil for the Progress
12 Energy Florida, Inc. ("PEF" or the "Company") and PEC generation fleet. This
13 includes fossil fuel steam, natural gas combined cycle ("CC"), and natural gas and oil
14 combustion turbine ("CT") generation units. I am also responsible for the Company's
15 coal, natural gas, and fuel oil price forecasts used for resource planning purposes and
16 in connection with the Company's Ten Year Site Plan filing each year.

17

18 Q. Please describe your educational background and professional experience.

1 A. I have a Bachelor of Science ("BS") degree in Engineering from Rensselaer
2 Polytechnic Institute, I have a Master's in Mechanical Engineering from Columbia
3 University, and I have a Ph.D. in Industrial Engineering from North Carolina State
4 University. From February of 2003 until June of 2005 I was the Director of Coal
5 Marketing and Trading for Progress Fuels Corporation, a former subsidiary of
6 Progress Energy. Before assuming my current position as the Executive Director of
7 the Regulated Fuels Department, I was the Director of Coal Procurement for PEF and
8 PEC.

9
10 **II. PURPOSE AND SUMMARY OF DIRECT TESTIMONY**

11 **Q. What is the purpose of your testimony in this proceeding?**

12 A. The purpose of my testimony is to present and explain: 1) the Company's current fuel
13 forecast for each fuel resource type; 2) the cost differences between the fuel resources
14 the Company uses and explain why price differences between fuel resources are
15 expected in the future when Levy Units 1 and 2 begin commercial operation; 3) the
16 Company's mid-level, low, and high fuel forecasts, explain how they were developed,
17 and discuss the expected behavior in natural gas and fuel oil prices; and 4) the natural
18 gas related supply and demand trends that will face the United States and the State of
19 Florida as their dependence continues to grow on natural gas to meet power generation
20 growth. This testimony will illustrate the fuel cost and fuel diversity benefits that the
21 addition of nuclear generation will provide to PEF, the State of Florida, and its
22 customers over the long term.

23

1 Q. Are you sponsoring any sections of the Company's Need Study, Exhibit No. ____
2 (JBC-1)?

3 A. Yes, I am sponsoring Section IV. C.3, which deals with the Company's fuel forecasts
4 and explains how they were developed for use in the Company's integrated resource
5 planning process.

6
7 Q. Are you sponsoring any exhibits to your testimony?

8 A. Yes, I am sponsoring the following exhibits to my testimony:

- 9 • Exhibit No. ____ (SAW-1), PEF's current energy produced from generation
10 and PEF's estimated energy produced from generation with and without Levy
11 Units 1 and 2 in 2018;
- 12 • Exhibit No. ____ (SAW-2), a comparison of fuel variability and weighted
13 average fuel costs;
- 14 • Exhibit No. ____ (SAW-3), PEF's forecast for all primary fuel sources
15 (nuclear fuel, natural gas, fuel oil, and coal);
- 16 • Exhibit No. ____ (SAW-4), PEF's mid-level, low, and high natural gas fuel
17 forecasts;
- 18 • Exhibit No. ____ (SAW-5), PEF's historic natural gas prices from 1998 to
19 November 2007;
- 20 • Exhibit No. ____ (SAW-6), PEF's and Florida Power & Light Company's
21 ("FPL") historic natural gas prices from 1990 to 2007 and 1998 to 2008,
22 respectively;

- 1 • Exhibit No. ____ (SAW-7), United States Natural Gas Rig Count Versus
2 Natural Gas Well Production since 2002 from the U.S. Energy Information
3 Agency (“EIA”);
- 4 • Exhibit No. ____ (SAW-8), U.S. Natural Gas Supply Challenge, 2005 to 2030,
5 chart from Department of Energy (“DOE”) 2007 Annual Energy Outlook
6 information; and
- 7 • Exhibit No. ____ (SAW-9), a chart of the world natural gas reserves by
8 geographic region as of January 1, 2007 from the “Worldwide Look at
9 Reserves and Production” in the Oil & Gas Journal.

10 Each of these exhibits, except Exhibit No. ____ (SAW-7), Exhibit No. ____ (SAW-
11 8), and Exhibit No. ____ (SAW-9), was prepared under my direction, and each
12 exhibit is correct to the best of my knowledge. Exhibit Nos. ____ (SAW-7), ____
13 (SAW-8), ____ (SAW-9) were drawn from recognized industry resources that are
14 used by me and the Company in the normal course of business.

15
16 **Q. Please summarize your testimony.**

17 **A.** The Company’s long-term mid-level spot fuel price forecasts that are used for long-
18 term resource planning are based on a structured approach utilizing information from
19 recognized industry experts and our internal expertise and experience. In addition,
20 because fuel prices are inherently difficult to predict over the short and long-term due
21 to the number of factors that can influence prices, the Company in its low and high
22 fuel price forecasts has established statistical ranges of possible price outcomes to
23 illustrate the potential behavior in fuel prices, with an emphasis on natural gas. The

1 Company currently has a diverse generation mix and proposes to maintain a
2 significant amount of diversity in the future with the addition of Levy Units 1 and 2.
3 The Company believes that natural gas generation is an important part of the
4 generation mix but that the continued dependence on natural gas generation to support
5 demand growth exposes the customers of the State of Florida to greater fuel price
6 fluctuations and uncertainty, as well as the possibility of severe price swings caused
7 by weather related events. The Company believes the addition of Levy Units 1 and 2
8 is a critical step to diversify the generation and fuel portfolio for its customers and the
9 State of Florida. Lastly, the addition of Levy Units 1 and 2 will provide
10 environmental benefits, fuel diversification benefits, and long-term fuel savings to
11 customers.

12 III. PEF'S CURRENT FUEL MIX

13
14 **Q. What is PEF's current and projected fuel mix for the generation of energy for
15 customers when the commercial operation of Levy Units 1 and 2 begins?**

16 **A.** PEF's current and proposed future fuel and generation mix offers a significant amount
17 of diversity that includes nuclear fuel (processed, enriched uranium), natural gas, fuel
18 oil, coal, and renewable fuel resources. Nuclear fuel currently represents
19 approximately 14 percent of PEF's current energy generation. Natural gas, fuel oil,
20 coal, and renewable energy account for approximately 30 percent, 10 percent, 43
21 percent, and 3 percent, respectively. This is demonstrated by the first chart in Exhibit
22 No. ___ (SAW-1). Based on projections assuming Levy Units 1 and 2 begin
23 commercial operation in the summers of 2016 and 2017, respectively, natural gas is

1 expected to contribute approximately 36 percent of the total energy produced from
2 PEF's generation facilities by 2018. This information is summarized in the second
3 chart in Exhibit No. ____ (SAW-1), which shows the estimated energy produced from
4 generation in 2018 with Levy Units 1 and 2.

5
6 **Q. What would PEF's projected fuel mix be assuming Levy Units 1 and 2 are not
7 added and the Units are replaced with natural gas?**

8 **A.** Assuming Levy Units 1 and 2 are replaced with natural gas combined cycle units in
9 the summer of 2016 and 2017, respectively, natural gas will contribute approximately
10 56 percent of the total energy produced from PEF's generation facilities in 2018. This
11 information is summarized in the third chart in Exhibit No. _____ (SAW-1), which
12 shows the estimated energy produced from generation without Levy Units 1 and 2 in
13 2018. As is clearly evident, without the addition of Levy Units 1 and 2, PEF, its
14 customers, and the State of Florida will be more susceptible to natural gas price
15 fluctuation and uncertainty, and will have a less diverse fuel mix.

16
17 **Q. What is diversity and why is it important?**

18 **A.** Diversity can be defined simply as a generation fleet that is comprised of multiple fuel
19 types and is not overly dependent on any one fuel type. Diversity is important because
20 it improves overall system reliability and reduces the exposure the customer has to the
21 price behavior of any one fuel type. In reviewing the current generation mix and the
22 projected generation mix for the State of Florida in 2016, the state is becoming
23 extremely dependent on natural gas to meet its growing needs. This in diversity terms

1 means the customers in the State of Florida are becoming less fuel diverse and by
2 virtue of becoming more dependent on a particular fuel type, which in this case is
3 natural gas, are more susceptible to the price uncertainty and volatility associated with
4 natural gas for a larger and growing portion of their electric needs. As the exposure to
5 any one fuel type increases, the reliability of the overall electric system can be
6 impacted.

7
8 **Q. Are all fuels subject to price volatility?**

9 **A.** Yes. Various factors, including but not limited to, global demand growth, supply and
10 demand balances, and world-wide market conditions, can impact one or both of the
11 cost components of the fuel, leading to volatility in the total fuel cost to the customer.
12 Historically, the costs of certain fuels have been more volatile than others. Fuel oil
13 and natural gas have been more volatile than coal. Nuclear fuel has historically been
14 the most stable and lowest cost fuel to the customer. As a result, the cost to produce
15 the same amount of electrical energy with nuclear fuel is far less than the cost of other
16 competing and available fuel sources. This is one of the reasons nuclear fuel
17 generation is an attractive option for providing customers low cost energy production
18 relative to other competing fuels.

19
20 **Q. Is this relationship between nuclear fuel and other fuels in terms of the cost to
21 produce energy expected to continue in the future?**

22 **A.** Yes. Both on a short-term and long-term basis, nuclear fuel will be the lowest cost
23 fuel source available to PEF to produce energy for its customers. Based on the

1 Company's fuel forecasts, nuclear fuel is an attractive and viable future option for the
2 generation of energy to meet future customer energy demands.

3

4 **Q. Is there some way to quantify the value of fuel diversity and, in particular, the**
5 **value of a diverse fuel portfolio that includes more of the less volatile fuel**
6 **resources?**

7 **A.** One way to measure the potential variability of a portfolio's fuel costs is by
8 calculating the standard deviation of the costs of the fuel portfolio. The standard
9 deviation is a measurement of how far away from the expected costs that the actual
10 costs are likely to deviate. In simple terms, the greater the standard deviation of a
11 portfolio, the more potential variability there could be in the actual, future fuel costs.

12 As an illustration of the potential volatility of different fuel portfolios, Exhibit
13 No. ___ (SAW-2) visually demonstrates the impact of this potential variability in
14 actual costs from expected costs between the individual fuel resources that make up
15 potential utility fuel portfolios and between two fuel portfolios of individual fuel
16 resources. Portfolio 1 in Exhibit No. ___ (SAW-2) is illustrative of PEF's estimated
17 fuel mix with the addition of the planned nuclear generation units in Levy County and
18 Portfolio 2 is illustrative of PEF's estimated fuel mix assuming additional gas
19 generation is added instead of the planned nuclear generation in Levy County.

20 As you can see from the first chart, uranium which is the source for nuclear
21 fuel has the lowest average fuel cost on a \$/MWh basis and also the lowest uncertainty
22 surrounding the future deviation of nuclear fuel costs from that average fuel cost. The
23 individual fuels then progress in order of lowest average fuel cost and the least

1 uncertainty surrounding the deviation of future costs from the average fuel cost from
2 uranium to coal, gas, and then oil. Gas and oil have higher relative average fuel costs
3 and greater uncertainty surrounding their future costs and, thus, the greatest potential
4 deviation of future fuel costs from their weighted average fuel cost.

5 A portfolio of utility fuel resources is impacted by the relationship between the
6 weighted average fuel costs and the uncertainty of future fuel costs as the individual
7 fuels may fluctuate together. Both Portfolio 1 and Portfolio 2 represent generation
8 fleets with multiple fuel sources; however, Portfolio 1 would be considered more
9 diverse and better balanced because Portfolio 1 has a higher percentage of the lower
10 weighted average cost and more stable fuel cost fuels in the Portfolio than Portfolio 2.
11 As a result, Portfolio 1 will likely experience less overall cost volatility under any
12 range of future outcomes. Portfolio 2 is more heavily weighted to one fuel and, thus,
13 is not as diverse or well balanced as Portfolio 1. Portfolio 2 carries greater risk and
14 will experience more overall fuel cost volatility than Portfolio 1. In addition, Portfolio
15 1 will yield a lower expected fuel cost than Portfolio 2. These potential portfolio cost
16 impacts are visually demonstrated in the second chart of Exhibit No. ___ (SAW-2)
17 where Portfolio 1 starts with an expected weighted average fuel cost of just above
18 \$40/MWh and is expected to deviate from a low of around \$25/MWh to a high of just
19 over \$60/MWh, a range of about \$35/MWh. Conversely, Portfolio 2 starts at a higher
20 expected weighted average fuel cost of about \$60/MWh and ranges from a low of
21 under \$40/MWh to a high of almost \$90/MWh, or a range of about \$50/MWh.

22 Although it may be obvious, an important step to reducing the risk in fuel cost
23 deviations is to diversify the generation fleet. Diversification is akin to "not putting all

1 your eggs in one basket” and becoming, as a result, overly dependent on one fuel for
2 energy generation. This diversification is similar to a balanced retirement portfolio
3 that has a varied mix of funds with further mixes of stocks and bonds compared to one
4 that relies solely on a single stock or a few individual stocks. The former is more
5 stable and less risky than the latter. Adding additional nuclear generation to PEF’s
6 generation system provides PEF with more fuel resources that are more stable in cost
7 and, thus, provides PEF with a more balanced future fuel portfolio for PEF and its
8 customers.

10 IV. PEF’S FUEL FORECASTS

11 **Q. What is the Company’s fuel forecast for its primary fuel sources?**

12 **A.** The Company’s current fuel forecast is included in Exhibit No. ___ (SAW-3). This
13 shows the forecasted total fuel cost per MMBtu to PEF’s customers for nuclear fuel,
14 natural gas, fuel oil, and coal. As you can see, the relative forecasted fuel cost of
15 nuclear fuel is well below the forecasted fuel costs for natural gas, fuel oil, and coal.

17 **Q. How is the Company’s fuel forecast developed?**

18 **A.** As explained in our Ten Year Site Plan filing, the mid-level fuel price forecast is
19 developed using short-term and long-term spot market price projections from industry-
20 recognized sources. For example, in the short term, the mid-level cost for coal is
21 based on existing contracts and spot market coal prices and transportation
22 arrangements between PEF and its various suppliers. For the longer term, the prices
23 are based on spot market forecasts reflective of expected market conditions. Fuel oil

1 and natural gas price forecasts are estimated based on current and expected contracts
2 and spot purchase arrangements as well as near-term and long-term commodity price
3 spot forecasts. Fuel oil and natural gas commodity prices are driven primarily by open
4 market forces of supply and demand. Natural gas firm transportation costs used in the
5 forecast were determined primarily by pipeline tariff rates, negotiated term contracts
6 and estimated rates for future pipeline capacity that will be needed to meet generation
7 growth.

8 Based on the Company's fuel forecast, nuclear fuel and coal prices are
9 expected to be less volatile and more stable month to month. Fuel oil and natural gas
10 prices are expected to be more volatile on a day-to-day, month-to-month, and year-to-
11 year basis.

12
13 **Q. With respect to the fuel forecast in the Ten Year Site Plan, what is a short and**
14 **long term forecast?**

15 **A.** The Company's Ten Year Site Plan looks at a ten year period of time for resource
16 planning and fuel forecast purposes. A short term forecast is typically developed for a
17 three year period, and a long term forecast is developed for periods beyond three
18 years. For purposes of the resource plan in PEF's current Ten Year Site Plan, the next
19 projected generation unit that is fueled by nuclear fuel is planned in the summer of
20 2016, which is at the end of the resource planning process in the Company's last Ten
21 Year Site Plan filed in April 2007. To evaluate the addition of Levy Unit 1 and 2 in
22 the summer of 2016 and the summer of 2017, respectively, the Company evaluated
23 Levy Units 1 and 2 against other resource options over a much longer period of time,

1 which extended more than forty years beyond the current Ten Year Site Plan. This
2 required the use of fuel price forecasts over this extended period of time.

3

4 **Q. How did the Company develop the long-term fuel forecasts used to evaluate Levy**
5 **Units 1 and 2 as generation resource options in 2016 and 2017?**

6 **A.** For these extended fuel forecasts PEF relied on long-term spot fuel forecast analyses
7 from two separate, independent experts in the field of fuel and energy market
8 evaluations. These independent experts are PIRA Energy Group ("PIRA") and Global
9 Insight, Inc. Both PIRA and Global Insight are industry-recognized experts in fuel
10 forecasts and the analysis of energy markets.

11 PIRA is an international energy consulting firm specializing in global energy
12 market analysis and intelligence. PIRA provides evaluations of key United States and
13 international energy fundamentals and issues that impact the behavior and
14 performance of the energy industry and its various markets and sectors. This
15 evaluation includes long-term global energy market analyses. PIRA is retained by
16 nearly 500 companies in 51 countries, including 22 out of the top 25 largest oil and
17 gas companies in the United States, clients representing 87 percent of the worldwide
18 natural gas production, and 19 of the top 25 gas and electric utilities.

19 Global Insight employs over 325 professional analysts, researchers, and
20 economists to provide comprehensive economic forecasting and other financial and
21 economic services to over 3,800 clients worldwide. This includes analyzing forces
22 that shape global demand, supply, and prices for oil, natural gas, coal, and electricity,

1 including providing fuel price forecasting services for clients including power utilities,
2 energy policy makers, and regulatory bodies.

3 The spot price forecasts from these experts are rooted in fundamental supply
4 and demand analysis. These experts consider various factors including, but not limited
5 to, supply drivers such as the new sources of natural gas and oil supply, rates of
6 decline of existing sources, costs associated with finding new natural gas and oil, the
7 costs of new technologies, relationships between commodity prices, world wide
8 natural gas demand growth in developing economies, and liquidified natural gas
9 ("LNG") assumptions for both world wide liquefaction and regasification capabilities.
10 On the demand side, these experts look at all of the consumption trends including
11 industrial demand, residential/commercial demand, electric generation demand and
12 Gross Domestic Product ("GDP") growth rates. Lastly, the experts consider
13 geopolitical trends, environmental policies, and generation resources that are expected
14 to be added in the future.

15 PEF's mid-level spot fuel oil and natural gas forecast is the average of the
16 forecasts provided by PIRA and Global Insights. PEF employs individuals
17 experienced in the natural gas markets who worked with the PIRA and Global Insight
18 information to prepare the Company's long term spot price forecasts. These forecasts
19 are included in Exhibit No. ___ (SAW-3), and in the mid-level natural gas forecast in
20 Exhibit No. ___ (SAW-4), to my testimony. The Company uses the mid-level natural
21 gas forecast to prepare the low and high natural gas forecasts in Exhibit No. ___
22 (SAW-4).
23

1 **Q. How does the Company determine its low and high natural gas forecasts?**

2 **A.** The Company's mid-level natural gas price forecast is considered the most likely
3 scenario based on the Company's view and the independent expertise of the outside
4 companies who provided the information used by PEF in preparing the mid-level fuel
5 forecast. The Company's high and low natural gas price forecasts are developed
6 based on a statistical analysis of the mid-level forecast, whereby the high forecast
7 represents the 90th percentile and the low forecast represents the 10th percentile on a
8 price distribution curve. In other words, prices are expected to be lower than the high
9 forecast and higher than the low forecast with 90 percent statistical certainty. As a
10 result, the low, mid-level, and high natural gas cases in Exhibit No. __ (SAW-4)
11 represent, in the Company's view, the reasonable range of potential future spot fuel
12 costs.

13
14 **Q. Why have you emphasized the natural gas fuel forecast in your exhibits to your
15 testimony?**

16 **A.** As explained in the April 2007 Ten Year Site Plan, the differential between natural gas
17 and nuclear fuel prices is a key driver in the selection of the Company's future
18 generation options. For illustrative purposes, if it is assumed price is the only factor
19 considered in making alternative generation choices, as the differential between the
20 expected natural gas and nuclear fuel prices becomes smaller, the economics would
21 favor natural gas-fired combined cycle generation versus nuclear generation. The
22 higher the price differential, the more cost-effective nuclear generation is relative to
23 other generation alternatives. Thus, the price of natural gas can have a significant

1 impact on the economics of future supply-side generation alternatives. In evaluating
2 natural gas, PEF believes natural gas is a viable, economic fuel source for its diverse
3 generation mix now and in the future. However, PEF believes natural gas will
4 continue to be a volatile commodity in the future, and continue to experience a high
5 degree of price fluctuation, because continued growth will expose the Company and
6 its customers to greater commodity price risk as the gas component of its fuel portfolio
7 continues to grow to meet the needs of its customers and the United States becomes
8 more dependent on foreign sources of natural gas supply. As outlined earlier in my
9 testimony, without the addition of Levy Units 1 and 2, PEF's expected energy
10 generated from natural gas would grow at an even faster rate and become an even
11 larger component of its generation output.

12 13 V. FUEL DIVERSITY AND SUPPLY RELIABILITY

14 **Q. Can you explain what you mean when you say that gas will continue to be volatile**
15 **and experience a high degree of price fluctuation?**

16 **A.** Yes. As you can see from Exhibit No. ___ (SAW-4), the range of forecasted natural
17 gas prices from 2016, when Levy Unit 1 is expected to commence operation, is from a
18 low of around \$6/mmBtu at the lowest point of the low forecast, to a high of around
19 \$13/mmBtu in the high natural gas forecast. From there, the low, mid-level, and high
20 gas forecasted prices gradually increase over time, reflecting future fluctuating natural
21 gas prices from 2016 and beyond around a mid-point somewhere between \$8/mmBtu
22 and \$12/mmBtu.

1 This is a different range of fluctuation from PEF's past natural gas projections,
2 as demonstrated in Exhibit No. ___ (SAW-5), which plots PEF's reported natural gas
3 prices from 1998 to the end of 2007. As can be seen there, natural gas prices have
4 gradually escalated and are now expected to fluctuate around a higher level, as the
5 costs associated with finding and producing gas have shifted higher. This experience
6 is not unique to PEF's natural gas forecasts and in fact, historical experience shows
7 this is occurring with other Florida utilities. Exhibit No. ___ (SAW-6) tracks the
8 historical delivered natural gas prices for FPL and PEF from January 1990 through
9 July 2007, and 1998 through 2007, respectively. There, you can see that natural gas
10 price fluctuations have moved from a range of around \$2/mmBtu to \$4/mmBtu in the
11 1990's to a much higher range of price fluctuations in the 2000's.

12 PEF (and other Florida utilities) must accept that natural gas prices in the
13 future will likely never return to the beneficial prices of the 1990's that contributed to
14 a rapid increase in the development and commercial operation of advanced, natural
15 gas-fired combined cycle generation plants across the country and in Florida. While
16 this shift in natural gas prices does not eliminate natural gas as a current and future
17 fuel source for electrical energy generation, it does suggest that another generation
18 alternative in the future, like nuclear generation, is a necessary and attractive long-
19 term economic generation alternative to ensure fuel diversity and security.

20
21 **Q. What are the reasons for this shift in the natural gas prices to a higher range of**
22 **price fluctuations in the future?**

1 A. There are several key reasons for this and the impacts can be expected to be varied.
2 This is exactly the kind of economic analysis that we look at internally in preparing
3 our fuel forecasts, and that we rely on independent economic and fuel experts like
4 PIRA and Global Insights to provide. One factor, of course, is the proliferation of
5 natural gas as a source of electrical energy generation over the past decade. There
6 simply is a much greater demand for natural gas today, and that demand will continue
7 to grow in the future from electrical energy generation and other uses. While the
8 natural gas supply has increased in response to demand growth, it has generally lagged
9 behind which has put upward pressure on prices. Further, incremental natural gas
10 supply production from the lower 48 states in the future is expected to come primarily
11 from higher-cost onshore, non-conventional sources (e.g. shale, tight sands, coal-bed
12 methane) and deep water offshore projects as shallow-water natural gas production
13 continues to decline and a large portion of the onshore lower 48 conventional natural
14 gas has been discovered. This domestic production likely will not add significantly to
15 the supply of natural gas available for electric generation. As shown by Exhibit No.
16 ___ (SAW-7), even though the number of wells and thus drilling in the United States
17 has more than doubled since 2002, the overall production of natural gas for use has
18 remained relatively flat.

19 In addition, LNG and other potential Frontier Gas (i.e. Alaskan production) are
20 expected to play an increasing role in balancing the U.S. natural gas portfolio in the
21 future. The overall ability of the United States to import these new sources will
22 depend on the availability of import infrastructure such as port facilities and terminals
23 for LNG and the development of long-haul pipeline projects for Frontier Gas such as

1 the Alaskan Gas Pipeline Project. In addition, additional pipeline delivery capabilities
2 will be needed in the United States consuming markets to be able to access these
3 potential new supply sources and compete with the global market. The overall supply
4 and demand for LNG as a natural gas supply will also be impacted by changes in the
5 exports and imports of natural gas by United States' neighbors, Canada and Mexico,
6 which can influence the amount of gas supply available to the United States. Natural
7 gas exports from Canada to the United States are expected to continue to decline due
8 to growth in natural gas needs in Canada itself. Similarly, the demand of other
9 countries, in particular developing countries like China and India, may have a
10 significant impact on future LNG supply and prices. This is graphically demonstrated
11 by Exhibit No. ____ (SAW-8), a chart drawn from information in the DOE 2007
12 Annual Energy Outlook, which shows that LNG will grow as a source of natural gas
13 for the United States over the next twenty-five (25) years. By 2030, LNG is expected
14 to constitute a significant portion of the natural gas needed to balance supply and
15 demand for the United States. At the same time, there will be much greater worldwide
16 demand for LNG and the United States will have to compete via price to attract the
17 LNG to the United States from other countries, such as those in Asia who are very
18 dependent on LNG and are willing to sign longer term contracts at higher prices that
19 are in parity with oil prices.

20 Significantly too, 70 percent of the world's oil and gas is held by national
21 (state-owned) oil and gas companies such as Russia, Qatar, and Iran who control a
22 majority of the world's natural gas reserves. This is graphically demonstrated by
23 Exhibit No. ____ (SAW-9), which is a chart of the world natural gas reserves by

1 geographic region that shows that the largest reserves of natural gas in the world are
2 located in the Middle East and Eurasia. Instability in the future in these regions and
3 the on-going speculation that certain countries may have an interest in forming a
4 future "Gas Cartel" could arguably have an adverse impact on the supply of and price
5 of LNG. As outlined earlier, given higher natural gas prices and the reality of
6 continued growth in the world wide demand for natural gas, these new international
7 players could potentially have larger influences on global natural gas prices. At a
8 minimum the United States and other countries are becoming more dependent on non-
9 traditional sources of natural gas supply that are not produced and controlled by them.

10 All of these economic and socio-economic factors, and many others, have an
11 impact on the forecast for future natural gas prices. All of these existing and potential
12 factors were considered and evaluated by the independent experts PEF retained for its
13 fuel forecasts and by PEF in preparing PEF's mid-level natural gas fuel forecast.
14 These factors also play a part in the Company's evaluation of nuclear generation as a
15 future alternative generation resource in the time period 2016 to 2017 and beyond.

16
17 **Q. Are there other reasons to consider an alternative to natural gas-fired generation**
18 **in the time period Levy Units 1 and 2 are planned for commercial operation?**

19 **A.** Yes. The expected relative price differential is not the only reason to evaluate other
20 generation alternatives to diversify PEF's fuel generation resources. Without Levy
21 Units 1 and 2, PEF will likely be forced to continue to rely on natural gas-fired
22 combined cycle generation, which will only serve to adversely impact PEF's fuel
23 diversity by increasing the percentage of energy generation that relies on natural gas.

1 This outcome can further subject PEF and its customers to even more volatility
2 from natural gas prices in the future due to transportation constraints, supply
3 availability and adverse weather impacts, especially in Florida. Florida is a peninsula
4 that, in effect, operates as a bottle-neck at certain times when it comes to supplying
5 Florida utilities with natural gas. The existing pipelines that serve the natural gas
6 needs in the State of Florida are expected to be fully subscribed by 2009. Expansions
7 of existing pipelines will be needed to meet future planned gas generation demand.
8 Expansions will become increasingly more expensive and could lag behind demand.
9 As a result, during peak time periods, such as during the summer in Florida, the supply
10 of natural gas to Florida utilities could be more restricted, leading to greater risk of a
11 price basis increase to Florida over the Henry Hub price.

12 Additionally, significant natural gas supplies for Florida utilities are located
13 near, on, or in the Gulf of Mexico. The Gulf of Mexico and the State of Florida are
14 subject to extreme weather conditions, such as hurricanes. This risk is always present
15 during hurricane season and was certainly the case during the hurricane seasons of
16 2004 and 2005. During and following these extreme weather conditions, natural gas
17 production was shut down, facilities were damaged and production was limited until
18 conditions improved which lead to extreme price levels and volatility. When these
19 events occur, they have an upward effect on the natural gas price as the availability of
20 supply can be significantly reduced. If extended curtailments occur, such price
21 increases cannot be mitigated by storage as baseload on-site or underground natural
22 gas storage is not considered economic and is not available. As a result, these events

1 are expected to continue to have an impact on the price-of natural gas and in turn
2 energy generation for PEF and its customers in the future.

3 Alternative fuel generation, like that offered by Levy Units 1 and 2, will
4 provide greater fuel diversity and fuel supply reliability, thus mitigating these
5 economic impacts from restrictions on natural gas supply when demand is high.
6 Nuclear fuel re-fueling outages occur relatively infrequently, about every eighteen
7 (18) to twenty-four (24) months, and even then they can be delayed somewhat if
8 nuclear generation is necessary. This ability to continue to supply power provides
9 price mitigation capabilities that simply do not economically exist with natural gas-
10 fired generation.

11

12 **Q. Does this conclude your testimony?**

13 **A. Yes.**

14

15

**IN RE: PETITION ON BEHALF OF PROGRESS ENERGY
FLORIDA, INC. FOR NUCLEAR NEED**

FPSC DOCKET NO. _____

**DIRECT TESTIMONY OF
JOHN SIPHERS**

I. INTRODUCTION AND QUALIFICATIONS

1
2 **Q. Please state your name and business address.**

3 **A.** My name is John Siphers. My business address is 410 South Wilmington Street,
4 Raleigh, North Carolina, 27601.

5
6 **Q. Please tell us how you are employed and describe your background.**

7 **A.** I am employed by Progress Energy as the Manager-Nuclear Fuel Management &
8 Safety Analysis Section. I have held this position for two years. My responsibilities
9 include negotiating and managing the uranium mining, conversion, enrichment, and
10 nuclear fuel fabrication contracts for both Progress Energy Carolinas, Inc. ("PEC")
11 and Progress Energy Florida, Inc. ("PEF"). I am responsible for making sure the PEC
12 and PEF nuclear generation power plants have sufficient nuclear fuel, on time, and at
13 a reasonable cost. I will also be responsible for obtaining the nuclear fuel for the
14 additional, new generation nuclear power plants planned by both PEC and PEF. This
15 includes Levy Units 1 and 2. I have a Bachelor's degree in Nuclear Engineering from
16 N.C. State University, and have over 25 years of experience in nuclear fuel operation,
17 design, and procurement.

18

II. PURPOSE AND SUMMARY OF TESTIMONY

1
2 **Q. What is the purpose of your testimony?**

3 **A.** In support of the Company's petition for a determination of need for Levy Units 1
4 and 2, I will explain the nuclear fuel requirements for Levy Units 1 and 2. I will
5 describe the components of and the process for producing nuclear fuel. I will also
6 explain the costs of nuclear fuel. I will further put the current nuclear fuel cost in
7 historical context, explain what we expect to happen to the future cost, and explain
8 how we manage nuclear fuel costs. I will also explain how changes in the cost of
9 nuclear fuel impacts customers relative to other fuels used to produce energy on
10 PEF's system. Likewise, I will explain how nuclear fuel use helps insulate nuclear
11 fuel costs from market volatility typically experienced by other, fossil fuels. Finally,
12 I will explain the process for and cost of storing spent nuclear fuel. In sum, I will
13 provide support that nuclear fuel has historically been and is expected to be in the
14 future the most stable fuel in terms of fuel cost to the customer with a significantly
15 lower total fuel cost for the energy produced than fossil fuels.

16
17 **Q. Are you sponsoring any sections of the Company's Need Study, Exhibit No. ____**
18 **(JBC-1)?**

19 **A.** Yes, I am sponsoring the nuclear fuel and nuclear fuel forecast section, which
20 explains the nuclear fuel components, the current price of nuclear fuel for Levy Units
21 1 and 2, and the nuclear fuel price forecast for Levy Units 1 and 2.

22
23 **Q. Are you sponsoring any exhibits to your testimony?**

1 A. Yes, I am sponsoring the following exhibits to my testimony:

- 2 • Exhibit No. ___ (JS-1), the 2007 nuclear fuel burn cost components;
- 3 • Exhibit No. ___ (JS-2), the chart of the historical and current uranium market
- 4 in \$/lb of U308;
- 5 • Exhibit No. ___ (JS-3), an average burn cost fuel comparison on a \$/mmBtu
- 6 cost basis from 2002 to 2010 for nuclear fuel, coal, natural gas, and oil; and
- 7 • Exhibit No. ___ (JS-4), the Company's nuclear fuel forecast through 2036 in
- 8 terms of the burn cost in mills/kWhe.

9 Each of these exhibits was prepared under my direction, and each is accurate.

10

11 Q. Please summarize your testimony.

12 A. Uranium used for nuclear fuel is a relatively abundant natural mineral. There is,

13 therefore, sufficient raw material for additional nuclear reactors like Levy Units 1 and

14 2. Likewise, the production capacity to mill, process, enrich, and fabricate uranium

15 into nuclear fuel assemblies used in nuclear reactors like Levy Units 1 and 2 will also

16 expand to meet future demand. Nuclear fuel costs have increased compared to the

17 historically depressed prices we have seen in the past but they are expected to

18 stabilize in the future. The Company's nuclear fuel forecast represents this

19 expectation, and is a reasonable forecast of future nuclear fuel costs based on the

20 Company's expertise and judgment. Nuclear fuel is and will be less volatile and

21 more stable than other, fossil fuels. It will cost less relative to fossil fuels too, making

22 nuclear fuel generation an attractive economic alternative for PEF and its customers

23 in the future.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

III. NUCLEAR FUEL COMPONENTS AND COST

Q. What are the components of nuclear fuel that will be used by Levy Units 1 and 2?

A. Nuclear fuel begins with uranium, which must be mined from the ground using various mining techniques. This raw uranium ore is then milled near the mine to produce an oxide called U308. Another industry term for U308 is "yellowcake." Uranium is found in many locations worldwide. Progress Energy currently contracts for uranium mined in the United States, Canada, Australia, Kazakhstan, Uzbekistan and Namibia. Uranium is a common mineral so there is little risk that there will be insufficient uranium to meet current and future nuclear energy production needs. Currently, however, there are limited open uranium mines due to historically depressed uranium prices. As uranium prices rise, which recently occurred, expansions of existing mines and the development of new mines are expected to meet demand.

The next step is the chemical conversion of the U308 to UF6, which reaches a gaseous state when heated. Any impurities are removed during this chemical process and the process of converting the UF6 to a gas is necessary for the next step in production. This step is the enrichment process. Existing and next generation reactors use uranium with a higher percentage of the U-235 isotope than is found in nature. Natural uranium contains 0.711 percent U-235, while Levy Units 1 and 2 will need a range of approximately 3 percent to 5 percent U-235, which is typical of

1 existing nuclear power reactors too. The enrichment process raises the UF6 from
2 0.711 percent U-235 to 3 percent to 5 percent U-235.

3 The final step is to take the enriched UF6, change it to a powder, press and
4 sinter the powder into ceramic pellets, feed the pellets into tubes in a pre-set order
5 with inert elements, seal the tubes (sometimes called "rods") and bundle them
6 together into fuel assemblies. This is the fabrication process. Once the fuel
7 assemblies are complete, they are shipped to the nuclear power plant site for insertion
8 into the nuclear reactor.

9

10 **Q. How do the components of nuclear fuel contribute to its total cost?**

11 **A.** There is a cost for each component of the nuclear fuel that is ultimately placed into
12 the nuclear reactor. The total cost of nuclear fuel to the customer will likely include a
13 fee called the high level waste fee and various labor and other miscellaneous costs.
14 The representative percentage of each of these costs in the total fuel burn cost to the
15 customer in 2007 is shown in Exhibit No. ___ (JS-1) to my testimony. As you can
16 see, the cost of the uranium enrichment, followed by the cost of the yellowcake, the
17 fabrication, and the waste fees, account for the greatest percentage expense of the
18 total nuclear fuel cost. The remaining costs, including the conversion costs, are
19 relatively minor in relation to the total fuel cost. Recently, we have seen changes in
20 this fuel burn cost mix, with the yellowcake cost increasing as a component of the
21 total fuel burn cost because, as I mentioned before, the cost of uranium increased.

22

23 **Q. What caused the recent increase in uranium prices?**

1 A. Currently, the supply of uranium and demand for it are not in balance and, as a result,
2 uranium prices have increased in the short-term market. A number of factors
3 contribute to this short-term price increase. While uranium is an abundant mineral,
4 uranium mines are not, so there are a limited number of current suppliers for the
5 number of potential purchasers. Further, governments can quickly influence the
6 market price by, for example, increasing investment in building or dismantling
7 nuclear powered vessels or nuclear weapons. The uranium market has fewer
8 suppliers and purchasers when compared to other commodities, so imbalances can be
9 expected where there will be periods of uranium shortages as well as periods of
10 oversupply. In other words, the uranium market is subject to "booms" and "busts."

11 Over the last two decades, uranium prices have been depressed, which is one
12 reason supply is more restricted now, but there have been periods of similar price
13 escalations, such as in the late 1970's when new nuclear plant orders drove up
14 uranium prices. This is graphically demonstrated in Exhibit No. ___ (JS-2), which
15 tracks the uranium price in \$/lb U308 from 1969 to 2007. As shown in Exhibit No.
16 ___ (JS-2), immediately after the end of new plant orders in the late 1970's, uranium
17 prices returned to and below historic price levels. A similar period where new plant
18 orders are being announced is occurring now. Consistent with the return to lower
19 prices in the 1980's, we expect that future uranium prices will stabilize, however the
20 need for new mine development will likely result in prices higher than those we have
21 seen in recent years. Our uranium price forecast incorporates this expectation.
22

1 **Q. Why do you believe uranium prices will fall to more moderate levels in the**
2 **future?**

3 **A.** Recent price spikes cannot be sustained for long periods of time. During short-term
4 price spikes purchasers will refrain from making purchases unless absolutely
5 necessary, preferring to rely on uranium inventories already in the production
6 pipeline. In fact, we have already seen some moderation in the uranium price from its
7 highest levels in early 2007. Additionally, uranium price increases at these levels will
8 spur the expansion of existing mines or the development of new mines, thus,
9 increasing the production of yellowcake. The lead time for existing uranium mines to
10 expand or suppliers to open new mines should coincide with or occur before
11 commercial operation of the next generation of nuclear power plants. As a result,
12 uranium production is expected to meet demand in the future, when Levy Units 1 and
13 2 come on-line. In fact, uranium production may exceed demand in that time frame if
14 all of the planned nuclear generation is not built.

15
16 **Q. What is the impact of uranium price increases on customers?**

17 **A.** Since mined uranium is a component of the nuclear fuel burn cost that customers pay,
18 if the uranium price increases then the cost to the customer increases. Likewise, if
19 uranium conversion, enrichment, and fabrication costs increase along with uranium
20 price increases, the total nuclear fuel burn cost will increase, and customers will pay
21 more. This is true with current uranium price increases and it will be true for such
22 price increases, or increases in the other nuclear fuel cost components, in the future,

1 should they occur. Such increases from the customer perspective are relative,
2 however.

3 The cost of nuclear fuel on a comparable basis to fossil fuels is still much
4 lower, even with the recent uranium price increases. As demonstrated by Exhibit No.
5 ___ (JS-3), the average yearly \$/mmBtu cost of nuclear fuel to the customer is lower
6 than any fossil fuel alternative, even with the uranium price increases, which are
7 evident in the period from 2008 to 2010. These price increases show up in this time
8 period because there is a lag time between when the uranium is purchased and when
9 it is used in the next refueling outage, due to the time necessary to go through the
10 conversion, enrichment, and fabrication process, and then be placed in line for re-
11 fueling. Nuclear fuel generation is still an attractive economic alternative on a
12 \$/mmBtu for customers to other fossil fuel generation, and it will be in the future too,
13 when Levy Units 1 and 2 achieve commercial operation.

14
15 **Q. Are there any other cost benefits from using nuclear fuel as opposed to fossil**
16 **fuels that customers receive?**

17 **A.** Yes. After the initial fuel core is installed in a nuclear reactor, about 30 percent to 40
18 percent of the nuclear fuel assemblies are replaced during re-fueling outages which
19 take place every eighteen (18) to twenty-four (24) months. Fossil fuel generation, on
20 the other hand, requires constant to near constant re-fueling. Fossil fuels are also
21 subject to wider and more frequent price fluctuations than those experienced with
22 nuclear fuel. As a result, customers are exposed to more frequent and volatile
23 fluctuations in fossil fuel market prices in part because fossil fuels need to be

1 regularly purchased to produce energy from fossil fuel generation plants. Nuclear
2 fuel generation helps insulate customers from such frequent and volatile price
3 fluctuations in the fossil fuel markets by providing greater price stability and
4 reliability.

5
6 **IV. NUCLEAR FUEL SUPPLY FOR LEVY UNITS 1 AND 2**

7 **Q. When will the Company need the nuclear fuel for Levy Units 1 and 2?**

8 **A.** PEF will likely contract for the uranium supply several years before the units are
9 operational to ensure there is a supply of uranium for the nuclear fuel for the units.
10 As utilities, like PEF, with plans for the construction of nuclear reactors pursue such
11 contract negotiations, the expansion of existing mines or development of new mines
12 will occur.

13
14 **Q. Will there be sufficient conversion, enrichment, and fabrication capacity in the
15 future to process the uranium into nuclear fuel?**

16 **A.** Yes. Conversion, enrichment, and fabrication capacity will track uranium production,
17 therefore, there should be sufficient capacity in time to meet the needs for Levy Units
18 1 and 2. Uranium enrichment is currently supplied to U.S. utilities by several
19 companies around the world, each with current projects in place to expand capacity.
20 Likewise, uranium conversion, enrichment, and fabrication capacity is expected to
21 expand to meet demand, in fact the fabrication facilities have some excess capacity at
22 this time. Additional future capacity for these fuel components will require relatively
23 straightforward factory expansions or additions; modest price increases in these

1 components may be necessary to provide the capital needed for this expansion, but
2 there should not be a price spike in these components similar to that recently seen in
3 the uranium market.

4

5 **Q. Will the Company take steps to manage the nuclear fuel cost for Levy Units 1
6 and 2?**

7 **A.** Yes. The Company competitively bids uranium and other nuclear fuel component
8 services but will purchase uranium or services from a sole service provider when the
9 arrangement is economically beneficial to customers. Typically, the Company has
10 four to six uranium suppliers at any given point, and the Company will rely on spot
11 purchases when market conditions warrant such purchases. The Company also
12 attempts to develop a contract portfolio with various term lengths and pricing
13 provisions to attempt to capture low prices while minimizing exposure to short term
14 price volatility. All of these contract procurement and management techniques and
15 efforts will also be used in purchasing nuclear fuel for Levy Units 1 and 2.

16

17 **Q. What about the disposal of spent nuclear fuel, how will that be handled for Levy
18 Units 1 and 2?**

19 **A.** During re-fueling of Levy Units 1 and 2, when a third of the nuclear fuel assemblies
20 are replaced, the spent fuel will be stored for several years in a spent fuel pool,
21 consistent with Nuclear Regulatory Commission ("NRC") requirements and current
22 practice. This storage is necessary to sufficiently cool the spent fuel after it has been
23 removed from the reactor. Thereafter, the spent fuel will be either stored on-site in

-

1 proven, environmentally sound dry cask storage, or disposed of or reprocessed by the
2 Department of Energy ("DOE"). While PEF does not yet have a contract with DOE
3 for spent fuel disposal from Levy Units 1 and 2, the Nuclear Waste Policy Act of
4 1982 establishes that the responsibility for the disposal of spent fuel lies with the
5 Federal Government.

7 IV. NUCLEAR FUEL COST FORECAST

8 **Q. What is the Company's nuclear fuel cost forecast?**

9 **A.** The Company's nuclear fuel forecast through 2036 in terms of the burn cost in
10 mills/kWhe is included in Exhibit No. ___ (JS-4) to my testimony. This fuel forecast
11 reflects the Company's best estimate of the reasonable, future nuclear fuel costs using
12 industry-recognized forecast methods.

13
14 **Q. Please describe how you prepared the nuclear fuel forecast.**

15 **A.** To project the costs of the components of the nuclear fuel assemblies, the Company
16 procures forecasts from market consultants who study the supply and demand of the
17 nuclear fuel market worldwide. The Company reviews these projections and may
18 make revisions based on its own knowledge gained from recent procurements and
19 interactions with suppliers. This market cost forecast is input to models of current
20 and expected contract terms in order to arrive at the Company's expected costs each
21 year for uranium, conversion, enrichment, and fabrication services. These cost
22 projections are combined with projections of the amount of nuclear fuel needed for
23 each operating cycle to obtain a total cost for the nuclear fuel loaded into the core.

1 For the AP-1000 plants planned for Levy Units 1 and 2, detailed projections have
2 already been developed by Westinghouse, the plant supplier. Following the
3 determination of the total fuel cost, the fuel cost to be amortized and charged to the
4 customer is calculated by determining the amount of energy produced by each fuel
5 assembly on an annual basis. With the addition of an estimated 1 mill per kWh spent
6 fuel disposal fee, this forms the basis of our estimated fuel cost from Levy Units 1
7 and 2.

8
9 **Q. Has the Company developed a low and high nuclear fuel forecast?**

10 **A.** No, it has not. As I have explained, the Company's nuclear fuel forecast represents
11 the Company's best estimate of the future costs of all components that make up the
12 total nuclear fuel cost to the customer based on the Company's current and future
13 contracts, the Company's analysis of market information from a variety of sources
14 and consultants, and the Company's experience and judgment. We believe that our
15 nuclear fuel forecast is, as a result, the most reasonable projection of future nuclear
16 fuel costs. Further, because the total nuclear fuel cost to the customer has been
17 historically and is expected to be less volatile and more stable than costs from other
18 fossil fuel resources available to the Company, there is little need for alternative fuel
19 forecasts to what we believe is the reasonable, future projection of nuclear fuel costs.

20
21 **Q. Does this conclude your testimony?**

22 **A.** Yes.
23

1 CHAIRMAN CARTER: And that should bring us through to
2 Witness Kennedy, I believe, would be next. Is that correct?

3 MS. FLEMING: That's correct.

4 MR. BURNETT: Yes, sir. We would call Mr. Kennedy to
5 the stand.

6 Mr. Chairman, Mr. Kennedy was not sworn yesterday.
7 So while he's still standing, you may want to get him.

8 CHAIRMAN CARTER: Okay. Great. I'll let him get his
9 water and then we'll --

10 (Interruption.)

11 That's all right. Let's take five, let's take five
12 to kind of get --

13 THE WITNESS: I'm sorry.

14 CHAIRMAN CARTER: That's not a problem. Let's just
15 take five.

16 (Recess taken.)

17 We're back on the record.

18 Mr. Kennedy, now you see why, you see when the
19 Commissioners get the pitcher, we hold it over to the side.

20 (Laughter.)

21 THE WITNESS: I apologize.

22 CHAIRMAN CARTER: Would you please stand, sir, and
23 raise your right hand.

24 J. MICHAEL KENNEDY
25 was called as a witness on behalf of Progress Energy Florida

1 and, having been duly sworn, testified as follows:

2 CHAIRMAN CARTER: Mr. Burnett.

3 DIRECT EXAMINATION

4 BY MR. BURNETT:

5 Q Mr. Kennedy, will you please introduce yourself to
6 the Commission and provide your business address.

7 A Yes. My name is Michael Kennedy. I'm a Principal
8 Environmental Specialist for Progress Energy, and my business
9 address is 299 First Avenue North, St. Petersburg, Florida.

10 Q And have you filed prefiled direct testimony and
11 exhibits in this proceeding?

12 A Yes.

13 Q Do you have those before you?

14 A I do.

15 Q Do you have any changes to make to your prefiled
16 testimony or exhibits?

17 A I do not.

18 Q Okay. And if I asked you the same questions in your
19 prefiled testimony today, would you give the same answers that
20 are in your prefiled testimony?

21 A Yes.

22 MR. BURNETT: Mr. Chair, we would ask that the
23 prefiled testimony of Mr. Kennedy be entered into the record as
24 if it was read today.

25 CHAIRMAN CARTER: The prefiled testimony will be

1 entered into the record as though read.

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**IN RE: PETITION FOR DETERMINATION OF NEED FOR LEVY UNITS 1 AND 2
NUCLEAR POWER PLANTS**

FPSC DOCKET NO. _____

**DIRECT TESTIMONY OF
J. MICHAEL KENNEDY**

I. INTRODUCTION AND QUALIFICATIONS

1
2 **Q. Please state your name and business address.**

3 **A.** J. Michael Kennedy, P.O. Box 14042, St. Petersburg, Florida 33733.
4

5 **Q. By whom are you employed and in what capacity?**

6 **A.** I am employed by Progress Energy Service Company as a Principal Environmental
7 Specialist.
8

9 **Q. What do you do?**

10 **A.** In my current role, which I assumed in August 2005, my responsibilities include
11 analyzing and assessing emerging environmental legislative and regulatory issues for
12 Progress Energy Florida ("PEF" or the "Company") and Progress Energy Carolinas.
13 Prior to that, I managed the environmental permitting and compliance activities in
14 support of Florida Power Corporation's and then PEF's generating fleet, including air
15 permitting and Title V issues. For ease of reference, I will refer to Florida Power
16 Corporation and PEF together as PEF except when circumstances may warrant a
17 distinction between the two companies.

1

2

Q. Please describe your education background and professional experience.

3

A. I earned a Bachelor of Science degree in Meteorology from Purdue University in 1978.

4

Before coming to work at then-Florida Power Corporation, from January 1990 to June

5

1992, I was a Senior Environmental Scientist at Indianapolis Power & Light Company,

6

where my responsibilities included support of generating plants in the area of air

7

permitting and compliance. From August 1986 to December 1989, I was the Permitting

8

and Planning Manager for the Indianapolis Air Pollution Control Division. I managed

9

the areas of air operating and construction permits, air quality modeling and planning,

10

and regulatory development for Indianapolis/Marion County, Indiana. From June 1978

11

to July 1986, I worked as an Air Quality Planner for the Indianapolis Air Pollution

12

Control Division. There I helped develop the State Implementation Plan for compliance

13

with the 1977 Clean Air Act Amendments. I also reviewed air operating and

14

construction permit applications and assisted with compliance inspections at the major

15

sources in the county.

16

17

Q. Are you sponsoring any sections of the Company's Need Study, Exhibit No. ____

18

(JBC-1)?

19

A. Yes. I am sponsoring the subsection of Section IV, C., 9 of the Need Study addressing

20

the reduction of air emission compliance costs due to existing and future potential

21

environmental regulation including greenhouse gas emissions ("GHG").

22

23

Q. Are you sponsoring any exhibits with your testimony?

1 A. Yes. I am sponsoring the following exhibits that I prepared or that were prepared under
2 my supervision and control:

- 3 ▪ Exhibit No. ____ (JMK-1) which is a Emission Comparison Chart;
- 4 ▪ Exhibit No. ____ (JMK-2) which is a Lifecycle CO₂ Emission Summary;
- 5 ▪ Exhibit No. ____ (JMK-3) which is an Estimated CO₂ Emission Cost Graph; and
- 6 ▪ Exhibit No. ____ (JMK-4) which is an Annual CO₂ Emissions Avoided by
7 Proposed Levy Nuclear Units Chart.

8 All of these exhibits are true and accurate to the best of my knowledge.

9
10 **Q. What is the purpose of your testimony?**

11 A. The purpose of my testimony is to address environmental emission issues related to
12 nuclear generation, including greenhouse gas emissions.

13
14 **Q. Please summarize your testimony.**

15 A. Nuclear power plants emit no air pollutants during operation. Unlike fossil fuel powered
16 generating facilities, the Levy nuclear units will produce no NO_x, SO₂, mercury, or
17 greenhouse gas emissions, such as carbon dioxide (CO₂). As a result, Levy Units 1 & 2
18 will avoid up to 1.4 million tons of NO_x, up to 5.8 million tons of SO₂, approximately
19 28,800 pounds of mercury, and approximately 864 million tons of CO₂ emissions when
20 compared to the emissions from a conventional coal-fired plant. For carbon alone, this
21 equals removing approximately 2.9 million cars per year off Florida roads over 60 years,

1 or a total of 174 million cars. No other generating resource has these significant
2 environmental benefits.

3 To date, no federal or state laws impose direct limits on GHG emissions, including
4 carbon emissions. However, a number of bills have been introduced in Congress which
5 would, if enacted, regulate such emissions. In addition, Florida Governor Charlie Crist
6 issued Executive Order 07-127 on July 13, 2007, which directed the Florida Department
7 of Environmental Protection to enact some of the most restrictive limits on GHG
8 emissions in the nation. Under Governor Crist's proposal, Florida electric utilities
9 would be required to reduce GHG emissions to 2000 levels by 2017, to 1990 levels by
10 2025, and to 20 percent of 1990 levels by 2050. Irrespective of what specific GHG
11 regulations are eventually enacted in the future, however, the zero GHG emitting Levy
12 units will certainly help PEF comply with any such requirements.

13
14 **II. BACKGROUND ON GHG AND OTHER (NO_x, SO₂, MERCURY)
EMISSIONS**

15 **Q. Please explain greenhouse gas.**

16 **A.** A greenhouse gas (GHG) is a substance that, when present in the atmosphere, absorbs or
17 reflects outgoing energy into the atmosphere or back to earth. A certain amount of this
18 effect is necessary for life, because without this effect the average temperature of the
19 earth would be well below freezing. If an excess amount of greenhouse warming occurs,
20 then the average temperature of the planet may increase. There are several compounds
21 that act as GHGs, and CO₂ is the dominant GHG emitted by human activities.

22
23 **Q. How are greenhouse gases emitted?**

1 A. Some greenhouse gases such as carbon dioxide occur naturally and are emitted to the
2 atmosphere through natural processes and human activities. Other greenhouse gases
3 (e.g., fluorinated gases) are created and emitted solely through human activities. The
4 principal greenhouse gases that enter the atmosphere because of human activities are
5 carbon dioxide, methane, nitrous oxide, and fluorinated gases. Carbon dioxide enters
6 the atmosphere through the burning of fossil fuels (oil, natural gas, and coal), solid
7 waste, trees and wood products, and also as a result of other chemical reactions (e.g.,
8 manufacture of cement). Carbon dioxide is also removed from the atmosphere (or
9 “sequestered”) when it is absorbed by plants as part of the biological carbon cycle.
10 Methane is emitted during the production and transport of coal, natural gas, and oil.
11 Methane emissions also result from livestock and other agricultural practices and by the
12 decay of organic waste in municipal solid waste landfills. Nitrous oxide is emitted
13 during agricultural and industrial activities, as well as during combustion of fossil fuels
14 and solid waste. Hydrofluorocarbons, perfluorocarbons, and sulfur hexafluoride are
15 synthetic, powerful greenhouse gases that are emitted from a variety of industrial
16 processes. Fluorinated gases are sometimes used as substitutes for ozone-depleting
17 substances (i.e., CFCs, HCFCs, and halons). These gases are typically emitted in smaller
18 quantities, but because they are potent greenhouse gases, they are sometimes referred to
19 as High Global Warming Potential gases (“High GWP gases”).

20
21 **Q. Please describe the types of electrical generating facilities that emit**
22 **greenhouse gas.**

1 A. Any electric generating facility that uses fossil fuel to produce power emits GHGs.
2 These include all coal, oil, and natural gas-fired facilities.

3
4 **Q. Are there GHG emissions associated with burning non-fossil sources such as**
5 **ethanol derived from sugar cane or citrus waste?**

6 A. Yes. Burning ethanol produces CO₂ emissions similar to those for a light oil.

7
8 **Q. Are there any proposals at the federal or state level to regulate or address**
9 **greenhouse gas emissions?**

10 A. A number of congressional proposals to advance programs designed to reduce
11 greenhouse gases have been introduced in the 110th Congress. There are generally three
12 types of proposals. First, there are proposals designed to improve the monitoring of
13 greenhouse gas emissions to provide a basis for research and development, and for any
14 potential future reduction scheme. Second, there are proposals to enact a market-
15 oriented greenhouse gas reduction program similar to the trading provisions of the acid
16 rain reduction program established by the 1990 Clean Air Act Amendments. The third
17 type of proposals serve to enact energy and related programs that would have the added
18 effect of reducing greenhouse gases such as requiring energy producers to generate a
19 portion of generation from renewable resources.

20 On July 13, 2007, Governor Crist issued three executive orders calling for
21 immediate action to reduce greenhouse gas emissions in the State of Florida. In
22 Executive Order No. 07-127, the Governor established emission reduction targets to
23 substantially reduce greenhouse gas levels. He also ordered his administration to

1 develop emission reduction standards for electric utilities and motor vehicles. The
2 Florida Energy Commission, in January 2008, proposed similar reductions.

3
4 **III. HOW NUCLEAR CONTRIBUTES TO REDUCED GHG AND
OTHER AIR EMISSIONS**

5 **Q. Explain why there are no air emissions associated with nuclear generation.**

6 **A.** Air emissions are produced by the burning of fossil fuels. Since nuclear power plants do
7 not use fossil fuels to produce electricity, there are no emissions associated with it.

8
9 **Q. Compare the air emissions of nuclear generation to emissions from other electric
10 generating sources.**

11 **A.** Nuclear power plants emit no air pollutants while generating electricity.
12 Comparatively, a conventional coal-fired boiler will produce about 2,200 pounds of CO₂
13 for each megawatt-hour (MWh) of electricity it produces. A natural gas-fired facility
14 produces about half of that, or 1,100 lb of CO₂/MWh. Prior to pollution control systems,
15 a conventional coal-fired power plant of 1,092 MW capacity can emit up to
16 approximately 48,000 tons of SO₂, 12,000 tons of NO_x, 240 pounds of mercury, and 7.2
17 million tons of carbon dioxide (CO₂) per year. For CO₂, this equals the emissions from
18 approximately 2.9 million cars. Advanced air pollution control systems will remove
19 approximately 95% of the SO₂, 90% of the NO_x, and 80% of the mercury, resulting in
20 emissions of approximately 2,400 tons of SO₂, 1,200 tons of NO_x, and 48 pounds of
21 mercury from a coal-fired power plant.

1 A 1,092-MW natural gas-fired combined-cycle combustion turbine power plant
2 will emit approximately 12 tons of SO₂, 240 tons of NO_x, a negligible amount of
3 mercury, and 3.2 million tons of CO₂ per year. A nuclear plant with the same capacity
4 emits none of these compounds. Exhibit No. ____ (JMK-1) graphically depicts the
5 comparison in annual emissions between a coal-fired plant, a natural gas-fired
6 combined-cycle plant, and a nuclear plant.

7
8 **Q. What is the quantity of these avoided emissions on a long-term basis?**

9 **A.** Compared to a coal-fired facility of similar capacity, a 1,092-MW nuclear plant will
10 avoid up to approximately 2.9 million tons of SO₂, 720,000 tons of NO_x, 14,400 pounds
11 of mercury, and 432 million tons of CO₂ over a 60-year timeframe. If we make that
12 comparison to a natural gas-fired, combined-cycle facility of similar capacity, the
13 nuclear facility will avoid up to approximately 720 tons of SO₂, 14,400 tons of NO_x, and
14 192 million tons of CO₂.

15
16 **Q. What is the quantity of avoided emissions for Levy Units 1 & 2?**

17 **A.** Levy Units 1 & 2 would avoid approximately 5.8 million tons of SO₂, 1.4 million tons of
18 NO_x, 28,800 pounds of mercury, and 864 million tons of carbon dioxide over a 60-year
19 life time when compared with the potential emissions from a coal-fired plant. Compared
20 to a natural gas-fired, combined-cycle facility, Levy Units 1 and 2 would avoid
21 approximately 1,440 tons of SO₂, 28,800 tons of NO_x, and 384 million tons of CO₂.
22 Exhibit No. ____ (JMK-4) graphically depicts the annual CO₂ emissions avoided by the
23 proposed Levy nuclear units.

1

2

Q. How do the life-cycle CO₂ emissions from nuclear power compare with other electricity-generating technologies?

3

4

A. As stated previously, a nuclear power unit generates no CO₂ while operating. There are CO₂ emissions associated with the construction of the unit, the mining and processing of uranium, and the transportation of fuel to the plant. Over the life time of the plant, however, such life-cycle emissions are quite low and they compare favorably with other electric generating technologies. In fact, the life-cycle emissions from nuclear power are lower than those from solar photovoltaic (PV) power, because a great deal of emissions are associated with the preparation of the pure silicon that is needed for the PV panels. Exhibit No. ____ (JMK-2) is a summary of the life-cycle CO₂ emissions from several electric-generating technologies.

5

6

7

8

9

10

11

12

13

14

IV. CURRENT STATE OF AIR QUALITY REGULATION

15

Q. Are there environmental air quality and emissions regulations related to fossil generation?

16

17

A. Yes, there are several.

18

19

Q. Please explain how air quality is currently regulated by the state and federal governments.

20

21

A. The federal government regulates air quality through the Clean Air Act (CAA) and its amendments, the most recent of which were passed by Congress in 1990. States are required to implement the provisions of the CAA through the State Implementation Plan

22

23

1 (SIP) process. SIPs are comprised of regulations at the state level that are reviewed and
2 approved by Environmental Protection Agency (EPA).

3
4 **Q. Please explain National Ambient Air Quality Standards.**

5 **A.** National Ambient Air Quality Standards (NAAQS) are pollutant concentration levels set
6 by EPA to protect health and welfare. Several key pollutants, known as criteria
7 pollutants, are measured through an extensive, nation-wide monitoring network. Areas
8 with monitors that register levels greater than the NAAQS must take steps to reduce
9 emissions in order to attain compliance.

10
11 **Q. Please explain the U.S. Acid Rain Program.**

12 **A.** Congress created the Acid Rain program with the 1990 CAA amendments. It requires
13 reductions in SO₂ and NO_x emissions from electric utility power plants throughout the
14 country. Utilities reduced emissions significantly through the Acid Rain program, and
15 additional regulations promulgated in the past two to three years require deeper
16 reductions.

17
18 **Q. What additional air quality regulations apply to fossil generation and what
19 challenges does PEF have in meeting them?**

20 **A.** Current major air quality regulations at the state and federal levels are the Clean Air
21 Interstate Rule (CAIR), which requires significant additional reductions in SO₂ and NO_x
22 emissions, the Clean Air Mercury Rule (CAMR), which requires reductions in mercury
23 emissions from fossil fuel-fired power plants nation-wide, and the Clean Air Visibility

1 Rule (CAVR), which may require additional reductions in SO₂ and NO_x in order to
2 improve and protect visibility in national parks and wilderness areas. All of these
3 regulations significantly affect Florida and PEF's existing generation fleet. For example,
4 PEF is currently implementing its compliance plan to meet these new regulatory
5 requirements, which will include the Company investing more than \$1.2 billion in
6 pollution control installations at our Crystal River and Anclote fossil fuel-fired facilities.

7
8 **Q. What other environmental restrictions are being discussed at the federal and state
9 level that could impact the Company's generation resource plan?**

10 **A.** As discussed above, there are several climate change bills active in Congress that would
11 require significant reductions in GHG emissions from electric utilities. In addition, in
12 July 2007, Florida Governor Charlie Crist issued executive orders requesting deep
13 reductions in GHG emissions from the state's electric utilities. The Florida Energy
14 Commission in January 2008 proposed similar reductions. These goals, if implemented,
15 will be extremely challenging to meet, particularly given the growth rate in Florida's
16 population and associated electric demand.

17
18 **Q. What are the specific GHG reduction targets in the federal proposals you mentioned
19 before?**

20 **A.** Several current Federal legislative proposals cap greenhouse gas emissions at 1990
21 levels in the year 2020. After year 2020, proposals contain requirements to reduce
22 emissions by roughly 5% annually from the previous year's level through 2050. Other
23 proposals establish renewable portfolio standards for electric generating facilities.

1

2

Q. What are the reduction targets in the state proposals?

3

4

5

6

7

8

9

Q. Please discuss the current DEP rulemaking activity in Florida.

10

11

12

13

14

15

16

17

Q. Are there any greenhouse gas activities ongoing before the Florida Energy Commission?

18

19

20

21

22

23

A. The Florida legislature created the Florida Energy Commission (FEC) in 2006. The FEC is a nine-member panel comprised of representatives from academia, environmental interests, and business to consider energy and climate change policy for the state. The FEC provided its recommendations in a report to the Legislature at the end of 2007. Among them is a recommendation, similar to Governor Crist's proposal, that would

1 require reductions of emissions of GHGs in the state to 2000 levels by 2020, to 1990
2 levels by 2030, and to 20 percent of 1990 levels by 2050.

3
4 **Q. Please discuss Governor Crist's Action Team.**

5 **A.** In Executive Order 07-128, Governor Crist created the Florida Governor's Action Team
6 on Energy and Climate Change to develop a comprehensive Energy and Climate Change
7 Action Plan to effectuate greenhouse gas reductions specified in Executive Order 07-
8 127. The Action Team provided its initial framework recommendations to the Governor
9 on November 1, 2007. The details for the implementation of the recommendations will
10 be developed through a stakeholder-driven process in 2008. Final recommendations are
11 due to be submitted to the Governor by October 1, 2008.

12
13 **Q. Has the issue of greenhouse gases been discussed in any recent need proceedings**
14 **before the Florida Public Service Commission?**

15 **A.** Yes, in Florida Power and Light's ("FPL") need proceeding for its Glades Units, the
16 Sierra Club filed testimony that focused on the likelihood of future requirements to
17 reduce emissions of GHGs. The Sierra Club agrees that business and industry must plan
18 for a carbon-constrained future. A tabular summary was included of the 17
19 Congressional bills addressing climate change as of January, 2007, most of which would
20 require significant reductions in GHG emissions to levels as low as 80% below 1990
21 emissions by the year 2050. In addition, the Sierra Club discussed state and regional
22 activity, such as the Regional Greenhouse Gas Initiative in the Northeast U.S. and the
23 orders to reduce GHG emissions from California Governor Arnold Schwarzenegger.

1 Finally, the Sierra Club testimony discussed potential carbon costs in the future and
2 recommended that utilities should include the potential cost of carbon in their resource
3 planning.

4
5 **Q. Discuss FPL statements regarding greenhouse gases in its Glades Need Case and its**
6 **Turkey Point 6 & 7 Nuclear Need Case.**

7 **A.** Mr. Kennard Kosky was FPL's witness regarding environmental matters for both the
8 Glades need case and the Turkey Point 6 & 7 need case. Although there are currently no
9 regulations regarding emissions of CO₂, FPL considered the potential cost of carbon
10 regulation on the operation of the Glades facility and concluded that it is the most cost-
11 effective alternative. In its comparison of emissions from electric-generating
12 technologies, however, FPL did not compare air emissions from the proposed Glades
13 facility to those of a comparably-sized nuclear plant.

14 In his Turkey Point testimony, Mr. Kosky stated that FPL's proposed nuclear units
15 are the preferred alternative from an environmental perspective in that their operation
16 will generate no air pollutant emissions, including GHG emissions. Mr. Kosky
17 compared the life-cycle emissions of nuclear power with other power-generating
18 technologies, including fossil fuel-fired plants, wind power, and solar photovoltaic (PV)
19 generation. Mr. Kosky stated that life-cycle emissions from solar PV are actually higher
20 than those from either wind or nuclear power. Finally, although there are currently no
21 regulations of GHG emissions, Mr. Kosky concludes that there are likely to be in the
22 future, adding cost to the operation of facilities that emit GHGs. The proposed Turkey

1 Point 6 & 7 nuclear units will not add cost to FPL's operations in the area of carbon
2 regulation because they will not emit GHGs.

3
4 **Q. You mentioned that in his testimony, Mr. Kosky added costs to the operation of**
5 **facilities that emit GHGs. Have you endeavored to make estimates of what those**
6 **costs may be?**

7 **A.** As I mentioned before, there are no current GHG regulations, and no one can say with
8 certainty what the future will be in this regard. We believe some form of GHG
9 legislation is likely and that such legislation would impose a cost for emissions of
10 greenhouse gases, but the timing and nature of the policy is uncertain. Rather than
11 placing probability weights on policy scenarios, we have elected to show a range of
12 potential future costs for CO₂ to demonstrate the potential range of impacts on the
13 economic analysis for the Levy units. Based on all the information available to me now,
14 I have prepared reasonable estimates as to what costs may arise for GHG-producing
15 facilities.

16
17 **Q. Please discuss how you arrived at your estimates for GHG costs.**

18 **A.** The first step in my analysis was to gather all the various federal and state GHG
19 regulations that have been proposed to date along with other studies that have attempted
20 to estimate what future GHG costs may be. From each of these sources, I extracted
21 dollars/ton of CO₂ figures and plotted them on a graph ranging temporally from 2006-
22 2050. The results of my findings are depicted on Exhibit No. ____ (JMK-3).

1 In 2020, the various proposals ranged from a low of \$21/ton of CO₂ emissions to a
2 high of \$80/ton. As reflected on Exhibit No. ____ (JMK-3), most proposals centered on
3 an average estimate of around \$30/ton in 2020 but some were higher. Based on these
4 data, I developed a reasonable projection of a representative high case based on the most
5 stringent current federal and state regulatory proposals, a high academic case projection
6 of the likely outcome given the various legislative and regulatory proposals, and a
7 "middle" and "low" case estimate for potential future CO₂ emissions costs.
8 Respectively, in 2020 for example, those figures are \$21/ton, \$32/ton, \$63/ton, and
9 \$80/ton.
10

11 V. POTENTIAL CONSEQUENCES OF VARIOUS PROPOSALS

12 **Q. Are there environmental compliance costs associated with the current and**
13 **proposed regulations you have discussed?**

14 **A.** There are significant costs incurred in order to comply with environmental requirements.
15 There are major costs associated with the installation and operation of air emissions
16 control equipment such as scrubbers, selective catalytic reduction (SCR), and
17 electrostatic precipitators.
18

19 **Q. What is the magnitude of the environmental compliance costs associated with fossil**
20 **forms of electrical generation?**

21 **A.** Environmental compliance costs for coal-fired generation are typically several hundred
22 million dollars per facility. Even for natural gas-fired facilities, these costs are normally
23 in the tens of millions of dollars.

1

2 **Q. Will carbon costs be applied to nuclear power?**

3 A. No, under either a carbon tax or cap-and-trade regime, carbon costs would only be
4 imposed on the use or combustion of carbon and the resulting emissions of CO₂.

5

6 **Q. Will a nuclear power plant require the installation and operation of air emissions
7 control equipment such as scrubbers, selective catalytic reduction (SCR), and
8 electrostatic precipitators?**

9 A. No, again because a nuclear plant would not have the air emissions that a traditional
10 fossil plant has. Thus, nuclear power plants would not have to incur the expenses
11 associated with this equipment.

12

13 **Q. Does this conclude your testimony?**

14 A. Yes.

1 BY MR. BURNETT:

2 Q Do you have a brief summary, Mr. Kennedy?

3 A I do.

4 My name is Michael Kennedy. I'm a Principal
5 Environmental Specialist at Progress Energy Service Company. I
6 submitted prefiled testimony regarding air emissions issues,
7 including greenhouse gas emissions. I'm available to answer
8 any questions that you may have.

9 MR. BURNETT: Thank you.

10 Sir, we tender him for cross.

11 CHAIRMAN CARTER: Thank you so kindly.

12 Mr. Brew, you're recognized, sir.

13 MR. BREW: Thank you, Mr. Chairman.

14 CROSS EXAMINATION

15 BY MR. BREW:

16 Q Good morning, Mr. Kennedy.

17 A Good morning, Mr. Brew.

18 Q Mr. Kennedy, I'd like to start at Page 15 of your
19 prefiled, if you have it.

20 A I'm there.

21 Q Line 13.

22 A Yes.

23 Q And that line says, "Based on the information
24 available to me now, I have prepared reasonable estimates as to
25 what costs may arise from GHG-producing facilities." Do you

1 see that?

2 A Yes, I do.

3 Q And do I understand that your task was to develop
4 reasonable estimates of carbon compliance costs that you used
5 based on external studies?

6 A That's correct.

7 Q These weren't studies that you actually performed.

8 A That is correct.

9 Q And you selected studies based on expert sources that
10 you considered credible?

11 A I assembled as much data as I could find from
12 generally credible sources, and it was a number of studies, of
13 course, and assembled them. Yes.

14 Q And the studies that you selected were sources, for
15 your exhibits were sources that you considered expert, credible
16 sources?

17 A Yes.

18 Q Okay. And the, the 60-year price curves that the
19 company uses for its nuclear economic benefits analysis are
20 based on the CO2 compliance, in part on the CO2 compliance
21 costs that you developed in your exhibits; is that right?

22 A Well, I provided these potential carbon cost curves
23 out to 2050 and that's what I provided to the, to the modelers.

24 Q Okay. So to be more specific, on your Exhibit JMK-3

25 --

1 A Yes.

2 Q -- which shows four cost curves from the period of
3 roughly 2011 to 2050, those, those are the curves that you
4 supplied for that analysis?

5 A That's correct.

6 Q And those cost curves are then reflected in what is
7 Appendix I to the Need Study?

8 A I did not develop Appendix I. I provided the cost
9 curves. So in terms of confirming that those are the curves in
10 the Appendix, I provided the curves. I believe they were
11 translated to that appendix.

12 Q Okay. So the -- because Appendix I gives specific
13 dollar values for a period of years; is that correct?

14 A Yes. That's part of Mr. Crisp's study or what he's
15 sponsoring.

16 Q Okay.

17 A And I believe that those numbers were derived from
18 the curves.

19 Q Okay. That's just -- I'm just trying to make sure
20 we're talking about the same number. So on the Need Study when
21 it refers to the Lieberman-Warner CO2 per ton values, that
22 should correlate to your Lieberman-Warner curve on JMK-3?

23 A Yes. And let me explain that a little bit. At the
24 time that we performed this study, which is the
25 January/February time frame, Lieberman-Warner had been

1 introduced late summer, early fall. It was the latest
2 available congressional bill at that time, and CRA was the only
3 entity that had studied it in any detail at that time. So this
4 Lieberman-Warner curve is the CRA study.

5 Q Okay. So if we, if we back up a page to Page 2 of 3
6 of your exhibit --

7 A Yes.

8 Q -- the Table of Sources refers to the -- the last
9 item is the CRA forecast study from the Lieberman-Warner Bill
10 that a Dr. Anne E. Smith provided in testimony before the
11 Senate Environment and Public Works Committee back in
12 November 2007.

13 A Correct.

14 Q That was your source.

15 A Yes.

16 Q Okay. And that study looked at CRA's economic
17 analysis of what was then the pending Lieberman-Warner Bill?

18 A Well, it had been introduced at that time. It had
19 not gone through committee yet, which it did in December.

20 Q Okay. So it has subsequently gone through committee?

21 A It went through committee, I believe it was
22 December 6th, and it's scheduled for floor debate in the Senate
23 on June 2nd.

24 Q Thank you. That was my next question.

25 A So it is the vehicle.

1 Q Did, did CRA update its analysis of that bill?

2 A It has. After, after the bill went -- while the bill
3 went through committee there were some minor changes to it.
4 CRA has since performed another analysis. I'll also point out
5 that EPA has performed an analysis on the bill, as has EIA. So
6 there's a great deal of attention to that bill now.

7 Q Okay. The EIA analysis that was performed in April,
8 does that go out to 2050?

9 A No, it does not. It goes to 2030.

10 Q Did you use any studies that only go out to 2030?

11 A I did not.

12 MR. BREW: Okay. I've circulated, Mr. Chairman,
13 copies that you all should have of a series of slides that are
14 entitled "Economic Analysis of the Lieberman-Warner Climate
15 Security Act of 2007 Using CRA's MRN-NEEM Model" dated
16 April 8th.

17 BY MR. BREW:

18 Q Mr. Kennedy, do you have a copy of that?

19 A Yes, I do.

20 Q Thank you.

21 CHAIRMAN CARTER: Commissioners, this will be marked
22 for identification as number sixty -- no, wait. Actually
23 Number 70. Number 70.

24 MR. BURNETT: Excuse me, Mr. Chairman. Just a
25 question more than an objection. This is an incomplete copy of

1 this presentation. I didn't know if that was intentional or if
2 Mr. Brew had the full document.

3 MR. BREW: I do not have the full document because I
4 was trying to save paper. But we can go through the specifics,
5 through the questions.

6 MR. BURNETT: Thank you.

7 CHAIRMAN CARTER: Okay. Mr. Brew.

8 BY MR. BREW:

9 Q Okay. First, looking at the summary page, this
10 summary of findings was also prepared by Dr. Anne E. Smith as
11 far as you know?

12 A I'm still looking for the summary page.

13 Q Oh, first page, very front. I'm sorry. Her name is
14 at the bottom of the front page. Go back. You've gone one too
15 far. Right at the top.

16 A Introduction?

17 Q No. No. Right in front.

18 A Oh, you mean just the title page. Okay.

19 Q Yeah.

20 A Summary of -- I mean, it's a title page that is
21 entitled "Summary of Findings." Yes.

22 Q Okay.

23 A It's not the summary page.

24 Q Sorry. I'm sorry. I got ahead of myself.

25 And the next page, which is Page Number 2, indicates

1 that "CRA's approach to modeling 2191 and summarize the results
2 of this analysis," and states that the summary was prepared for
3 the National Mining Association. Do you see that?

4 A I see that.

5 Q Would you have any reason to expect an analysis
6 prepared for the National Mining Association to underestimate
7 the cost of CO2 compliance costs?

8 A I wouldn't have any reason to, to question the
9 analysis one way or the other. CRA is a well-respected firm
10 and they have done, performed analyses for a number of clients.

11 Q Okay. Okay. Turning to the next page, it describes
12 the changes they've made from their prior analysis, do you see
13 that, and states that the analysis supersedes their prior
14 results released in 2007?

15 A Yes. I see that.

16 Q Okay. And the next page, which is, is not
17 sequential, it's Page 8 of this summary, discussed the
18 scenarios that were considered in CRA's modeling?

19 A I see that.

20 Q And that this now includes features added by the
21 Energy Bill H.R.6, which is now known as the Energy
22 Independence and Security Act of 2007?

23 A Yes. Those are the additions that were made in
24 committee.

25 Q And that includes increased CAFE standards for motor

1 vehicles?

2 A I know that that's one of the amendments. Yes.

3 Q Okay. And established a Renewable Fuel Standard?

4 A Again, yes, I understand that's one of the
5 amendments.

6 Q And adopted various electricity end-use efficiency
7 standards?

8 A Correct.

9 Q Okay. And that the -- their analysis further adds
10 the features that were actually adopted in the S.2191 reported
11 by the Environment and Public Works Committee.

12 A Correct.

13 Q And that would include allowance banking; do you
14 know?

15 A I know that, well, I know that there's a great deal
16 of discussion about this bill and there's been discussion about
17 how much banking should be allowed, how much international
18 offsets should be allowed. So there's a number of discussions
19 about it. But I do know that the basic bill allows some
20 banking, yes.

21 Q Okay. The basic bill allows some banking. The basic
22 bill allows domestic offsets?

23 A Yes, I believe it does.

24 Q Okay. Now if you can turn to the last page, which is
25 listed "Summary of Results."

1 A Yes.

2 Q Now that shows results in 2007 dollars according to
3 the table. And I want to refer you to the last line, which is
4 "CO2 Allowance Prices - With Banking." Do you see that?

5 A Yes.

6 Q And that shows for the, under the column year 2020,
7 it shows an estimated cost of \$61 a ton?

8 A In 2007 dollars, yes, that's correct.

9 Q And for 2040 it's \$131 a ton?

10 A Again, yes, in 2007 dollars.

11 Q And in 2050 that's \$195 a ton.

12 A Correct.

13 Q That's what they show as their current estimate of
14 those costs.

15 A That's one of their scenarios. Yes.

16 Q Okay. And the other scenario is allowance prices
17 without banking.

18 A Correct.

19 Q Okay. But the -- and what I'm asking about now is
20 what's in the actual Lieberman-Warner Bill, which would be to
21 allow allowance banking; is that correct?

22 A That's -- yes. That's one feature.

23 Q Okay. So can you tell me how your estimate of CO2
24 allowance prices in 2050 of \$651 a ton compares to the CRA
25 estimate of \$195?

1 A Well, for one thing, you have to convert -- I plotted
2 things in nominal dollars. I plotted the data in nominal
3 dollars. That makes a significant difference.

4 Q \$500 a ton?

5 A I'm sorry?

6 Q It will make a difference of over \$400 a ton?

7 A Yes. It's not exact. But if you double that 2050
8 figure, you're in the ballpark of what the nominal dollars
9 would be. It might be more than double.

10 Q So if I doubled the \$195, I'm under \$400 a ton in
11 2050?

12 A Again, this is one scenario. And, in fact, all of
13 these studies studied multiple scenarios. So we plotted
14 everything, picked a low, two middles and a high.

15 Q Oh, but this -- I'm just, I'm just looking at the
16 source you used, which is a CRA.

17 A And this is a study that was subsequent to the, to
18 the --

19 Q Right.

20 A -- what we plotted.

21 Q Right. But using the CRA, same source, using their
22 same model, using their inputs from what was actually adopted
23 in the Energy Independence and Security Act of 2007 and what
24 the Environment and Public Works Committee has adopted gives
25 numbers that are at least \$100 to \$150 a ton less than what you

1 show for 2050; is that correct?

2 A Well, it made it through committee. It has a ways to
3 go. It has to be considered in Congress.

4 Q Well, I'm not asking you to speculate on the status
5 of the bill. I'm just asking you is their updated number
6 substantially lower than what you showed on your chart?

7 A Yes. But I'm not speculating. Again, there are many
8 scenarios, there are many bills. The Lieberman-Warner Bill is
9 the bill that is the vehicle right now. It may not be the
10 vehicle a year from now. There could be another bill that
11 supersedes it. I know that Senator Boxer (phonetic) is working
12 on a bill, Senator Voinovich is working on a bill. There are
13 bills -- there's activity on the House side. There have been
14 bills that have been introduced that are more restrictive than
15 Lieberman-Warner such as the Boxer-Sanders Bill. So it is the
16 bill that is being discussed right now, but it's difficult to
17 say what the final form of any of these bills would be if it's
18 adopted.

19 Q Oh, I understand. But my question was just using
20 your source updated, using their same model, the number is a
21 lot lower; is that right?

22 A Using their model for this particular scenario. If
23 you use their model for the no banking scenario, which is still
24 a possibility, you would get allowance prices in the
25 neighborhood of \$700 per ton, which is higher than what we have

1 on our graph.

2 Q And all of the analyses that you've reviewed show
3 substantially higher prices for CO2 allowances if there's no
4 banking; is that right?

5 A I don't know how much banking was included in any of
6 these analyses.

7 I would also point out that EPA, shortly after we
8 introduced or submitted our need, EPA finalized an analysis of
9 the Lieberman-Warner Bill, and the numbers are very similar in
10 terms of projected carbon costs. They are doing another
11 revision of that as we speak.

12 Q Does the EPA -- do you have the EPA's study?

13 A I have seen the EPA study. I don't have it with me.

14 Q Does the EPA study go out past 2030?

15 A Yes. It goes to 2050.

16 Q Okay. And it projected various scenarios?

17 A Yes.

18 Q Okay. If I can refer you back one page on the
19 exhibit in front of you, which is labeled Page 18, that shows
20 the CRA estimate of CO2 allowance costs under S.2191 with and
21 without banking. Do you see that?

22 A Yes. That's a graphical representation of the table
23 on the last page.

24 Q And that shows, would you agree, that allowance costs
25 rise dramatically with no banking compared to the banking

1 scenario?

2 A Yes. And that depends on the level of banking that
3 you assume.

4 Q And do you think that Congress will take that into
5 account when it finally addresses the legislation?

6 A Congress has to take many things into account when
7 they're debating bills.

8 Q Would this be one of those things?

9 A That may be one factor that they look at. Yes.

10 Q Because this is a factor that really drives CO2
11 prices, doesn't it?

12 A Actually the emissions caps that are set nationally
13 are the biggest driver. Banking is one driver.

14 Q Okay. That's, that's fine.

15 One of the other sources that you referred to on your
16 exhibit is an MIT study.

17 A Yes.

18 Q And from Page 2 of 3, you list that as the -- you
19 used MIT low, mid and high forecasts from a report labeled
20 "Assessment of U.S. Cap-and-Trade Proposals, Report No. 146."
21 Do you see that on your exhibit?

22 A Correct. I do.

23 Q Earlier I handed you a copy of a report labeled
24 "Assessment of U.S. Cap-and-Trade Proposals, Report No. 146,"
25 dated April 2007. Is that the report to which you refer?

1 A That's the report, although the copy you handed me is
2 incomplete. It doesn't have Appendix C, the full Appendix C on
3 it.

4 Q Okay.

5 A It's actually a 95-page report.

6 Q I was --

7 CHAIRMAN CARTER: Just for a moment and for clarity
8 of the record, let's just mark this for identification as
9 Exhibit Number 71, Commissioners.

10 THE WITNESS: If it matters, that's part of my
11 response to production of documents already.

12 CHAIRMAN CARTER: I beg your pardon?

13 THE WITNESS: It's part of my response to production
14 of documents.

15 CHAIRMAN CARTER: Do you want to use it --

16 MR. BREW: Mr. Chairman, again to save paper, the
17 document that I circulated was just the cover sheet and the
18 appendix showing prices. What I showed -- what I was asking
19 Mr. Kennedy about was the entire report.

20 CHAIRMAN CARTER: Okay.

21 MR. BREW: So I just wanted to verify we were talking
22 about the same thing.

23 CHAIRMAN CARTER: Okay. We'll just mark this just
24 for ease, for ease and convenience. All right? Can we do
25 that?

1 MR. BREW: That would be fine. Let me describe that.

2 CHAIRMAN CARTER: Okay.

3 BY MR. BREW:

4 Q What I've circulated, Mr. Kennedy, also is a two-page
5 document which is a cover sheet to that report.

6 A Yes, I see that.

7 Q And it is also Page 68 of that report. Do you see
8 that?

9 A Yes.

10 MR. BREW: And, Mr. Chairman, I'd ask that we mark
11 that as an exhibit for identification just -- well, you said
12 the report is already in the record in the composite exhibit?

13 THE WITNESS: The full report is. The, this copy
14 that you handed me still is missing about 30 pages.

15 BY MR. BREW:

16 Q Okay. But what I wanted to talk about was the
17 pricing piece.

18 A Okay.

19 Q Okay.

20 CHAIRMAN CARTER: We've got it marked as Exhibit
21 71 for identification purposes.

22 MS. FLEMING: Mr. Chairman, if I may interject.

23 CHAIRMAN CARTER: You're recognized.

24 MS. FLEMING: This complete report is part of
25 Mr. Kennedy's first response to staff's first set of PODs

1 Number 3, and that's included in the Composite Exhibit Number
2 13 that's been identified in this exhibit. So we need -- I
3 don't believe we need to mark this as a separate exhibit.

4 MR. BREW: There's no need, no need to mark it. It
5 was just for ease of reference.

6 CHAIRMAN CARTER: Okay. Ease of reference. Okay.
7 So we've got a spot for 71. We'll hold that open.

8 Thank you, Ms. Fleming.

9 Mr. Brew, you may continue.

10 MR. BREW: Thank you.

11 BY MR. BREW:

12 Q Mr. Kennedy, you referenced the MIT low, mid and high
13 forecast in your summary of table of sources; is that right?

14 A That's correct. We plotted those data as well.

15 Q And then on your Page 3 of 3 you selected the MIT
16 Study - Mid; is that right?

17 A Yes.

18 Q And the MIT Study, the low, mid and the high, refer
19 to carbon reduction targets?

20 A Yes. In fact, they did a number of scenarios, many
21 more than just a low, mid and high, and they refer to scenarios
22 in terms of the total tonnage of CO2 emitted.

23 Q So the mid, the mid case is the one with 203 BMT or
24 billion --

25 A Billion metric tons.

1 Q Tons. Okay.

2 A And that's for the period that goes out to 2050.
3 It's a cumulative number.

4 Q Right. So if I wanted to find the estimated CO2
5 prices for the mid case, which is the 203 BMT, those numbers
6 would be shown for the core case on Page 68, which is the page
7 that I referred you to; is that right?

8 A Yes.

9 Q Okay. And in 2050 on that chart under the heading of
10 "Economy Wide Indicators," at the end of that listing there's a
11 CO2 price number.

12 A Correct.

13 Q And that shows an estimated price in 2050 of \$161.49;
14 right?

15 A In 2005 dollars.

16 Q 2005 dollars.

17 Okay. Other than adjusting the dollars from your
18 studies to get nominal dollars, did you make any further
19 adjustments for features such as banking offsets?

20 A No. I simply took -- the studies themselves studied
21 or evaluated those variables. I simply took the results of the
22 studies and plotted them, again, trying to establish the range
23 of potential carbon costs in the future, and not assigning any
24 particular probability to any particular scenario, just
25 plotting them and then using a low, middle and high.

1 Q So you didn't apply any of your expertise in terms of
2 what those values should be. You simply took the study results
3 and tried to put them in a consistent format.

4 A Yes. I simply took study results and made no
5 judgments on those study results.

6 MR. BREW: Okay. Thank you. That's all I have.

7 CHAIRMAN CARTER: Thank you.

8 Let me -- before we leave, Mr. Brew, Ms. Fleming, on
9 this -- well, let me ask Mr. Brew. This document that we just
10 marked for identification as Number 70, "Economic Analysis of
11 the Lieberman-Warner Climate Security Act of 2007 Using CRA's
12 MRN-NEEM Model, Summary of Findings," is this, this document,
13 is this part of our record already, Ms. Fleming?

14 MR. BREW: It is not part of the record already.

15 CHAIRMAN CARTER: Do you want to make it part of the
16 record?

17 MR. BREW: I'd like to move it into the record. Yes,
18 please.

19 CHAIRMAN CARTER: Well, Ms. Fleming, I guess what
20 we'll probably need to do, Mr. Burnett, you can chime in also,
21 is that if we do that, we probably want to introduce the entire
22 report itself.

23 MR. BREW: I would be happy to provide the entire
24 summary of the findings, the entire report. I can produce
25 that, too, but that's going to be lengthy. I was hoping simply

1 to use the summary of the findings just for ease of reference.

2 CHAIRMAN CARTER: Mr. Burnett?

3 MR. BURNETT: Yes, sir. Thank you. Also I would
4 note that this, this is incompetent as evidence because neither
5 David Montgomery or Anne Smith are here to be cross-examined on
6 it. It's not been sponsored through any witness. It's
7 completely unverified and authenticated.

8 Again, this is sort of the same predicament we were
9 in yesterday. Mr. Brew has asked questions, the witness has
10 given testimony on it, but this document is wholly
11 unauthenticated, it's not sponsored by a witness, likely
12 contains hearsay, and at this point remains incomplete.

13 MR. BREW: Actually this, this report is based on
14 analysis provided, referenced by the witness. It's simply an
15 updated version of what he relied on in his exhibits. So the
16 only way to test his analysis from his source is to provide
17 their, their summary of the updated analysis.

18 CHAIRMAN CARTER: Staff?

19 MS. HELTON: Mr. Chairman, it seems to me that
20 Mr. Burnett, if he had a problem with the authenticity of the
21 document or the verification of the document, that he should
22 have objected contemporaneously when Mr. Brew began
23 cross-examining the witness. So I don't think that those are
24 viable objections to raise at this time.

25 With respect to the hearsay argument, in Chapter

1 120.57(1)(c) the Administrative Procedures Act states that
2 "Hearsay evidence may be used for the purpose of supplementing
3 or explaining other evidence, but it shall not be sufficient in
4 itself to support a finding unless it would be admissible over
5 objection and civil actions."

6 My recommendation to you, Mr. Chairman, is to admit
7 the exhibit and then we shall give it the weight that it
8 deserves.

9 CHAIRMAN CARTER: Okay. With that being the case,
10 Commissioners, it may help us if we had the whole report. And
11 so, Mr. Brew, you could submit this as a late-filed exhibit,
12 and we'll hold a place in line, Ms. Fleming, at Number 70,
13 Number 70 for this.

14 MS. FLEMING: Number 70.

15 MR. BREW: We will have that, that complete summary
16 delivered to everyone tomorrow.

17 (Late-Filed Exhibit 70 identified for the record.)

18 CHAIRMAN CARTER: Okay. Thank you.

19 Staff, anything further on this? I wanted to clear
20 this before we moved further. Thank you, Mr. Brew. Thank you,
21 Mr. Burnett.

22 Mr. Jacobs.

23 MR. JACOBS: Thank you, Mr. Chairman.

24 CROSS EXAMINATION

25 BY MR. JACOBS:

1 Q Good morning, Mr. Kennedy.

2 In your testimony, I believe it's at Page 11 at the
3 bottom of the page.

4 A I'm there.

5 Q You indicate that one of the mechanisms that has been
6 assessed in addressing greenhouse gas emissions has been
7 renewable portfolio standards. Is that, is that correct?

8 A Well, and this is in the context of there are a
9 number of proposals in Congress. Some would implement a
10 renewable portfolio standard at the national level, others do
11 not. So there's a wide variety of possibilities. But, yes,
12 this is correct in that some of them would require a renewable
13 portfolio standard.

14 Q And have you done any analysis as to the impact of a
15 renewable portfolio standard?

16 A I have not. I, I, again, I assembled analyses that
17 were performed by, you know, as part of studies. I assembled
18 the results of the studies that were available to me.

19 Q Okay. If you would, let's move over in your
20 testimony to Page 14.

21 A I'm there.

22 Q Just one moment. Beginning at Line 14, you're citing
23 to testimony given in a prior case. And I assume that you're
24 adopting the position that, that was, that was put forward in
25 that, in that prior testimony that, that nuclear is the

1 preferred alternative for addressing environmental regulation
2 and greenhouse gas emissions. Is that a correct statement?

3 MR. BURNETT: Objection. Mischaracterization, vague
4 and confusing.

5 BY MR. JACOBS:

6 Q What is, what is the purpose of your cite here in
7 your testimony in Lines 14 through 16, Mr. Kennedy?

8 A This is an additional perspective regarding the air
9 pollutant emissions resulting from nuclear generation, which is
10 basically zero.

11 Q Have you taken a position as to whether or not
12 nuclear is the best only option to address greenhouse gas
13 emissions?

14 A Not the only option, no. It, it is one option.

15 Q Okay.

16 A And it's an option that does not generate greenhouse
17 gas emissions.

18 Q Have you undertaken any analysis which, which
19 attempts to qualify and quantify a portfolio of resources that
20 will be most cost-effective in addressing greenhouse gas
21 emissions?

22 A I have not personally undertaken such a study.

23 Q A little further down, let me get there, Page 15 of
24 your testimony.

25 A Okay.

1 Q Beginning at Line, at Line 17 you talk about how you
2 arrived at your estimate of greenhouse gas costs, regulatory
3 costs. And just, just above that you talked about how you
4 arrived at those estimates, and you speak about how nuclear,
5 you distinguish nuclear from other fossil fuel generation
6 sources; is that correct?

7 A Yes. There are two things going on here. I
8 evaluated the life cycle emissions or, rather, cited a study
9 that evaluated life cycle emissions from nuclear comparing it
10 to other generating technologies. And I also assembled data
11 regarding the potential costs of greenhouse gas emissions in
12 the future as a result of bills that are in Congress right now.

13 Q Okay. In your analysis of costs, did you compare --
14 well, I guess I already have the answer to that. You didn't do
15 any comparison between nuclear and renewable portfolio
16 standards or other issues such as that; is that correct?

17 A No. Embedded in the studies that I assembled are
18 many assumptions and scenarios, including of what you speak.

19 Q Okay. And that goes to my question.

20 In assessing the overall regulatory cost and
21 cost-effectiveness of a particular measure, practice of
22 avoidance of greenhouse gas emissions, it would be, you would
23 look at the idea of avoided costs, would you not, as well as an
24 assumption?

25 A Well, I did not perform the cost analysis. I simply

1 provided the potential greenhouse emissions costs.

2 Q Okay. And who -- I'm sorry.

3 A Mr. Crisp could, could help you answer that question.

4 Q Okay. Okay. Would, would, would it be a fair
5 conclusion that in assessing those costs it would be clear that
6 certainly renewable portfolio standards would not impose
7 technical requirements, some technical requirements that a
8 nuclear plant would impose, specifically transmission and other
9 kinds of technical requirements? Is that -- do you agree with
10 that statement?

11 MR. BURNETT: Objection. Lack of foundation. The
12 witness just testified that's Mr. Crisp's testimony, if
13 anyone's.

14 MR. JACOBS: I thought he -- if I may, Mr. Chairman.
15 I thought his testimony was that he could speak more to how the
16 cost analysis was done. I'm talking about technical analysis
17 at this point.

18 CHAIRMAN CARTER: One second. Ms. Helton.

19 MS. HELTON: Just one second.

20 Mr. Young, who is evidently listening a little bit
21 better than me, suggested that the witness said he could talk
22 about the technical aspects of this. So it seems to me that
23 the question is appropriate.

24 CHAIRMAN CARTER: Okay. You may proceed.

25

1 BY MR. BREW:

2 Q Should I restate it?

3 A Well, actually, actually I can't talk about the
4 technical aspects of an RPS. I believe Mr. Masiello or
5 Mr. Niekum would have covered that.

6 Q So in your testimony then when you discuss how you
7 arrived at estimates of greenhouse gas costs, those are really,
8 those are really provided to you by Mr. Crisp and his, and his
9 team?

10 A No. I assembled external studies that provided that
11 information.

12 Q I see. One final line of questioning. On Page 16 of
13 your testimony, I'm sorry, beginning at Line 12, here you
14 discuss the consequences of various proposals to address
15 greenhouse gas. Would it be a fair statement to conclude that
16 that analysis does not include the idea of renewables and any
17 aspect of their technical competence in addressing greenhouse
18 gas?

19 A I'm sorry. You've lost me.

20 Q My apologies.

21 A There seems to be a lot going on in your question.

22 Q In your assessment, in your assessment here where
23 you're addressing the consequences of various proposals, is it
24 a fair conclusion that this does not include an analysis of
25 renewable portfolio standards?

1 A I, I would say basically no because I assembled
2 external studies, all of the external studies available that
3 ran each of them running a number of scenarios. Embedded in
4 those scenarios are various assumptions regarding renewable
5 portfolio standards, allowance allocation versus auction,
6 cap-and-trade versus tax, the, the amount of nuclear that may
7 or may not be built. So there are a number of assumptions and
8 variables and varying scenarios that they ran.

9 Q Okay.

10 A So embedded in that is an RPS analysis. I did not
11 perform the analysis. I took the results of these studies and
12 then plotted them.

13 Q Do you have -- can you explain to me -- and that's
14 exactly the next question -- how that analysis, the conclusion
15 that that analysis reaches as to the impact of the proportion
16 of nuclear generation that's being proposed in this proceeding
17 would have on development of a renewable portfolio standard in
18 Florida?

19 A I have no idea.

20 MR. JACOBS: Okay. Thank you. No further questions.

21 CHAIRMAN CARTER: Thank you.

22 Commissioners, before I go to staff, Commissioner
23 Argenziano, you're recognized.

24 COMMISSIONER ARGENZIANO: Thank you.

25 Mr. Kennedy, on Page 9 of your testimony in regards

1 to the, I guess question two at the top with the life cycles,
2 comparison of the life cycle of the nuclear power plant.

3 THE WITNESS: Yes.

4 COMMISSIONER ARGENZIANO: And I know that during its
5 operation a nuclear power plant emits no CO2. That's correct;
6 right? And several times either at hearings or we hear that
7 people come up and say, well, it doesn't, there's no CO2 but
8 there's CO2 in the construction. So what I'm trying to
9 decipher is your, I guess, comparison of the life cycle of the
10 nuclear plant to the life cycle of the PV power.

11 THE WITNESS: Yes.

12 COMMISSIONER ARGENZIANO: What is the life cycle of
13 the PV power?

14 THE WITNESS: Well, the life cycle emissions of all
15 of these technologies, and, of course, that's JMK-2, the
16 exhibit, includes the cost of construction or manufacturing,
17 whatever the case may be.

18 COMMISSIONER ARGENZIANO: Okay.

19 THE WITNESS: Includes the cost of mining fuel, if
20 that's involved, transportation of the fuel, operation of the
21 facility and final decommissioning or disposal, whatever it
22 might be. So it really is a cradle-to-grave type of analysis.

23 COMMISSIONER ARGENZIANO: Right. And what I'm trying
24 to get at is is the grave a lot farther for the nuclear power
25 plant than it is for the photovoltaic? Because what I'm

1 reading here is that the, the emissions are actually greater
2 for, to create the photovoltaic in the creation with the
3 silicon and all that, I don't know all the particulars, but
4 what I've read in here is actually there's more -- and I'll
5 read it. "In fact, the life cycle emissions from nuclear power
6 are lower than those from solar photovoltaic power, because a
7 great deal of emissions are associated with the preparation of
8 the pure silicon that is needed for PV panels."

9 So I guess what I'm getting at is if the life cycle
10 of the nuclear power plant is much greater than the
11 photovoltaic panel and you're still getting more emissions from
12 the construction of the panel, then, then that says something
13 to me that even though there's some emissions during
14 construction of a nuclear power plant, there seems to be more
15 with the panels.

16 THE WITNESS: And if I could give you a two, a
17 two-pronged answer to that.

18 COMMISSIONER ARGENZIANO: Yes.

19 THE WITNESS: On the second page of JMK-2 I assembled
20 a table that includes the assumptions that went into the
21 studies that resulted in that graph. And the solar PV, the
22 lifetime is 20 to 30 years. That was what was assumed in these
23 studies. The nuclear lifetime is 30 years. Now and then
24 there's, of course, the question of proportion: How much
25 electricity are you getting from a solar PV panel versus how

1 much are you getting from a nuclear power plant? So there's a,
2 there's a very large, of course, difference there.

3 COMMISSIONER ARGENZIANO: So but even with, I mean,
4 with that difference, then basically what you're saying is that
5 you, during the construction, not operation, during the
6 construction the solar, the PV power actually has more
7 emissions even though there are differences in the power that
8 you're actually producing.

9 THE WITNESS: Correct. On a -- and it's important to
10 note that that's a pounds of CO2 per megawatt hour basis.

11 COMMISSIONER ARGENZIANO: Okay. Thank you.

12 CHAIRMAN CARTER: Commissioner Skop, you're
13 recognized, sir.

14 COMMISSIONER SKOP: Thank you, Mr. Chairman.

15 To that same question or point that Commissioner
16 Argenziano raised with respect to the expected lifetime or
17 expected economic useful lifetime of the nuclear plant, is 30
18 years shown in the table actually based on, you know, current
19 history in the U.S. fleet an accurate number? Is that number
20 low? And if, in fact, if that number were low, would the, how
21 would that change the results? Would that make that even more
22 in favor of lowest life cycle CO2 emissions?

23 THE WITNESS: Well, 30 years is the, the number that
24 was used in these particular studies for whatever reasons that
25 those researchers had. If you did lengthen that, I mean, if

1 they had assumed a 50- or 60-year lifetime, that increases the
2 denominator, yes, and that decreases the overall life cycle
3 emissions on a per megawatt basis.

4 COMMISSIONER SKOP: Thank you.

5 CHAIRMAN CARTER: Thank you.

6 Staff?

7 MS. KLANCKE: Staff has no questions for this
8 witness.

9 CHAIRMAN CARTER: Commissioners, anything further?
10 Okay. Mr. Burnett?

11 MR. BURNETT: Nothing, sir. We would move his
12 testimony and Exhibits 40 through 43.

13 CHAIRMAN CARTER: Okay. Commissioners, on their
14 exhibit list there will be Exhibits Number 40, 41, 42 and 43.
15 Any objections? Without objection, show it done.

16 (Exhibits 40 through 43 admitted into the record.)

17 Commissioners, I'm looking at -- now do we need
18 Mr. Kennedy back?

19 MR. BURNETT: No, sir.

20 CHAIRMAN CARTER: Okay. Thank you, Mr. Kennedy. You
21 may be excused.

22 Commissioners, let's take a break for our court
23 reporter. I'll go with the clock on the wall this time. And
24 what about we come back at 10 after. We're in recess.

25 (Transcript continues in sequence with Volume 5.)

1 STATE OF FLORIDA)
2 COUNTY OF LEON) : CERTIFICATE OF REPORTER

3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, LINDA BOLES, RPR, CRR, Official Commission Reporter, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorneys or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 23rd day of May, 2008.

Linda Boles
LINDA BOLES, RPR, CRR
FPSC Official Commission Reporter
(850) 413-6734