

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION


DOCKET NO. 080503-EI

In the Matter of
RENEWABLE PORTFOLIO STANDARD
FOR UTILITIES.

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING.
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 2

Pages 139 through 213



PROCEEDINGS: STAFF WORKSHOP

DATE: Wednesday, August 20, 2008

TIME: Commenced at 9:30 a.m.
Concluded at 4:38 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: MARY ALLEN NEEL, RPR, FPR

PARTICIPATING: (As heretofore stated.)

DOCUMENT NUMBER - DATE
07680 AUG 25 08

FPSC-COMMISSION CLERK

P R O C E E D I N G S

(Proceedings continued in sequence from
Volume 1.)

MS. MILLER: Let's get started again.

MR. TWOMEY: Cindy --

MS. MILLER: And if I could start off, a
couple of things. We have a new court reporter, so it's
doubly important that we each keep saying our names and
who we represent.

Mike.

MR. TWOMEY: Thank you. I wanted to make --
before we get out of (a) completely, I wanted to make
more extended comments, if I may.

MS. MILLER: Okay.

MR. TWOMEY: And I'm Mike Twomey for AARP.

And first let me say that I was wrongly
accused earlier this morning by a lot of you. I wasn't
the yahoo that who left my phone off of mute, so I was
wrongly accused. It wasn't me.

I'm representing AARP here, which has over
3 million members in Florida now. And I don't purport
to represent those 3 million members -- some of them may
take offense at AARP saying they're opposed to
carve-outs and the like -- but represent the
organization instead.

1 I want to go back just a hair to what we said,
2 what AARP said to the Legislature in the last session
3 that this legislation and the new law came out of. What
4 we said in a nutshell, essentially, and we said it
5 repeatedly, and you've heard it here before, is that we
6 wanted to see -- whatever the goals were, we wanted to
7 see the goals behind the RPS ultimately established by
8 elected officials. We wanted to see those elected
9 officials put a price tag on achieving the goals. We
10 wanted to see the goals, once they were established and
11 a price put on them, achieved in the most cost-effective
12 manner possible, namely, that the customers, again who I
13 will state are the ones who are going to pay the bills
14 here, the utilities will not, wanted to see the
15 customers get the largest bang for the buck, if you
16 will, in terms of achieving the goals. We believe that
17 having carve-outs and multipliers and things of that
18 nature are contrary to that notion of using the most --
19 or achieving the most cost-effective compliance with the
20 RPS.

21 Now, the legislation that came out, as you're
22 well aware -- and you have a portion of it attached to
23 your strawman proposal, and you have page 51 of the Laws
24 of Florida. I want to very briefly go through a couple
25 of things that that particular part of the statute says

1 that you have to do and things that are "mays." Okay?
2 And in 366.92(3), it says that you shall, that is, you,
3 the Commission, when I say you, the Commission shall
4 adopt an RPS.

5 Unless I missed something in the statute, it
6 doesn't tell you what percentage it has to be, and it
7 doesn't say what goals you have to achieve and by what
8 year. Okay? The Legislature, which is this agency's
9 immediate boss, if you will, didn't put those
10 requirements in. You've done it in (3)(a) of your
11 proposed strawman rule, that is, you had percentages.
12 Okay?

13 And I'll tell you right now, without on behalf
14 of AARP taking a position on those specific goals, what
15 would be good at some point, vis-a-vis our desire to see
16 costs, is what those specific goals are projected to
17 cost the customers over time on an annual basis.

18 So, for example, some of the folks I've heard
19 earlier this morning are naysayers about the 1 percent.
20 Okay? They think that's not enough. They want more.
21 The 1 percent, I'm advised by Tom Ballinger's numbers,
22 would cost the consumers, the customers of the largest
23 four IOUs in this state \$198 million in additional rates
24 in 2009. And, of course, it goes up from there.

25 And one of the things that's going to drive

1 this, as we know, is that just in the mid-course
2 corrections for fuel adjustment in the last three, four,
3 or five weeks, whatever it was, the two largest
4 utilities in this state came in and asked for mid-course
5 corrections of a additional billion dollars a year. And
6 that's going to, of course, drive up the total revenues
7 against which the 1 percent or 2 percent will be
8 compared.

9 We expect, I think reasonably, that fuel
10 prices will go up again next year, so the total revenues
11 will go up, and the 1 percent won't be -- will no longer
12 be close to \$200 million. It will be more.

13 And, of course, for those that would want
14 2 percent of a cap, if they want to have a cap at all,
15 we're looking at close to \$400 million next year. And
16 if you wanted to shoot for 5, we would be looking at
17 close to a billion dollars. Now, those of us out here
18 on the customer side of the fence view that as another
19 term for a \$200 million rate increase, or a billion
20 dollar rate increase if you want to push for 5.

21 The Legislature, going back to page 51 there,
22 also said that the PSC shall include methods of managing
23 the cost of compliance. That's in the statute. It's
24 something you have to figure out how to do and you have
25 to address in the rule that goes back to the Legislature

1 for its consideration, because, as you know, everybody
2 knows in this room, the Legislature said this rule will
3 not be implemented until it's ratified by the Florida
4 Legislature, which, necessarily, because of the way our
5 process works, the Governor will have to sign it as
6 well. So the Governor and the Legislature have to
7 ratify whatever comes out of here.

8 Also in the statute, it says the Commission
9 shall provide in this rulemaking for appropriate
10 compliance measures and the conditions under which
11 noncompliance shall be excused. And one of the things,
12 as you know, that it says that can be addressed as a
13 reason for noncompliance being excused is if the cost of
14 securing renewable energy or renewable energy credits
15 was cost-prohibitive.

16 Now, we think, whether the number is right or
17 not, that having a budget that you proposed in terms
18 of -- staff has proposed in terms of a 1 percent cap is
19 a good idea. It's a good idea. Whether that number is
20 right or not, having a cap is a good idea, in our
21 estimation, because it provides the utilities and it
22 provides everybody involved with a budget, no open
23 checks. One of the things we said in the Legislature,
24 no blank checks drawn on the customers of the utilities
25 of the state of Florida, have a budget.

1 Now, when you have your budget, one of the
2 things I said to you was, we asked the Legislature and
3 we asked you and we asked the Commission to see that the
4 moneys that are budgeted and come off the monthly energy
5 bills of Florida's consumers, which we all know are
6 oppressed with increasing taxes, insurance costs, and
7 the like, that it be spent in the most cost-effective
8 manner.

9 Now, I pointed out several of the things that
10 the Legislature said the Commission has to do. Okay?
11 And when we get to the idea of carve-outs and
12 multipliers, it's not something this Commission has to
13 do. If we look at 366.92(3)(b)3, the Commission may
14 provide added weight to energy provided by wind and
15 solar voltaic.

16 Now, going back a little earlier, and I passed
17 over this, 366.92(3)(a) says the Commission shall
18 evaluate the current -- and it's "shall." You have to
19 do this, and it has to be in the rule that goes forward
20 to the Legislature. The Commission shall evaluate the
21 current and forecasted levelized cost in cents per
22 kilowatt-hour through the year 2020. So I'm not sure
23 how you're going to do that, if your consultants are
24 going to do it or whatever, but it's got to be in there.

25 And when you do that, it's going to show what

1 the projected -- or current costs and what the projected
2 levelized costs are for each renewable methodology. And
3 when you do that, presumably it will show where wind in
4 Florida and where solar in Florida are ranked among the
5 other renewables. And one of the things again we're
6 saying to you is, we want to have a system whereby when
7 you go back to the Legislature, we can say, "The budget
8 is this. Use the most cost-effective, and don't give a
9 leg up to any methodology to cut in line and have a
10 preference."

11 So that's essentially it. We want to see what
12 the costs are, and we want to have the ability to go to
13 the Legislature and, if necessary, criticize the
14 decisions the Commission makes if we think that the
15 dollar amounts, the budget is too great, or if we think
16 that the methodologies for achieving the Legislature's
17 goals are squandered by giving certain methodologies
18 preferred treatment. Thank you.

19 MS. MILLER: Thank you.

20 MR. TWOMEY: Oh, one last thing, Cindy. I
21 wanted to say, we keep hearing about Germany's solar,
22 and I would be curious to ask any of the solar advocates
23 in this room or on the line what the Germans pay in
24 cents per kilowatt-hour for the solar energy they
25 purchase there and what their overall or levelized

1 forecast, if you will, in the language of the statute,
2 what the levelized forecast or the current cents per
3 kilowatt-hour they have for solar. Thank you.

4 MR. KARNAS: Yes, I would be happy to answer
5 that question, and I hope that we can look at the
6 same --

7 MS. MILLER: This is Cindy Miller.

8 MR. KARNAS: -- opportunity in Florida.

9 MS. MILLER: This is Cindy Miller. Who's
10 speaking?

11 MR. KARNAS: I'm sorry. Jerry Karnas,
12 Environmental Defense Fund.

13 MS. MILLER: Okay. Go ahead.

14 MR. KARNAS: The overall cost to the consumer
15 of the entire German renewable policy mechanism is 2 to
16 4 Euros per month, which is the equivalent of \$5 to
17 \$7 American.

18 Now, they have very, very weak solar
19 insolation, so in order to promote that market, their
20 solar costs a lot of money. But wind in Germany is
21 very, very cheap. So is biomass, and so is other
22 renewables. So the overall cost to the program of the
23 PV is controlled through the reduction in cost of other
24 renewables.

25 So it's not really useful to look at the price

1 per kilowatt-hour that they did on PV, which is about 65
2 cents per kilowatt-hour in Germany, but that's because
3 of their insolation. What you want to look at is the
4 overall program cost and then the results that that
5 program cost engendered.

6 They were in much the same situation as we are
7 right now in 1997, being held hostage by Vladimir Putin
8 on natural gas. And they took that very, they
9 seriously, and they made a national commitment to
10 prioritize renewable energy to the grid, make sure that
11 that energy was bought back and that people could make a
12 fair rate of return on that renewable energy.

13 The result has been 40,000 jobs in solar,
14 250,000 total jobs in renewable energy. And First
15 Solar, an Ohio-based company, because of these policies
16 has put a 500-person manufacturing plant in Germany, and
17 they are now the center of renewable energy production
18 in the world. In fact, they're going to put more than
19 half of the PV on the ground in one year, two gigawatts,
20 which is the equivalent of a 1,000 megawatt -- which is
21 the equivalent of two nuke plants in Florida.

22 And so their overall program cost, Mike, is
23 less than the cost of the 2006 energy bill that you
24 supported with the nuclear early cost recovery. So if
25 we implemented the German model, we could get two

1 gigawatts of solar a year, all those jobs, and it would
2 be less than what the people of Tampa Bay are paying now
3 under the early cost recovery for a nuke plant that's 10
4 years away.

5 MS. MILLER: We're going to have a quick
6 follow-up from Mike Twomey, and then we're going to turn
7 to a different subject that --

8 MR. TWOMEY: Just a very quick question.
9 Thank you, Cindy.

10 Jerry, did you say 55 cents per kilowatt-hour
11 or 65 cents when you gave that price?

12 MR. KARNAS: What they originally started off
13 saying, Mike, was 65 cents per kilowatt-hour, but they
14 have a two-year review of the pricing strategies for all
15 renewables. And you're expected, if you're a renewable
16 energy provider under each tier, under each pricing
17 scheme, that when you come back after two years to do
18 another project, you have to have reduced costs by
19 5 percent. That's what I meant in my earlier comment
20 about you creating economies of scale very rapidly and
21 very quickly, that the Germans have mandated that you
22 reduce the cost of the projects by 5 percent every
23 review period.

24 Now, the Spanish and the Italians have done it
25 differently by doing megawatt procurement targets, and

1 then they review their pricing every year after that.

2 But the entire idea of the program is to get
3 to grid parity as quickly as possible and to create the
4 economies of scale as quickly as possible. That's what
5 the program is designed to do. So they start at 65
6 cents per kilowatt-hour for solar.

7 But remember, they have the insolation of
8 Maine, so it's the equivalent of Maine, not Florida.
9 Our pricing scheme in Florida would be considerably less
10 than the pricing scheme in Germany, but also, you do it
11 for all renewables, which balances out the cost. But
12 now I think they're down to about 55 cents.

13 MS. MILLER: Okay. Thank you.

14 MR. KARNAS: So they keep driving the cost
15 down 5 percent a year.

16 MS. MILLER: Thank you. We're going to return
17 to the discussion we had just about started on
18 alternative compliance payments. I think Mr. Trapp is
19 going to need to leave the session at a certain point,
20 so I promised him I would turn back to that, even though
21 we still may have some additional comments on this
22 section.

23 So, Bob, you had raised some questions on it.

24 MR. TRAPP: I wanted to pursue with Mr. Moyle,
25 who I think initiated the discussion early on in his

1 comments, if he had any specific ideas with respect to
2 alternative compliance payments or enforcement payments
3 or whatever.

4 MR. MOYLE: Sure. Let me jump in with that,
5 and we'll supplement this, I presume, with some
6 additional written comments for your consideration.

7 But I made the point early on that I thought
8 clearly the Legislature provided you with the authority
9 to establish compliance measures. And based on the
10 discussion, I don't think the point of disagreement is
11 on that, and I'm glad that you all, I think, are going
12 to maybe take another look at compliance measures or
13 compliance mechanisms.

14 I was talking to somebody about this, and they
15 said, "You know, it's a little bit like establishing a
16 speed limit, but not putting any police officers on the
17 road," and then also saying, "If you do get caught,
18 there's nothing that can happen to you," that it needs
19 to have some teeth on that end.

20 But the point that you raised, Bob, about,
21 "Well, we don't think we have the authority to provide
22 that the money be spent on additional renewables or go
23 into a trust fund here," I think that is a good, valid
24 point. And the way I would suggest you deal with that
25 is, given where we are now economically, I don't think

1 the Legislature is going to have a hard time considering
2 what to do with that money. And I think that they could
3 make a judgment about whether they want that money to go
4 into the general revenue fund, whether they want that
5 money to go to some kind of a benefits fund that would
6 promote additional renewable energy, or whether they
7 would want that money to go to a rebate of ratepayer
8 payments that have been made. I think there are a wide
9 variety of options that could be done with that money
10 that might be realized from having an ACP.

11 I think the chief point I wanted to make is
12 that as I understand the ACP, it has been something that
13 has been put in place in a host of other states that
14 have RPSs, that it has been viewed as a good mechanism
15 to make the RPS successful. We can get you some
16 additional detail on the specifics, but it acts to do a
17 number of things, one of which is to act as a price cap,
18 because if you set the ACP at a certain dollar figure
19 and the utility then has to either go get RECs, or if
20 they don't get the RECs, then they have to make a
21 payment set at a certain level, then that acts, in
22 effect, as your price cap, because you would know what
23 percentage you would need to make. So it's a way that
24 you can, I think, also get to the price cap point that I
25 think has some appeal, based on the discussions you've

1 had previously.

2 We would encourage you to take another fresh
3 look at compliance mechanisms, particularly the ACP.
4 Frank Ferraro with Wheelabrator is on the phone, and he
5 has been in states throughout the United States that
6 have that. He may have some things to add to that. But
7 we can supplement these comments, Bob, with further
8 written comments.

9 MS. MILLER: Okay. So here we are. We have
10 been in (3)(a). Are there any additional points on
11 (3)(a)? You'll notice in (3)(a), there are the options
12 for wind and solar. We have had a little discussion
13 about what people think about the different forms of
14 carve-outs or options, multipliers, whatever. Is there
15 any other discussion on options for wind and solar
16 preference

17 MR. FERRARO: This is Frank Ferraro.

18 MS. MILLER: Go ahead.

19 MR. FERRARO: Okay. Now, we're talking about
20 going into this -- it's actually (b), I guess, now,
21 right, the wind and solar options?

22 MS. MILLER: They're still in (a), actually.

23 MR. FERRARO: It is?

24 MS. BROWNLESS: No, they're in (b), Cindy.

25 MS. MILLER: Oh, I'm sorry. I apologize.

1 MR. FERRARO: Okay. Well, anyway, we're
2 talking about the options for wind and solar.

3 MS. MILLER: Yes.

4 MR. FERRARO: Okay. I want to throw out a
5 slightly different tack, but I think it goes along with
6 Option 1 or Option II, and that is to provide distinct
7 incentives for wind and solar separate from all the
8 other biomass -- all the other -- that was a Freudian
9 slip. All the other renewables, and instead, to
10 establish an RPS for Class I and a separate RPS for
11 Class II, such that if the number for 2010 is 2 percent,
12 for example, that you have total, perhaps that 2 percent
13 is Class II, and then another .5 percent for Class I,
14 and that Class II doesn't bleed over into Class I, and
15 Class I doesn't bleed over into Class II.

16 And that way, you don't have this competition
17 between wind and solar and all the other technologies,
18 and you can incentivize Class I separately, and you
19 don't get into is it 25 percent, and is it a minimum of
20 25 percent, and it can be more, or what multiplier it
21 should be and how do you do the multipliers. If you're
22 truly trying to incentivize wind and solar -- and
23 Wheelabrator doesn't have any dog in that hunt, but I'm
24 trying to be objective here. Set it aside as a separate
25 RPS, Class I RPS, Class II RPS, and let them go on own

1 separate paths. And I would suggest that it be based on
2 some distinct percentages, like I said, Class II is 2
3 percent in 2010 and Class I is, you know, .5 -- well,
4 yes, .5 percent in 2010. So that's my suggestion.

5 MS. MILLER: Okay. Tom Ballinger would like
6 to comment on that.

7 MR. BALLINGER: Frank, so what you're saying
8 is that the total value would be greater than 2 percent
9 under your scenario?

10 MR. FERRARO: I just gave an example.

11 MR. BALLINGER: Right.

12 MR. FERRARO: You can make it the total value
13 being 2 percent. And I couldn't do the math in my head
14 right away, but, you know -- so whatever it is, 1.75
15 is -- or 1.5 is Class II and .5 is Class I.

16 MR. BALLINGER: I understand your comment.

17 MR. FERRARO: But remember that 2010 has to
18 equal the existing renewables in the state, so if you --
19 so you have to make sure that the Class II is all
20 encompassed by that percentage, the existing renewables
21 are encompassed by that percentage too. So it's just a
22 little tricky in the first years, but then, of course,
23 it grows, like you said, at a greater rate.

24 MR. BALLINGER: I understand what you're
25 saying, just setting separate levels for Class I and

1 Class II, and --

2 MR. FERRARO: And I'm just throwing out
3 example numbers. I'm not saying these are the right
4 numbers, but the concept is what you've got.

5 MR. BALLINGER: I understand the concept.
6 Thank you.

7 MS. MILLER: Suzanne Brownless, did you --

8 MS. BROWNLESS: Yes, ma'am. Thank you.

9 Here is our idea. We would modify the
10 language in Option 1 that you have on page 4, and I'll
11 just read it. "By January 1, 2013," which matches to
12 our 20 percent by 2020 goal, "a minimum of 25 percent of
13 the renewable portfolio standard should be provided from
14 Class I renewable energy sources, with 10 percent
15 provided by Class I solar thermal systems, a minimum of
16 10 percent provided by Class I solar photovoltaic
17 systems, and 5 percent provided by Class I wind systems.
18 Should Class I wind systems fail to achieve 5 percent in
19 any given year, solar resources shall be entitled to
20 fill its remaining share. To the extent that the
21 percentage of each Class I energy system is not filled,
22 the remaining percentage can be applied to other Class I
23 systems in the same ratio as it was originally stated."

24 So what we're trying to do is take that 25
25 percent and divide it up, 10 for solar thermal, 10 for

1 photovoltaics, and 5 for wind, and let everybody -- at
2 the end of every year, you would figure out, you know,
3 how much photovoltaic you had, how much thermal you had,
4 and how much wind you had, and let everybody fill in the
5 blanks so that you get your entire 25 percent. For
6 example, let's say wind was not able to fulfill all its
7 5 percent, because I think there really is some question
8 about whether it would be able to, it would allow other
9 Class I entities, in this case, other solar, solar
10 folks, to pick up the slack up to 25 percent.

11 MS. MILLER: If wind fails to meet -- how
12 would you determine that wind failed to meet it rather
13 than --

14 MS. BROWNLESS: Well, because you're going to
15 have percentages for everybody, so you would know how
16 many people signed up for solar photovoltaic, you would
17 know how many people signed up for thermal, and you
18 would know how many people signed up for wind. You
19 would be able to have -- you would calculate those
20 numbers. You would know. And if you didn't have enough
21 projects sign up to meet that standard, instead of just
22 losing that -- whatever remains of that percentage, you
23 would allow it to pass on to other Class I technologies.

24 MS. MILLER: Thank you.

25 MS. HARLOW: Suzanne, so -- I'm sorry, Cindy.

1 I interrupted. So basically you've got a set-aside
2 within a set-aside.

3 MS. BROWNLESS: Yes.

4 MS. MILLER: Tom Ballinger.

5 MR. BALLINGER: Suzanne, this is Tom. If I
6 understand, it's more like the Option II. It's kind of
7 a refinement of that Option II, where we had --
8 20 percent of it would be solar PV or solar thermal and
9 5 percent wind. You're just allowing -- making it clear
10 that that could bleed over if one was not met.

11 MS. BROWNLESS: Yes.

12 MR. BALLINGER: Okay.

13 MS. BROWNLESS: I mean, it's -- we actually
14 starting writing with Option I. You know, we just tried
15 to mark our rule up so that we could give you a clear
16 mark-up.

17 MR. BALLINGER: But I think what I heard you
18 say, it's closer to the Option II that's laid out in the
19 strawman.

20 MS. BROWNLESS: It's a variation.

21 MR. BALLINGER: Okay.

22 MS. BROWNLESS: Option I and Option II are
23 actually pretty close together.

24 MR. BALLINGER: Yes.

25 MR. ZAMBO: Rich Zambo has a question.

1 MS. MILLER: Go ahead, Rich.

2 MR. ZAMBO: Just for clarification, on
3 Option III where we talk about the Class I representing
4 in aggregate 25 percent, does that include the five
5 times multiplier, or is that just on a gross basis?

6 MR. FUTRELL: Rich, this is Mark Futrell. And
7 staff went around on this one quite a bit as well in
8 trying to phrase this and understand the implications of
9 all this. As we understand, with multipliers, if, for
10 example, you buy one REC, 1,000 kilowatt-hours, then by
11 applying the multiplier, you effectively have 5,000
12 kilowatt-hours, and that's what would be applied to the
13 RPS standard. And that obviously leads the way to the
14 discussion about whether multipliers really will
15 effectively result in the development of renewable
16 energy.

17 But to answer your question, the 25 percent is
18 arrived at by applying -- first applying the multiplier
19 to the actual RECs that are purchased or procured.

20 MR. ZAMBO: Okay. Thank you.

21 MS. MILLER: Sean Stafford, did you --

22 MR. STAFFORD: Thank you. We want to just
23 mention one point that has been brought up, I guess, in
24 this document. There seems to be this separation
25 between the classes based this term "emitter." And we

1 wanted to sort of go on record on this issue, because
2 biomass, while it does emit carbon, biomass also during
3 the growing process sequesters the identical amount CO₂
4 that it combusts. So there is an emission at the back
5 end, but on the front end, there's also uptake of CO₂.
6 So we're uncomfortable with any terminology that sort of
7 classifies biomass as somehow implicitly more greenhouse
8 gas negative than other technologies.

9 As a general principle, we aren't comfortable
10 with the notion of set-asides, but we think that if you
11 do a set-aside, it ought to be a moderate set-aside, but
12 most importantly, it should not have one aggregate price
13 cap. Having a set-aside for the more expensive
14 technologies and having the same price cap apply to all
15 of these technologies together will end up driving
16 everyone to Tier 1, which will gobble up, so to speak,
17 most of that available budget that Mike was discussing.
18 You can call it a price cap allowance or budget, or
19 whatever that number is, really not leaving a whole lot
20 of room for the Tier 2s.

21 We know that the Tier 1s can deploy fast. We
22 know they have a shorter build-out time. It takes a
23 little more time to build a biomass plant, site a
24 biomass plant than it does just, you know, sort of pop
25 in some Tier 1 technologies. That may change with wind

1 and siting issues.

2 But, you know, we feel that at the very least,
3 if you move to a set-aside model, which we don't
4 necessarily support, having one price cap is really sort
5 of a stake in the heart for the Tier 2 technologies,
6 because you're not going to have much availability left
7 if you have that price cap, and all of the much more
8 expensive Tier 1s get the preferential treatment.

9 MS. MILLER: Thank you. Any more discussion
10 on (b)?

11 MR. TAYLOR: Yes. On the phone is Alan Taylor
12 from PCS Phosphate. And I was just wondering if staff
13 had given any consideration when establishing
14 preferences and giving the solar and wind preference,
15 whether it's discretionary or not to the discretion of
16 staff, if they gave consideration to establishing a
17 preference for any other technologies, or if it not
18 necessarily for technologies, for renewable energy
19 systems that are able to meet other needs of the Florida
20 power system, for example, that, you know, would have
21 greater availability, are able to provide power during
22 peak load periods.

23 MR. FUTRELL: This is Mark Futrell with the
24 staff. The staff in developing the strawman looked to
25 the statute, and the statute gave permissive -- gave the

1 Commission permission to add greater weight to solar and
2 wind, and that's the direction we took from the
3 Legislature.

4 MS. MILLER: Commission Skop.

5 MR. TAYLOR: So do you read the statute then
6 that it's not providing permission for you to give
7 greater weight to any other technology or advantage that
8 a renewable energy system could offer?

9 MR. FUTRELL: Well, I'll read you the statute.
10 It's 366.92(3)(b)3, "May provide added weight to energy
11 provided by wind and solar photovoltaic over other forms
12 of renewable energy, whether directly supplied or
13 procured or indirectly obtained through the purchase of
14 renewable energy credits." That's the direction it
15 gives.

16 MR. TAYLOR: And I asked you, do you read that
17 as preventing giving the broad preference to any other
18 technologies?

19 MS. MILLER: This is Cindy Miller, and we're
20 going to turn to Commissioner Skop next, but let me
21 mention that Chapter 120, especially 120.54 on
22 rulemaking, requires express authority for the steps
23 that we take in our rules, and it's pretty rigorous. So
24 if you want to talk to me anytime about that, I'll be
25 glad to discuss it further, but it has some pretty tough

1 standards in it.

2 MR. TAYLOR: All right. That was more the
3 answer I was looking for.

4 MS. MILLER: Thank you. Commissioner Skop.

5 COMMISSIONER SKOP: Thank you. I just wanted
6 to briefly comment on the options for wind and solar
7 preference. Without taking a position as to the date of
8 implementation or the actual percentages, I just wanted
9 to kind of at least express some pro-con thoughts on
10 each of the three respective options.

11 At least with respect to Option I, I do see
12 some perceived benefit there to the extent that it
13 provides flexibility in putting in the cost-effective
14 form of renewables, to the extent that -- you know, at
15 least in the wind industry, there's a substantial
16 backlog in terms of the supply pipeline that may exist,
17 and a small developer may have problematic access or
18 problems getting access to turbines. I mean, the supply
19 chain is backed up for years.

20 Theoretically, the same thing could
21 conceptually happen with solar, to the extent that the
22 more states that develop RPSs that have carve-outs or
23 set-asides for solar, you might have a supply and demand
24 imbalance that would drive costs substantially. Solar
25 is in most cases, and probably all cases, more expensive

1 than wind.

2 But at least, to me, in Option I, without
3 specifically identifying which emission-free renewable,
4 either wind or solar, it gives flexibility to the extent
5 that, say, some turbines become available for a
6 developer, that they're able to go to those, and if they
7 want to go through the incremental problems of siting
8 them over a solar plant, that may provide a little bit
9 of flexibility in meeting the RPS, which ultimately may
10 be a consideration in terms of constraining costs.

11 With respect to Option II, as I've previously
12 stated, it would seem to me that favoring one
13 emission-free resource over another or incentivizing one
14 subset of an emission-free renewable over another might
15 be somewhat problematic, for some of the same reasons
16 that I previously articulated. I mean, I'll point to
17 New Jersey. They basically recently raised the price
18 cap of the RECs to \$700, or \$711 per REC. I think in
19 California it's also pretty expensive.

20 So again, having those type of constraints
21 tends to drive costs. And again, I think there's been a
22 lot of discussion that in developing an analytical
23 framework to provide to the Legislature for
24 ratification, that cost considerations are also
25 paramount.

1 With respect to III, again, the multiplier
2 again I think has some benefit over carve-outs or
3 set-asides. But again, I would emphasize looking at
4 setting a -- I don't want to say a preference, but some
5 renewables are less costly, but more difficult to site
6 and permit, such as wind, than solar, which is more
7 costly, but probably easier to permit. So in terms of
8 setting those multipliers, if they are incentivized to
9 balance the tradeoffs between costs and problems
10 associated with developing those renewable resources,
11 that might also be a consideration worth looking at.

12 But again, I just wanted to kind of share
13 those pro-cons without taking a position. Thank you.

14 MS. MILLER: Thank you. Additional comments
15 on (b)? Suzanne.

16 MS. BROWNLESS: Commissioner Skop, I would
17 just like to follow up on a few of your comments by
18 saying that one of the reasons that the Florida Solar
19 Coalition came up with this idea of further dividing up
20 the carve-out or set-aside was because there is such a
21 significance difference in capital costs between solar
22 photovoltaic systems and solar thermal systems, for
23 example, or wind systems. So the thought process is
24 that since that is the case, at least initially, you
25 need to -- if you want to encourage the development of

1 solar photovoltaic systems, you need to given them a bit
2 of leg up. So that's the idea.

3 MS. MILLER: Jon Moyle.

4 MR. MOYLE: Just a brief comment. I have not
5 heard a lot of renewable providers supporting Option III
6 of the multiplier, and I think I would just caution you
7 as you look at this issue that potentially, you know,
8 depending on what number you use, you may not be getting
9 a net real increase in renewables in the ground because
10 of the multiplier effect. So I think --

11 MS. ZOLLINGER: Marni Zollinger wishes to make
12 a comment.

13 MR. MOYLE: So I think that -- you know,
14 Ms. Brownless talked about the option where you have a
15 set-aside within set-aside. That's probably a better
16 way to proceed.

17 MS. MILLER: Thank you. Additional comments?

18 MS. ZOLLINGER: Marni Zollinger wishes to
19 comment.

20 MS. MILLER: Please go ahead.

21 MS. ZOLLINGER: I have heard the portion of
22 the discussion from the gentleman speaking from AARP
23 down to this part, and my question is, might it not be
24 better to pattern this legislation after some of our
25 more progressive federal legislation, which looks toward

1 creating the language in a way that is forward-looking
2 rather than prescriptive? What you've got is a
3 carve-out for wind and solar, but you do not include, at
4 least what I can see, an allowance for other emergent
5 technologies that reach the same or similar
6 environmental qualities.

7 MS. MILLER: Thank you. This is Cindy again.
8 The statute gives us some express authority for the wind
9 and solar, but not for other emerging technologies. So
10 in the legislative arena, that issue could come up, but
11 at the Commission level, we're just trying to implement
12 the law that they put on the books.

13 MS. ZOLLINGER: I understand.

14 A second question or comment back to Mr. AARP.
15 It seemed that his comment could be summarized by asking
16 how much it was going to cost through the ratepaying for
17 the average person in Florida, and he seemed to
18 correctly be saying this is going to cost us. Is there
19 a provision somewhere, or has it been conceived of to
20 favor technologies that do not ask for tax money or
21 public credit, but instead, pay for their capital costs
22 using investment money? Because what Mr. AARP was kind
23 of saying was the IOUs are using this RPS legislation to
24 ask us to buy them new tires. That would be the wind
25 farms and the solar facilities. Has anybody at this

1 point said, "What if somebody else pays for the new
2 tires rather than the tax money through the RPS or the
3 ratepayers?"

4 MS. MILLER: Mark Futrell is going to respond.

5 MR. FUTRELL: This is Mark Futrell with the
6 staff. Again, as Ms. Miller said, we are developing
7 this rule within the framework of the statute we were
8 given. Utility procurement of renewable energy should
9 be done through -- to try to seek the most
10 cost-effective and least cost way of meeting or
11 procuring that, and then meeting any RPS requirements
12 that may result from this process.

13 MS. ZOLLINGER: I agree. So in that case,
14 when considering using the tax money or public credit,
15 does that satisfy that question, that non-public money
16 would be favored?

17 MR. FUTRELL: The rule does not get to that
18 level of specificity as far as how the renewable energy
19 projects will be financed or procured.

20 MS. MILLER: Okay. Again, as we keep saying,
21 we do welcome alternative language, and we would like
22 that by -- we need that by September 2nd.

23 Let's go on to (c), which relates to what each
24 investor-owned electric utility RPS filing must contain.
25 Do we have any comments on (c)?

1 Eric Draper.

2 MR. DRAPER: Eric Draper with Audubon Florida.
3 I'll be quick. And this is in the proposal that I gave
4 you. I just was suggesting that you switch that around
5 so that instead of having the utilities propose the
6 standard in this case, that you make this list 1 through
7 5 the basis by which the Commission evaluates the
8 proposed standard.

9 MS. MILLER: Thank you. Shall we move on to
10 (4) on compliance? Oh, I'm sorry. Was there anything
11 else on that?

12 MR. MOYLE: Yes.

13 MS. MILLER: Jon Moyle.

14 MR. MOYLE: I want to just follow up on a
15 point I think that Tom Ballinger was making. And maybe
16 I'm just not understanding it clearly, but when he was
17 talking earlier about RECs and a market for RECs and
18 things like that, he was talking about an accounting
19 function. And if that's the direction that things are
20 going to head, why would you not have requirements about
21 providing information or proof of your RECs? It's a
22 piece of paper. It's a property right. Wouldn't that
23 be something that would also be sought so that you could
24 use that REC to figure out whether -- you know, the
25 level of compliance?

1 MR. BALLINGER: I think that's in another part
2 of the rule, Jon. I'm trying to find it, on the --

3 MR. MOYLE: We can get to it later. I guess
4 sort of the point was made earlier, Tom, in terms of
5 saying, you know, here's a number, provide your RECs.
6 This is additional information, but I think at a
7 minimum, you ought to have RECs being provided too.

8 MR. FUTRELL: This is Mark Futrell. The part
9 about validating the RECs and tying to it a real source
10 of energy, that's taken care of in the REC market. The
11 administrator will perform that function, and that will
12 be part of that compliance filing with the Commission.
13 At least the way we've envisioned the strawman, the
14 Commission would review the compliance filing
15 establishing that REC market administrator, and as part
16 of their governance procedures, we would look at how
17 they're going to validate the RECs. So we would be part
18 of that, and we would be monitoring that process as
19 well.

20 MR. MOYLE: Okay. And we may make some
21 written comments on this, but following along, it seems
22 that, you know, if the RECs are going to be the driver,
23 they're going to be sort of the currency of trade, that
24 in addition to what you're seeking here, that you ought
25 to also have some certification or statement that, you

1 know, we certify that we have provided enough RECs to
2 meet this, X, Y, or Z.

3 MS. BROWNLESS: And, Jon, if you can look at
4 paragraph (6) --

5 MS. MILLER: Suzanne Brownless.

6 MS. BROWNLESS: If you can look at that,
7 that's where all that's stated, where they're going to
8 say the quantity of RECs purchased, the quality and
9 vintage, all that. Do you see all that?

10 MR. MOYLE: Yes.

11 MS. BROWNLESS: So that's actually in there.

12 MS. MILLER: Clay Bethea.

13 MR. BETHEA: I don't know how -- I'm not quite
14 sure how you guys would regulate this, and I understand
15 where you are from the perspective, but whenever you
16 start trying to look at the life cycle cost of that and
17 renewables, you're looking at is it truly renewable,
18 what people are doing. And so how do you -- somewhere,
19 whenever an IOU comes back and says, okay, we have a
20 renewable energy -- and I'm specifically speaking to
21 biomass -- how are you going to determine if that's
22 renewable? Because if you go down and cut down a tree
23 or you harvest something and you don't put something
24 back there, that's not renewable. And that's going to
25 impact your life cycle cost, because after five or ten

1 years, you might not have something there. So how do we
2 make this section here a sustainable resource, because
3 that's what you're looking for. And I know that's not
4 something you guys usually do, but maybe how do we work
5 that in there to make it a sustainable resource, because
6 that's what we're after here.

7 MS. MILLER: Mark.

8 MR. FUTRELL: I guess we're trying to stay
9 within the definitions that we were given, and I think
10 your idea of sustainability is noted. It's a good one
11 But certainly that would have to be worked into the
12 analysis that's done. Again, this is part of this
13 ongoing cycle of analysis that utilities will bring to
14 us. The parties may be able to evaluate and comment on
15 and provide their input and give the Commission
16 additional thoughts on helping to develop what the goals
17 should be. And so that's -- but I understand where
18 you're coming from.

19 MS. MILLER: Eric Draper, and then Sean
20 Stafford after that.

21 MR. DRAPER: Thank you. Going back to (c), I
22 wanted to make -- on line 22, (c), number 3, I did not
23 propose this, but I'm going to come back to you with a
24 recommendation that you consider more than greenhouse
25 gas emissions and consider other environmental

1 conditions, specifically water use. Since one of the
2 goals of the statute itself is to improve -- you know,
3 improve environmental conditions, that ideally, we will
4 be looking beyond just greenhouse gas emissions and
5 looking at water use, since we have water shortages in a
6 number of the areas where you have energy demand growth.

7 The second thing, I do have a specific
8 recommendation that I want to make, and that is, if you
9 go to page 5, on number 5, where it talks about having
10 the current and ten-year forecast of the estimated
11 retail rate impact, I'm just not sure that that's
12 necessary in terms of a piece of information that the
13 utilities would need to provide, and I'm not sure that
14 that's actually called for in the statute or necessary.

15 I do recommend some alternative language there
16 -- or not alternative to that, because I don't even
17 think you need that. You need to strike it. But I
18 suggest there are some additional forecasts that could
19 be taken into effect, which is the effect of the
20 promotion -- and I've given you language on this -- of
21 renewable energy, new investment and capacity on the
22 capacity and cost, in other words, you know, what is the
23 effect of what they have been doing to actually promote
24 and encourage renewable energy, you know, what effect is
25 that actually having on the availability of the capacity

1 and the forecast itself.

2 MS. MILLER: Thank you. Sean Stafford.

3 MR. ZAMBO: Rich Zambo would like to speak.

4 MS. MILLER: Sean Stafford is next, and then
5 who is calling?

6 MR. ZAMBO: Rich Zambo.

7 MS. MILLER: Okay. Right after him.

8 MR. STAFFORD: I want to just add on to what
9 Clay said. You know, Florida Crystals is very --
10 understands the sustainability issue, and we agree that
11 sustainability is key as you read the statute, because
12 greenhouse gas reductions is a key objective, we
13 believe, of the Legislature.

14 And we talked about this the other day, that
15 there's just -- I mean, responsible farming mechanisms
16 are sustainable farming mechanisms, and when you go to a
17 model that cuts and replants and moves down the road --
18 I'm sorry, cuts, doesn't replant, and moves down the
19 road, cuts, doesn't, and moves down the road, that's not
20 a sustainable model.

21 And we would -- you know, we suggest to you
22 that there ought to be some sort of sustainability test
23 that we could all agree on that would make sense to
24 prevent these resources, to prevent -- I want to say
25 biomass energy plants from having an unsustainable

1 business plan when they move into the market, because if
2 someone -- you know, we assume that a new biomass plant
3 that's going to come online is going to have a
4 sustainable business plan, but some may not. There are
5 a lot of folks in a lot of industries today that do not
6 require replanting of resources, and that's just not
7 something that has ever been in the culture of the
8 farming mentality that Florida Crystals comes from.

9 So in that respect, I think there would be
10 some support for some type of sustainability test that,
11 you know, would serve to provide the maximum greenhouse
12 gas offset and would also really scrutinize possibly new
13 entrants into the market so that they don't have an
14 unsustainable business model.

15 MS. MILLER: Thank you. Rich Zambo.

16 MR. ZAMBO: Yes. Cindy and everyone else,
17 what I wanted to say is, I plan to be there next week,
18 and I'm going to make a more in-depth presentation, but
19 I wanted to -- I just wanted to mention one other piece
20 of information that may be useful when the utilities
21 make their filing, and that is to compare the levelized
22 cost of each of these technologies to what -- to the
23 utility's avoided cost over a period of time.

24 I'll get into this in more detail next week,
25 but one of the issues that we've identified is, you

1 know, if you use avoided cost as the standard for the
2 energy purchases, you don't necessarily get some of the
3 benefits of renewable energy. For example, if the
4 avoided unit that the energy contract or energy sale is
5 based on is a natural gas-fired power plant, you're
6 still going to be getting paid prices and the consumers
7 are going to be affected as if it was actually burning
8 natural gas, so you're not going to reduce that
9 volatility. You may not be able to extract all the
10 benefits, and it may be better off in the long run, if
11 the renewable facility was willing to contract for it,
12 to pay them at their levelized cost, which may in some
13 cases be less than avoided cost over the long run at
14 much lower risk to the ratepayers. So I think it would
15 be valuable to see a comparison of that.

16 MS. MILLER: Thank you. Tom Ballinger has a
17 comment.

18 MR. BALLINGER: Cindy, I can respond to the
19 sustainability. And I agree, especially on the biomass,
20 and typically I think where that would come into play is
21 in the PPA approval. When we look at a purchased power
22 agreement with a utility and a renewable generator such
23 as a biomass, we look at is it a 30-year contract,
24 20-year, what do they have in terms of failure or
25 performance guarantees, things of that nature, to

1 protect ratepayers if the project is not sustainable.
2 So I think that's where it comes into play there,
3 because we're trying to keep flexibility with developers
4 to sign three- to five-year contracts, 10- to 20-year
5 contracts, you know, what do they need for their
6 business model.

7 So I think the area of sustainability may be
8 better addressed in the contract approval and not so
9 much the RECs. What we're proposing here is a REC
10 market, which is an at or above, to develop a market
11 base to pay for these additional attributes.

12 Just my thoughts on that.

13 MS. MILLER: Thank you. Are we ready to move
14 on to section (4), compliance? Yes. We're seeing
15 nodding here.

16 Suzanne Brownless, do you have some points on
17 compliance?

18 MS. BROWNLESS: Yes, ma'am. And this would go
19 to the language in (4)(a).

20 Our first comment would note that the language
21 in the statute that this is based on, which is 366.92,
22 (b)2, says that the Commission shall provide for
23 appropriate compliance measures and the conditions under
24 which noncompliance shall be excused. So we are
25 concerned that there are no conditions listed in this

1 rule, and we've come up with some condition language
2 which I can provide to you, and will.

3 But basically, our condition language would
4 ensure that the electric utility has made a good-faith
5 effort to acquire sufficient renewable energy or
6 renewable energy credits to comply with the standard,
7 and that good-faith efforts would include, as an
8 example, banking renewable energy credits in advance of
9 obligations and seeking energy -- renewable energy
10 credits through competitive solicitations or through
11 issuing a standard offer contract for that. So that's
12 our first point.

13 Our separate point is that obviously there has
14 been a lot of discussion today about what the definition
15 of prohibitive cost is, and as you've heard previously,
16 we don't think 1 percent of the IOU's total annual
17 retail revenues is the standard that should be used. We
18 believe the standard needs to be somewhere in the
19 neighborhood of 3 to 4 percent, and we will provide
20 spreadsheets that develop the rate impact numbers,
21 revenue numbers, exactly what I think Bob Trapp wants me
22 to do, with regard to that percentage.

23 MS. MILLER: Thank you. Did you -- will you
24 be addressing what occurs if they're not in compliance?

25 MS. BROWNLESS: We've had some discussion in

1 our coalition about that, and I'm really not prepared
2 today to talk about noncompliance.

3 MS. MILLER: Thank you.

4 MS. BROWNLESS: But we will address that on
5 the 26th.

6 MS. MILLER: Great. Any other comments on
7 (4), compliance?

8 MR. TWOMEY: Cindy?

9 MS. MILLER: Mike Twomey.

10 MR. TWOMEY: Just briefly, AARP is not here to
11 say grace on the 1 percent, although we think it's
12 clearly essential that you have a definition, and that's
13 what you've done. You've said -- you've essentially
14 established that 1 percent -- beyond that is
15 cost-prohibitive. So without saying that 1 percent is
16 good, I will say that it's obvious that 1 percent, which
17 would equate to \$198 million in 2009 projections, is
18 better than the 600 to \$800 million roughly that would
19 be associated with increased revenues to customers from
20 Ms. Brownless's proposal, the 3 to 4 percent.

21 MR. KARNAS: This is Jerry Karnas,
22 Environmental Defense Fund.

23 MS. MILLER: Go ahead.

24 MR. KARNAS: Mr. Twomey, respectfully, I just
25 don't understand how you can be saying that to this

1 Commission at this time when you have supported in the
2 past early cost recovery for nuclear plants. I mean,
3 the ratepayer impact according to RPS for 1 percent is
4 \$1.20 a month. Your organization has supported early
5 cost recovery for nuke plants where, if they don't get
6 built, nobody gets the money back, okay, which takes ten
7 years to build, and the practical implementation of that
8 build has been \$8 a month this year for Progress Energy,
9 going all the way up to at high as \$44 a month in 2017.
10 That's the PSC's own analysis.

11 So, I mean, I just don't understand how your
12 organization can take the position, you know, saying
13 that \$1.20 a month for homegrown renewable energy that
14 creates jobs and diversifies our economy and keeps money
15 here is prudent at this time. I mean, it just doesn't
16 make any sense.

17 MS. MILLER: And this is Cindy Miller. One
18 thing I want to keep saying is, at this point, this is
19 just staff's strawman proposal, so the agency itself
20 hasn't taken any position on it. But let me see if
21 there are any other comments that folks have in
22 response.

23 MR. SUTTON: Cindy, this is Thomas Sutton.

24 MS. MILLER: Please go ahead.

25 MR. SUTTON: Thank you. I had an observation

1 and then a question.

2 In the wording in 1 and 2, it says the supply
3 of renewable energy or renewable energy credits is not
4 adequate. I was challenging whether we needed to even
5 have the supply of renewable energy in there. It seemed
6 as if RECs were the sole compliance measure. That's
7 what's being bought. And even though I have a renewable
8 energy plant, if I chose for some reason -- and I'm not
9 sure why I would, but if I chose to withhold the sale of
10 my RECs, then my project could not be in the numerator
11 as far as a resource that's involved in compliance. And
12 so it seemed to me that maybe we should just be talking
13 about RECs there, but I wanted to hear what people
14 thought.

15 And then secondly, we certainly are proponents
16 of alternative compliance payments, and whether that
17 gets recognized in this section or somewhere else, you
18 know, we would like to see it in there.

19 MS. MILLER: Thank you. Commissioner Skop.

20 COMMISSIONER SKOP: Thank you. I just wanted
21 to clarify. Maybe I may have misheard what Mr. Twomey
22 said down on this end, but I think that he mentioned a
23 number at the 1 percent cap approaching somewhere on the
24 order of \$1 billion, but I thought I heard staff mention
25 that 1 percent would be roughly 250 million.

1 MR. TWOMEY: Well, I think, Commissioner, the
2 -- I thought 1 percent -- I got the numbers from Tom
3 Ballinger. I thought it was 198 in 2009 projections. I
4 could be mistaken.

5 MR. BALLINGER: It is about right. It's about
6 \$190 million in 2009 and escalating up from there.

7 COMMISSIONER SKOP: Okay. Thank you.

8 MR. FERRARO: Frank Ferraro has a comment.

9 MS. MILLER: One minute. Let's see if there's
10 any other follow-up to the points that were made by Tom
11 Sutton. Let's see if there's anything else on that.

12 Okay. Please go ahead.

13 MR. FERRARO: Frank Ferraro, Wheelabrator.

14 In reading (4), starting off with the first
15 sentence in (a), it talks about improving the proposed
16 standards and enforcing compliance, and yet nowhere in
17 here does it talk about the enforcement of compliance.
18 And I think as Mr. Moyle said before, someone's comment
19 about it's like speeding along the highway and getting a
20 ticket and not having to do anything about it, and maybe
21 not even getting the ticket. There needs to be
22 something in here about enforcement and what the
23 consequences are going to be rather than just leaving it
24 up to the general assumption that it falls under the
25 Commission's enforcement proceedings.

1 But I want to go to what one of the speakers
2 just talked about, and I think it is appropriate here,
3 the discussion of alternative compliance payments.

4 An alternative compliance payment obviates the
5 need for a lot of this, because a utility is required to
6 search out and try to get as many RECs as their RPS
7 requirement. If they cannot find it, or if the RECs
8 that are available are, quote, too expensive, they can
9 pay an alternative compliance payment. So there is no
10 reason that there would be noncompliance. They either
11 get the RECs or they make a payment. It's pretty
12 straightforward.

13 Also, an alternative compliance payment, when
14 that value is set, perhaps in a separate proceeding,
15 that sets the cap, and then you don't get into, well, is
16 it 1 percent, it is \$16, is it whatever. You set it
17 within the alternative compliance payment, because an
18 alternative compliance payment is essentially the
19 highest value per REC that an investor-owned utility
20 would pay, because they will either buy RECs at a lower
21 price, or they'll pay the alternative compliance payment
22 rather than paying a higher price. So it sets a cap, it
23 takes care of the enforcement issues, and it does away
24 with a lot of the things that we're looking at now and
25 will be looking at and getting into a lot of discussion

1 about.

2 So again, I think that it's appropriate to
3 talk about here, because you could replace section (4)
4 with just an alternative compliance payment.

5 And then finally, since people have talked
6 about how great their technologies are environmentally,
7 I want to put in a pitch for waste-to-energy.
8 Waste-to-energy avoids the release of more greenhouse
9 gases per megawatt-hour of any renewable, because we do
10 more than just generate electricity.

11 In addition, in the discussions where people
12 have said we need to look at water use and other things,
13 those all are biased against combustion processes, be
14 they waste-to-energy, biomass, landfill gas, whatever.
15 We haven't heard anything about land use, solar
16 reflection, noise, visual impacts, impacts on avian.
17 You know, all of those things, if you're going look at
18 environmental issues, then you need to be aware. You're
19 going to have to open this thing really wide, because
20 you're going to be accused of focusing on just a few
21 technologists and letting the others skate by.

22 So I would suggest you don't even get into
23 that environmental issues thing and just stick with it's
24 defined as renewable, and that's what you're looking at.
25 If you want to look at greenhouse gases, that's fine,

1 but you're going to have to look at a life cycle
2 analysis of greenhouse gases instead of just, oh, how
3 many megawatts do they produce.

4 So that's a side thing, but the main thing
5 here is the alternative compliance penalty payment.

6 MS. MILLER: Thank you. And Judy Harlow has
7 some comments.

8 MS. HARLOW: I want to go back. I hate to go
9 backwards this late in the day, but I want to go back to
10 Mr. Sutton's point about page 5, line 9, of the draft
11 rules.

12 You had a concern that we had the supply of
13 renewable energy or renewable energy credits in sub 1
14 and sub 2. And I think staff's thinking when we wrote
15 that language was that the utility would have to prove
16 up not only that they could not achieve sufficient
17 renewable energy credits in the market, but also that
18 they could not develop renewable energy on their own,
19 and I believe that's why that language is there. And I
20 appreciate Mr. Sutton's comments, because I think we may
21 need to relook at that and perhaps tighten that language
22 up.

23 And also, Mr. Sutton, if you had specific rule
24 language suggestions on that, I would appreciate it.

25 MS. BROWNLESS: Cindy?

1 MS. MILLER: Suzanne Brownless, and -- go
2 ahead.

3 MS. BROWNLESS: Specifically to that point, if
4 you look at 366.92(3)(b)2, you lifted that language
5 verbatim out of the statute, so that's pretty much a
6 direct legislative directive. I don't know that you can
7 do much with that.

8 MS. HARLOW: Thank you.

9 MS. ZOLLINGER: Marni Zollinger wishes to
10 comment.

11 MS. MILLER: One second. Michael Dobson.

12 MR. DOBSON: Yes. I just want to make a brief
13 comment regarding the compliance, and I want to go out
14 on a limb, which is probably out on a ledge, actually.
15 I just want to suggest to you that without enforcement
16 mechanisms that include an ACP, that at the end of the
17 day, we're not going to have much of an RPS.

18 And Bob -- well, he's gone. I think earlier
19 he mentioned what the staff was up against with regard
20 to placing some language in the proposal regarding an
21 ACP as to how far you could go with, you know, creating
22 a trust fund or something of that nature which you would
23 place that money in and then send that money back into
24 renewable energy projects. But what I didn't hear is
25 that if your intentions were to in some place in the

1 language to at least go as far as you possibly can with
2 an ACP, making some suggestions that the Legislature do
3 consider going to the next step, given that it has the
4 authority to do so.

5 MS. MILLER: Thank you. Marni?

6 MS. ZOLLINGER: Yes. I would like to thank
7 the gentleman who spoke to waste-to-energy. I thought
8 his points were right on, and his analysis that the
9 highest cost needs to be assigned to that REC
10 alternative payment, otherwise, they will pay the low
11 cost. They would rather pay a penalty than actually
12 meet the RPS standard, and that's obvious logic, so I
13 would like to, you know, second that.

14 The next thing I would like to say is that I
15 think there needs to be added a number 3 to the part of
16 compliance. Evolution Markets have confirmed that there
17 are rising numbers or rising proposals that are called
18 merchant facilities in America, and the reason for
19 merchant facilities are -- these are facilities that are
20 put and financed and directed, and they simply put
21 energy into the line due to the open assets, you know,
22 FERC abilities.

23 And the reason they do that rather than have a
24 power purchase agreement with the utility is that the
25 utilities in general do not offer bankable contracts.

1 And bankable contracts in this sense can be defined as
2 something that meets the Office of the Comptroller of
3 the Currency, their definition, which is defined in a
4 letter called OCC 1051, and that is a bankable contract.

5 If they don't -- if the utilities are known to
6 be refusing a bankable contract to a renewable energy
7 protagonist of any sort, then aren't they the ones at
8 fault for not having sufficient renewable energy?

9 MS. MILLER: We look forward to --

10 MS. ZOLLINGER: So could that language be
11 amended so that if one -- another way to not get an
12 excuse is that if they refuse to provide a bankable
13 contract to renewable providers?

14 MS. MILLER: We welcome alternative language
15 by September 2nd, and we'll review it and check to see
16 what authority we have.

17 MS. ZOLLINGER: Thank you.

18 MS. MILLER: Are there any other comments on
19 compliance? What we're thinking about is a ten-minute
20 break. We're not planning to run real late here today,
21 so for those of you who might have child care
22 arrangements or another need to know, we're not planning
23 to run real late at all, but we are thinking of a
24 ten-minute break right now.

25 Mark.

1 MR. FUTRELL: I would just like to make a
2 quick comment. We've heard a lot about ACP on this, and
3 we would appreciate your comments on it.

4 We would also like as you're developing your
5 comments to do so in the context of what authority the
6 Legislature has given us. You know, we've talked about
7 this quite a bit in our workshop process last year, and
8 we heard all the pros and cons and all the potential
9 impacts of that as a good way of encouraging compliance,
10 but there are some issues with it. And also, now that
11 we have a statute, we want to hear your thoughts on it
12 given what we have to operate under. So I just throw
13 that out there.

14 MS. MILLER: Commissioner Skop.

15 COMMISSIONER SKOP: Thank you. I don't want
16 to interrupt the break, but two quick points, one on
17 Mark's and one on the previous question.

18 To Mark's point, if staff decides to evaluate
19 the RPS based on participant input and finding
20 legislative direction to go down that path, I think it
21 would be very important for staff to provide some sort
22 of guidance or explanation in that if we go down that
23 way of thinking, to the extent that there be some
24 provision, express provision or express recommendation
25 to the Legislature that that money, if it's collected,

1 be used solely for renewables as opposed to being, you
2 know, available for other things. That would just be my
3 two cents on that one. I think that has come up before
4 in the discussion on alternate compliance payments.

5 To the other previous question that talked
6 about the specter of merchant plants, in their comments
7 to staff, if they could please articulate how that would
8 comport or not be in accordance with the holding in
9 PW Ventures, I think is the case that basically -- was
10 it PW Ventures, or was it the New Smyrna Beach case?

11 So thank you.

12 MS. MILLER: Okay. We'll take a ten-minute
13 break. We will reconvene at 4:10.

14 (Short recess.)

15 MS. MILLER: Okay. We're on our last short
16 round here. We've had comments on compliance, (4), and
17 we have two sections left in this rule. We have cost
18 recovery, and we have reporting requirements, so let's
19 go ahead and move into cost recovery.

20 MR. MOYLE: Cindy, before we do, I just
21 wanted --

22 MS. MILLER: Okay. Jon Moyle.

23 MR. MOYLE: I think we've made the point clear
24 -- Jon Moyle -- about compliance being a needed part of
25 the rule and something that needs to be relooked at.

1 You know, I know the Legislature was made aware of this.
2 Some of us were over there working during that process.
3 I think that there's another reason for taking another
4 look at it. I mean, this rule is going to be looked at,
5 as somebody made the point on the phone, by investment
6 bankers trying to figure out whether to invest money and
7 capital in Florida. It needs to be pretty clear that
8 it's a rule and it's sending the right message to the
9 investment community.

10 The whole compliance section now, it doesn't
11 have anything about enforcement. The whole thing is
12 about getting out of it, and I don't think that sends
13 the right message, that your whole compliance section is
14 all about excused compliance. So as you move forward, I
15 know you'll take a good look at some things that we
16 might be able to do proactively to put some strength in
17 it and some teeth.

18 MS. MILLER: Thank you. And any alternatives
19 to the alternative compliance mechanism would be
20 welcomed as well.

21 Sean Stafford.

22 MR. STAFFORD: I agree with what Jon said, and
23 one of the options in addition to an ACP that we would
24 throw out is a refund to ratepayers as a credit to the
25 fuel adjustment clause. That's perhaps one option. But

1 we'll provide more options to you and try to argue their
2 -- get the lawyers involved and argue the statutory
3 construct and the legality of it. But I agree
4 wholeheartedly with what Jon and others here have said.
5 If you don't have teeth in this, renewable energy
6 development just will not go anywhere.

7 MS. MILLER: Thank you. Section --

8 MR. KARNAS: Cindy, this is Jerry Karnas,
9 Environmental Defense.

10 MS. MILLER: Okay, Jerry. Go ahead.

11 MR. KARNAS: Jon and Sean's comments are very
12 well taken. I agree with those.

13 One other thing on compliance. One of the
14 downsides that has emerged from a REC-only market is
15 unhealthy market concentration leading to
16 quasi-monopolies, and I'm wondering if the compliance
17 section is a section where that should be dealt with.

18 You know, Maryland and New Jersey are trying
19 to fix their market now because of Sun Edison and Sun
20 Power's 60 percent market share there. You know, what
21 the danger is is that folks that understand how these
22 RECs work can really aggregate them and almost --
23 virtually monopolize them very quickly, shutting out
24 large sectors of the market, particularly in solar.

25 So I was just wondering if there has been any

1 thought given to how to avoid that potential downfall
2 with this rule in Florida.

3 MS. MILLER: This is Cindy. I don't see
4 anyone wishing to comment, but I don't remember seeing a
5 provision in the statute relating to that. But if you
6 have language, send it to us by September 2nd.

7 Judy Harlow has a point to make here.

8 MS. HARLOW: This is really more of a
9 question. Mr. Karnas, I think earlier this morning you
10 mentioned a study about REC markets or RPS that were
11 based solely on RECs and that being a more expensive
12 option for compliance. Was that you?

13 MR. KARNAS: Yes, ma'am.

14 MS. HARLOW: Is there any way you could
15 provide that to staff, please, or just e-mail the source
16 to us?

17 MR. KARNAS: Yes, yes. I'm preparing that.

18 MS. HARLOW: Thank you.

19 MR. KARNAS: But it's probably easily found.
20 It's Summit Blue Consulting for the New Jersey Board of
21 Public Utilities, but I will provide it.

22 MS. HARLOW: Thank you.

23 MR. WALLACE: Hello, Cindy. This is Wayne
24 Wallace with Solar Source. I would like to make a
25 comment, if I could.

1 MS. MILLER: Okay, Wayne. Go ahead.

2 MR. WALLACE: I'm also in agreement with what
3 Jerry Karnas said with Environmental Defense there. I
4 mean, we've had some folks come down here and make some
5 presentation to us from New Jersey and Maryland, and the
6 very fact of the way those folks developed their REC
7 policy was such that those small to mid-sized solar
8 companies, solar contractors -- and that's what we are.
9 We're solar contractors here in the Tampa Bay area of
10 Florida. Those guys were actually laying people off and
11 looking to come to Florida because these big companies
12 out of California that Jerry had mentioned were coming
13 in and taking most of the market share for these large
14 projects, which certainly did not help them at all.

15 And we have a very, very large concern of that
16 happening here in Florida. So, you know, when we hear
17 the REC policy, we go, "Oh, no, we don't want that to
18 happen here in Florida and have these big corporations
19 come into Florida and then have us work for wages for
20 them." I mean, we just don't want that to happen.

21 And as we, you know, search and look at a
22 better policy mechanism, I just have to mention this
23 feed-in tariff policy or renewable energy payments, that
24 Dr. Herman Scheer, when he came to the Governor's summit
25 there in Miami -- in fact, he sat right next to Governor

1 Charlie Crist, and there was a moderator there, I forget
2 the gentleman's name, one of the Governor's friends that
3 said, "Hey, okay, our work is all finished here," after
4 Dr. Herman Scheer gave his presentation on feed-in
5 tariffs or renewable energy payments.

6 So, you know, there's completely empirical
7 evidence that 45, I think it is now, countries that use
8 that policy mechanism to meet those goals, there has
9 hardly been any failure with the right policy mechanism
10 with that. And I understand California now is finally
11 looking at that renewable energy payment policy or, you
12 know, feed-in tariff policy to get them back on track.

13 So I don't know if the Public Service
14 Commission has looked at this policy, but I urge the
15 Public Service Commission to research, look at this
16 policy. From everything I've read about it, there is no
17 better policy mechanism on the planet to help us develop
18 renewable energy here in Florida, specifically solar,
19 which is our most abundant resource here. So --

20 MS. MILLER: Okay. Well, thank you for that
21 comment. And again, we're looking at everything through
22 the prism of the statute that we have before us, but we
23 will take a look at that as well.

24 Let's move on to section (5), cost recovery.
25 Do we have comments on the cost recovery section?

1 Seeing none, let's move to --

2 MR. SUTTON: Cindy?

3 MS. MILLER: Pardon me?

4 MR. SUTTON: This is Thomas Sutton.

5 MS. MILLER: Please go ahead.

6 MR. SUTTON: Thank you. This is a question on
7 cost recovery, and it covers other sections, but it gets
8 back to this bundling and unbundling.

9 It's clear from the strawman that if it's an
10 unbundled product, the REC is recovered through the ECR,
11 and the energy presumably under PPA would get covered
12 under, you know, normal ratemaking.

13 If we sell a bundled product, which I think I
14 heard earlier we would be allowed to, so if I have a PPA
15 and I get paid one price, dollar per megawatt for energy
16 and the attribute, does that imply that the IOU in that
17 instance would only get recovery through the traditional
18 ratemaking concept? And if not, how then
19 administratively is that one price broken into two, and
20 would the contractual parties have unilateral authority
21 to come up with whatever pro rata share they wanted to
22 ascribe to that?

23 MS. MILLER: Tom Ballinger will respond on
24 that one.

25 MR. SUTTON: Thank you.

1 MR. BALLINGER: I would think that we would
2 look to have those prices split. It might be one
3 contract, but at least separately identified in the PPA
4 and in the REC separately so that the cost recovery
5 could go through the different mechanisms and keep these
6 as unbundled products.

7 MS. MILLER: Any other comments on section
8 (5)? Jon Moyle.

9 MR. MOYLE: I'm sorry to do this, because it
10 is late, and I know we're tired. We've been at this for
11 a while.

12 The cost recovery section, as I read it, is
13 going to flow through a clause. I'm trying to
14 understand and reconcile. To jump ahead just briefly,
15 there's another section that is found -- I misplaced
16 exactly where it is, but it's another section of the
17 rule where you talk about the administrative costs shall
18 be recovered through membership dues. This is in the
19 renewable energy credit market section, paragraph (c),
20 (1)(c).

21 And I'll quote for those that don't have it in
22 front of them. "The administrative costs associated
23 with the Florida Renewable Energy Credit Market shall be
24 collected either through membership dues, certification
25 fees, or administrative fees assessed to a renewable

1 energy credit. Fees shall be fair, equitable, and
2 cost-based."

3 I was just trying to reconcile that, because
4 my understanding of the cost recovery, it's a utility
5 flow-through. And the appropriate place, we would
6 argue, for that cost to be reflected is in the utility's
7 costs, and they can recover them, and that you shouldn't
8 further burden the renewable energy providers by trying
9 to have them have to pay some portion of the value for
10 the REC as an administrative cost, particularly because
11 they don't have the ability to come in and seek that
12 money through a clause.

13 MS. BROWNLESS: I don't understand what you're
14 saying, Jon. Perhaps it's late. What are you saying?

15 MS. MILLER: And that's Suzanne Brownless
16 raising a question.

17 MR. MOYLE: I guess I'm just trying to argue
18 and suggest that the language that it comes through the
19 clause is acceptable, but the language that they have,
20 which appears to conflict with it in another portion of
21 the draft rule that talks about administrative costs,
22 that says that administrative costs are coming out and
23 are assessed to the renewable energy credit, which I
24 interpret to mean if you have the renewable energy
25 credit and you're selling it, that possibly that is a

1 deduct from your credit. I don't think it should be a
2 deduct from your credit, but it should be part of the
3 administrative costs that are passed through the clause
4 as you have in your cost recovery paragraph.

5 You got it now?

6 MS. BROWNLESS: Yes, I got it now. Thank you.

7 MS. MILLER: Thank you. Any other comments on
8 cost recovery?

9 Sean Stafford.

10 MR. STAFFORD: We had a couple of concerns.
11 And I know we're tying this into cost recovery, but it
12 goes back to some discussions we had when Bob was here.

13 Is it the position of staff in the rule that
14 cost recovery is going to be the unbundled cost
15 recovery, you're going to get full cost recovery for the
16 REC at whatever cap is set, and then there will be a
17 separate cost recovery proceeding in ratemaking
18 procedures that's going to still be tied back to the
19 avoided cost mechanism? Is that how you foresee this
20 cost recovery?

21 MR. BALLINGER: I think so. If I understand
22 your question correctly, the PPA and the energy and
23 capacity payments would still be gauged against the
24 utility's avoided cost, and then the REC payments,
25 whatever they may be in the market, would go through the

1 ECRC.

2 MR. STAFFORD: So -- if I might, so if we
3 entered into a voluntary agreement with an IOU that was
4 above avoided cost, with the RECs separate -- let's say
5 we had an unbundled product. If we entered into that
6 contract, similar to the Manatee agreement that was
7 floated out six or eight months ago, if that agreement
8 is above avoided cost, it then has to go through the
9 standard ratemaking process, and you interpret the new
10 law to -- you don't interpret the new law to apply to
11 this ratemaking process, the new law that notwithstanding
12 avoided cost?

13 MR. BALLINGER: I think the way we're
14 interpreting it is that the avoided cost is still the
15 capacity and energy. We're creating a new market to,
16 quote, go above avoided cost. It's a cost-plus. And
17 that's what the REC is doing. It's giving you the adder
18 to get you above the utility's avoided cost because it's
19 a separate market. And I think the legislation gave us
20 the authority to create this separate market and not
21 violate PURPA.

22 So I think, in essence, to go back to the
23 Manatee example that you had, had that contract come
24 before us, if this were adopted, these rules in place
25 where the RECs are sold separately and as a requirement

1 of a mandated market, it would be allowable.

2 Does that answer your question?

3 MR. STAFFORD: I think so. I mean, we're
4 having a -- we're still having a hard time understanding
5 how we're still tied with part (a) to avoided cost and
6 why exceeding avoided cost would be sort of disallowed
7 under the new structure that was specifically in the law
8 written to get us out from underneath the avoided cost
9 model. I understand what you're saying is an option,
10 but we're wondering why the option wouldn't even be
11 considered to allow voluntary agreements that are above
12 avoided cost in addition to the RECs.

13 MR. BALLINGER: I think staff was trying to
14 keep things simpler and understand it, keep those
15 precepts of avoided cost, let the REC market be our
16 adder of what we need to induce investment in renewable
17 energy and not commingle the two. Otherwise, it gets
18 confusing real fast. We're trying to gauge to let the
19 RECs be adder, what does that need to be to induce
20 investment, and that's what we focused on, and not talk
21 about avoided cost. Let's not complicate things.
22 That's how we approached it.

23 MS. MILLER: Suzanne Brownless.

24 MS. BROWNLESS: I think part of the problem
25 is, for people who have existing purchase agreements

1 with utilities that have been negotiated on the basis of
2 avoided cost energy sales, because that's the standard
3 for standard offer contracts for cogen plants and -- I
4 guess most of the contracts that are out there are cogen
5 contracts. Obviously, there was an energy and capacity
6 payment in those PPA contracts. And I know people are
7 confused about the fact that -- how are you going to use
8 your RECs in addition to those -- in addition to the
9 contract you already had, which is for energy and
10 capacity.

11 And if I'm understanding what the staff is
12 proposing and the way this REC structure is set up, your
13 current contract does not address the unbundled REC
14 portion. So while your energy and capacity contract
15 numbers and payments are tied to avoided cost of the
16 avoided unit against which you negotiated that contract,
17 the REC portion is not tied to avoided cost.

18 So the RECs have nothing to do with avoided
19 cost at all. The RECs have a separate price that's
20 going to be established independently, and that's going
21 to be a separate component. So if you were negotiating
22 a new contract now, you would have two pieces to your
23 contract. One contract would be energy and capacity
24 based upon avoided cost, and one piece of the contract
25 would be your RECs, and that could be above avoided

1 cost.

2 Am I correctly stating that?

3 MR. BALLINGER: I think you got it correctly.

4 MS. BROWNLESS: Thank you.

5 MS. MILLER: I've often said that doing
6 rulemaking is like doing 100 declaratory statements at
7 once, because you're thinking about individual factual
8 scenarios and how they're going to play through, so that
9 makes it really tough.

10 Are there any quick follow-up questions on
11 that?

12 MS. ZOLLINGER: This is Marni Zollinger. I
13 would like to make a comment.

14 MS. MILLER: One second. Commissioner Skop,
15 do you have any comments?

16 COMMISSIONER SKOP: I'll yield to the
17 question, and I'll take the next one.

18 MS. MILLER: Okay. Marni, please proceed.

19 MS. ZOLLINGER: Are there any representatives
20 from the utilities listening or in the audience?

21 MS. MILLER: We have some folks here. Their
22 primary people are not here because of the storm, it's
23 my understanding, but we have some here who are
24 monitoring.

25 MS. ZOLLINGER: Well, good. I just wanted to

1 make sure that we hadn't had two sides of the
2 conversation.

3 MS. MILLER: Right.

4 MS. ZOLLINGER: My question here is that it
5 seems that we have a toss-up here on the compliance
6 question between the utilities being worried about
7 paying a punishment, you know, paying a fine for RECs
8 that aren't out there, and renewables wanting to make
9 sure the RECs and our renewable energy get bought.

10 And my compromise or suggested compromise in
11 this compliance section is that under number 3, which I
12 already suggested, because there's 1 and 2 there -- I
13 suggested a third about the power purchase agreement. I
14 suggest also a number 4 there, that the utilities adopt
15 a "green first" policy.

16 Utilities say they're afraid that there's not
17 enough renewable energy there and they're going to get
18 hit. So if they believe that truly, then would they be
19 willing or can we write a "green first" policy, so that
20 if there's a choice between one megawatt produced by
21 clean solar and another megawatt produced by dirty coal,
22 we're in the agreement that the one that is transmitted
23 and bought is it the one from solar first.

24 Would anyone object to that?

25 MS. MILLER: I'm looking around the room. I

1 think everyone is pretty tired right now, but I think
2 everyone has heard what you've posed, and we'll see if
3 there are any follow-up comments on that.

4 Commissioner Skop.

5 COMMISSIONER SKOP: Thank you. Just two quick
6 points to Mr. Ballinger's point with respect to the cost
7 recovery. I think I understood pretty clearly what he
8 was stating in terms of how he would envision an RFP
9 with an IOU entering into a long-term power purchase
10 agreement, a PPA for energy and capacity, and that would
11 be at avoided cost, and then the generator or the
12 utility would negotiate for the RECs over and above the
13 cost-plus theory.

14 How would that work for an IOU if an IOU were
15 to self-build? I was trying to envision how that might
16 work, how you would distinguish energy and capacity
17 from --

18 MR. BALLINGER: Our current regulatory
19 framework would be that if it's an IOU-owned asset, it
20 would be looked at for prudence and things of that
21 nature and rolled into rate base, recovered through base
22 rates.

23 COMMISSIONER SKOP: But limited to avoided
24 cost for the installed capacity, and then they would be
25 able to monetize the value of the RECS through -- either

1 for themselves or --

2 MR. BALLINGER: I don't think so. I think on
3 that situation it would be actual cost, much like we're
4 going to be faced with the FPL solar facilities. That
5 may be above their avoided cost, but they're in for a
6 reason.

7 COMMISSIONER SKOP: I know that there was a
8 specific provision with respect to that, but that only
9 referenced up to 110 megawatts of solar. To use a
10 hypothetical wind project or something else, would -- is
11 there current legislative delegation that would allow
12 that full cost recovery?

13 MR. BALLINGER: No.

14 COMMISSIONER SKOP: Okay. Thanks.

15 Oh, one more quick follow-up. I don't know if
16 the previous question was still on the line, but it was
17 the small solar installer, and I don't know if he's
18 still listening in, but I was wondering why, briefly, he
19 thought that the current rule would be detrimental to
20 distributed solar PV generation that small providers
21 would install.

22 MS. MILLER: Is Tom Sutton still on the line?

23 COMMISSIONER SKOP: I don't think it was Tom
24 Sutton.

25 MR. KARNAS: I think it was Wayne Wallace.

1 COMMISSIONER SKOP: I guess not. We'll move
2 on. Thank you.

3 MS. MILLER: Is he still on the line? I know
4 our numbers are dwindling.

5 Well, let's, if we could, move on to the
6 reporting requirements, section (6). And this will be
7 our final section for the day. Do we have any comments
8 on the reporting requirements?

9 Okay. We do have some housekeeping measures
10 to talk about. As you know, this workshop is being
11 recessed until Tuesday, August 26th, at 9:30, but I know
12 that Mark Futrell has some points that he wants to make,
13 and we'll see what those are.

14 MR. FUTRELL: Thanks, Cindy. Mark Futrell
15 with staff again.

16 As Cindy has mentioned, post-workshop
17 comments, we would ask that you file those by
18 September 2nd. If you wish to file something prior to
19 that date, you're more than welcome to. We received a
20 couple of sets of comments prior to today's workshop.
21 Those will be placed in the docket file and also on the
22 Web site for access.

23 We would again ask that going forward, if you
24 would file -- anything you file, file it in the docket,
25 080503. If you wish to also supplement that with an

1 e-mail to staff, that's fine as well, but it's very
2 important to file it in the docket. And I think that's
3 about all for right now.

4 Oh, and we are not planning to have a call-in
5 next time. We're asking those that wish -- we've tried
6 to provide plenty of notice. We provided the call-in
7 today because of the extraordinary circumstances with
8 the storm, but folks have hopefully had plenty of time
9 to make their arrangements to get here next Tuesday.
10 And so we will welcome and look forward to your comments
11 in person next Tuesday.

12 MS. MILLER: Tom Ballinger.

13 MR. BALLINGER: One final comment. On your
14 comments that you file, given the expeditious nature
15 that we have to produce the rule and get it to the
16 Legislature, we would really appreciate your comments
17 also having suggested rule language in type-and-strike
18 using the staff's strawman as a starting point. That
19 would greatly assist us in putting your comments to how
20 you want them worded.

21 MR. TAYLOR: A comment on the phone, please.

22 MS. MILLER: Pardon me?

23 MR. TAYLOR: A comment from the phone. This
24 is Alan Taylor with PCS Phosphate.

25 Regarding the lack of a call-in number for

1 next week, that seems problematic, because we have not
2 had any utility speak today, and so it appears that next
3 week will be focused on the utilities' feedback on the
4 rules. And if there's no call-in number, it's pretty
5 much -- they're able to say whatever they want without
6 being challenged. And what we've seen today is that
7 when people have different points of view, they're able
8 to discuss it. So I'm just wondering if not having a
9 call-in number and burdening everybody to show up is the
10 best way to proceed.

11 MR. FUTRELL: Well, I'm sure everyone that
12 will be here will be challenging each other, regardless
13 of who makes their proposals. Certainly we'll provide
14 audio access on our Web site to monitor what goes on.
15 And again, you'll have the opportunity to file written
16 comments on what you hear and what your thoughts are on
17 the rule.

18 MS. MILLER: We do plan to start at the
19 beginning again on Tuesday.

20 MR. MOYLE: I was going to ask that.

21 MS. MILLER: For those -- I've been asked
22 that.

23 MR. MOYLE: Can we -- rather than go back
24 through stuff we've already done --

25 MS. MILLER: For those who were not able to be

1 here today.

2 MS. BROWNLESS: Well, could we --

3 MS. MILLER: Pardon me. Let's start with Jon
4 Moyle.

5 MR. MOYLE: I guess I was just going to ask --
6 because a lot of people were here by phone, even though
7 they weren't here in person. I thought we were going to
8 maybe start with the renewable energy credit market, the
9 second portion of the rule, rather than go back through
10 the stuff we've already talked about today extensively
11 when we start on Monday and finish working through the
12 rule and then give people an opportunity at the end to
13 say, you know, "I want to go back." But if that's not
14 the intent, I just want to know for planning purposes.

15 MS. BROWNLESS: And, Cindy, if I may just --

16 MS. MILLER: Suzanne Brownless.

17 MS. BROWNLESS: -- support Jon's request, we
18 have spent an awful lot of time today. I know that many
19 people have listened on the phone call. And, of course,
20 they all have the ability to go to the Commission's
21 archives and listen. They'll also have a transcript
22 that I'm sure will be out shortly.

23 If we could just start where we left off,
24 because that's a pretty -- I mean, I think there are
25 going to be some comments about that, but certainly not

1 as many as there will be on what we've already done.
2 And the last piece of the rule is for munis and co-ops,
3 and I should expect there wouldn't be very much comment
4 on that part at all, and then we can go back and let
5 people talk about the beginning as much as they wish.

6 MS. MILLER: We'll send an e-mail out on the
7 order, but we hear what you're saying.

8 MS. BROWNLESS: Thank you so much.

9 MS. MILLER: Michael Dobson.

10 MR. DOBSON: Actually, I just wanted to echo
11 what Suzanne and Jon have said. I think we've done a
12 good job of covering this, and I know our organization
13 has submitted written comments, and I'm sure there are
14 many others that are available, and I don't see why we
15 can't just start from where we left off, so to speak.

16 MR. MOYLE: That would be my vote.

17 MS. MILLER: Any other comments that we have?
18 Ryder Rudd?

19 MR. RUDD: This is Ryder Rudd with staff.
20 There's a lot of parties that weren't able to attend due
21 to the storm and circumstances beyond their control, and
22 that's the reason we are recessing this meeting and
23 allowing those parties to come back. I'm sure there's
24 going to be a lot of comments that they make that you're
25 going to be highly interested in, so I do intend that we

1 will go back through this initial rule for those parties
2 to hear those comments.

3 However, we wouldn't want to rehash some of
4 the same things we've already been through, and I don't
5 intend that, but I do intend to allow those parties to
6 be heard and let them go ahead and make those comments
7 initially and then roll through the rest of the rules,
8 but not redo everything that we have just gone through,
9 with the exception of them being able to have the
10 opportunity to have those comments.

11 MR. MOYLE: The only suggestion I would make
12 if you do that, some people -- you know, time is
13 precious. Maybe you want to say at a time certain if
14 you're going to pick up the second portion of the rule,
15 let everybody come back from 9:30 to 12:00 and talk
16 about the first portion, and then the second portion say
17 we're going to pick up the market piece and the co-op
18 piece.

19 MR. RUDD: We'll address that later.

20 MS. MILLER: Thank you. Well, with that,
21 we're recessed until Tuesday at 9:30. Thank you for all
22 your diligent participation.

23 (Proceedings recessed at 4:38 p.m.)

24
25

CERTIFICATE OF REPORTER


STATE OF FLORIDA:

COUNTY OF LEON:

I, MARY ALLEN NEEL, Registered Professional Reporter, do hereby certify that the foregoing proceedings were taken before me at the time and place therein designated; that my shorthand notes were thereafter translated under my supervision; and the foregoing pages numbered 139 through 212 are a true and correct record of the aforesaid proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor relative or employee of such attorney or counsel, or financially interested in the foregoing action.

DATED THIS 25th day of August, 2008.



MARY ALLEN NEEL, RPR, FPR
2894-A Remington Green Lane
Tallahassee, Florida 32308
(850) 878-2221