


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 080317-EI

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

In the Matter of:

PETITION FOR RATE INCREASE BY TAMPA
ELECTRIC COMPANY.



VOLUME 6

Pages 745 through 874

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN MATTHEW M. CARTER, II
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER KATRINA J. McMURRIAN
COMMISSIONER NANCY ARGENZIANO
COMMISSIONER NATHAN A. SKOP

DATE: Tuesday, January 27, 2009

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR
Official FPSC Reporters
(850)413-6732

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER - DATE

00684 JAN 28 09

FPSC-COMMISSION CLERK

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

NAME:	PAGE NO.
DONALD A. MURRY, Ph.D.	
Continued Cross Examination by Mr. Moyle	748
Cross Examination by Mr. Wright	756
Cross Examination by Mr. Young	782
Redirect Examination by Mr. Beasley	787
LORRAINE L. CIFUENTES	
Prefiled Direct Testimony Inserted	791
MARK J. HORNICK	
Direct Examination by Mr. Hart	807
Prefiled Direct Testimony Inserted	811
Prefiled Rebuttal Testimony Inserted	839
Cross Examination by Ms. Christensen	858

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXHIBITS

NUMBER:		ID.	ADMTD.
106	Final Order in Case of Public Service Company of Oklahoma	783	789
20			788
21			790
22	MJH-1	808	
82	MJH-2	809	

P R O C E E D I N G S

(Transcript continues in sequence from Volume 5.)

BY MR. MOYLE:

Q Let me refer you to Page 116, Bates-stamped number, I think on this document. There is some big bold number at the bottom. If you would go to Page 116. And just so the record is clear, would you read the title of the Page 116 that you are referring to?

A Rate case history, southeast list sorted by date.

Q Okay. And if I am reading this correctly, it looks like there has only been five ROEs decided by southeastern utility commission since 2007, correct?

A Oh, you are looking at the bottom of the list. I'm not following what you are saying.

Q Yes. I sorted it by date. I was trying to get some realtime information about what regulators in the southeast have done.

A That's correct.

Q And you were here for the testimony about the southeast may be a little more something to look at because all the southeastern states experience hurricanes, correct?

A Yes. I don't think these states are as vulnerable to hurricanes as that statement, but --

Q Could you, with that calculator, add up the five ROEs that have been authorized since 2007 in the southeastern United

1 States and tell me what the average is?

2 **A** Let me recalculate that. It's not my calculator and
3 I think I hit the wrong button. (Pause.) I'm sorry, I wasn't
4 able to clear the calculator. I apologize.

5 **Q** That's all right. We can do it the old-fashioned
6 way.

7 **A** I was going to say, if you give me the number I think
8 I can probably accept it.

9 **Q** My calculation was 10.58.

10 **A** That sounds like it would be right.

11 **Q** And you would agree, assuming my calculation was
12 right, that that would be another approach, another tool to use
13 in considering ROE?

14 **A** That would be a tool that represents allowed returns.
15 If I may comment on those five cases?

16 **Q** Well, we are trying to move it along, and your
17 counsel will have a chance to ask you on redirect if you care
18 to give comments.

19 I'd like to move on to another area if I could, Mr.
20 Chair.

21 **A** Certainly.

22 **Q** Ms. Abbott was just here, and you have expertise in
23 economics and the market, correct?

24 **A** Yes.

25 **Q** Okay. And that includes debt markets as well as

1 equity markets, correct?

2 **A** I think I have less expertise than Ms. Abbott in the
3 debt markets.

4 **Q** Well, let me see if you can help me with something.
5 I thought I understood some of her testimony to be
6 essentially -- and Commissioner Skop zeroed in on this --
7 essentially if you have an A rating that's better than a BBB,
8 and she was saying you have access to capital as an A that you
9 might not have as a B, correct?

10 **A** That is a generally accepted principle, yes.

11 **Q** And I think she said access was shut down once since
12 she can recall. Isn't it true when the credit markets were
13 closed, if you refer to Mr. Gillette's Exhibit Number 2 for
14 that couple of week period in September, that the credit
15 markets were closed to everyone including companies with A
16 ratings as well as companies with BBB?

17 **A** That was my understanding.

18 **Q** So the idea that just because you have an A means you
19 got automatic access to capital doesn't necessarily stand true
20 if you consider what happened in September of 2008, correct?

21 **A** Yes. That's defining access in a very, very
22 stringent way.

23 **Q** A few more questions. This ROE is something that I
24 am learning about, but if I understand what you are trying to
25 do, you are trying to peg an appropriate return that a company

1 will then be able to charge its ratepayers for in rates,
2 correct?

3 **A** Well, I am looking at it, I think, from a different
4 perspective. I am looking -- and you have mentioned Bluefield.
5 I think I am looking at it more the language of Hope, the Hope
6 Natural Gas case, which I think is trying to determine what
7 return is necessary to attract capital for a particular
8 investment.

9 **Q** But in terms of making that judgment, you are
10 informed by current market conditions, correct?

11 **A** Absolutely.

12 **Q** And current market conditions are a key driver in
13 that judgment, correct?

14 **A** Yes.

15 **Q** The last time Tampa Electric was in for a full-blown
16 rate case was approximately 17 years ago, correct?

17 **A** That is what I understand, yes, sir.

18 **Q** Mr. Gillette, I think, referred to the craziness of
19 the market. Ms. Abbott talked about the volatility of the
20 market. You would agree the market right now is not exactly
21 stable, correct?

22 **A** The market is very volatile now and very
23 unpredictable. And as I heard Ms. Abbott state, it is
24 recovering much more slowly than we would like to see it
25 recover.

1 **Q** Wouldn't it make sense to you rather than asking this
2 Commission to come in, and given the volatility of the markets
3 and trying to make an informed judgment about what the ROE
4 should be, that you consider maybe another approach, either
5 deferring a decision on ROE, or considering pegging an ROE to
6 some type of an index that adjusts? Would either of those make
7 any sense to you?

8 **A** I guess, I think you are saying two things, and I
9 want to think about both of those rather carefully, I think.
10 Talking about pegging it to something, I'm not sure what you
11 would peg it to unless you peg it to some kind of another
12 market rate, such as a BAA bond rate, for example. I think
13 that that might work for a brief period of time. In my
14 observation of most of those kinds of determinations at some
15 point run off one side of the road or the other. They become
16 unworkable. For a period of time it might work. Now, I can't
17 remember what your first proposal was.

18 **Q** The first one was given the volatility and that the
19 volatility drives things, wouldn't it make some sense maybe to
20 defer a decision until the markets have calmed down, maybe make
21 a decision on the ROE at a later point in time?

22 **A** I don't quite understand how you would do that. If
23 the company has to raise capital for its capital expenditures
24 program, it has to raise funds for that purpose, I don't know
25 how you can defer it for a long period of time. And there is

1 the question of the current investors and trying to maintain
2 investment in the facility.

3 Q But they don't have to raise capital until November,
4 correct?

5 A I understand they are planning to raise capital next
6 fall.

7 Q Am I looking at this improperly, that if I was a
8 utility that it would make sense to come in and argue for as
9 high of an ROE as I could, because given the fact that you
10 don't come in for a rate case very often, you try to get it as
11 high as you can, and then you can earn underneath it. I mean,
12 in Tampa Electric's case it was 17 years, so that, you know,
13 that's really a key driver in a ratemaking process?

14 A I have been involved in proceedings a number of times
15 in which companies have come in for requests that are lower
16 than I think the current market is and that they thought the
17 current market was, and for the simple reason they had
18 something else that they were really interested in. They are
19 concerned about getting a plant into rate base, for example.
20 They were involved in some kind of a contract decision. They
21 might actually be acquiring some properties or something, and
22 there is something that in their business judgment was a higher
23 priority than return. And, therefore, they could come in for a
24 lower request than what I thought was appropriate and that they
25 would openly admit that they thought was lower than the current

1 market.

2 Q But you don't think Tampa Electric Company is coming
3 in with a below-market request, do you?

4 A I think Tampa Electric is coming in with a request
5 which I recommended and I think it is an appropriate market
6 request in today's market.

7 Q A couple of more questions on this idea of pegging an
8 ROE to something that floats. Are you aware that that is
9 something that California does?

10 A I'm not aware of what California has done currently.

11 Q You know, given the importance of the market and the
12 market conditions in establishing an ROE, do you have a belief
13 that the economic stimulus package which has been announced by
14 our new president, Mr. Obama, is likely to have a positive
15 impact on markets?

16 A Undoubtedly it will have a positive impact on
17 markets. I think when you say stimulus package, I think you
18 are talking about the fiscal side of the package that is being
19 introduced by the House?

20 Q Yes, sir.

21 A I think that is what you are talking about, because
22 the Federal Reserve has been very active for the last almost
23 10 or 12 months.

24 MR. MOYLE: Mr. Chair, if I could just have a quick
25 minute.

1 **CHAIRMAN CARTER:** You may.

2 (Pause.)

3 BY MR. MOYLE:

4 **Q** You answered -- just a couple more questions, Mr.
5 Murry, and I appreciate your time and your travels all the way
6 from Oklahoma to be with us. You had said you thought that
7 Wall Street had a conflict of interest in response to a
8 question from Ms. Christensen. Wouldn't you also think that
9 rating agencies, given the fact that a majority of their income
10 derives from companies that they regulate, also could appear to
11 have a conflict of interest?

12 **A** I have never felt that, and that response has nothing
13 to do with my previous testimony in this case. I felt the
14 rating agencies because the institutional investors rely on
15 their judgment, really tried very hard to give their best
16 estimate of what they thought the ratings were. Because their
17 recommendation would deteriorate if it was not -- if they
18 didn't maintain credibility.

19 **Q** Are you aware that some rating agencies are currently
20 under investigation?

21 **A** I am aware that they are, and I'm not aware of the
22 details of what it is about.

23 **Q** And it is a little bit of a finer point, but given
24 that you may not view that there is a conflict of interest, you
25 would agree that someone could have that perception that there

1 might be a conflict?

2 **A** I certainly would agree with that, yes.

3 **MR. MOYLE:** I have nothing further.

4 **CHAIRMAN CARTER:** Thank you, Mr. Moyle.

5 Mr. Wright.

6 **MR. WRIGHT:** Thank you, Mr. Chairman.

7 CROSS EXAMINATION

8 BY MR. WRIGHT:

9 **Q** Good morning, Doctor Murry.

10 **A** Good morning.

11 **Q** I think as a predicate we can agree that it is the
12 Florida Public Service Commission's job in this case to assign
13 a rate of return on equity specifically for Tampa Electric
14 Company, the regulated utility, correct?

15 **A** Yes.

16 **Q** Thank you. In response -- this may have been a
17 response to Mr. Moyle or to Ms. Bradley, I believe you
18 testified that you believe you have recommended a return on
19 equity lower than other witnesses in other cases. Is that what
20 you said?

21 **A** He asked me if I ever had and I said I'm sure that I
22 had.

23 **Q** Can you name such a case?

24 **A** I was trying to reflect on that at the moment, and I
25 can't name a case at this point.

1 **Q** Am I correct that your testimonial experience
2 regarding rates of return on equity has been limited to
3 testifying on behalf of utility companies?

4 **A** That is not correct.

5 **Q** Okay. Have you testified for Public Service
6 Commission staffs?

7 **A** I have testified in the past for the staff of the
8 Missouri Public Service Commission. That was a number of years
9 ago. As my resume shows, I was at the staff of the Federal
10 Power Commission, and, of course, I testified on behalf of the
11 Federal Power Commission. I have testified on behalf of some
12 industrial customers on several occasions. I have testified on
13 behalf of some cooperative groups.

14 **Q** You mentioned you testified on behalf of industrial
15 customers on ROE.

16 **A** Excuse me?

17 **Q** You mentioned your testimony on behalf of industrial
18 consumers. Was that on return on equity?

19 **A** Yes.

20 **Q** Thank you. Will you agree that the provision of
21 regulated monopoly electricity service is a low-risk business
22 service?

23 **A** Well, I think the answer is that that is a common
24 view, and it is certainly lower risk than some other
25 enterprises. But it varies by company, as I'm sure you know.

1 **Q** Would you agree that Tampa Electric Company has an
2 excellent business risk profile?

3 **A** Excellent is a term and it's a relative term. I
4 think Tampa Electric has a very -- it seems to be a very
5 favorable business risk profile, as I understand it. But when
6 you read the financial information about Tampa Electric there
7 is concern about environmental requirements and concern about
8 the capital expenditure programs. They have many of the
9 problems that are typical in the utility business today, and
10 there is -- I mean, I think it is being well handled the best I
11 can tell, but clearly Tampa Electric by being a compact system
12 has a hurricane exposure that one wouldn't find for a lot of
13 utilities.

14 **Q** Have you reviewed Ms. Abbott's testimony in this
15 case?

16 **A** I did review it, yes.

17 **Q** Are you aware that Standard and Poor characterizes
18 Tampa Electric's business risk profile as excellent?

19 **A** I saw that that was their reference.

20 **Q** Do you disagree with that?

21 **A** No. I say it is a relative term, and I'm not sure
22 exactly what they are comparing it to.

23 **Q** So when Standard and Poor's makes a publication that
24 a particular company has an excellent business risk, you don't
25 know what that means?

1 **A** I accept her testimony that that is Standard and
2 Poor's opinion.

3 **Q** Will you agree that TECO Energy's nonregulated
4 business operations, such as its coal mining operation and its
5 Guatemala operations are riskier than the provision of
6 regulated monopoly electric service in Florida?

7 **A** I believe that is probably the case.

8 **Q** Would you agree that including the low risk electric
9 operation in Florida with higher risk mining operations and
10 overseas operations would imply that investors would seek and
11 expect a rate of return higher for the overall company, TECO
12 Energy in this case, than for Tampa Electric were it evaluated
13 on its own?

14 **A** If I understood the question correctly, the answer
15 would be yes. I think I followed it.

16 **Q** Thank you. Leaving aside our differences of opinion
17 over the reasonableness of your selected comparable group and
18 the adjustments you made in your ROE analyses, would you agree
19 that the range of results shown by your models is reasonable?

20 **A** Would you rephrase just the last phrase, please?

21 **Q** Will you agree that the range of results, ROE results
22 shown by your models is reasonable?

23 **A** If you define reasonable as what I would have
24 expected under the circumstance, the answer, I guess, is yes.
25 They didn't seem to come out of bounds of what I would have

1 anticipated.

2 **Q** Well, let me ask a follow-up question. Would you
3 agree that a utility regulatory authority, the Florida Public
4 Service Commission in this case, could assign a rate of return
5 on equity for Tampa Electric Company within the range of
6 results shown by your models? Would that be reasonable for
7 this Commission to do?

8 **A** I think the results from the calculations that I
9 determined were so broad that one could almost pick -- could
10 almost avoid picking a number within that range.

11 **Q** My question was could the Florida Public Service
12 Commission make a reasonable decision to use a return on equity
13 within the ranges of results shown by your models for Tampa
14 Electric Company in this case? If you could answer yes or no,
15 and then explain your answer, that would be great.

16 **A** Maybe you need to explain to me what range you are
17 talking about so I know what we are talking about.

18 **Q** Well, you have got a bunch of exhibits at the back of
19 your direct testimony.

20 **A** Maybe I could refer you to Schedule 22.

21 **Q** Yes. Yes, let's use that range. You have got three
22 different models in the comparable group with lows and highs.
23 The lowest low is 10.05 percent for the comparable group, the
24 highest high is 13.27 percent.

25 **A** Yes.

1 **Q** Let me ask that question. Could the Florida Public
2 Service Commission reasonably decide to use an ROE for setting
3 Tampa Electric's rates in this case between those two values as
4 shown by your models?

5 **A** I would say that a number outside of that range is
6 not reflective of current market conditions.

7 **Q** Mr. Chairman and Doctor Murry, I apologize, but I was
8 distracted. I think you said a number outside that range would
9 not be reasonable. Is that fair?

10 **A** Well, I said it would not reflect current market
11 conditions, and if reasonable is representative of current
12 market conditions, that is correct.

13 **Q** Okay. If I could ask you to look at your Document 15
14 of your exhibit which is on numbered Page 86 of your prefiled
15 testimony. Do I interpret this table correctly as showing that
16 your DCF results using the 52-week period for the comparable
17 group shows an average of 9.14 percent on the low end and an
18 average of 10.21 percent on the high end?

19 **A** That is what it shows in that calculation.

20 **Q** Would it be unreasonable for the Florida Public
21 Service Commission to use a rate of return on equity for Tampa
22 Electric Company in this case between those two values, i.e.,
23 between 9.14 percent and 10.21 percent?

24 **A** In today's market it is judgment it would be, yes,
25 sir. I'm sorry, did you say reasonable or unreasonable?

1 Q I did say reasonable.

2 A You said would it be reasonable?

3 Q Yes, that was the question.

4 A I'm sorry, no, it would not be reasonable. I
5 misinterpreted your question.

6 Q In response to some questions by Ms. Bradley, you
7 indicated that you generally focus on cost of capital and what
8 the cost of capital is and not on consumers. Is that a fair
9 characterization of your prior testimony?

10 A My task was to estimate the current cost of capital
11 in this proceeding.

12 Q Is it your testimony without qualification that Tampa
13 Electric would not be able to raise needed equity or debt
14 capital if the Commission set a return on equity for Tampa
15 Electric in this case of 9.75 percent?

16 A It has been my experience that a Commission could set
17 a return almost at any level provided there were other
18 provisions in the rate order that would give the company the
19 cash flow that Ms. Abbott was talking about this morning. And
20 so the 9.75 number becomes very much a relative number. It is
21 not the current cost of capital. Quite the contrary. It would
22 be very low in today's market. It would be barely above the
23 cost of debt.

24 Q Now, it is fair to say that that is your opinion,
25 correct?

1 **A** I guess, yes.

2 **Q** In your testimony you have testified that Tampa
3 Electric requires a cushion sort of adder to its ROE. Is that
4 a fair characterization?

5 **A** No, it is not.

6 **Q** Okay. Well, what does your testimony about the
7 cushion mean, then?

8 **A** You asked me about that, or someone asked me about
9 that in my deposition and I thought we explained it. I tried
10 to explain in some detail in my testimony that one of the
11 problems which I mentioned earlier with the DCF is it
12 calculates the marginal cost of capital, not the average cost
13 of capital. So it means that on the average you wouldn't
14 expect it to be high enough in marginal conditions to meet the
15 required cost of capital. And I pointed out there are a number
16 of mechanisms, such as flotation cost adjustments, pressure
17 adjustments, market-to-book ratio adjustments that I have
18 observed in many jurisdictions utility commissions follow to
19 provide somewhat of an adjustment to make the allowed return
20 more viable based on a DCF calculation. And I think I used the
21 term cushion in my testimony, and I think that is what you are
22 focusing on. I said that there is a recognition, it is not an
23 adder, it is a recognition that if you go to the low end of the
24 DCF calculation mechanically you are almost guaranteeing the
25 company will not earn its return.

1 **Q** And trying to put that together with the previous
2 response, it is your testimony that is because of the
3 difference between the marginal cost of capital and the average
4 cost of capital, or because of issuance costs, or what?

5 **A** It is because of the nature of the DCF methodology is
6 what it is.

7 **Q** You do agree that the risk free rate on capital is
8 the proper rate to use as -- the proxy for the risk free rate
9 is the interest rate on a 30-year treasury bond, correct?

10 **A** I think we talked about that in my deposition, as
11 well, and I think I pointed out that the risk free rate is
12 probably an unfortunate misnomer that got in the literature
13 decades ago, because there is no such thing as a risk free
14 rate.

15 I think the most common rate used in a CAPM as the
16 base benchmark rate, which is called the risk free rate, is the
17 20 or 30-year bond. I think I used the 20-year bond for a
18 variety of reasons, and that is very commonly used in the CAPM.
19 In today's market it is far from risk free because the federal
20 government is so active in the treasury market.

21 **Q** Well, what we say down here in walking around
22 language, the 20 or 30-year T-bond rate is usually referred to
23 in this business as the risk free rate, correct?

24 **A** In CAPM, filling in that number, it's typically a
25 20 or 30-year treasury bond.

1 **Q** And you used a premium of 7,100 basis points on top
2 of that in your CAPM analysis, correct?

3 **A** I used a risk premium of 71 basis points, yes.

4 **Q** 7100 basis.

5 **A** 7100, yes, sir.

6 **MR. WRIGHT:** That's all the questions I have, Mr.
7 Chairman.

8 Thank you, Doctor Murry.

9 **CHAIRMAN CARTER:** Thank you, Mr. Wright.

10 Mr. Twomey.

11 **MR. TWOMEY:** I don't have any questions, Mr.
12 Chairman.

13 **COMMISSIONER ARGENZIANO:** I do.

14 **CHAIRMAN CARTER:** Commissioner Argenziano, you're
15 recognized.

16 **COMMISSIONER ARGENZIANO:** Thank you. They say you
17 are the guy I need to ask the questions to.

18 **THE WITNESS:** I heard that.

19 **COMMISSIONER ARGENZIANO:** And I guess I'm trying to
20 really figure out how all of these models work, and in my mind
21 as I look over them, and maybe you can help me understand it a
22 little better, it just seemed as I was asking Ms. Abbott
23 earlier, that when I looked at the different models, and I
24 guess the CAPM had these four subjectively, I guess,
25 qualitative variables that was the expected return on capital

1 assets, sensitively to asset returns, expected return of the
2 market, and risk premium combined. And while each of them may
3 be subject to a mathematical notation, it seemed that neither
4 of them avoided or eliminated the subjective input. And it
5 made me wonder how you can really rely on something that is so
6 subjective, and that is why I'm trying to figure out the
7 differences between CAPM and DCF. It seemed to be the same
8 thing. Three subjectively determined input sources which were
9 variables; cash flow to discount, expected growth, and discount
10 rate. And looking at that I think the same comment I had on
11 the CAPM. And then looked at risk premium, which risk premium
12 exclusively seemed to have the benefit of a certain honesty as
13 I was saying before which was, I guess, simple, but invoking
14 the risk premium seemed to permit reliance on the identifiable
15 zero risk rate, the U.S. Treasury Bills averaged over an
16 identified period. And it seemed to put one variable, the
17 factor, which to multiply the risk free rate in play.

18 So looking at the three of those, it seemed to me
19 that I wasn't sure how you really could be confident in the, I
20 guess, subjective two models versus the one that seemed to be
21 more factually based, or pretty much simple rather than so
22 complicated. And I said the other day that Einstein had an
23 admonition that everything should be as simple as it is, but
24 not simpler. And I guess that is the way I am looking at it.
25 And maybe you could shed some light on that observation that I

1 have.

2 **THE WITNESS:** Well, if I understand your comments, I
3 think you are very much on point in current markets, because
4 the information used -- and I don't want to get into more
5 detail here than you want, but in the current market
6 circumstances leaves something to be desired at least let us
7 say in the DCF and the CAPM model. And more so now than when I
8 did my direct testimony back in June because of the way the
9 market has moved.

10 With regard to the CAPM, and I think I'm on point in
11 your answer, with regard to the CAPM, the problem is often in
12 determining what the so-called risk free rate is, or what to
13 use as a benchmark rate. Now, I do two CAPM analyses. In one
14 I don't use governments because the government bonds are likely
15 to be so influenced by Federal Reserve policy by being active
16 in the market. And that on a go-forward basis is going to be
17 more important than it is now. Because to finance this large
18 fiscal package, this \$825 billion, or whatever the number
19 finally becomes, there is an argument currently within the
20 Federal Reserve among their technical people, and it is now
21 leaking out, there is an argument as to how the Federal Reserve
22 will help finance it. And one concern, or one proposal is
23 literally that the Federal Reserve would buy the bonds that are
24 being issued by the Federal Reserve.

25 Now, we did that during World War II and they called

1 it pegging the interest rate, and what it does is create huge
2 amounts of liquidity, because essentially it even runs faster
3 than the Treasury Department running the printing presses. And
4 so there are obviously some longer term concerns. I don't want
5 to get off too far in that. But if that happens, calling
6 20 year and 30-year Treasury Bonds as a risk free rate
7 certainly makes no sense whatsoever. And you couldn't use it
8 as a benchmark to do what you have to do to set a return on
9 equity, because it would be pegged totally to Federal Reserve
10 policy.

11 But that is going forward. The other problem with
12 the CAPM is the beta calculation. The beta calculation is
13 nothing more -- let's look at it from the standpoint of the
14 theory of the CAPM is looking at it as an investor. And if
15 you are an investor you can buy the stock as part of your
16 portfolio, and if this stock is too risky for your taste, you
17 can essentially buy other stocks that offset that and
18 diversify. But some of that risk means the stock is not going
19 to operate with the market. Some of that risk is
20 nondiversifiable. And so that is what the CAPM is trying to
21 capture.

22 So that beta number is nothing more than how this
23 market -- this price of this stock moves over time relative to
24 the overall market. Statistically it's just a regression
25 coefficient. So if you have a beta of .8, it means that if the

1 market goes up by 10 percent you should expect your stock to go
2 up 8 percent. But if it goes down by 10 percent, your stock
3 should only go down by 8 percent. That is what the beta means.

4 **COMMISSIONER ARGENZIANO:** But beta has no predictive
5 value.

6 **THE WITNESS:** That's the problem. That is why you
7 are right on point. The beta represents what has historically
8 occurred for this particular stock, and my quarrel with the
9 CAPM and with the beta, and there is literature on this, is
10 that that is a single dimension measure of risk. It is only
11 market volatility, and obviously there are other kinds of risk.
12 You could have companies with very high betas and tomorrow they
13 go bankrupt. And that has literally happened.

14 **COMMISSIONER ARGENZIANO:** Okay. But if it has
15 predictive value, how would that affect the CAPM? I'm trying
16 to --

17 **THE WITNESS:** Well, in normal times, you can say that
18 represents what you are likely to expect for the future. And
19 so if we are talking about setting rates in this case for a
20 period of three years or so, or looking that far in the future,
21 a beta that is stable is likely to help predict what that rate
22 should be.

23 **COMMISSIONER ARGENZIANO:** Okay. Wouldn't the history
24 of the stock or a stock as represented by its periodic market
25 derived value be a more accurate indicator of risk acceptance

1 out of the beta?

2 **THE WITNESS:** I'm sorry, I didn't understand the
3 question.

4 **COMMISSIONER ARGENZIANO:** I guess in trying to figure
5 this out, and I'm not sure I've got it thought out properly
6 yet, but if that is true, isn't the history of a stock as
7 represented by its market derived value, or its periodic market
8 derived value be a more accurate indicator of risk acceptance
9 by an investor rather than beta?

10 **THE WITNESS:** Well, they are two different pieces of
11 information, and so I'm not saying it is -- I think you are
12 wrong to say it is more reliable, and I think at some points in
13 times it would be more reliable and other points in time it
14 might not be more reliable.

15 At this particular junction where we are, the debt
16 market for a BAA corporate bond is running over 8 percent, 8 to
17 9 percent. And that means common equities have to be an equity
18 risk premium higher than that.

19 **COMMISSIONER ARGENZIANO:** All right. And bear with
20 me --

21 **THE WITNESS:** And I think that was the point you were
22 making earlier.

23 **COMMISSIONER ARGENZIANO:** Yes. What impact should
24 the market movement, I guess, altogether have on TECO or any
25 other regulated utility on their ROE?

1 **THE WITNESS:** Oh, the market movement overall?

2 **COMMISSIONER ARGENZIANO:** As a total, uh-huh.

3 **THE WITNESS:** Well, if market prices -- let's look at
4 it this way. If the market prices drop by 25 percent as they
5 have over this last year --

6 **COMMISSIONER ARGENZIANO:** Uh-huh.

7 **THE WITNESS:** -- from a simple supply and demand
8 relationship that means there is not as much demand for those
9 particular securities, and people who have those securities are
10 liquidating and they are driving down the price.

11 **COMMISSIONER ARGENZIANO:** If there were a drop of 25
12 or 40 percent reduction in the stock value, wouldn't that --
13 totally overall, wouldn't that equally be reflected in the
14 utility's ROE?

15 **THE WITNESS:** Yes, absolutely. And that will show up
16 directly in the DCF.

17 **COMMISSIONER ARGENZIANO:** In the DCF.

18 **THE WITNESS:** Because the market price is one of the
19 variables in the DCF.

20 **COMMISSIONER ARGENZIANO:** Okay. I think maybe two
21 other questions, maybe three. And I think we may have gotten
22 this, but it is penetrating. If beta is a significant
23 consideration and no risk T-bills are at, let's say, 3 percent,
24 how should that translate into impact on a no or a minimum risk
25 utility, how is that?

1 **THE WITNESS:** How is the beta, is that the question?

2 **COMMISSIONER ARGENZIANO:** Yes.

3 **THE WITNESS:** Well, there is literature on this, and
4 I can't answer the question precisely, but a stock -- there is
5 statistical literature that shows that a stock that has a beta
6 less than one, that the CAPM will undervalue that stock. And
7 conversely, a stock with a beta greater than one, the market is
8 going to have a beta of one, so a stock with a beta greater
9 than one, the CAPM analysis will overvalue that.

10 It is very hard to know what that adjustment is. But
11 why that is relevant for utilities is that utilities should
12 have betas less than one, because they don't move as rapidly as
13 the market. They don't go up as rapidly, they don't down as
14 rapidly, and that's pretty reliable.

15 **COMMISSIONER ARGENZIANO:** But still subjective, isn't
16 it?

17 **THE WITNESS:** Well, that is empirical. That is
18 measurable how the stocks move relative to the market.

19 **COMMISSIONER ARGENZIANO:** I mean the beta factor.

20 **THE WITNESS:** Oh. No, the beta is a statistical
21 calculation. I mean, it's not a subjective number. It is a
22 calculable statistically derived number.

23 **COMMISSIONER ARGENZIANO:** That is where I'm having a
24 hard time.

25 **THE WITNESS:** Well, if you think in terms of the

1 market going up by 10 percent, of stock going up by 8 percent,
2 they are going to track through time up and down, and
3 statistically you can determine that relationship. And that is
4 what a beta is, it is a statistical determination of that
5 relationship.

6 **COMMISSIONER ARGENZIANO:** Okay. And how significant
7 should the consideration of a risk factor be in establishing an
8 ROE, do you think?

9 **THE WITNESS:** I think it should be very significant.

10 **COMMISSIONER ARGENZIANO:** One other thing. I think
11 before you had mentioned that there were some other companies
12 with lower risks than TECO, or utilities similar or larger.
13 I'm trying to think of some to be honest with you that may not
14 be government regulated. Are there any?

15 **THE WITNESS:** That are less risky than --

16 **COMMISSIONER ARGENZIANO:** Yes.

17 **THE WITNESS:** Well, I think I heard you ask some
18 questions last week about the cost-recovery formula and how
19 that affects risk. I think you have to look at utilities
20 regulated different from other companies and there is a pro and
21 a con. Their returns are more predictable, and not so much in
22 recent years, but earlier they were viewed as income securities
23 because retired people would buy them for the dividend returns.

24 **COMMISSIONER ARGENZIANO:** Sure.

25 **THE WITNESS:** But then the energy markets especially

1 got more volatile and unpredictable and things occurred and
2 people started looking at utility stocks differently.

3 **COMMISSIONER ARGENZIANO:** But at the same time --

4 **THE WITNESS:** I'm sorry. And so there is a stability
5 mechanism that is clearly involved in the cost-recovery. I can
6 remember when many states didn't have fuel cost-recoveries
7 even, but obviously there are good reasons for doing that.
8 That is beneficial. But think of it on the other side. As an
9 investor if you look at it a utility can't raise its rates,
10 either. If something is happening to it, it can't adjust its
11 rates upward as rapidly in case of inflation because it doesn't
12 have everything covered in cost-recovery, only pieces of it.
13 And interestingly enough on the down side, utilities rates are
14 set and fuel costs are going down now and those flow through to
15 customers. And so that is not a benefit. If you were in a
16 competitive industry and you saw your costs go down your
17 profits would go up. Utilities don't get that benefit, either.

18 So investors look at regulated industries
19 differently. They have a different set of risks, and there is
20 risks they don't have, and I think you just have to look at
21 both sides of that issue.

22 **COMMISSIONER ARGENZIANO:** I agree with that, except
23 that if you look at it as an investor, I think the big
24 difference is there are guarantees in investments on a utility
25 where there are no guarantees on a nonregulated entity, such as

1 the recoveries. There are guaranteed recoveries. Some may be
2 slower or longer to get to, but they are eventually going to
3 get a guaranteed pretty much more than half of their costs.
4 And I guess that is the consideration I look at. So it is
5 really, I guess, in the eye of the beholder and what an
6 investor is really looking for.

7 If I were an investor, and what it seems to me when I
8 look at people who are investing in utility stocks, they are
9 the ones -- and I have asked some to be honest with you, they
10 are looking for security, more security and a more stable
11 regulatory -- I mean, it is a regulated entity that has a
12 government guarantee of a return. And even with hurricanes, as
13 you mentioned before, there is a lot to be recovered. I mean,
14 we can point to Louisiana and say that is a case where it went
15 bust. There is nothing to recover. Everybody is gone, but
16 that's just one in a million, I guess.

17 **THE WITNESS:** I just want to say that when you look
18 at a broad perspective, though -- I mean, you are using the
19 word guarantee, and it makes me a little comfortable, because
20 some companies I have worked for or observed, they get an
21 allowed return and they never make their allowed return for a
22 practice variety of reasons. And so in that sense it is not a
23 guarantee.

24 **COMMISSIONER ARGENZIANO:** Well, I guess if I owned a
25 different company, the Argenziano Fruit Stand Company, I don't

1 know, I guess the way I would say guarantee is that there is
2 nobody who would guarantee me that I am going to make any
3 profit..

4 **THE WITNESS:** No, I mean -- I wasn't trying to
5 quibble on that point. I'm just trying to say it is not that
6 assured.

7 **COMMISSIONER ARGENZIANO:** But it is pretty darn
8 close. Thank you. I appreciate it.

9 **THE WITNESS:** Sure.

10 **CHAIRMAN CARTER:** Commissioner Skop.

11 **COMMISSIONER SKOP:** Thank you, Mr. Chairman.
12 Good afternoon, Mr. Murry.

13 **THE WITNESS:** Good afternoon.

14 **COMMISSIONER SKOP:** I have to check the time to make
15 sure it was afternoon. But just to follow up on a few points
16 of your testimony. I think that you mentioned that with
17 respect to what consideration should be given to the risk free
18 rate, or what benchmark should be used, that the Federal
19 Treasuries are not a good measure of the risk free rate to the
20 extent that they may be artificially depressed by Federal
21 Reserve policy and actions, is that correct?

22 **THE WITNESS:** Yes.

23 **COMMISSIONER SKOP:** And with respect to the beta that
24 factors very prominently in the CAPM analysis, would it be
25 correct to say that historically, subject to studies that have

1 been done on correlation of variation analysis that betas for
2 utilities are somewhat stable to the extent that they don't
3 move all over the place like a technology stock would?

4 **THE WITNESS:** Yes. If a utility beta is not, say,
5 between 65 and 80, you want to try to verify why it is not.

6 **COMMISSIONER SKOP:** Okay. And I think that you also
7 mentioned that ratemaking is not an exact science, and that
8 both the CAPM and discounted flow models are just merely tools
9 that should be used along with regulatory discretion in
10 ratemaking to determine what an appropriate ROE would be.
11 Would that be correct?

12 **THE WITNESS:** Absolutely.

13 **COMMISSIONER SKOP:** Okay. And I guess given the
14 current market volatility, interest rates, and inflationary
15 measures that may result in coming out of a recession, what
16 would be the merits of taking a long-term approach to
17 ratemaking based on sound regulatory policy versus a near-term
18 approach in terms of looking at what the markets are doing now?

19 And I guess what I'm trying to get at is that under
20 the current prevailing market conditions, should one model,
21 being the CAPM or the discounted cash flow be given weight over
22 another model in terms of where we are at in the driving
23 factors that factor into those calculations?

24 **THE WITNESS:** I think when you said where we are at
25 you are talking about the current conditions?

1 **COMMISSIONER SKOP:** The market turmoil that we are
2 experiencing now.

3 **THE WITNESS:** At this point in time, I would assign a
4 little more weight, I think, to a CAPM calculation because it
5 is more stable. I think they both have some frailties and they
6 both tell you something.

7 **COMMISSIONER SKOP:** And I do appreciate in your
8 prefiled testimony you giving the pro and con on that. I
9 thought that was very instructive.

10 And just one final question with respect to
11 appropriate ROE, and I wanted to get your opinion on this to
12 the extent that, I guess, the prior witness had indicated you
13 would be the subject matter expert to give an opinion. But I
14 guess one witness in this case will testify that the
15 appropriate ROE should be 7-1/2 percent, and I was wondering in
16 your professional opinion what regulatory signal would a 400
17 basis point reduction by this Commission send to the capital
18 markets?

19 **THE WITNESS:** Well, a 7-1/2 percent return on equity
20 is out of bounds in current markets if you use as a benchmark
21 what the debt markets are bringing.

22 **COMMISSIONER SKOP:** And such an action, regulatory
23 action by the Commission, I guess some testimony is focused on
24 RRA credit support, and I know that Mr. Shipman (phonetic) from
25 Standard and Poor's has just recently come out with a credit

1 support showing Florida as one of the best ranked regulatory
2 states. But would such action cause a flight of capital to
3 more attractive investments?

4 **THE WITNESS:** I think it would be publicly recognized
5 in the financial community and, yes, it would.

6 **COMMISSIONER SKOP:** And such action might result in a
7 credit downgrade ultimately causing consumers more money in the
8 long run?

9 **THE WITNESS:** I don't know at what point --

10 **MR. MOYLE:** I'm going to object. It calls for
11 speculation, but I guess the other point I wanted to make, Mr.
12 Chairman, was that I understand this witness we are doing his
13 direct and this is rebuttal testimony. And I had some
14 questions on this very same point, but I thought we were going
15 to defer them until later on.

16 **COMMISSIONER SKOP:** I will withdraw the question, but
17 I do think it is well within my right as a Commissioner to ask
18 any question I deem appropriate. Again, he is a recognized
19 expert, and I do value his professional opinion in terms of my
20 decision-making process.

21 Thank you, Mr. Chairman.

22 **CHAIRMAN CARTER:** Thank you. Mr. Moyle, there is
23 no -- I'm not going to recognize you for an objection. A
24 Commissioner does have the discretion to ask questions on
25 issues that come before us, and Commissioner Skop is within his

1 right to do that. And we will just move on from there, okay.

2 Commissioners, I'm going to go to -- before I go to
3 staff, Commissioner Argenziano.

4 **COMMISSIONER ARGENZIANO:** I'm sorry, Mr. Chair. I
5 hate to do this, because I am thinking about things and I need
6 to go back. Commissioner Skop had said -- and I think you
7 agreed that beta is stable. And I am having a really hard time
8 with beta and the CAPM approach. And I understand that it has
9 been used, and it seems to me that it is subject to
10 mathematical notations, but, like I said before, it does not
11 avoid the subjective input. And I think it rearranges the
12 position by which it is input, and I think it could even expand
13 the number of subjective inputs. Does that make sense?

14 **THE WITNESS:** I think.

15 **COMMISSIONER ARGENZIANO:** So I'm having a hard time
16 understanding how beta is so certain, or it is not just a
17 subjective input that could be -- I guess I feel like it is
18 unsupported reliance on something where I look at -- and I know
19 it is not mentioned here much at all, the risk premium, and
20 this is why I'm trying to discuss this, because I am kind of
21 straight forward. I like to see things as they are and how
22 they make sense to me. And risk premium seems to rely on the
23 certainty versus the beta, which can be manipulated. And I
24 just -- I am not -- I guess I don't feel strongly, Mr.
25 Chairman, at this point about how beta is so certain. I guess

1 maybe that is just my opinion, and I didn't know if you could
2 add anything to that to make me feel any different. I'm not
3 sure you can, but I am going to try.

4 **THE WITNESS:** I will try. You are making me want to
5 go to the board and start drawing graphs.

6 **CHAIRMAN CARTER:** Let's not do that, please.

7 (Laughter.)

8 **THE WITNESS:** And I don't want to bore you with that.
9 But think in terms of price, a price series of a stock and the
10 price series of the market. And if you think in terms of the
11 relationship between those two time series, the beta is sort of
12 the average relationship. It is a statistically determined
13 empirically derived number based on this time series.

14 Now, there is some subjectivity that goes into that
15 calculation. You can choose your length of your time series,
16 for example, and that beta will change, obviously, depending on
17 the time series you choose. But it's a calculation. You know,
18 it is statistically empirically determined, and so in that
19 sense it is not subjective.

20 And even in choosing different time periods, you are
21 not going to find a lot of fluctuation in the resulting
22 calculation. And so when I said the beta -- it is more stable,
23 I was referring to -- and that is my experience in using it
24 different ways. The results of the CAPM are not going to
25 fluctuate around nearly as much as the DCF, for example, as

1 another tool. It is going to be -- sometimes I think it is too
2 high, sometimes I think it is too low, and that doesn't mean it
3 doesn't have problems, but it is likely to be long-term a
4 relatively stable calculation.

5 **COMMISSIONER ARGENZIANO:** I guess I think of the
6 black swan factor when I am not certain, and looking at recent,
7 you know, long-term capital management debacle that we have
8 looked at, but I appreciate your answers. Thank you.

9 **CHAIRMAN CARTER:** Commissioners, I'm going to go to
10 staff and then I will come back to the bench just in case you
11 have any further questions.

12 Staff, you're recognized.

13 **MR. YOUNG:** Thank you, sir.

14 **CROSS EXAMINATION**

15 **BY MR. YOUNG:**

16 **Q** Doctor Murry, you have recommended a return on equity
17 of 12 percent for the purpose of this proceeding, correct?

18 **A** Yes.

19 **Q** Are you familiar with the Public Service Company of
20 Oklahoma?

21 **A** Yes.

22 **Q** In fact, Doctor Murry, you recently testified in a
23 rate proceeding on behalf of the Public Service Company of
24 Oklahoma before the Corporation Commission of Oklahoma, which
25 is the OCC, correct?

1 **A** That is correct.

2 **Q** Do you recall the return on equity you recommended
3 the OCC authorize for the Public Service Company of Oklahoma?

4 **A** Are you asking do I recall, I recommended or --

5 **Q** Do you recall what you recommended?

6 **A** I think it was a range, as I recall, from 11-1/2 to
7 12.

8 **Q** Eleven-and-a-half to 12?

9 **A** I think that's right.

10 **Q** Do you know the authorized return on equity the
11 Oklahoma Commission approved for the Public Service Company of
12 Oklahoma?

13 **A** I believe they approved 10-1/2, I think. I'm doing
14 that by recollection.

15 **MR. YOUNG:** Mr. Chairman, I would like to have an
16 exhibit that Mr. Prestwood is handing out be marked for
17 identification purposes as Number 106.

18 **CHAIRMAN CARTER:** Title?

19 **MR. YOUNG:** And I will give a short title as Final
20 Order in Case of Public Service Company of Oklahoma.

21 **CHAIRMAN CARTER:** Thank you. You may proceed.

22 (Exhibit Number 106 marked for identification.)

23 BY MR. YOUNG:

24 **Q** Doctor Murry, have you seen this order before?

25 **A** I don't think I ever saw the order, no, sir.

1 **Q** Okay. But you just stated you gave testimony in this
2 proceeding, correct?

3 **A** Yes.

4 **Q** Can I ask you to have a moment to review this order.
5 I am going to ask you specifically -- although you haven't seen
6 the order, can you please review it. I am going to ask based
7 on some of the testimony you gave in this proceeding.

8 **MR. BEASLEY:** Could we ask if there is a page number
9 that you might want to refer to.

10 **MR. YOUNG:** Yes. If you can turn to Page 45 of the
11 order.

12 **CHAIRMAN CARTER:** One second, please. Commissioner,
13 you had a question?

14 **COMMISSIONER SKOP:** Mr. Chair, I was just going to
15 add that I am glad that our Commission orders aren't are in 12
16 point fonts.

17 **CHAIRMAN CARTER:** I would need a magnifying glass for
18 these. You're right, Commissioner. You may proceed.

19 BY MR. YOUNG:

20 **Q** Doctor Murry, I am going to ask you turn first to
21 Page 45 just to get a date, and then I'm going to ask you to
22 turn to Page 11.

23 **A** Did you say Page 45?

24 **Q** Just for the date.

25 **A** Oh.

1 **Q** Would you agree that this order was issued on
2 January 14th, 2009?

3 **A** Oh, yes.

4 **Q** Now, can you please turn to Page 11 of the order.
5 Are you there, sir?

6 **A** Yes.

7 **Q** Okay. Looking in the first paragraph, the second
8 sentence, it says Doctor Murry for PSO. Are you the same
9 Doctor Murry for PSO?

10 **A** Yes.

11 **Q** Okay. And now I would like for you to turn -- or
12 looking at the third paragraph on this page, sir?

13 **A** Yes.

14 **Q** If I can have you read aloud the third paragraph of
15 this page.

16 **A** "Although only PSO argued that the Commission should
17 give consideration to the current financial markets determining
18 an appropriate ROE for PSO, the Commission recognizes the
19 uncertainty of economic markets for at least the near future
20 may have a negative impact on the expectations of investors.
21 The Commission desires that PSO be able to raise the capital it
22 needs to maintain its infrastructure in a safe and reliable
23 manner and implement the demand-side management programs
24 recommended by the Commission. The Commission believes that an
25 authorized ROE of 10.5 percent will allow the company the

1 opportunity to quickly begin implementing the capital projects
2 necessary to accomplish these goals."

3 **Q** Thank you, sir.

4 So, Doctor Murry, you would agree that the Oklahoma
5 Commission believed even with the recognition of the
6 uncertainty in the economic markets that an authorized ROE of
7 10.5 percent was reasonable to allow the Public Service Company
8 of Oklahoma the opportunity to fund its capital expenditure
9 programs?

10 **A** That is what the statement says, but let me also
11 point out in the first paragraph that staff recommended a
12 return in this case of 10.75 to 11.18 percent, and that
13 included averaging in some outdated market information.

14 **Q** Okay. In the table at the bottom of the page -- are
15 you there?

16 **A** Yes.

17 **Q** Okay. You would agree that the Oklahoma Commission
18 also approved an equity ratio of 44.1 percent for purposes of
19 determining the utility's overall cost of capital?

20 **A** Yes.

21 **MR. YOUNG:** Thank you.

22 No further questions.

23 **CHAIRMAN CARTER:** Thank you.

24 Commissioners.

25 **MR. BEASLEY:** I just have one redirect.

1 **CHAIRMAN CARTER:** You're recognized.

2 REDIRECT EXAMINATION

3 BY MR. BEASLEY:

4 **Q** Doctor Murry, could you describe the context of the
5 five southeastern utility ROE decisions since January 2007 that
6 Mr. Moyle asked you about?

7 **A** Yes. I put that aside. Can you give me that page
8 reference again?

9 **Q** Page 116.

10 **A** Oh, it's 116. I have it. Yes, I was going to
11 respond out of those five cases, two of those I was party to,
12 and that is the Arkansas Oklahoma Gas and Electric case, which
13 shows a return of 10 percent, and the South Carolina Electric
14 and Gas which shows a return of 11 percent allowed, and those
15 are both cases that I was in, and I should add that we
16 subscribe to RRA, and we do use it for research and a variety
17 of things. But this is an example of the problems in using RRA
18 for allowed returns. In both of those instances, those cases
19 were settled and those are stipulated agreements. They were
20 not litigated. I did not testify live, and there were other
21 issues in those cases, in each case that were relatively more
22 important apparently than ROE because it was not litigated.

23 **MR. BEASLEY:** Thank you.

24 We have no further redirect and we would like to move
25 exhibits.

1 **CHAIRMAN CARTER:** One second. Let me come back to
2 the bench.

3 Commissioner Skop, you're recognized.

4 **COMMISSIONER SKOP:** Thank you, Mr. Chairman.

5 Mr. Murry, real quick with respect to the five
6 southeastern decisions on Page 116, and I know that you
7 mentioned in your clarification that there were some unique
8 circumstances that are not presented here that reflect why
9 returns were authorized in the manner in which they were. But
10 would you generally agree that the difference in the spread
11 between the requested return on equity and those authorized by
12 the respective commissions in those five decisions was anywhere
13 from less than 250 basis points between what was requested and
14 what was authorized?

15 **THE WITNESS:** Yes.

16 **COMMISSIONER SKOP:** Thank you.

17 **CHAIRMAN CARTER:** Anything further from the bench?
18 Okay. Let's deal with exhibits.

19 **MR. BEASLEY:** We would like to move Exhibit 20.

20 **CHAIRMAN CARTER:** Any objections? Without objection,
21 show it done.

22 (Exhibit Number 20 admitted into the record.)

23 **CHAIRMAN CARTER:** Staff, you're recognized.

24 **MR. YOUNG:** Staff would like to moved Exhibit Number
25 106.

1 **CHAIRMAN CARTER:** Any objections? Without objection,
2 show it done.

3 (Exhibit Number 106 admitted into the record.)

4 **CHAIRMAN CARTER:** Thank you. The witness may be
5 excused.

6 Commissioners, for planning purposes, we are going to
7 press on, but we will stop at 1:15 for lunch, and we'll go from
8 11:15 to 2:30 for lunch. And just for the parties, be back in
9 at 2:30, because we are going to hit the ground running.

10 So you may excused. Call your next witness.

11 **MR. MOYLE:** Mr. Chairman, we have been going since
12 9:30, could we take fives minutes for a biological break?

13 **CHAIRMAN CARTER:** You're not up yet. Go ahead.

14 (Laughter.)

15 **COMMISSIONER ARGENZIANO:** I agree.

16 **CHAIRMAN CARTER:** You guys need a biological break?
17 What's up with that? Okay. We're on recess for five minutes.
18 We'll come back at twenty of.

19 (Recess.)

20 **CHAIRMAN CARTER:** We are back on the record and you
21 may proceed.

22 **MR. BEASLEY:** Mr. Chairman, our next witness, Ms.
23 Lorraine Cifuentes has been excused from the proceeding. I
24 would simply like to ask that her prepared direct testimony be
25 inserted into the record as though read.

1 **CHAIRMAN CARTER:** The prefiled testimony of the
2 witness will be inserted into the record as though read.

3 **MR. BEASLEY:** And it was accompanied by an exhibit,
4 LLC-1, marked Hearing Exhibit Number 21. I would like to move
5 that exhibit into the record.

6 **CHAIRMAN CARTER:** Any objections?

7 Without objection, show it done.

8 (Exhibit Number 21 admitted into the record.)

9 **CHAIRMAN CARTER:** You may proceed.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**2 **PREPARED DIRECT TESTIMONY**3 **OF**4 **LORRAINE L. CIFUENTES**

5
6 **Q.** Please state your name, business address, occupation and
7 employer.

8
9 **A.** My name is Lorraine L. Cifuentes. My business address is
10 702 North Franklin Street, Tampa, Florida 33602. I am
11 employed by Tampa Electric Company ("Tampa Electric" or
12 "company") as Manager, Load Research and Forecasting in
13 the Regulatory Affairs Department.

14
15 **Q.** Please provide a brief outline of your educational
16 background and business experience.

17
18 **A.** In 1986, I received a Bachelor of Science degree in
19 Management Information Systems from the University of
20 South Florida. In 1992, I received a Masters of Business
21 Administration degree from the University of Tampa. In
22 October 1987, I joined Tampa Electric as a Generation
23 Planning Technician and I have held various positions
24 within the areas of Generation Planning, Load Forecasting
25 and Load Research. In October 2002, I was promoted to

1 Manager, Load Research and Forecasting. My present
2 responsibilities include the management of Tampa
3 Electric's customer, peak demand and energy sales
4 forecasts as well as management of Tampa Electric's load
5 research program and other related activities.

6
7 **Q.** What is the purpose of your direct testimony?

8
9 **A.** My direct testimony describes Tampa Electric's customer,
10 demand and energy forecasting process, describes the
11 methodologies and assumptions, and presents the forecasts
12 used in Tampa Electric's budget that support its request
13 for a base rate increase. Additionally, I demonstrate
14 how these forecasts are appropriate and reasonable.

15
16 **Q.** Have you prepared an exhibit to support your direct
17 testimony?

18
19 **A.** Yes, I am sponsoring Exhibit No. ____ (LLC-1) consisting
20 of 10 documents, prepared under my direction and
21 supervision. These consist of:

22 Document No. 1 List Of Minimum Filing Requirement
23 Schedules Sponsored Or Co-Sponsored
24 By Lorraine L. Cifuentes
25 Document No. 2 Customer Forecast

1	Document No. 3	Economic Assumptions Average Annual
2		Growth Rate
3	Document No. 4	Real Price Of Electricity
4	Document No. 5	Per-Customer Energy Consumption
5	Document No. 6	Retail Energy Sales
6	Document No. 7	Per-Customer Peak Demand
7	Document No. 8	Peak Demand
8	Document No. 9	Firm Peak Demand
9	Document No. 10	Load Factor

10

11 **Q.** Are you sponsoring any sections of Tampa Electric's
12 Minimum Filing Requirements ("MFRs")?

13

14 **A.** Yes. I sponsor or co-sponsor the MFRs shown in Document
15 No. 1 of my Exhibit No. _____ (LLC-1).

16

17 **Q.** What is Tampa Electric's existing and forecasted customer
18 base?

19

20 **A.** Tampa Electric's current customer base and forecasted
21 growth is shown in Document No. 2 of my exhibit. In
22 2007, Tampa Electric's customer base was 666,354 and is
23 projected to grow at an average annual rate of 2.1
24 percent over the next 10 years. The company expects to
25 have 679,941 customers in 2009.

1 Q. By how much has Tampa Electric's customer base increased
2 since 1992, the year of Tampa Electric's last rate case
3 filing?

4
5 A. Since 1992, the number of customers Tampa Electric serves
6 has increased by almost 200,000 or 42 percent. Peak
7 energy demands have also increased significantly. Summer
8 peak demand has increased by approximately 1,350 MW or 50
9 percent, while summer firm peak demands have increased
10 even further, by 1,480 MW or 62 percent.

11
12 Q. How is Tampa Electric's inflation assumption, which is
13 used in its operations and maintenance ("O&M") budget,
14 developed?

15
16 A. Tampa Electric uses the Consumer Price Index ("CPI")
17 projections provided by Moody's Economy.com, a leading
18 provider of economic forecasting services, in developing
19 its inflation forecast for budgeting purposes. CPI is
20 the most widely utilized indicator of changes in the
21 price of goods and services. MFR Schedules C-33 and C-40
22 provide historical and projected annual percent changes
23 in CPI. The projected values were used as a guide in the
24 development of the 2009 projected test year O&M budget.

25

1 **TAMPA ELECTRIC'S FORECASTING PROCESS**

2 **Q.** Please describe Tampa Electric's load forecasting
3 process.

4
5 **A.** Tampa Electric uses econometric models and statistically
6 adjusted engineering ("SAE") models, which are integrated
7 to develop projections of customer growth, energy
8 consumption and peak demands. The econometric models
9 measure past relationships between economic variables,
10 such as population, employment and customer growth. The
11 SAE models incorporate end-use trends into an econometric
12 model and are used for projecting average per-customer
13 consumption. Tampa Electric has consistently used these
14 models for generation planning purposes and the modeling
15 results have been submitted to the Florida Public Service
16 Commission for review and approval in past regulatory
17 proceedings and in the Ten-Year Site Plan approval
18 process. The models have proven to be accurate within
19 plus or minus three percent. MFR Schedule F-5 provides a
20 more detailed description of the forecasting process.

21
22 **Q.** What assumptions were used in the base case analysis of
23 customer growth?

24
25 **A.** The primary economic drivers for the customer forecast

1 are state population estimates, service area households
2 and Hillsborough County employment. The state population
3 forecast is the starting point for developing the
4 customer and energy projections. Both the University of
5 Florida's Bureau of Economic and Business Research
6 ("BEBR") and Moody's Economy.com provide population
7 projections for Florida. The population forecast is
8 based upon the projections of BEBR in the short-term and
9 is a blend of BEBR and Economy.com for the long-term
10 forecast. Service area households and Hillsborough
11 County employment assumptions are used to estimate non-
12 residential customer growth because they are proven
13 indicators of such growth. An increase in the number of
14 households results in a need for additional services,
15 restaurants and retail establishments. Projections of
16 employment in the construction sector are a good
17 indicator of expected trends in local construction
18 activity. Similarly, commercial and industrial
19 employment growth is a good indicator of the level of
20 activity to expect in their respective sectors.
21 Economy.com provides projections of Hillsborough County
22 households and employment by major sectors. The 10-year
23 historical and forecasted average annual growth rates for
24 these economic indicators are shown in Document No. 3 of
25 my exhibit.

- 1 Q. What assumptions were used in the base case analysis of
2 energy sales growth?
3
- 4 A. Customer growth and per-customer consumption growth are
5 the primary drivers for growth in energy sales. The
6 average per-customer consumption for each revenue class
7 is based on SAE models with three components. The first
8 component includes assumptions of the long-term
9 saturation and efficiency trends in end-use equipment.
10 The second component captures changes in economic
11 conditions, such as real household income, persons per
12 household and the price of electricity, and how these
13 factors affect a residential customer's consumption
14 level. A complete list of the critical economic
15 assumptions used in developing these forecasts is shown
16 in Document No. 3 of my exhibit. The third component
17 captures the seasonality of energy consumption. Heating
18 and cooling degree-day assumptions allocate the
19 appropriate monthly weather impacts and are based on
20 weather patterns over the past 20 years. MFR Schedule F-
21 07 provides a description and the historical and
22 projected values of each assumption used in the
23 development of the 2009 test year retail energy sales.
24
- 25 Q. What assumptions were used in the base case analysis of

1 peak demand growth?

2

3 **A.** Peak demand growth is affected by long-term appliance
4 trends, economic conditions and weather conditions. The
5 end-use and economic conditions are integrated into the
6 peak demand model from the energy sales forecast. The
7 weather variables are heating and cooling degree-days at
8 the time of the peak and for the 24-hour period of the
9 peak day. Weather variables provide the seasonality to
10 the monthly peaks.

11

12 **Q.** Does Tampa Electric assess the reasonableness of these
13 base assumptions?

14

15 **A.** Yes. The base case economic assumptions have been
16 evaluated based on a comparison of the data series'
17 historical average annual growth rates to the projected
18 average annual growth rates for the forecast period. In
19 addition, economic forecasts are compared to alternate
20 sources and evaluated for consistent trends.
21 Economy.com's projections for Florida employment by major
22 sectors and Florida real household income are compared to
23 the projections of the Office of Economic and Demographic
24 Research of the Florida Legislature. The projected
25 trends for Florida were consistent between the two

1 sources; therefore, it is reasonable to conclude that
2 Economy.com's Hillsborough County projections were also
3 reasonable.
4

5 **Q.** Were the forecasts for population growth also evaluated
6 for reasonableness?
7

8 **A.** Yes. Economy.com and BEBR's population forecasts were
9 compared and evaluated for consistency. A blend of the
10 two sources was used and provides a reasonable population
11 projection for the state of Florida.
12

13 **Q.** Why are population projections at the state level
14 preferred over the Hillsborough County or service area
15 level?
16

17 **A.** State level population projections are preferred over
18 county level projections for several reasons. Tampa
19 Electric's forecasting models show a very high
20 correlation between Florida population and residential
21 customer growth. In addition, Hillsborough County
22 represents approximately 85 percent of Tampa Electric's
23 service area but portions of Polk, Pasco, and Pinellas
24 counties are also served. Historical and projected
25 population growth rates are similar for Florida and

1 Hillsborough County; therefore, Florida population is a
2 reasonable explanatory variable to use in Tampa
3 Electric's customer models.

4
5 **Q.** Was the price of electricity included in your energy
6 sales models?

7
8 **A.** Yes. The price of electricity was included in each per-
9 customer consumption model. Document No. 4 of my exhibit
10 includes the real or inflation-free price of electricity
11 by class. The price variable was primarily used to
12 capture long-term impacts of the real price of
13 electricity. The recent increases in the real price of
14 electricity have resulted in reduced growth in
15 residential sales in the short-term and increased growth
16 as the price moderates. In order to eliminate recent
17 abnormal swings in prices, a smoothed trend of the real
18 price of electricity was used in the residential model.
19 Energy sales for the remaining sectors were not as
20 sensitive to the changes in the real price of
21 electricity.

22
23 **Q.** Historically, what has been the accuracy of the company's
24 retail energy sales forecasts?

25

1 **A.** Over the past 10 years, the average accuracy of the
2 retail energy sales forecasts, excluding the phosphate
3 sector, which is volatile year over year, is 1.1 percent.

4
5 **Q.** Have Tampa Electric's forecasting models and assumptions
6 used in developing the customer, demand and energy
7 forecasts been reviewed for reasonableness?

8
9 **A.** Yes. Itron Corporation is an industry leader that
10 provides utility forecasting software and methodologies
11 to more than 160 utilities and energy companies. Itron
12 has reviewed Tampa Electric's forecasting models and the
13 assumptions used to develop the customer, demand and
14 energy forecasts. Itron Corporation concluded that the
15 forecast models were theoretically sound with excellent
16 model statistics and modeling errors were reasonable and
17 consistent with other utilities.

18
19 **TAMPA ELECTRIC'S FORECASTED GROWTH**

20 **Q.** What is Tampa Electric's customer growth forecast?

21
22 **A.** Tampa Electric is projecting an annual average increase
23 of 15,730 new customers over the next 10 years (2008-
24 2017). This average annual increase of 2.1 percent is
25 slightly lower than the average annual growth rate of 2.6

1 percent during the past 10 years (1998-2007), as
2 reflected in Document No. 2 of my exhibit.

3
4 **Q.** What is Tampa Electric's energy sales forecast?

5
6 **A.** Retail energy sales are expected to increase at an
7 average annual rate of 2.0 percent. The primary driver
8 behind the increase in the energy sales forecast is the
9 average annual increase in customers of 2.1 percent. In
10 addition, per-customer consumption is expected to remain
11 relatively flat at an average annual rate of -0.1
12 percent, as shown in Document No. 5 of my exhibit.
13 Combining the growth in customers and per-customer
14 consumption results in the average annual rate of 2.0
15 percent. When energy sales to the phosphate sector are
16 excluded, retail energy sales are expected to increase at
17 an average annual rate of 2.1 percent. Historical and
18 forecasted energy sales are shown in Document No. 6 of my
19 exhibit.

20
21 **Q.** What is the primary driver behind the average annual per-
22 customer consumption growth rate of -0.1 percent?

23
24 **A.** The lower growth rate for per-customer consumption is
25 driven by updated economic and appliance efficiency trend

1 assumptions and the addition of Tampa Electric's new
2 conservation programs approved in 2007.

3

4 **Q.** Do higher energy prices have an energy conservation
5 effect?

6

7 **A.** Yes. Tampa Electric has seen a correlation between
8 recent increases in energy costs and a resulting
9 reduction in consumption levels. However, while the
10 reduced consumption results in decreased energy sales,
11 peak demand growth is still occurring due to the lower
12 price-elasticity of peak demand.

13

14 **Q.** Did you consider the housing slowdown in your growth
15 analysis?

16

17 **A.** Yes. The recent downturn in housing is reflected in the
18 population estimates used in the customer growth models.
19 The current slowdown in customer growth is stronger and
20 will last longer than previously expected. Tampa
21 Electric does not expect housing growth to revert back to
22 normal levels until 2010 and perhaps later.

23

24 **Q.** What is Tampa Electric's peak demand forecast for 2008
25 through 2017?

1 **A.** Summer and winter peak usage per-customer is projected to
2 remain relatively flat over the next 10 years, which is
3 consistent with recent historical growth rates as well as
4 per-customer energy consumption. Document No. 7 of my
5 exhibit shows historical and forecasted peak usage per-
6 customer for summer and winter peaks. The annual growth
7 in customers and in per-customer demand results in an
8 average annual growth rate of 2.0 percent for the winter
9 peak and a 2.1 percent growth rate for the summer peak.
10 As shown in Document No. 8 of my exhibit, peak demand for
11 the summer of 2008 is forecasted to be 4,144 MW,
12 increasing to 4,983 MW in 2017, an average increase of 93
13 MW per year. The forecasted 2008 winter peak is 4,275
14 MW, increasing to 5,129 MW in 2017, an average increase
15 of 95 MW per year. The summer and winter peak demands
16 projected for the 2009 test year are 4,206 MW and 4,345
17 MW, respectively. Summer and winter firm peak demands,
18 which have been reduced by curtailable load such as load
19 management and interruptible loads, are shown in Document
20 No. 9 of my exhibit.

21

22 **Q.** Are conservation and demand-side management ("DSM")
23 impacts accounted for in the energy sales and peak demand
24 forecasts?

25

- 1 **A.** Yes. Tampa Electric forecasts demand and energy
2 reductions for each conservation and DSM program, which
3 are aggregated to represent the total cumulative savings.
4 The total incremental savings adjust the energy sales and
5 peak demand forecasts each year.
6
- 7 **Q.** Are Tampa Electric's forecasts of customers, energy sales
8 and demand appropriate and reasonable?
9
- 10 **A.** Yes. The results have been compared to trend analyses
11 and annual multi-regression sales models. The average
12 annual growth rates for per-customer demand and energy
13 usage are compared with each other for consistency and
14 compared to historical growth rates. Summer and winter
15 load factors are reviewed to ensure proper integration of
16 the peak and energy models. The results show that the
17 load factors are reasonable compared to historical years.
18 Load factors have dropped slightly due to the loss of
19 phosphate load. The load factors are shown in Document
20 No. 10 of my exhibit. In addition, Itron Corporation has
21 reviewed the company's forecasts results and concluded
22 that they are consistent with the economic outlook and
23 with historical usage trends.
24
- 25 **Q.** Please summarize your direct testimony.

1 **A.** The purpose of my direct testimony is to present Tampa
2 Electric's customer, peak demand and energy sales
3 forecasts and the methodologies and assumptions used to
4 arrive at the projections for the 2009 test year. Tampa
5 Electric's 2007 customer base was 666,354 and is
6 projected to grow at an average annual rate of 2.1
7 percent over the next 10 years. Per-customer demand and
8 energy consumption is expected to remain relatively flat
9 over the next 10 years. Combining the growth in
10 customers and per-customer consumption, retail energy
11 sales are expected to increase at an average annual rate
12 of 2.0 percent over the next 10 years. These forecasts
13 are based on proven methodologies using appropriate and
14 reasonable assumptions. The forecasting models described
15 in my direct testimony have consistently been used by
16 Tampa Electric for generation planning purposes and the
17 results have been submitted to the Commission for review
18 and approval in past regulatory proceedings and in the
19 Ten-Year Site Plan approval process.

20
21 **Q.** Does this conclude your direct testimony?
22

23 **A.** Yes, it does.
24
25

1 **MR. HART:** Mr. Chairman, Tampa Electric Company calls
2 Mark J. Hornick.

3 MARK J. HORNICK
4 was called as a witness on behalf of Tampa Electric Company,
5 and having been duly sworn, testified as follows:

6 DIRECT EXAMINATION

7 BY MR. HART:

8 **Q** Would you please state your name and business
9 address, please?

10 **A** Yes. My name is Mark J. Hornick. My business
11 address is 702 North Franklin Street, Tampa, Florida.

12 **Q** Mr. Hornick, did you prepare and cause to be filed in
13 this proceeding prepared direct testimony consisting of 28
14 pages?

15 **A** Yes, I did.

16 **Q** Are there any changes or corrections to your prepared
17 direct testimony?

18 **A** The only change to my direct testimony is that when
19 we filed the docket my position was listed as General Manager
20 of Polk and Phillips Power Station. Since then I have had a
21 change of role. My current title is Director of Engineering
22 and Construction.

23 **Q** And attached to your direct testimony, did you
24 include a composite exhibit premarked as Exhibit MJH-1 and
25 Hearing Exhibit Number 22 consisting of five documents?

1 **A** Yes, sir, I did.

2 **MR. BEASLEY:** Mr. Chairman, we would ask that Mr.
3 Hornick's composite exhibit premarked as Exhibit MJH-1 be
4 formally identified for the record as Hearing Exhibit Number
5 22.

6 **CHAIRMAN CARTER:** For the record, show it done.
7 (Exhibit Number 22 marked for identification.)

8 BY MR. HART:

9 **Q** Mr. Hornick, do you have any changes to Exhibit 22?

10 **A** Yes, I do. One change. Subject to the filing, we
11 discovered there was an incorrect graph and that was revised on
12 Document Number 5, and it was filed with the Commission on
13 October 3rd, 2008.

14 **MR. HART:** Mr. Chairman, I would request that the
15 revised document be substituted for Number 5 in the prefiled
16 testimony.

17 **CHAIRMAN CARTER:** Have all the parties received a
18 copy of it?

19 **MR. HART:** Yes.

20 **CHAIRMAN CARTER:** Okay. Show it done.

21 BY MR. HART:

22 **Q** Mr. Hornick, did you prepare and cause to be filed in
23 this proceeding prepared rebuttal testimony consisting of 17
24 pages?

25 **A** Yes, I did.

1 **Q** Are there any changes or corrections to your prepared
2 rebuttal testimony?

3 **A** No, there are not.

4 **Q** Attached to your rebuttal testimony, did you include
5 a composite exhibit premarked as Exhibit MJH-2 and Hearing
6 Exhibit Number 82 consisting of one document?

7 **A** Yes, sir.

8 **MR. HART:** Mr. Chairman, we would ask that Mr.
9 Hornick's exhibit premarked as MJH-2 be formally identified for
10 the record at this time as Hearing Exhibit Number 82.

11 **CHAIRMAN CARTER:** You want to do the rebuttal
12 testimony? The rebuttal testimony of the witness will be
13 inserted into the record as though read, and the exhibits will
14 be noted for the record, just for the record.

15 You may proceed.

16 (Exhibit Number 82 marked for identification.)

17 **MR. HART:** We had identified both of them. I don't
18 believe that the direct testimony has been identified into the
19 record yet.

20 **CHAIRMAN CARTER:** I thought I had done that.

21 **MR. HART:** Okay.

22 **CHAIRMAN CARTER:** You said if he had any changes to
23 it if you asked him the same questions. He said his only
24 changes were on his position. He got a promotion, or a
25 demotion, or a lateral.

1 **THE WITNESS:** A lateral.

2 **MR. HART:** I apologize for the confusion, but for the
3 record, both the direct and the prefiled have been admitted
4 into the record.

5 **CHAIRMAN CARTER:** Just for the record, just out of an
6 abundance of caution and clarity, both the prefiled rebuttal
7 and direct testimony of the witness will be inserted into the
8 record as though read. And the exhibits for the witness have
9 been identified for the record. You may proceed.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**2 **PREPARED DIRECT TESTIMONY**3 **OF**4 **MARK J. HORNICK**

5
6 **Q.** Please state your name, business address, occupation and
7 employer.

8
9 **A.** My name is Mark J. Hornick. My business address is 702
10 North Franklin Street, Tampa, Florida 33602. I am
11 employed by Tampa Electric Company ("Tampa Electric" or
12 "company") in the position of General Manager - Polk and
13 Phillips Power Stations.

14
15 **Q.** Please provide a brief outline of your educational
16 background and business experience.

17
18 **A.** I received a Bachelor of Science Degree in Mechanical
19 Engineering in 1981 from the University of South
20 Florida. I am a registered professional engineer in the
21 state of Florida. I began my career with Tampa Electric
22 in 1981 as an Engineer Associate in the Production
23 Department. I have held a number of engineering and
24 management positions at Tampa Electric's power
25 generating stations. From 1991 to 1998, I was a manager

1 at Big Bend Power Station with various responsibilities
2 including serving as Manager of Operations from 1995 to
3 1998. In July 1998, I was promoted to Director, Fuels
4 where I was responsible for managing Tampa Electric's
5 fuel procurement and transportation activities.

6
7 In March 2000, I was promoted to my current role of
8 General Manager, Polk and Phillips Power Stations. I am
9 responsible for the overall operations of these two
10 generating facilities. I have broad experience in the
11 engineering and operations of power generation equipment
12 including Integrated Gasification Combined Cycle
13 ("IGCC") technology. I have served on the Electric
14 Power Research Institute's "IGCC Experts Panel". I am
15 currently the Chairman of the Gasifier Users
16 Association, an international group of users and
17 potential users of gasification technology.

18
19 **Q.** What is the purpose of your direct testimony?

20
21 **A.** My direct testimony supports the company's budgeted
22 construction capital and operations and maintenance
23 ("O&M") expenses related to generation facilities
24 included in the 2009 test year and the company's
25 generation expansion plan. I show that the amounts

1 budgeted for these items are reasonable and prudent. My
2 direct testimony discusses the resource planning process
3 used by Tampa Electric and the capital expenditures that
4 are needed for generation expansion and continued
5 operations of existing units. I also discuss the O&M
6 activities and resources needed for continued operations
7 of the company's generating assets. Finally, my direct
8 testimony discusses the variance between the O&M
9 benchmark and the test year for production.

10
11 **Q.** Have you prepared an exhibit for presentation in this
12 proceeding?

13
14 **A.** Yes, Exhibit No. _____ (MJH-1) entitled "Exhibit of Mark
15 J. Hornick" was prepared under my direction and
16 supervision. It consists of the following five
17 documents:

18 Document No. 1 List Of Minimum Filing Requirement
19 Schedules Sponsored Or Co-Sponsored
20 By Mark J. Hornick

21 Document No. 2 2009 Production Construction Budget

22 Document No. 3 2009 Production O&M Budget

23 Document No. 4 Total System Equivalent Availability
24 Factor

25 Document No. 5 Total System Heat Rate

1 **CHANGES TO GENERATING SYSTEMS**

2 **Q.** Please describe the significant changes to the Tampa
3 Electric generating system since the last rate case
4 proceeding in 1992.

5
6 **A.** There have been several significant changes to the Tampa
7 Electric generating system since 1992. In 2007, the
8 company served a retail winter peak load of 4,123
9 megawatts ("MW") compared to 2,771 MW served in 1992, an
10 increase of approximately 50 percent or 1,350 MW. To
11 meet this growing demand, the company added new
12 generation to its system beginning in 1996 at the Polk
13 Power Station. Polk Unit 1 has been named the cleanest
14 coal-fired power plant in North America, and the world
15 leader in producing electricity from environmentally
16 friendly, coal-derived synthesis gas. Polk Unit 1 is a
17 255 MW (net winter capability) coal and distillate oil
18 fueled unit utilizing IGCC technology. Its combined
19 cycle technology increases efficiency because it reuses
20 exhaust heat to produce more electricity. Sulfur is
21 removed from the gas prior to combustion. Polk Units 2
22 and 3 are 184 MW (net winter capability) dual fuel
23 (natural gas and distillate oil) simple cycle combustion
24 turbine ("CT") generating units that began commercial
25 operation in 2000. Polk Units 4 and 5 are 184 MW (net

1 winter capability) natural gas fired simple cycle CTs
2 that began operation in 2007.

3
4 As the result of environmental agreements Tampa Electric
5 made with the U.S. Environmental Protection Agency
6 ("EPA") and Florida's Department of Environmental
7 Protection ("FDEP") in late 1999 and 2000, the six coal
8 fired units at Gannon Station totaling a nominal 1,200
9 MW were removed from service in 2003. The existing
10 steam turbine generators from Gannon Units 5 and 6 were
11 integrated into two new natural gas combined cycle
12 units. The exhaust heat from three new CTs is used to
13 generate steam to power the existing Gannon 5 steam
14 turbine. This three-on-one configuration makes up
15 Bayside Unit 1, which was put into service in April
16 2003. The exhaust heat from four new CTs is used to
17 generate steam to power the existing Gannon Unit 6 steam
18 turbine. This four-on-one configuration makes up
19 Bayside Unit 2, which began operation in January 2004.
20 These new highly efficient and reliable units comprise
21 the H. L. Culbreath Bayside Power Station, a nominal
22 1,650 MW natural gas fired facility.

23
24 The changes at Bayside Power Station have resulted in
25 significant reductions in sulfur dioxide ("SO₂"),

1 nitrogen oxide ("NO_x"), particulate matter, mercury and
2 carbon dioxide ("CO₂") emissions. Besides the
3 significant emission reductions, the repowering was the
4 most cost effective alternative based on 1) the need to
5 satisfy customer demand for reliable electricity at
6 reasonable costs; 2) the ability to use existing
7 substation and transmission facilities; 3) the
8 availability of natural gas supplied from existing and
9 then-proposed natural gas pipelines in the area; and, 4)
10 the opportunity to reuse existing plant equipment.

11
12 The five oil-fired units at Hookers Point Station,
13 totaling 220 MW, which were originally constructed in
14 the 1940's and 1950's, were retired from service in
15 2002. The 12 MW oil and gas fired unit at the Dinner
16 Lake Station was also retired from service in 2006.

17
18 Significant environmental retrofit projects have been
19 completed at the Big Bend Power Station. Flue gas
20 desulfurization ("FGD" or "scrubbers") equipment was
21 added to Big Bend Units 1, 2 and 3. The scrubbers
22 remove more than 95 percent of SO₂ from the four Big
23 Bend units. Selective catalytic reduction ("SCR")
24 equipment was added to Big Bend Units 3 and 4 and will
25 be added to Big Bend Units 1 and 2 by 2010.

1 Q. Please describe the benefits of the environmental
2 retrofit projects and environmental agreements with EPA
3 and FDEP that have been undertaken since the last rate
4 case in 1992.

5
6 A. Tampa Electric is now one of the cleanest utilities in
7 the nation using coal and with no nuclear generation.
8 This is the result of an industry-leading 10-year, \$1.2
9 billion environmental improvement program that is
10 currently in its final stages of implementation. As a
11 result, by 2010, system wide NO_x emissions will be
12 reduced by approximately 90 percent below 1998 levels.
13 This significant reduction is possible due to the
14 repowering of the Gannon Station to the natural gas
15 fired Bayside Power Station and the installation of SCR
16 systems on all four Big Bend units.

17
18 By 2010, system wide emissions of SO₂ will be reduced by
19 approximately 90 percent below 1998 levels. This
20 significant reduction was the result of several
21 projects. In 1995, through the innovative efforts of
22 Tampa Electric, a project was completed to integrate the
23 flue gas from Big Bend Unit 3 with the exiting FGD
24 system on Big Bend Unit 4. This provided the required
25 level of sulfur removal at a very low cost. In 1999, an

1 innovative single tower FGD system was completed to
2 treat the flue gas from Big Bend Units 1 and 2, which
3 also provided sulfur removal at a low cost. The
4 scrubbers in service at Big Bend Power Station remove
5 more than 95 percent of the SO₂ emissions from the flue
6 gas streams. Sulfur emission reductions also resulted
7 from the repowering of the Gannon Station to the natural
8 gas fired Bayside Power Station.

9
10 By 2010, system wide emissions of mercury and
11 particulate matter will both be reduced by approximately
12 72 percent from 1998 levels. These reductions are
13 possible due to the combination of FGD and SCR system
14 installations on the Big Bend units and the repowering
15 of Gannon Station.

16
17 In addition to the reductions in regulated emissions
18 listed above, since 1998, system-wide emissions of CO₂
19 have been reduced by over 20 percent bringing emissions
20 below 1990 levels.

21
22 **PLANNING PROCESS**

23 **Q.** What process does Tampa Electric use to determine the
24 need for additional generation facilities?
25

- 1 **A.** Tampa Electric uses an Integrated Resource Planning
2 ("IRP") process. The IRP process determines the timing,
3 type and amount of additional resources required to
4 maintain system reliability in a cost-effective manner.
5 The process considers expected growth in customer
6 demand, existing and future demand side management
7 ("DSM"), and renewable/supply-side resources needed to
8 meet reliability requirements.
9
- 10 **Q.** Please describe the reliability criteria that Tampa
11 Electric utilizes to determine the need for additional
12 resources.
13
- 14 **A.** Tampa Electric utilizes a 20 percent planning reserve
15 margin reliability criteria, as required by the Florida
16 Public Service Commission ("FPSC" or "Commission") in
17 Order No. PSC-99-2507-S-EU issued in December 1999. The
18 total system firm peak is determined by including all
19 firm wholesale agreements and excluding non-firm
20 customer demand from the total system demand. Non-firm
21 demand includes all interruptible service customers and
22 DSM load reduction programs. Customers participating in
23 these voluntary programs help defer the need for
24 additional supply-side resources by reducing peak
25 demands.

1 Q. How does the company plan and manage its generation
2 projects?

3
4 A. The company utilizes long range planning tools to
5 determine its future capital projects and generation
6 plant additions. In very simplistic terms, once a need
7 for future generating capacity is identified, a project
8 team is assigned to begin project evaluations. The
9 priorities in the evaluation process include the need to
10 determine feasible alternatives, costs, schedules and
11 participants in the project. After a specific project
12 is identified as being the most cost-effective
13 alternative, it must be approved by the company's
14 management and Board of Directors. Once approved, the
15 project team executes the project to design the plant,
16 obtain permits, procure the equipment, construct, start-
17 up and commission the plant until it achieves commercial
18 operation. Throughout this process, the project is
19 managed to meet the cost, schedule and performance
20 goals.

21
22 Another phase of long range planning is the development
23 of a five-year construction budget, which identifies
24 other near term projects required to provide reliable
25 service. The capital projects in the five-year plan

1 include maintenance projects to replace existing plant
2 equipment that will affect the generating unit
3 reliability, capacity or efficiency. It also includes
4 additions of new equipment to meet new environmental
5 requirements.

6
7 The plan is modified as new information is obtained.
8 Each year the company must determine its capital plan
9 for the following year. Information regarding the
10 generating unit availability, operating conditions, new
11 regulations and environmental needs are reviewed and
12 considered for inclusion in the capital plan. Some
13 projects are not discretionary but instead are required
14 due to environmental or safety considerations, new
15 regulations, etc. Other projects are prioritized based
16 upon their relative benefits. Through a review process,
17 the projects are selected for inclusion in the next
18 year's budget. Similarly to how new generation projects
19 are managed, these projects are also initiated and
20 executed by a project team. Each project goes through an
21 estimating and approval process to ensure its benefit
22 and need. These projects are monitored for cost,
23 schedule and desired performance throughout the process
24 until they are completed and in service.

25

1 **CONSTRUCTION PROGRAM AND CAPITAL BUDGET**

2 **Q.** What are Tampa Electric's major generation construction
3 requirements through 2009?
4

5 **A.** The company's forecasted capital additions and
6 retirements are listed in MFR Schedule B-11. Tampa
7 Electric's 2008 Ten Year Site Plan indicates the need
8 for additional peaking capacity in the near term.
9 Projects are underway to add five simple cycle CTs in
10 2009. These generating units will be aero-derivative
11 CTs ("Aero CTs"), each with a nominal capacity of 60 MW.
12 The term aero-derivative indicates that this technology
13 was originally developed for aircraft engines. The Aero
14 CTs provide good efficiency with net operating heat
15 rates of 10,641 Btu/kWh (higher heating value), have low
16 emissions and have quick start capability enabling the
17 unit to start up and achieve off line to full load in 10
18 minutes. These machines offer a more economic option
19 for meeting the company's operating reserve requirements
20 than by spinning reserve, which requires keeping large
21 units running. The use of quick start CTs in lieu of
22 spinning reserve benefits customers by allowing the in-
23 service generating units to operate at higher average
24 outputs, which improves efficiency and reduces heat
25 rate.

1 One 60 MW Aero CT, Big Bend CT Unit 4, will be placed in
2 service in September 2009 at the Big Bend Power Station
3 and will have the capability to use either natural gas
4 or distillate oil as a fuel source. The electrical
5 power required to start this unit is relatively small
6 and can be provided by an on-site engine driven
7 generator. The output of Big Bend CT Unit 4 may be used
8 to provide power directly to the electric grid and
9 provide the power required to start additional
10 generating units at Big Bend Power Station. The Florida
11 Reliability Coordinating Council defines the ability to
12 energize portions of a blacked out region utilizing
13 resources independent of an energized connection as
14 "black start capability". This black start capability
15 could allow for faster restoration of electric service
16 to customers following events such as hurricanes that
17 may cause widespread damage to the electric grid. The
18 existing 10 MW Big Bend CT Unit 1, which provides black
19 start capability, is at the end of its useful life and
20 will be retired after Big Bend CT Unit 4 is placed into
21 service in 2009.

22
23 Four 60 MW Aero natural gas fired CTs will be located at
24 Bayside Power Station and will be designated Bayside
25 Units 3, 4, 5 and 6. As with the Big Bend CT Unit 4,

1 Bayside Units 3 through 6 can be started without
2 requiring an energized connection from the electric grid
3 by using on-site generators. This will provide black
4 start capability at the Bayside Power Station. Two of
5 the Bayside Aero CTs will be connected to the 69 kV
6 system to allow power from these units to start the
7 other Bayside units without an energized connection from
8 the grid external to the station.

9
10 Bayside Units 5 and 6 will be placed in service in May
11 2009. Big Bend CT Unit 4 and Bayside Units 3 and 4 will
12 be placed in service in September 2009. These five
13 generating units will provide needed generating capacity
14 and operating flexibility with a high level of
15 efficiency and environmental performance.

16
17 **Q.** What other major generation-related capital projects are
18 planned for 2009?

19
20 **A.** There are two major, non-expansion projects planned for
21 2009: the continuation of Big Bend Power Station's SCR
22 installations and the construction of rail facilities at
23 Big Bend Power Station to accommodate solid fuel
24 transportation.

25

1 Q. Please describe the Big Bend SCR installation project.

2

3 A. The EPA and FDEP agreements require that Big Bend Power
4 Station achieve certain NO_x emission reductions by 2010.
5 The company determined that the most cost-effective
6 solution was the installation of SCRs on all four units.
7 SCR technology was installed on Unit 4 in 2007; SCR for
8 Unit 3 was placed in service during summer 2008; and
9 Unit 2 and Unit 1 SCRs are scheduled to be placed in
10 service in May 2009 and May 2010, respectively. The
11 total cost for installation is expected to be \$330
12 million, which will be recovered through the
13 Environmental Cost Recovery Clause in accordance with
14 past Commission orders.

15

16 Q. Please describe the rail facilities construction at Big
17 Bend Power Station.

18

19 A. In 2007, Tampa Electric issued a request for proposal
20 for solid fuel transportation to replace its existing
21 contract that will expire on December 31, 2008. Based
22 upon final contract negotiations, the company has
23 contracted for bimodal transportation: water and rail.
24 Bimodal transportation will afford the company more
25 options to procure coal from additional sources

1 resulting in customer benefits. Since there are no rail
2 facilities for unloading coal at Big Bend Power Station,
3 they must be constructed in 2008 and 2009 for deliveries
4 to begin by January 1, 2010. Construction for this
5 project is expected to begin in late 2008. The company
6 expects to spend a total of \$45,000,000 with \$15,900,000
7 and \$29,127,000 being invested in 2008 and 2009,
8 respectively.

9
10 **Q.** What is Tampa Electric's construction capital budget for
11 production facilities in 2009?

12
13 **A.** As shown on Document No. 2 of my exhibit, the
14 construction capital budget for production facilities
15 totals \$369,593,000 for 2009. This includes
16 \$165,603,000 for recurring, non-expansion projects,
17 \$54,723,000 for the Big Bend SCR project and \$29,127,000
18 of the total project cost of \$45,000,000 for the rail
19 facilities at Big Bend Power Station. The five Aero CTs
20 are budgeted at \$114,058,000 in 2009 of the \$236,588,000
21 total project cost. The 2009 budget also includes
22 \$6,082,000 for transmission expansion associated with
23 the addition of a natural gas combined cycle unit at
24 Polk Power Station by 2013. Tampa Electric witness
25 Jeffrey S. Chronister explains the company's proposed

1 treatment of the Aero CTs and rail facilities in his
2 direct testimony.

3
4 **PRODUCTION O&M EXPENSES**

5 **Q.** What is Tampa Electric's production O&M and non-
6 recoverable fuel expense budgeted for 2009?

7
8 **A.** As shown on Document No. 3 of my exhibit, Tampa
9 Electric's total production expense (excluding
10 Environmental Cost Recovery Clause expense) budgeted in
11 2009 is \$154,292,000. One item worth mentioning is the
12 roughly \$6.9 million the company plans to spend on
13 channel dredging in 2009. Every five years, the channel
14 adjacent to Big Bend Power Station must be dredged to
15 allow vessels to deliver solid fuel to the plant
16 efficiently. As discussed by witness Chronister, the
17 company has made a pro forma adjustment to amortize the
18 expense over five years.

19
20 **Q.** How does this compare with the FPSC O&M benchmark?

21
22 **A.** As described by witness Chronister in his direct
23 testimony, the company's total 2009 O&M costs are
24 expected to be under the benchmark by \$7,693,000. This
25 is despite the many challenges the company has faced

1 since the last time O&M levels were reviewed by this
2 Commission and it demonstrates cost control efforts have
3 been able to offset increasing cost pressure over time.
4 Witness Chronister notes that the company expects its
5 2009 budgeted expense for production to be below the
6 benchmark. Specifically, the adjusted test year total
7 production O&M per company books in 2009 is
8 \$142,429,000. The adjusted test year total production
9 O&M benchmark in 1991 is \$150,122,000. The production
10 O&M benchmark calculation is shown in MFR Schedule C-37.
11

12 **Q.** How has the company managed to stay below the O&M
13 benchmark for 2009 production expenses?
14

15 **A.** Tampa Electric is focused on controlling costs and
16 ensuring that O&M dollars are spent in a prudent
17 fashion. Generating technology is selected based on
18 overall project economics that includes the expense
19 needed for operations and maintenance. Recent
20 generation additions such as the Bayside and Polk units
21 have lower O&M expense than coal-fired units.
22

23 **Q.** Over the years, what are the major factors that have
24 contributed to increase O&M needed to maintain Tampa
25 Electric's fleet of generating units?

1 **A.** There are several factors contributing to increase
2 production O&M expenses over time. The cost of
3 materials, supplies and labor have all escalated
4 significantly since the company's last rate proceeding
5 and, in many cases, dramatically in recent years. For
6 example, the cost of iron and steel has increased 88
7 percent and industrial chemicals have increased 85
8 percent over the past five years. Qualified
9 construction labor has become more difficult to secure
10 and labor costs are increasing. Labor costs have
11 increased 31 percent from January 2003 to February 2008.

12
13 Changes in generating equipment technology and
14 associated maintenance and outage costs have impacted
15 O&M expenses as well. The additions of environmental
16 control equipment to the generating units along with
17 other environmental requirements have also increased the
18 costs of O&M.

19
20 **Q.** Please define planned outages versus other types of
21 outages.

22
23 **A.** Planned outages, as the name suggests, are defined as
24 those outage periods that are anticipated and planned
25 for well in advance of the actual outage period

1 (typically at least one year in advance). Forced
2 outages, on the other hand, are not planned and
3 scheduled in advance of the outage period and can be the
4 result of an in service failure or imminent failure of
5 some generating unit component. In addition, forced
6 outages are typically short in duration and have greatly
7 reduced scope of work versus planned outages.
8 Maintenance conducted during planned outages consists of
9 large tasks that are performed infrequently and have a
10 long duration. Typical examples are steam turbine
11 inspections and repairs, replacement of large heat
12 transfer surfaces in the boiler, and refurbishment of
13 large motors and pumps. The maintenance performed
14 during these outages is required to ensure the safe and
15 reliable operation of the generating units.

16
17 **Q.** What is the impact of planned outages on Tampa
18 Electric's generating units in the test year?

19
20 **A.** The 2009 planned unit maintenance durations are shown
21 for each unit in MFR Schedule F-8 page 10 of 21. There
22 are 13 generating units with planned maintenance outages
23 scheduled in 2009. A total of 54 planned outage weeks
24 are scheduled across the 13 units. The planned outage
25 schedule varies from year to year based on the

1 maintenance requirements of each generating unit and the
2 need for adequate generating capacity in service to meet
3 demand throughout the year. The planned maintenance
4 forecasted for 2009 is typical of the past and expected
5 future planned outage requirements.

6
7 **Q.** What has been the reliability of Tampa Electric's
8 generating units over time?

9
10 **A.** The overall generating unit equivalent availability
11 factor ("EAF") has increased from approximately 75
12 percent in 1997 to the 80 percent range now. This
13 improvement was due in large part to the installation of
14 new, highly reliable units at the Polk and Bayside Power
15 Stations. Document No. 4 of my exhibit shows the total
16 system EAF from 1997 to 2007.

17
18 **Q.** What has been the efficiency of Tampa Electric's
19 generating units over time?

20
21 **A.** The heat rate of Tampa Electric's units has improved
22 from approximately 10,500 Btu/kWh in 1997 to
23 approximately 9,500 Btu/kWh. Document No. 6 of my
24 exhibit shows the total system heat rate from 1997 to
25 2007.

1 Q. How do the maintenance needs of newer generation using
2 CT technology compare with those of a conventional steam
3 unit?

4
5 A. CT technology, when used in simple cycle or in combined
6 cycle applications, provides a high level of performance
7 and low emissions but has unique maintenance challenges.
8 CTs operate at very high firing temperatures, which
9 results in high efficiency, but also places high stress
10 and thermal fatigue on the turbine components. Turbine
11 suppliers have prescribed maintenance intervals for most
12 key components in the machines that are dictated by the
13 amount of use each turbine experiences. Maintenance of
14 turbines in peaking service is typically dictated by the
15 number of accumulated starts. Maintenance of turbines
16 in intermediate or base load service is typically
17 dictated by the number of accumulated operating hours.
18 Each turbine must have the recommended maintenance
19 performed at the intervals prescribed by the equipment
20 manufacturer to ensure safe and reliable service.

21
22 Gas turbine components such as turbine blades, nozzles
23 and combustion hardware are highly engineered with
24 specialized designs and often are only available from
25 the original equipment supplier or in some limited

1 cases, a few aftermarket suppliers. Parts availability,
2 particularly on new model machines can be very limited
3 and if not managed properly, can have a detrimental
4 impact on turbine reliability and availability.

5
6 **Q.** How has Tampa Electric addressed the maintenance needs
7 of its CTs?

8
9 **A.** The CTs used by Tampa Electric at Polk and Bayside Power
10 Stations are General Electric ("GE") 7F frames and they
11 have a high level of performance and low emissions. The
12 availability of parts and technical support services for
13 these machines is very limited; therefore, Tampa
14 Electric entered into contractual services agreements
15 ("CSAs") with GE to perform ongoing maintenance of these
16 turbines. Under these agreements, GE is responsible for
17 supplying maintenance services and parts necessary to
18 perform all planned and unplanned maintenance on the
19 covered units in order to keep them in good working
20 condition and in an effort to maintain availability and
21 reliability while operating in a cost-effective and safe
22 manner.

23
24 **Q.** What are the benefits of using CSAs for the ongoing
25 maintenance needs of Tampa Electric's CTs?

1 **A.** Under CSAs, the availability of spare parts is improved
2 and the inventory requirements for these parts are
3 reduced. The risks of cost increases due to reduced
4 maintenance interval requirements, parts life risk and
5 fallout from inspection are borne by GE. Unplanned
6 maintenance expense and the management of maintenance
7 services including subcontracting qualified craft labor
8 and providing technical support are also GE's
9 responsibility. Maintenance costs are levelized and
10 escalation rates are pre-negotiated.

11
12 **Q.** Are contractual services agreements an accepted industry
13 practice for the maintenance of CTs?

14
15 **A.** Yes. It is a common practice for CT operators to enter
16 into CSAs with the original equipment supplier.
17 According to GE, 504 of the 590 operating 7F class CTs
18 in North America are covered by CSAs. In the southern
19 region of the United States, 307 of the 334 units are
20 covered by CSAs.

21
22 **Q.** Has Tampa Electric taken other measures to control
23 generation O&M costs over this same period?

24
25 **A.** Yes. Tampa Electric has taken a number of steps to

1 ensure that its team members are safe, productive and
2 focused on the right priorities while managing costs.
3 Some of the key measures are in the areas of safety,
4 staffing and productivity, and operating goals and
5 priorities.

6
7 Tampa Electric emphasizes safety over all other
8 considerations. Considerable effort has been placed on
9 safety improvements across the entire company, including
10 in Energy Supply, which implemented programs to deal
11 with hazard elimination and personal safety behavior
12 improvement. The company investigates safety incidents
13 and near miss events to determine the root cause and
14 appropriate corrective actions. The company observes
15 team members while performing tasks to reinforce
16 positive safety behaviors and coach them on
17 opportunities to improve. These efforts have reduced
18 the Occupational Safety and Health Administration
19 recordable injury rates, which represents the annual
20 number of recordable incidents per 100 employees, in the
21 Energy Supply area from 3.80 in 2003 to 1.43 in 2007,
22 which is a 68 percent reduction.

23
24 Staffing levels in Energy Supply have been reduced from
25 over 1,000 in 1991 to an estimated 807 in 2009. This

1 reduction took place during a period when net generation
2 increased by nearly 1,000 MW and was accomplished
3 through efficiency improvements and by the installation
4 of less O&M intensive generating technologies such as
5 the conversion from Gannon Station's coal-fired
6 generation to Bayside Power Station's gas-fired
7 generation. Front line craftsmen are trained and
8 encouraged to perform tasks outside of traditional
9 boundaries safely. In cooperation with the collective
10 bargaining unit at the Big Bend and Bayside Power
11 Stations, team members now perform maintenance and
12 operation tasks as needs dictate without barriers from
13 prior strict work rules. A pay-for-skills system
14 encourages team members to learn and apply key skills in
15 addition to their primary maintenance craft at the Polk
16 and Phillips Power Stations. For example, a team member
17 who has a core skill in mechanical maintenance may learn
18 certain skills traditionally limited to electricians.
19 When a task involves both mechanical and electrical work
20 elements, one team member is able to complete the work,
21 which improves overall workforce efficiency and
22 productivity and allows for reduced staffing levels.

23
24 Tampa Electric ensures team members' priorities are
25 aligned with business goals by setting business goals at

1 the company level, which are in turn supported by goals
2 at the department and business unit level. Team members
3 can receive incentive pay known as Success Sharing if
4 certain goals are met. Progress on goal achievement is
5 regularly reviewed with team members. All of these
6 actions have contributed to the company's ability to
7 control costs while still providing reliable service to
8 customers.

9
10 **Q.** Please summarize your direct testimony.

11
12 **A.** Tampa Electric serves a retail peak load of 4,123 MW
13 compared to almost 2,800 MW served in 1992. To meet
14 this growing demand, the company added new generation to
15 the system beginning in 1996 at the Polk Power Station.
16 The company has also made significant investments in
17 environmental projects including the repowering from
18 coal to natural gas at Bayside Power Station and the
19 installation of scrubbers and SCRs at Big Bend Power
20 Station. The production capital construction and O&M
21 expenses projected for 2009 are reasonable, prudent and
22 below the FPSC O&M benchmark. The budgets were
23 developed and include expenditures that will improve
24 heat rate, prevent forced outages and help ensure the
25 availability of efficient, reasonably priced generation

1 for customers.

2

3 Q. Does this conclude your direct testimony?

4

5 A. Yes, it does.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE PUBLIC SERVICE COMMISSION**2 **REBUTTAL TESTIMONY**3 **OF**4 **MARK J. HORNICK**

5
6 **Q.** Please state your name, business address, occupation, and
7 employer.

8
9 **A.** My name is Mark J. Hornick. My business address is 702
10 North Franklin Street, Tampa, Florida 33602. I am
11 employed by Tampa Electric Company ("Tampa Electric" or
12 "company") as Director, Engineering and Construction.

13
14 **Q.** Are you the same Mark J. Hornick who filed direct
15 testimony in this proceeding?

16
17 **A.** Yes I am.

18
19 **Q.** What is the purpose of your rebuttal testimony?

20
21 **A.** The purpose of my rebuttal testimony is to address errors
22 and shortcomings in the prepared direct testimony of Mr.
23 Helmuth W. Schultz III and Mr. Hugh Larkin, Jr. CPA,
24 testifying on behalf of the Citizens of the State of
25 Florida, and Mr. Jeffry Pollock, testifying on behalf of

1 the Florida Industrial Power Users' Group ("FIPUG"). Mr.
2 Larkin reaches incorrect conclusions about the company's
3 dredging expense, combustion turbines, and rail
4 facilities. Messrs. Schultz and Pollock reach incorrect
5 conclusions about the company's scheduled outages and
6 overall generation maintenance plans and associated
7 expenses.

8
9 **Q.** Have you prepared an exhibit supporting your rebuttal
10 testimony?

11
12 **A.** Yes I have. My Rebuttal Exhibit No. ___ (MJH-2) consists
13 of one document, "Total Planned Outages - All Plants",
14 which was prepared by me or under my direction and
15 supervision.

16
17 **BIG BEND CHANNEL DREDGING**

18 **Q.** Is the dredging of the Big Bend shipping channel in 2009
19 necessary and appropriate?

20
21 **A.** Yes. The delivery of solid fuel to Big Bend Station is
22 currently performed using waterborne vessels. The
23 shipping channels near the station accumulate sediment
24 over time, which eventually impedes the vessels' ability
25 to navigate when fully loaded. Tampa Electric's

1 experience has shown that dredging needs to occur about
2 every five years. The dock area and channels were
3 dredged in 1992, 1997 and again in 2002. Without
4 dredging in 2009, vessels will need to be "light loaded"
5 to reduce their required draft to navigate the channel.
6 The light loading of vessels will result in
7 transportation inefficiencies and increased fuel costs in
8 the form of financial penalties for waterborne fuel
9 transportation. Furthermore, Tampa Electric has a
10 contractual obligation with United Maritime Group to
11 maintain the Big Bend channels to accommodate vessels to
12 a draft of 33 feet.

13
14 Dredging of the inlet canal is also needed in 2009 due to
15 silt and sediment accumulation at the circulating water
16 pump inlets. This accumulation reduces unit efficiency,
17 thereby increasing fuel costs, and causes additional
18 maintenance expense.

19
20 Q. On page 30 of his direct testimony, Mr. Larkin argues
21 that the company's estimated dredging costs for 2009 are
22 too high compared with past years' expenses. What is the
23 basis for the company's cost estimate for dredging in
24 2009?

25

1 **A.** The company's estimate is based on a realistic view of
2 the dredging projects needed in 2009. The company's cost
3 estimate for dredging is \$6.9 million, which consists of
4 \$5.5 million for the shipping channel dredging, \$1
5 million for the inlet canal dredging, \$200,000 for the
6 terminal dock area dredging and \$200,000 for required
7 aids to navigation maintenance.

8
9 There are several reasons for the higher costs than in
10 prior years. In previous years' dredging projects, the
11 spoil material removed from the channel was conveyed to
12 disposal areas adjacent to the Big Bend Station. This
13 has been efficient and low in cost. With each successive
14 dredge, the available storage at adjacent disposal areas
15 has been depleted. The disposal areas are currently
16 about 80 percent full and there is not enough capacity to
17 store the volume of dredge material that will be removed
18 in 2009. The additional cost of expanding an existing
19 disposal area or paying for off-site spoil disposal was
20 included in the 2009 budgeted amount. Also, the estimate
21 from the dredging contractor to perform the work has
22 increased significantly since 2002. All of these factors
23 are reflected in the \$6.9 million estimate for the
24 dredging project.

25

1 Q. How did Tampa Electric estimate the 2009 cost for
2 dredging?

3
4 A. The company estimated the quantity of material to be
5 dredged in the shipping and inlet channels based upon
6 preliminary hydrographic surveys and past dredging
7 experience and then obtained estimates for this work from
8 a local dredge/marine contractor. The company compiled
9 estimates for other costs that accompany dredging
10 including dike integrity testing, surveys, and other
11 costs based upon the company's last dredging project.
12 Because the adjacent disposal areas cannot handle
13 additional dredge material, an additional cost was added
14 to the estimate either to increase the dikes on one of
15 the local disposal areas or to account for offsite
16 disposal. Finally, since there are currently two users
17 of the channel, many of the costs are expected to be
18 shared between Tampa Electric and the Mosaic Company.
19 Only the company's portion of dredging costs is reflected
20 in the 2009 projections.

21
22 Q. How do you respond to Mr. Larkin's argument that
23 according to the company's five year dredging cycle,
24 dredging should have occurred in 2007 and therefore, it
25 is not needed in 2009?

1 **A.** While the company's experience has been that the Big Bend
2 channels need to be dredged every five years, it is not a
3 hard and fast rule. In 2007 as the company evaluated the
4 need to dredge, it made the determination that since it
5 was not incurring "light loading" penalties from its
6 waterborne carrier, it could wait for a year or two
7 before incurring dredging expense. The last dredging was
8 completed in late 2002 and the company expects to begin
9 work in early 2009 so the interval will be just over six
10 years. Certainly Mr. Larkin would not suggest that Tampa
11 Electric should have gone ahead and incurred almost \$7
12 million of dredging expense in 2007, just because five
13 years had lapsed since the last dredging project. To
14 suggest that because the company deferred dredging beyond
15 2007 so there is not a need to dredge in 2009 is
16 illogical. As with most decisions that the company must
17 make, Tampa Electric manages its overall business needs
18 and available resources to ensure it is providing the
19 best service at reasonable rates. This decision to delay
20 dredging until 2009 was no different.

21
22 Dredging the Big Bend channels in 2009 is necessary and
23 the company has reasonably estimated its share of
24 dredging expense at \$6.9 million. After this project is
25 completed, the company will continue to monitor the

1 condition of the channel. It will most likely not need
2 to be dredged for another five years.

3
4 **ANNUALIZATION OF COMBUSTION TURBINES**

5 **Q.** In Mr. Larkin's direct testimony regarding the addition
6 of the combustion turbines ("CTs") in May and September
7 of 2009, he concludes that "if, in fact, these combustion
8 turbines are necessary and used and useful, the Company
9 must be projecting additional sales so that the
10 utilization of the combustion turbines is a necessary
11 addition to the Company's generation." Please comment on
12 his conclusion.

13
14 **A.** The CT peaking unit additions in 2009 are primarily
15 needed to ensure the reliability and operating efficiency
16 of the system, not to increase the sales of electricity.
17 These peaking units, as the description suggests, will
18 serve the demand of customers at peak periods of time.
19 They will replace the existing CTs at Big Bend Station
20 and provide additional peaking capacity. The energy
21 sales from these machines will be relatively small and
22 have been included in the test year projections for
23 energy production.

24
25 **Q.** What other benefits will the five CTs provide?

1 **A.** As described in my direct testimony, in addition to
2 meeting peak demand, the 2009 CTs will provide black
3 start and quick start capability. The quick start
4 capability (capability to go from off line to full load
5 in 10 minutes) meets the operating reserve requirement
6 criteria with machines that are off line but ready to
7 start at a moments notice. Without this capability, the
8 generating units that are in service would need to be
9 operated at less than maximum capacity to insure that
10 they can increase output to meet the reserve requirement.
11 This is known as "spinning reserve".

12
13 **Q.** Please address Mr. Larkin's assertion on page 18 that
14 "there are cost savings which the Company did not reflect
15 in the annualization of these units."

16
17 **A.** He is incorrect and it appears he misunderstood my
18 statement that "these machines offer a more economic
19 option for meeting the company's operating reserve
20 requirements than by spinning reserve, which requires
21 keeping large units running." The benefits come to
22 customers primarily by way of fuel savings, which are not
23 the subject of this proceeding. These fuel savings are
24 made possible by enabling the company to operate its
25 generating units in a more efficient manner. There are

1 no significant O&M savings to capture in 2009 projections
2 as Mr. Larkin suggests.

3
4 **ANNUALIZATION OF BIG BEND STATION RAIL FACILITIES**

5 **Q.** Mr. Larkin's direct testimony regarding the Big Bend
6 Station rail facilities concludes, "Reduced fuel costs
7 will stimulate additional sales and thus, provide a
8 return on the Company's investment." Do you agree with
9 his conclusion?

10
11 **A.** No I do not. The Big Bend Station rail facilities are
12 needed to cost effectively and reliably transport solid
13 fuel by rail as described in Tampa Electric witness Joann
14 Wehle's rebuttal testimony. The reduction in fuel costs
15 would have very little, if any, impact on the sales of
16 energy. The facilities are not being constructed to
17 enhance electric sales; they are being constructed to
18 help ensure the lowest delivered cost for coal and
19 petroleum coke.

20
21 **Q.** Will the rail facilities include a train loading
22 structure, a more costly option, as Mr. Larkin describes
23 in his direct testimony?

24
25 **A.** No. The rail facilities are being designed and built to

1 only unload solid fuel from rail cars. An option to add
2 train loading equipment was depicted on one of the
3 general arrangement drawings; however, this option is not
4 being pursued and there are no costs for rail loading
5 included in the company's 2009 estimated costs for this
6 project.

7
8 **GENERATING UNIT OUTAGES AND MAINTENANCE EXPENSES**

9 **Q.** Are there other shortcomings in Mr. Pollock's analysis
10 related to generation outages and maintenance expenses?

11
12 **A.** Yes. His testimony and analysis contains several factual
13 errors. He simply averages scheduled outage expenses for
14 2003 through 2009 and concludes this amount represents
15 future maintenance expenses. The calculation is flawed
16 in many respects and it in no way reflects the company's
17 expected costs for generation maintenance.

18
19 **Q.** Please describe in more detail Mr. Pollock's errors.

20
21 **A.** Mr. Pollock's analysis contains three errors. First, he
22 ignores my direct testimony where I describe several
23 significant factors that have contributed to increased
24 production O&M expenses including 1) the cost of
25 materials and supplies have increased dramatically in

1 recent years, 2) qualified construction labor has been
2 expensive and difficult to secure, and 3) the increased
3 costs associated with operating environmental control
4 equipment on the generating units along with other
5 environmental requirements. Mr. Pollock's analysis does
6 not adjust historical expenses for known escalations.

7
8 Second, his simple averaging approach focuses only on
9 planned outage expense and ignores forced outage and
10 routine (non-outage) maintenance expense. To only focus
11 on one aspect of overall generation maintenance expense
12 is not appropriate.

13
14 Third, his analysis concludes that the total number of
15 planned outage weeks in the test year is not
16 representative of a normal year based on historical
17 comparisons. While the 2009 planned outage weeks are
18 slightly higher than other years, they are reasonable
19 given Tampa Electric's existing and future generating
20 fleet maintenance needs.

21
22 **Q.** The first flaw you identified is easily understandable.
23 Please explain Mr. Pollock's second flaw in more detail.

24
25 **A.** Not only does Mr. Pollock calculate his proposed outage

1 expense using a simple arithmetic average of planned
2 outage expenses from 2003 through 2009 while completely
3 ignoring escalation, he also fails to recognize the
4 relationship between planned outage expense, forced
5 outage expense and routine (non-outage) maintenance
6 expense. During years with lower than average planned
7 outages, there will generally be higher levels of forced
8 outage and non-outage maintenance expense simply because
9 the units are operating more and there are more
10 opportunities for in-service failures and routine non-
11 outage needs. Conversely, forced outage or non-outage
12 expenses are not incurred when a unit is out of service
13 during a planned outage. It is not appropriate to single
14 out and reduce one category of maintenance expense
15 without evaluating overall maintenance impacts.

16
17 **Q.** Please describe Mr. Pollock's third flaw in his analysis
18 and recommended disallowance.

19
20 **A.** Mr. Pollock's testimony contains several factual errors.
21 On page 8, lines 16 and 17, Mr. Pollock states, "Overall
22 plant outages would increase from 43 weeks in 2008 to 54
23 weeks in 2009." The total planned outage weeks budgeted
24 for 2008 are 48.5 weeks, not 43 weeks. He repeats this
25 error on page 9, line 14 and in his exhibit JP-1 on page

1 2 of 2. This error leads to an incorrect conclusion that
2 the planned outage weeks in 2009 are much higher than in
3 2008.

4
5 On page of 8, lines 21 and 22 of Mr. Pollock's testimony,
6 he incorrectly states, "The last time two major Big Bend
7 outages occurred in the same years was in 2006 when Units
8 1 and 3 were both down for major inspection outages." In
9 fact, there were two major Big Bend outages in 2007 when
10 Big Bend Unit 4 had a major outage which included the
11 tie-in work on the selective catalytic reduction ("SCR")
12 equipment in the spring and Big Bend Unit 3 began its
13 major outage in the fall with 6.15 weeks in 2007 and then
14 into 2008.

15
16 Finally, in his exhibit JP-1 on page 2 of 2, Mr. Pollock
17 shows the total planned outage weeks in 2004 as 28.9.
18 The number of total planned outage weeks was actually
19 29.1 as provided in the company's response to FIPUG's
20 First Set of Interrogatories No. 1.

21
22 Q. But isn't it true that the recent outages at Big Bend
23 Station have been due to SCR installations and should not
24 be considered normal and recurring types of outages?

25

1 **A.** It is true that since 2007 Tampa Electric has been and
2 will continue installing SCRs on all four Big Bend units.
3 This work will be complete in April 2010. However, while
4 these units have been out of service for environmental
5 equipment installation purposes, other routine
6 maintenance has also been performed to optimize overall
7 outage time on the company's most cost effective units.
8 While SCR installations will not occur after 2010, other
9 routine maintenance will continue annually.

10
11 **Q.** Mr. Pollock concludes that production O&M expense in the
12 test year is overstated because it reflects an abnormal
13 number of scheduled outages. Are the number of scheduled
14 outages in the test year reasonable compared to the
15 number of expected scheduled outages in future years?

16
17 **A.** Yes they are. The overall generation scheduled outages
18 for the years 2008 through 2011 are shown in detail on
19 Document No. 1 of my rebuttal exhibit. It shows that the
20 number of outage weeks per year will range from 45 to 54
21 weeks and will average 48.4 weeks. It is true that the
22 planned outage duration for 2009 is greater than that for
23 2008, 2010 and 2011 but it is not unreasonable.

24
25 While Mr. Pollock focuses specifically on Big Bend

1 Station, the company's projected generation outages are
2 driven not only by planned outages at Big Bend Station
3 but also by planned outages at Bayside and Polk Power
4 stations. Bayside Station Units 1 and 2 are scheduled
5 for major planned outages in 2011 and 2012. At Polk
6 Power Station, Polk Unit 1 is scheduled for a major
7 outage in 2012. The four CT's at Polk Power Station are
8 also scheduled for outages over the next several years.
9 Finally there will be scheduled outage requirements for
10 the five new CT's following their installation in 2009.

11
12 **Q.** To summarize, do you agree with Mr. Pollock's analysis
13 and conclusions recommending that Tampa Electric recover
14 only \$12.2 million for planned outages rather than the
15 company's projected \$20.2 million?

16
17 **A.** No. His analysis is flawed and incomplete. Overall, the
18 test year's scheduled outage O&M expenses of \$20.2
19 million are reasonable and prudent for inclusion.

20
21 **Q.** Did you find any errors in Mr. Schultz's testimony as it
22 relates to generation outages and production costs?

23
24 **A.** Yes I did. Mr. Schultz performed an analysis of
25 generation maintenance expense using historical expenses

1 from 2003 through 2009 for the three generation
2 maintenance accounts 511, 512 and 513 and compared these
3 to the budgeted test year expenses to determine
4 reasonableness. Unlike Mr. Pollock, he did index
5 historical expenses to account for escalation using
6 published indices. However, when he compared historical
7 data with the company's 2009 projected expenses, he did
8 not recognize that Account 511 was abnormally high due to
9 the Big Bend channel dredging expense. As I described
10 above, the company expects to incur a \$6.9 million
11 expense for dredging and the entire amount was included
12 in Account 511 for 2009. Since channel dredging
13 typically occurs every five years, the company
14 subsequently made a pro forma adjustment to remove \$5.5
15 million of the \$6.9 million to reach an annual amount of
16 \$1.4 million. Therefore, the effective 2009 total
17 generation maintenance expense (the total of Accounts
18 511, 512 and 513) is \$63.631 million, not \$69.151 million
19 as shown on his exhibit. Once this correction is made,
20 Mr. Schultz's allowable expenses of \$60.671 million
21 should be compared to the adjusted expense total of
22 \$63.631 million. Mr. Schultz's own methodology (which
23 the company disagrees with) would only result in a
24 recommended disallowance of \$2.96 million, which is less
25 than five percent of company's projected generation

1 maintenance expenses included in the 2009 test year. The
2 company based its projected expense on better known
3 information and it is appropriate, even when compared to
4 the historical averaging method used by Mr. Schultz.

5
6 **SUMMARY OF REBUTTAL TESTIMONY**

7 **Q.** Please summarize your rebuttal testimony.

8
9 **A.** My rebuttal testimony points out errors and shortcomings
10 in the testimonies of Messrs. Schultz, Larkin, and
11 Pollock. Their assumptions and calculations had several
12 errors that led them to incorrect conclusions about the
13 Big Bend Station rail facilities, the five CTs scheduled
14 to go in service in May and September 2009, and
15 generation outage schedules and expenses for 2009. None
16 of their recommended adjustments are appropriate.

17
18 **Q.** Does this conclude your rebuttal testimony?

19
20 **A.** Yes, it does.
21
22
23
24
25

1 BY MR. HART:

2 Q Mr. Hornick, please summarize your direct and
3 rebuttal testimony.

4 A I will be glad to.

5 Good afternoon, Commissioners. My direct testimony
6 supports the company's activity related to power generating
7 facilities in the 2009 test year and the company's generation,
8 investment, and expansion plan.

9 Tampa Electric's generating fleet has undergone
10 substantial changes since the last rate case proceeding in
11 1992. We have increased the generating capacity of our system
12 by 25 percent from approximately 3,600 megawatts in 1993 to
13 4,500 megawatts in 2008. The aging oil-fired units at Hookers
14 Point Station have been decommissioned and the coal-fired
15 Gannon Station has been repowered to the natural gas combined
16 cycle Bayside Power Station. We have also constructed the Polk
17 Power Station consisting of Polk Unit 1, which has been rated
18 the cleanest coal-fired power plant in North America, and four
19 simple-cycle combustion turbines to serve our customers'
20 peaking needs. These changes have improved the reliability and
21 efficiency of our generating mix and have given us a more
22 diversified fuel mix.

23 The environmental profile of our generating fleet has
24 improved dramatically since the last rate case proceeding. The
25 major additions of environmental control equipment at Big Bend,

1 the repowering of coal-fired Gannon to gas-fired Bayside, and
2 the addition of clean generation at Polk have greatly reduced
3 system emissions. These changes represent significant benefits
4 to our customers and our community.

5 The company plans to install five aero-derivative
6 simple cycle combustion turbines in 2009, each with a nominal
7 capacity of 60 megawatts. These units will help ensure that
8 there is an adequate generating reserve margin during peak
9 periods and provide other customer operating benefits. They
10 have rapid start capability, meaning they can come from
11 off-line to full load in less than ten minutes. They also
12 provide black start capability, meaning that they can
13 self-start in the event of loss of power on the electric grid.

14 The flexibility provided by these new units will
15 allow us to operate the entire generating system more
16 efficiently. This will result in savings for our customers
17 with greater system reliability.

18 Tampa Electric also continues to be focused on
19 prudent spending and cost control. The company's budgeted
20 generation-related O&M spending for 2009 is \$7.7 million below
21 the Commission's benchmark level. The budgeted expenses
22 represent prudent activities to ensure safe reliable operations
23 of the generating units to meet the needs of our customers in
24 the future.

25 Finally, my rebuttal testimony points out errors and

1 shortcomings in the intervenor testimonies concerning the Big
2 Bend rail facility, the combustion turbine additions, and
3 generating unit outage and maintenance expense for 2009. The
4 intervenors' assumptions and calculations included several
5 errors that led them to incorrect conclusions. None of the
6 recommended adjustments are appropriate and they should not be
7 adopted by the Commission.

8 This concludes my summary.

9 **CHAIRMAN CARTER:** Thank you.

10 **MR. HART:** Mr. Hornick is tendered for
11 cross-examination.

12 **CHAIRMAN CARTER:** Ms. Christensen, you're recognized.

13 CROSS EXAMINATION

14 BY MS. CHRISTENSEN:

15 **Q** Good afternoon, Mr. Hornick. Let me direct you to
16 Page 12 of your direct testimony. On Page 12, you talk about
17 the five new CTs that Tampa Electric is planning to have come
18 on-line. And starting at Line 18 through Line 21, isn't it
19 correct your testimony says, "These machines offer a more
20 economic option for meeting the company's operating reserve
21 requirements than by spinning reserves which requires keeping
22 large units running."

23 **A** Yes, that's correct. That's what it says.

24 **Q** Now, if the large units are no longer running to meet
25 spinning reserve requirements, there would be costs or savings

1 related to fuel, isn't that correct?

2 **A** Yes, there would be fuel cost savings. Probably to
3 state it more clearly, the large units would still be running,
4 but they would be running -- when they have to meet spinning
5 reserve requirements, they would run at less than their maximum
6 output such that they could be ready to increase output should
7 the need for operating reserves be called upon.

8 With the new aero-derivative turbines, they can
9 actually meet that criteria even off-line. The fact that they
10 can start and come to full load in less than 15 minutes,
11 actually less than ten minutes, the reserve requirement is 15,
12 allows us to satisfy that criteria. With that in place, we can
13 operate the larger units at a higher net output, which is also
14 a more efficient operating place for them to run. That will
15 save fuel costs and reduce fuel expense for our customers.

16 **Q** Let me turn to dredging costs.

17 Mr. Hornick, wasn't it correct that you were asked to
18 produce in OPC's Production of Documents Request Number 100 a
19 bid that the company received for dredging costs in 2009?

20 **A** I believe that was the request, yes.

21 **Q** And in response to the Request for Production of
22 Documents, the company stated that it provided all
23 documentation regarding bids that the company received for
24 dredging for costs for 2009. Is that correct?

25 **A** Yes. I believe there were some 300 pages of invoices

1 that were provided under that production of documents.

2 Q On Page 4 of your direct testimony, Line 20 -- excuse
3 me, I think that's rebuttal testimony. You stated that also
4 the estimate from the dredging contractor to perform the work
5 has increased significantly since 2002. Wouldn't it be correct
6 that in response to the Production of Document Request Number
7 100 you did not provide any bid documentation regarding
8 dredging contractors for 2009?

9 A Yes, that is correct. The wording of the request was
10 such that it asked for a -- I'm trying to remember the exact
11 wording -- a bid for the 2009 dredging. The document that we
12 used as a basis of our estimate was a cost proposal that was
13 provided in December of 2006, if I remember correctly, and I
14 believe we provided that as a late-filed exhibit subsequent to
15 my deposition.

16 Q So it would be correct to say that the company does
17 not have any competitive bids showing the costs for dredging
18 for 2009?

19 A That's correct. We do not have bids that have been
20 solicited and received in 2009 for that work.

21 Q Okay. And it would be also correct to say that the
22 company has not actually solicited for competitive bids for the
23 2009 dredging costs.

24 A That is correct. At this point in the project we
25 have not solicited bids. We have been working the engineering,

1 have been going out for permits, so we haven't gotten to that
2 stage in the process yet.

3 Q So you would agree, Mr. Hornick, that the Company's
4 amount of 6.9 million for the dredging costs in 2009 was
5 calculated by either yourself or somebody under your direction
6 at Tampa Electric?

7 A Yes.

8 Q And would it also be correct that the basis of the
9 5.5 million for the shipping channel dredging costs which you
10 show on Page 4, Line 4 of your rebuttal testimony, is a
11 calculation that you or either someone else under your
12 supervision made?

13 A Yes, that is true. It is a calculation that we made.
14 It was based on information that we had. However, it was based
15 on the cost per yard of dredging that was obtained in late
16 2006. Also part of that calculation is the amount of material
17 that must be removed to dredge the channel to the required
18 depth, and we had performed or had performed for us
19 hydrographic surveys that estimated the amount of cubic yards
20 of material that would need to be removed. So those two
21 elements went into the \$5.5 million cost estimate. In addition
22 to that, there was an allowance made for disposal of spoil
23 material that made up an additional part of that \$5.5 million.

24 Q Okay. Referring to the one million dollar for inlet
25 channel dredging costs which you state on Line 4 and 5 of Page

1 4 of your rebuttal testimony, that is also a calculation you
2 made, correct?

3 A Yes. Again, that's a calculation that we made. It
4 was based on the cost estimate, the cost proposal that we got
5 for the charge to remove a certain number of cubic yards, and
6 it was also based on a hydrographic survey that estimated the
7 number of yards present to be removed.

8 Q And, likewise, the \$200,000 number for terminal
9 docking area dredging, and the 200,000 for required aids to
10 navigational maintenance is based on Tampa Electric's own
11 calculated estimate rather than a competitive bid, correct?

12 A Yes, that is correct. The \$200,000 for the terminal
13 dock dredging area, once again, was based on that cost per yard
14 and the estimate of the number of yards present. The \$200,000
15 for maintenance for required navigation was based on our
16 internal folks, their assessment of the needs to repair the
17 facilities. That estimate was developed by those folks.

18 Q Mr. Hornick, you indicated that the disposal area at
19 the Big Bend plant is 80 percent full, is that correct?

20 A Yes. We actually have two disposal areas that were
21 created when the station was built for the purpose of disposing
22 of spoils from channel dredging. Those two areas over time
23 have become more and more used up, and at this point they are
24 about 80 percent full to their capacity.

25 Q And would it be correct that the company did not have

1 an outside study conducted to determine that the Big Bend
2 disposal area is 80 percent full?

3 **A** I'm not sure that's totally correct. In terms of a
4 study, I don't believe we commissioned a study to ascertain
5 that, but we did provide and contract for, I believe, it was
6 aerial survey techniques that would allow us to accurately
7 assess the volume, the original volume and the used volume in
8 those areas. So we did have assistance from outside companies
9 in that calculation.

10 **Q** But, essentially, the determination was made by the
11 company that the disposal area was 80 percent full, is that
12 correct?

13 **A** Based on the -- yes, that's correct, but it was based
14 on the aerial survey and assessment of the actual amount of
15 material in those disposal areas.

16 **Q** Now, isn't it correct that the 2002 dredging costs
17 included the cost of an engineering firm that evaluated the
18 spoils area and the existing dyke and outlet structure
19 evaluation at Big Bend station?

20 **A** I'm not familiar with that specific charge. It
21 doesn't sound unreasonable, but I don't have direct knowledge
22 of it.

23 **Q** Okay. Has the company used the Big Bend disposal
24 area for dredging purposes since 1970?

25 **A** Yes, we have.

1 **Q** And would it be correct that the company has utilized
2 the Big Bend disposal area for approximately 32 years?

3 **A** Yes. I'm trying to remember the dates. Big Bend
4 Unit 1 went into service in 1970. I can't recall the first
5 time that the channel was dredged at that point. But, yes, we
6 have used those disposal areas for spoil disposal since the
7 station was built.

8 **Q** Okay. If the company dredges the channel every five
9 years, that would mean the company has disposed of material in
10 that area approximately 6.5 times. Would that be correct?

11 **A** Roughly. That sounds right subject to check. I
12 don't have the total history in front of me, but, yes, our
13 practice and experience has been about every five years those
14 channels need to be dredged.

15 **Q** Okay. And just some back-of-the-envelope
16 calculation, if the landfill is 80 percent full and it has been
17 used approximately 6.5 times in the last 32 years, wouldn't it
18 be correct that each dredging disposal filled the landfill
19 approximately 12.5 percent?

20 **A** The mathematics of that appear to be correct.
21 However, we have on one of the disposal areas periodically
22 removed some of the spoils from there. So it's a little more
23 complicated calculation than you suggest, because there has
24 been material removed over time, a fairly small portion.

25 **Q** Okay. Well, based on the 80 percent remainder usage,

1 if the landfill still has 20 percent capacity for disposal of
2 sediment, why would it be necessary to incur additional costs
3 for disposal of silt and sediment if there is still adequate
4 capacity remaining?

5 **A** It has to do with the way hydraulic dredging is
6 performed. You contract with a company that goes out in the
7 channel, they use a large pipe that syphons or suctions the
8 spoiled material from the bottom. That is then pumped to a
9 disposal area. That disposal area is going to receive not only
10 the spoil material, but the water that goes along with that
11 process, and you have got to have adequate storage in the
12 disposal area not only for the solid material, but for the
13 water and a sufficient resonance time to allow that spoiled
14 material to settle out. The clean water then transits across
15 the spoil over a weir and is recirculated back to the bay.

16 So, the calculation -- typically what we assume is to
17 perform dredging, and to use a disposal area you actually need
18 about three times the storage volume of the solid material to
19 be able to effectively use that dredge area for hydraulic
20 dredging, allowing for that water and the settling time.

21 **Q** Have you provided a calculation of the estimated
22 sediment for 2009?

23 **A** I'm trying to recall if we have provided it in the
24 hearing. Certainly we have an estimate. It is a little over
25 300,000 cubic yards. I'm not sure if that has been requested

1 as part of the discovery in this proceeding. I don't believe
2 it has. I don't think it was requested.

3 Q Is that 300,000 cubic feet for the total dredge or
4 just for a portion of it?

5 A No, that would be the total spoil volume for the
6 entire dredge activity. The number I have in front of me here
7 is 304,000 cubic yards. That would include the shipping
8 channel, the turning basin, and the dock areas.

9 Q And some of those areas are shared with IMC?

10 A It is actually shared -- the company is Mosaic
11 currently.

12 Q Mosaic, excuse me. The last time the company had the
13 channel dredged was in the year 2002, correct?

14 A Yes, that's correct.

15 Q And in your direct testimony you state that dredging
16 occurs every five years, therefore, based on your testimony,
17 your original testimony, the next dredging cycle would have
18 been 2007, correct?

19 A Yes. As my testimony indicated, our typical
20 expectation is that approximately every five years that channel
21 needs to be dredged. We do evaluate that as the time nears.
22 In the case in 2007, as we evaluated the hydrographic surveys
23 which told us what the bottom looked like, and also spoke and
24 got input from the transportation provider as to how the
25 vessels were able to transit through the system, we made the

1 decision that that was a deferable project. So it's a five
2 year rough number. But each time that activity comes up we do
3 make an evaluation as to is it prudent to do it now or can it
4 be deferred.

5 **Q** So 2007 was the last formal hydrographic --

6 **CHAIRMAN CARTER:** Ms. Christensen, would you yield
7 for a moment, please?

8 Commissioner Skop.

9 **COMMISSIONER SKOP:** Thank you, Mr. Chair.

10 Just a quick question on that. And I know nothing
11 about dredging, so I appreciate the education on this issue.
12 But I was just wondering in light of the storms that Florida
13 has incurred in terms of the hurricanes, and storm surge, and
14 related issues like that, does that impact the need to dredge
15 sooner rather than later, or if you could just elaborate on
16 that, I would appreciate it.

17 **THE WITNESS:** Yes, Commissioner, it does absolutely.
18 The storm activity, the wave action particularly deep below the
19 surface, these channels are roughly 34 feet deep, and the areas
20 surrounding them are quite a bit shallower, so heavy wave
21 action, a series of storms will definitely impact the frequency
22 of the necessity to dredge more or less frequently, as will the
23 barge traffic actually.

24 **COMMISSIONER SKOP:** Thank you.

25 **CHAIRMAN CARTER:** Commissioner Argenziano.

1 **COMMISSIONER ARGENZIANO:** Thank you. If the landfill
2 that you have used is filled, where will the spoil go now? And
3 let me ask you to take a step back. Are you permitted by DEP
4 to do the dredging?

5 **THE WITNESS:** The entity that provides the
6 permitting -- I'm not sure. I think the DEP is involved, but I
7 believe there is another entity that is required to get a
8 permit from.

9 **COMMISSIONER ARGENZIANO:** Probably the water
10 management district or EPA?

11 **THE WITNESS:** The Army Corps of Engineers is
12 involved, the Tampa Port Authority is involved, there's other
13 entities involved.

14 **COMMISSIONER ARGENZIANO:** So the permits then, are
15 they for simple soils or are they considered hazardous?

16 **THE WITNESS:** The permits are actually for the
17 dredging activity.

18 **COMMISSIONER ARGENZIANO:** I know. And when you
19 remove soil you have to deposit it in a certain area, and I'm
20 trying to figure out where your deposits have to go. If they
21 are considered simple soil it is an area that is probably not
22 as costly. If it is considered a hazardous -- not hazardous
23 meaning sometimes there is oil or whatever that is determined
24 by the regulating entity it costs more to -- I'm trying to
25 figure what your costs are. How your soil or your spoils are

1 being, I guess, specified as and where they will be placed.

2 **THE WITNESS:** Yes, Commissioner. The spoiled
3 material is a mixture of sand, silt, and clays that are
4 naturally occurring on the bay bottom. They are not classified
5 as a hazardous waste, but they also are not suitable for many
6 purposes such as fill where you might have a residential area
7 that you may need to be filled. Because of the clay content,
8 it is really not suitable for that.

9 Similarly, for landfills, the ability to use as a
10 daily (phonetic) cover is also limited because of the clay
11 content of those materials. So it limits the locations which
12 can be disposed of, but it is not classified as a hazardous
13 waste and it would be much for expensive if that was the case.

14 **COMMISSIONER ARGENZIANO:** Right. But do you know
15 where the spoils would have to be taken to, the spoil would
16 have to be taken to?

17 **THE WITNESS:** We have looked into that. I think we
18 have bids or indications of pricing from three landfills. One
19 of them I'm familiar with is in Okeechobee. I believe it is a
20 Class 1 landfill.

21 **COMMISSIONER ARGENZIANO:** Okay. Thank you.

22 **CHAIRMAN CARTER:** Commissioner Edgar.

23 **COMMISSIONER EDGAR:** Thank you.

24 I think Ms. Christensen asked you about this point,
25 but in your direct testimony you state that the five CTs will

1 offer a more economic option for meeting the reserve
2 requirements, improving efficiency, and reducing heat rate.
3 And in the position statement TECO states that the units will
4 not be revenue producing or growth related, and the position of
5 the intervenors is exactly the opposite. Could you speak to
6 that point?

7 **THE WITNESS:** Yes. The primary reason that the CTs
8 are being installed is for reliability for reserve margin
9 purposes. When we looked at the need on our system in 2007,
10 late 2007 when this decision was made, there was a clear need
11 for all five units to sequence in and allow the 20 percent
12 reserve margin that's a Commission specified number. So that
13 is their primary purpose.

14 I believe our estimate of operation for those units
15 in the early years is something around 300 hours per year, so
16 they will be used -- which is about 4 percent of the time.
17 They will be used, you know, for peaking purposes. And the
18 amount of total energy that they will provide to our system is
19 between 2/10ths and 4/10ths of one percent of the total energy.
20 So the amount of energy they will serve is relatively small.
21 Their primary function is peak demand to make sure there is
22 reliability on the system.

23 That being said, you also asked about the other
24 operating benefits. That's where we can derive fuel savings by
25 operating our entire fleet more efficiently because of the

1 nature of these machines being quick start and multiple starts
2 per day. They fill in the gaps in our operating portfolio very
3 nicely.

4 **COMMISSIONER EDGAR:** Thank you.

5 **CHAIRMAN CARTER:** Ms. Christensen, you may proceed.

6 **MS. CHRISTENSEN:** Okay.

7 BY MS. CHRISTENSEN:

8 **Q** Let me just follow up on Commissioner Edgar's
9 question. My recollection from your deposition is that if all
10 five CTs were brought on-line that would bring an additional
11 about 170 megawatts of power available for customer use.

12 **A** Yes, that's correct. As we discussed in my
13 deposition, each one of these machines has a nominal capacity
14 of 60 megawatts, so the total there is 300 megawatts. But
15 there are three combustion turbines at the Big Bend station
16 that are old and have reached the end of their useful life and
17 are being decommissioned, so the net capacity addition
18 considering the new CTs and the retired CTs is approximately
19 170 megawatts.

20 **Q** Okay. And you would agree with Mr. Black's earlier
21 testimony that you all are reevaluating whether or not all five
22 CTs will be brought on in 2009, is that correct?

23 **A** Yes, I heard Mr. Black state that.

24 **Q** And is that also your testimony here today?

25 **A** I'm not familiar with the discussions about deferral.

1 In my position as Director of Engineering and Construction, we
2 are moving forward with all five CTs. I believe Mr. Black said
3 that there was consideration of deferral in the broad context
4 of our business, but I'm not aware of any specific discussion
5 or direction to change our position in moving forward with
6 those five CTs.

7 **Q** Okay. But if a determination were made to defer some
8 of the CTs, that would be a direction that your department
9 would follow?

10 **A** Yes, it would.

11 **Q** Okay. Now, let me redirect you back to the dredging
12 issues. In 2007, was that the last formal hydrographic survey
13 the company had performed?

14 **A** No, I don't believe it was. I believe we have had
15 subsequent hydrographic surveys. I don't remember the date
16 specifically. I believe it was in 2008.

17 **Q** Okay. Now, related to --

18 **CHAIRMAN CARTER:** Ms. Christensen, are you about to
19 go to another area? Because we are within two minutes. If you
20 are about to go to a new line, this would be a good breaking
21 point.

22 **MS. CHRISTENSEN:** I have a few more questions along
23 this line, but it shouldn't be that much longer, and then I
24 will be going to a new subject area.

25 **CHAIRMAN CARTER:** Well, I am kind of being a stickler

1 for time because I want us to make sure that we get everything
2 done that we need to do. And we are like one minute away from
3 the break that I offered you guys for lunch from 1:15 to 2:30.

4 **MS. CHRISTENSEN:** Well, I can tell you I won't be
5 done in one minute.

6 **CHAIRMAN CARTER:** Okay, good. Since you won't be
7 done in one minute, we will do this. We will be on lunch and
8 we will reconvene at 2:30.

9 We're on recess.

10 (Lunch recess.)

11 (Transcript continues in sequence with Volume 7.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)

COUNTY OF LEON)


CERTIFICATE OF REPORTER

I, JANE FAUROT, RPR, Chief, Hearing Reporter Services Section, FPSC Division of Commission Clerk, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 28th day of January, 2009.



JANE FAUROT, RPR
Official FPSC Hearings Reporter
(850) 413-6732