


BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 080317-EI

In the Matter of:

PETITION FOR RATE INCREASE BY TAMPA  
ELECTRIC COMPANY.



VOLUME 14

Pages 2152 through 2332

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE  
A CONVENIENCE COPY ONLY AND ARE NOT  
THE OFFICIAL TRANSCRIPT OF THE HEARING,  
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN MATTHEW M. CARTER, II  
COMMISSIONER LISA POLAK EDGAR  
COMMISSIONER KATRINA J. McMURRIAN  
COMMISSIONER NANCY ARGENZIANO  
COMMISSIONER NATHAN A. SKOP

DATE: Thursday, January 29, 2009

TIME: Commenced at 9:25 a.m.

PLACE: Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida

REPORTED BY: LINDA BOLES, RPR, CRR  
Official FPSC Reporter  
(850) 413-6732

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER - DATE  
00769 JAN 30 08

FPSC-COMMISSION CLERK

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

INDEX

NAME:	PAGE NO.
JOHN TOM HERNDON	
Direct Examination by Mr. Moyle	2155
Prefiled Direct Testimony Inserted	2157
Cross Examination by Ms. Christensen	2187
Redirect Examination by Mr. Moyle	2224
JEFFRY POLLOCK	
Direct Examination by Ms. Kaufman	2231
Prefiled Direct Testimony Inserted	2233
Cross Examination by Ms. Christensen	2323
Redirect Examination by Ms. Kaufman	2329
CERTIFICATE OF REPORTER	2332

	EXHIBITS			
	NUMBER :		ID.	ADMTD.
1				
2				
3	54	TH-1	2156	2228
4	55	JP-1	2232	2330
5	56	JP-2	2232	2330
6	57	JP-3	2232	2330
7	58	JP-4	2232	2330
8	59	JP-5	2232	2330
9	60	JP-6	2232	2330
10	61	JP-7	2232	2330
11	62	JP-8	2232	2330
12	63	JP-9	2232	2330
13	64	JP-10	2232	2330
14	65	JP-11	2232	2330
15	66	JP-12	2232	2330
16	67	JP-13	2232	2330
17	68	JP-14	2232	2330
18	69	JP-15	2232	2330
19	70	JP-16	2232	2330
20	71	JP-17	2232	2330
21	72	JP-18	2232	2330
22	73	JP-19	2232	2330
23	122	Herndon Depo	2181	2181
24	123	(Late-Filed) Debt/Equity Cost Comparison	2221	
25	124	Pollock Errata Sheet	2231	2330

## P R O C E E D I N G S

(Transcript continues in sequence from Volume 13.)

CHAIRMAN CARTER: We are back on the record. And when we left, I believe it's -- Mr. Moyle, you're up.

MR. MOYLE: Thank you. Thank you, Mr. Chairman. We would call witness Tom Herndon to the stand, and he has not yet been sworn.

CHAIRMAN CARTER: Okay. Any of the other witnesses, Mr. Pollock and Mr. O'Donnell and Mr. -- now Mr. Murry has been sworn. But if Mr. Pollock and Mr. O'Donnell, are they here? Would you please stand so we can swear you in as a group.

(Witnesses collectively sworn.)

Thank you. Please be seated.

JOHN TOM HERNDON

was called as a witness on behalf of the Florida Industrial Power Users Group, the Mosaic Company, and the Florida Retail Federation and, having been duly sworn, testified as follows:

## D I R E C T E X A M I N A T I O N

BY MR. MOYLE:

Q Good morning, Mr. Herndon. Would you please state your full name for the record.

A Yes. My full name, excuse me, my full name is John T. Tom Herndon.

Q And are you the same Tom Herndon who prepared and filed 20 pages of direct testimony on behalf of FIPUG and the

1 Florida Retail Federation in this case?

2 A Yes, I am.

3 Q And a copy of your resume was provided with your  
4 testimony; correct?

5 A Correct.

6 Q Okay. That is for the record presently marked as  
7 Exhibit 54.

8 Mr. Herndon, if I were to ask you the questions that  
9 are contained in the direct testimony that you prefiled, would  
10 your answers to those questions be the same?

11 A Yes.

12 Q Have you prepared a summary of your testimony?

13 CHAIRMAN CARTER: Mr. Moyle, you want to enter it  
14 into the record?

15 MR. MOYLE: Yes. Yes, please. I would like to enter  
16 Mr. Herndon's prefiled testimony with the exhibit into the  
17 record as though read.

18 CHAIRMAN CARTER: The prefiled testimony of the  
19 witness will be entered into the record as though read. And  
20 for the record, recognition of, for identification purposes,  
21 Exhibit Number 54.

22 (Exhibit 54 marked for identification.)

23

24

25

1 Introduction

2 **Q. Please state your name and where you reside.**

3 A. My name is Tom Herndon and I live in Tallahassee, Florida.

4

5 **Q. On whose behalf are you providing testimony in this matter?**

6 A. I am testifying on behalf of entities which represent electric customers of Tampa  
7 Electric Company. Specifically, I am testifying on behalf of the Florida Industrial  
8 Power Users Group (FIPUG), the Mosaic Company (Mosaic), and the Florida Retail  
9 Federation (FRF). FIPUG represents the interests of a number of large industrial  
10 businesses, who take service from Tampa Electric Company (Tampa Electric).  
11 Mosaic is a large company that mines phosphate and produces fertilizer and receives  
12 electrical service from Tampa Electric. FRF is a trade organization with over 10,000  
13 retail business members, many of whom take service from Tampa Electric.

14

15 Summary of Recommendations

16 **Q. What recommendations do you make to the Commission in your testimony?**

17 A. After discussing current financial conditions, I recommend that:

- 18 • The Commission adopt a Return on Equity (ROE) for Tampa Electric of 7.5%; the  
19 12% ROE Tampa Electric seeks is out of line with current market conditions and its  
20 low risk profile;
- 21 • The Commission not place undue reliance on computer models to determine ROE in  
22 these unusual economic times; and

- 1       • The Commission reject the notion that somehow a higher ROE for Tampa Electric  
2       benefits ratepayers.

3

4

**Professional Experience in the Financial Arena**

5       **Q. Please provide a description of your past financial experience.**

6       A. I have enjoyed a long career in public service in the state of Florida that started in  
7       1969. I have attached my resume as Exhibit No. \_\_\_\_ (TH-1) to my testimony.  
8       However, I'd like to briefly summarize some roles in which I have served the state  
9       that are particularly relevant to my testimony in this case.

10               I was Staff Director for the House of Representatives Appropriations  
11       Committee from 1978 to 1980. After that, I served for nearly five years as the  
12       Director of the Governor's Office of Planning and Budgeting. In that position I was  
13       responsible for advising the Governor on a multitude of budgeting and financial  
14       matters.

15               I served as Chief of Staff to Governor Graham and Governor Chiles. I served  
16       on the Florida Public Service Commission from 1986 to 1990. In the early 1990s, I  
17       was the Executive Director of the Florida Department of Revenue. My last position  
18       with the State of Florida was as Executive Director of the Florida State Board of  
19       Administration from 1996 until 2002.

20

21       **Q. What do you do presently?**

22       A. I work part time providing consulting services for a handful of clients and serve on  
23       select boards.

1

2 **Q. Can you describe your duties and responsibilities as the Executive Director of**  
3 **the Florida State Board of Administration in more detail?**

4 A. I was selected by the Governor, Comptroller and Treasurer, who were the Trustees of  
5 the State Board of Administration (“SBA”), to lead and manage the state’s pension  
6 fund as well as approximately one dozen other investment accounts. As Executive  
7 Director of the SBA, I was responsible to the Governor and Trustees, as well as the  
8 beneficiaries of the state’s pension fund, for prudently managing the fund’s assets.

9 During the six years I led the SBA (from 1996 to 2002) the SBA had over  
10 \$100 billion dollars under active management and ranked in the top ten largest (based  
11 on assets under management) pension funds in the world. As SBA Executive  
12 Director, I was charged with overseeing and managing the state’s investment policies  
13 and practices as well as providing regular financial reports to the Governor and the  
14 other trustees.

15

16 **Q. Please discuss your financial expertise, particularly the expertise you gained**  
17 **during your service as Executive Director of the SBA.**

18 A. I have gained financial experience and expertise during the course of my professional  
19 responsibilities. While serving as Staff Director of the Florida House of  
20 Representatives Appropriations Committee, I gained considerable expertise in the  
21 state budgeting processes, including how the state uses debt, current revenue or  
22 reserves to fund state government operations. I also gained a thorough understanding



1 of the business of Florida's state government, its functions and how it funds its  
2 operations.

3 When I served as a Public Service Commissioner, I gained financial expertise  
4 in regulating and reviewing financial matters involving public utilities, including  
5 electric utilities, water and waste water utilities, and telecommunications companies.

6 When I served as the Director of the Office of Policy and Budget under  
7 Governor Graham, I was involved with many financial matters, including preparing  
8 and recommending a complete state budget to the Legislature, advising the Governor  
9 on a broad range of economic issues, and working with state economists on future  
10 economic projections. During this time, I also had regular contact and interaction  
11 with other state offices, such as the Division of Bond Finance, concerning the  
12 issuance of state bonds. I met with rating agencies to provide input for risk analysis  
13 associated with state debt ratings.

14 When I served as Executive Director of the SBA, my central focus was  
15 management of the state's \$100 billion pension fund and ensuring a reasonable return  
16 on invested dollars. During this time, I met and interacted with Wall Street  
17 investment advisors, fund managers, key executives of publicly traded companies,  
18 rating services, and others who were involved in a host of financial matters. I also  
19 gained a thorough understanding of risk and its relationship to reasonable returns.  
20 During this period, I also chaired the Council of Institutional Investors and interacted  
21 with the Securities and Exchange Commission and Congress on Pension Reform  
22 Assessment. I also served on the Pension Advisory Committee to the New York  
23 Stock Exchange.

1

2 **Q. Are you still involved with the SBA?**

3 A. No, not in any official capacity. However, I was recently appointed by Governor  
4 Crist, Chief Financial Officer Sink, and Attorney General McCollum to a committee  
5 which was charged with soliciting, interviewing and recommending candidates to  
6 serve as the new SBA Executive Director. In addition, I generally keep up with SBA  
7 activities and policies.

8

9 **Q. Are you currently involved in managing and investing money?**

10 A. Yes.

11

12 **Q. Please describe your current involvement.**

13 A. Currently I serve on the Board of Directors of the Helios Education Foundation. I am  
14 the Treasurer and Chairman of the Finance and Investment Committee. This  
15 Committee is responsible for managing and investing approximately \$500 million  
16 dollars in a perpetual foundation portfolio. We manage domestic and international  
17 equities and fixed income exposure and until the recent downturn, were quite  
18 successful.

19 In addition to my work with Helios, I also serve on the Finance Committee of  
20 Capital Health Plan, a large Tallahassee-based Health Maintenance Organization  
21 (HMO). As a member of that committee, I help oversee the investment of over \$200  
22 million in assets.

23

1 Purpose of Testimony

2 **Q. What is the purpose of your testimony?**

3 My testimony focuses largely on financial issues, including the closely related issues  
4 of risk, investor expectations, the current economic climate, and the fact that Tampa  
5 Electric operates as a monopoly provider of an essential service, effectively free of  
6 competition, in a very low risk regulatory environment. More specifically I will  
7 discuss how these factors should impact the return on equity that the Commission will  
8 authorize for purposes of setting Tampa Electric's rates in this case.

9 My testimony will also discuss the models Tampa Electric witness Donald  
10 Murry references in his direct testimony and why those models should be given less  
11 weight in today's economic climate. I will comment on the suggestion of Tampa  
12 Electric witness Susan Abbott that approval of the rate increase Tampa Electric seeks  
13 should result in an A rating from the rating agencies and why this view is erroneous.

14 Finally, I will discuss the notion that permitting Tampa Electric to earn a  
15 higher return on equity will somehow benefit ratepayers by reducing its borrowing  
16 costs. I will explain why this is not the case.

17  
18 Current Market Conditions

19 **Q. Please comment on current financial market conditions as it relates to Tampa  
20 Electric.**

21 **A.** As witness Murry pointed out, we are in the midst of severe economic upheaval.  
22 However, many of the economic factors he identified in his direct testimony have  
23 changed since his testimony was filed. For example, interest rates are at an all time

1 low and no sign of increases are in sight. Oil prices have fallen to below \$60 per  
2 barrel -- drastically below the rate witness Murry cites. Consumer confidence  
3 continues to fall and unemployment continues to rise.

4 While there may be some reasons to believe that the U.S. economy and the  
5 world economy will be well on their way to recovery by sometime in 2009, regardless  
6 of whether this turns out to be the case or not, the fact that Tampa Electric has a very  
7 high degree of revenue certainty and very low risk makes its common stock an  
8 attractive investment.

9  
10 **Q. Have current economic conditions affected the credit markets?**

11 A. Yes, but while credit markets are in turmoil for some borrowers, funds are available  
12 at reasonable rates for high quality borrowers. World-wide recognition of the  
13 economic catastrophe has occurred and as a result virtually every developed nation  
14 has adopted some form of an economic bailout package. The United States led this  
15 effort with its \$700 billion dollar bailout plan. While the volatility in the markets  
16 continues, there are some reasons to feel more confident.

17  
18 **Q. Does the economic picture impact investment expectations?**

19 A. Yes. Investors as a rule seek safety and security in times of economic stress and that  
20 is certainly true today. Clear evidence of that trend can be seen in the higher value  
21 investors have put on utility stocks and debt. While all sectors of the U.S. economy  
22 have been damaged in the recent upheaval, utility stocks have been treated better  
23 overall than the broader indexes. Utility debt ratings have also been treated better

1 than many other sectors. This preferred treatment for utility debt reflects the higher  
2 regard investors have for the utility sector. The proverbial “flight to quality” once  
3 again seems to be in play and utility companies are beneficiaries of this trend,  
4 because, as noted above, money is available to well-regarded borrowers. Quite a bit  
5 of anecdotal evidence exists to show that for these well-regarded borrowers, lenders  
6 are stepping up to make loans at competitive rates --- certainly, much below the 12%  
7 ROE level Tampa Electric has requested.

8  
9 **Q. On what do you base this view?**

10 A. As I mentioned, I remain active in providing advice and recommendations regarding  
11 managing and investing funds. It is my observation that well-qualified borrowers can  
12 obtain credit at reasonable costs. That is not to suggest that for every borrower credit  
13 can be easily obtained; however, for an organization as well-regarded as Tampa  
14 Electric, especially where the company is a monopoly that operates in a very low risk  
15 regulatory environment, raising both debt and equity capital should not be overly  
16 problematic.

17  
18 **Q. In your opinion, should Tampa Electric be able to secure debt at competitive  
19 rates?**

20 A. Yes. Tampa Electric enjoys ratings from the major rating agencies which qualifies its  
21 debt as investment grade. Investors are more comfortable with investment grade  
22 debt, while many investors shy away from the debt products of companies that do not  
23 have investment grade ratings.

1

2 **Q. In your opinion, should the Commission feel confident that Tampa Electric can**  
3 **obtain equity capital, i.e., that investors will invest in TECO Energy's common**  
4 **stock, if the Commission sets Tampa Electric's revenue requirements and rates**  
5 **using an authorized rate of return on equity with a midpoint of 7.5%?**

6 A. Yes. The Commission should feel completely confident that Tampa Electric can raise  
7 needed equity capital with its revenues and rates set using an ROE of 7.5%. This is  
8 because investors understand the fundamental security of their investments in Tampa  
9 Electric and other Florida utilities. That security comes from the very low risks that  
10 Tampa Electric faces with its monopoly position as well as the fact that it provides a  
11 necessity, with the routine, secure, virtually certain recovery of well over half its total  
12 costs through cost recovery clauses.

13

14

**Tampa Electric's Risk As A Regulated Utility**

15 **Q. Please comment on the relative risk confronting Tampa Electric, as a regulated**  
16 **utility, when compared to other business sectors.**

17 A. The risk that Tampa Electric faces is much less than businesses in other sectors. Due  
18 to its monopoly status, Tampa Electric does not have to compete for customers in an  
19 open market. It enjoys a defined geographic market and has a government-created  
20 and government-protected monopoly in that market. And for the most part, its  
21 customers are captive – if they want electric service, they must buy it from Tampa  
22 Electric. Indeed, Tampa Electric witness Murry references “market power” as the  
23 basis for utility regulation. Such monopoly power greatly reduces the risk Tampa

1 Electric faces. Obviously, Tampa Electric does not compete with other electric  
2 companies (or anyone else) to serve its customers.

3 In contrast to the market position of Tampa Electric, we are all familiar with  
4 the effects and risk of competition in competitive business sectors. For example,  
5 DHL is exiting the parcel delivery business in the United States, in part, due to  
6 competitive pressures from UPS and FedEx. In the auto industry, in part due to multi-  
7 national competition, U.S. companies are suffering and seeking funds from Congress  
8 to sustain their operations. The national electronic retailer, Circuit City, has recently  
9 filed for bankruptcy protection.

10 The examples of competitive risk that most U.S. businesses face are countless;  
11 however, this is not the case with Tampa Electric. To a very large extent, Tampa  
12 Electric faces no market driven competitive risks. Investors and Wall Street are well  
13 aware of this. This is the key reason that utility stocks and bonds have long been a  
14 safe haven for investors.

15

16 **Q. Doesn't Tampa Electric still have to address and manage risk?**

17 A. Yes. Tampa Electric, as well as other regulated monopoly utilities, has to manage  
18 risk. The utility business is not completely risk free. For example, Congress could  
19 enact additional environmental requirements that could affect the electric utility  
20 industry. My point is that Tampa Electric's risk profile is reduced significantly  
21 because Tampa Electric does not face competition in the marketplace and because the  
22 current regulatory system in Florida ensures that it recovers a very high percentage of

1 its total costs on a current basis through the various “cost recovery” or pass-through  
2 clauses.

3

4 **Q. Does this reduced risk affect investment expectations?**

5 A. Yes. Reduction in risk is tied to market/investor expectations of return on investment  
6 or return on equity. Less risk equals lower return expectations. As discussed above, in  
7 today’s market environment, investors want: quality, reduced volatility, security, and  
8 reasonable prospects for safety going forward. Very few stocks or bonds offer this  
9 combination of benefits, other than a quality utility like Tampa Electric.

10

11 **Q. Are you familiar with the regulatory framework in which Tampa Electric  
12 operates?**

13 A. Yes, I am directly familiar with the regulatory environment in which Tampa Electric  
14 operates due to my tenure as a Public Service Commissioner.

15

16 **Q. How Tampa Electric’s costs currently recovered?**

17 A. A significant portion of Tampa Electric’s annual operating expenses are recovered  
18 through special clauses rather than through base rates. While I do not wish to suggest  
19 that I am an expert in the detailed operation of all of the current regulatory tools the  
20 Florida Commission uses, many of them – such as the fuel adjustment clause -- were  
21 in place during my tenure on the Commission.

22 It is my understanding that currently fuel expenses and purchased power  
23 expenses are recovered through the fuel clause; capacity costs are recovered through



1 the capacity cost recovery clause; energy conservation costs are recovered through  
2 the conservation cost recovery clause, environmental costs may be recovered through  
3 the environmental clause; and hurricane expenses may be recouped through a  
4 hurricane recovery clause. In addition, gross receipts taxes and franchise fees are  
5 recovered as line items on customer bills, thus eliminating the risk of recovery for  
6 those items as well. These recovery mechanisms further reduce the risk Tampa  
7 Electric faces and lessen the risk of a prospective investor.

8 Billions of dollars flow through these clauses every year, and Tampa Electric  
9 has virtually no exposure to any risk of non recovery for these expenses because they  
10 are directly picked up by the ratepayers. Even when such expenses increase, Tampa  
11 Electric has the ability to seek a mid-course correction and recover such actual and  
12 projected cost overruns in between annual fuel adjustment proceedings. Thus, given  
13 the reduction in risk, there should be a commensurate reduction in the expected return  
14 on equity.

15  
16 **Q. What is your understanding of how the investment community views this**  
17 **regulatory framework?**

18 A. In addition to serving as a Florida Public Service Commissioner, I have kept abreast  
19 of the Florida regulatory environment as someone charged with managing money.  
20 The investment community views the Florida regulatory environment quite favorably.  
21 The Florida Commission is viewed as responsive to the needs of the entities it  
22 regulates and has numerous mechanisms in place to prevent “regulatory lag.”  
23 Witness Abbott’s testimony confirms this point. Ms. Abbott notes in Exhibit 3 to her

1 direct testimony that no other Commission in the country is ranked more favorably  
2 than the Florida Commission.

3  
4 **Q. Does this view of the Florida Commission affect Tampa Electric's risk profile?**

5 A. Yes and it reinforces the fundamental point I made above. Tampa Electric operates in  
6 a reduced risk environment. This reduced investor risk translates into lower ROE  
7 expectations. Simply put, the favorable regulatory environment and Tampa Electric's  
8 reduced risk argues against the inflated 12% ROE Tampa Electric seeks.

9  
10 **Q. What about the suggestion that the Commission has to keep Tampa Electric's**  
11 **authorized ROE at a high level to ensure that investors continue to view Tampa**  
12 **Electric as a low-risk investment that they are willing to invest their equity**  
13 **capital in?**

14 A. In my opinion, such a suggestion is misplaced and overstated. The Commission  
15 already ensures that Tampa Electric operates in a low-risk environment that ensures  
16 Tampa Electric of prompt, secure, and for all intents and purposes, certain recovery of  
17 well over half of its costs on a current basis, and Tampa Electric faces no competitive  
18 pressure and extremely low risk with regard to recovering its base rate revenues.

19

20 **Reasonable and Fair Return on Equity**

21 **Q. What do you believe is a reasonable return on equity for Tampa Electric given**  
22 **your discussion above?**

1 A. For many of the reasons I have discussed, I believe that a fair return on common stock  
2 equity in Tampa Electric Company would be in the range of 7% to 8%, with 7.5%  
3 being the midpoint of the range that the Commission should use for purposes of  
4 determining Tampa Electric's allowed revenue requirements and setting its retail  
5 rates.. My perspective on this issue is based on my experience and informed by the  
6 behavior of the stock market and those investment activities with which I am familiar,  
7 particularly in the public pension area.

8 Traditionally, most public pension funds have an actuarially required rate of  
9 return in the 7.5% to 8.5 % range. This allows for a real rate of return over inflation  
10 and for some modest growth while at the same time recognizing that withdrawals are  
11 occurring. In fact, the Florida State Board of Administration has long held to an 8%  
12 target and the other two foundation boards I have worked with have lower rate of  
13 return targets.

14 I realize that using these benchmarks is not the same as calculating the return  
15 through computer models. However, they serve as useful proxies for what is prevalent  
16 in the investment world. I dare say that Tampa Electric itself has similar targets for its  
17 internal assets under management as well as for its various pension funds.

18 The reason that I believe that a fair rate of return would use 7.5% as the  
19 midpoint is that for investors to reach the 8+% target requires a considerable equity  
20 allocation -- typically over 60% of the portfolio would have to be invested in equities.  
21 That strikes me as unnecessarily high for a regulated utility so the target I suggest  
22 reflects a more modest equity allocation.

23

1 **Q. Does the SBA have a targeted return on capital it invests, and if so, what is that**  
2 **target?**

3 Historically, the SBA seeks a target in the 8% neighborhood, but does so with a  
4 healthy mix of exposure to stocks, many of which are investments in companies faced  
5 with intense industry competition not seen in a business sector comprised of regulated  
6 electric utility monopolies, like Tampa Electric.

7  
8 **Q. How does the rate of return that you are recommending in this case compare to**  
9 **investment opportunities with less risk?**

10 A. My recommended rate of return on equity compares very, very favorably to  
11 investments with lower risk. In financial management, we normally recognize the  
12 interest rate on long-term U.S. Treasury bonds as being the "risk-free rate."  
13 Recently, the interest rate on long-term – 30 year – U.S. Treasury bonds has been in  
14 the range of 4.0% to 4.3%; currently, the rate is below 4.0%. In the most practical  
15 terms, considering the very-low-risk environment in which Tampa Electric operates,  
16 as a monopoly with virtual certainty of recovering well over half of its operating  
17 costs and very little risk with regard to its base rates, a 7.5% return on equity is very  
18 favorable when compared to the "risk-free rate."

19 Stated differently, in practical terms, I am recommending a return on equity  
20 that is almost double the "risk-free rate." Again in practical, common sense terms,  
21 there is no way that Tampa Electric faces risks that justify any higher return than this.

22

1 Tampa Electric Witness Murry

2 **Q. Have you reviewed the direct testimony of Tampa Electric witness Murry?**

3 A. Yes.

4

5 **Q. What is your view on the economic outlook witness Murry offers in his direct**  
6 **testimony?**

7 A. While there are risks facing the credit and capital markets, the current picture and the  
8 forecast appear to be less dire than what witness Murry has assumed based on the  
9 information available to him at that time. Many view the fact that energy prices have  
10 fallen drastically and that interest rates, both short and long term, are lower, as signs  
11 that the economy may be improving. Inflation has moderated and with the  
12 Presidential election behind us, more certainty exists in the market. All in all, many  
13 of the economic indicators witness Murry relied upon have improved.

14

15 **Q. Given the current market conditions you have discussed, what is your opinion**  
16 **regarding witness Murry's view that a return on equity of 12% is reasonable for**  
17 **Tampa Electric?**

18 A. I have several thoughts regarding witness Murry's proposed 12% ROE.

19 First, many of the key underlying inputs to the formulas he used are no longer  
20 valid. Interest rates, oil prices, and inflation rates are all significantly below the  
21 levels witness Murry relied upon in his direct testimony. These decreases in rates and  
22 prices produce different investor conclusions about the relative risks and returns

1 associated with Tampa Electric. If the witness intends to rely on mechanistic  
2 formulas, the inputs should at a minimum be current and valid.

3 Second, while I would not quarrel with witness Murry's formulaic approach in  
4 a **NORMAL** investment environment, that is not where we find ourselves today.  
5 Many analysts have likened the current economic upheaval to the financial  
6 devastation of the 1920s. While that may be an overstatement, there is no denying  
7 that we are not experiencing normal economic conditions. Given these unusual  
8 financial conditions, the mechanical application of formulas simply isn't adequate  
9 and should not be the beginning and ending of an ROE analysis. Common sense and  
10 a more thoughtful awareness of the market, coupled with some use of the technical  
11 analytics, is the approach called for today.

12 Finally, it is clear that a lender or an investor in today's climate would prefer  
13 to lend to a monopoly client with historically steady and stable growth, a guaranteed  
14 rate of return, substantial assets (in the form of infrastructure and rolling stocks), and  
15 the ability to recover a large degree of its operating costs annually through recovery  
16 clauses.

17  
18 **Rating Agencies and the Suggestion of Witness Abbott that Approval of Tampa**  
19 **Electric's Rate Request Will result in an A level Rating**  
20

21 **Q. Have you reviewed the direct testimony of Susan Abbott?**

22 **A. Yes.**

23

1 Q. Witness Abbott provides testimony regarding the rating agencies that follow  
2 Tampa Electric. Ms. Abbot suggests in her direct testimony at page 27 that  
3 “[a]pproval of TECO’s requested rate increase should improve its credit metrics  
4 and in an A level profile.” Can you comment on her conclusion?

5 A. In general, I agree with witness Abbott’s testimony that improved credit matrices  
6 should improve the credit rating of a company and that should lower borrowing costs;  
7 however, I would make two points that modify this conclusion.

8 First, recent experience with organizations like Standard & Poor’s and  
9 Moody’s amply demonstrates that their work is art, not science. We are all too  
10 familiar with the various mistakes credit rating agencies have made that in part, led us  
11 to the current financial situation. To suggest that an “A” level profile will  
12 automatically result from a certain ROE takes too much for granted.

13 Second, while the actions and “grades” of the rating agencies can be valuable  
14 aides in investment and loan decisions, they are not the final answer. Common sense  
15 and thoughtful awareness of market conditions must also be considered. Tampa  
16 Electric’s circumstances, including its low risk profile, the positive regulatory climate  
17 in Florida, the solid earnings path and stable growth forecast, do not support a 12%  
18 ROE.

19  
20 Q. Some have suggested that allowing Tampa Electric a 12% ROE may benefit  
21 ratepayers by lowering borrowing costs. Do you agree with this?

22 A. No. I do not believe that allowing an elevated ROE benefits ratepayers. Any  
23 reduction in borrowing costs would likely be a slight incremental amount and would

1 not offset the increased revenue requirements for ratepayers if a 12% ROE were to be  
2 authorized. Customers would be worse off because they would be paying higher rates  
3 than necessary. This is especially the case when, as the Commission is well aware,  
4 individual consumers, commercial consumers, and governmental and institutional  
5 consumers, such as school districts, are struggling to pay their electric bills.

6 And of course, the cost of electricity affects the production costs and the  
7 ability to compete of industrial consumers, such as FIPUG's participating companies.

8 In this time of great economic uncertainty, the Commission needs to be  
9 mindful of the role that energy costs play in the lives of individuals and businesses.  
10 With virtually every business straining to compete just to stay above water, and with  
11 many individual residential customers having to decide between paying their electric  
12 bills and buying food or prescriptions, approval of an excessively generous ROE is  
13 very short-sighted. The last thing the Commission should do is to further inflate  
14 (artificially I might add) energy costs which would cause even more dislocation in the  
15 business community and increase the costs to those businesses left standing.

16  
17 **Q. What is your recommendation to the Commission?**

18 A. As noted above, I urge the Commission to evaluate the current economic climate and  
19 the stable regulatory environment in which Tampa Electric operates to arrive at a  
20 reasonable ROE. I would respectfully suggest that a fair return on equity is 7.5  
21 percent. I further urge the Commission to temper its reliance on computer modeling  
22 with its knowledge of the current unusual financial conditions. I recommend that the



1 Commission reject any suggestion that approval of a high ROE somehow benefits  
2 ratepayers.

3 Finally, I strongly urge the Commission to consider its fundamental mission,  
4 which is to regulate utilities under its jurisdiction in the public interest. In this case,  
5 the public interest will be served by setting Tampa Electric's revenues and rates using  
6 a fair, compensatory rate of return on equity of 7.5%; this rate will, in my opinion,  
7 enable Tampa Electric to attract needed capital and provide Tampa Electric's equity  
8 stockholders with a very fair rate of return on a very low risk investment, while  
9 minimizing further economic stress on the citizens and businesses who must buy their  
10 electricity from the regulated monopoly provider, Tampa Electric Company.

11

12 **Q. Does this conclude your direct testimony?**

13 **A. Yes it does.**

1 CHAIRMAN CARTER: You may proceed.

2 MR. MOYLE: Thank you.

3 BY MR. MOYLE:

4 Q You've prepared a summary of your testimony?

5 A Yes, I have.

6 Q Would you please provide that summary to the  
7 Commission?

8 A Yes. Thank you.

9 My name is Tom Herndon and I am testifying on behalf  
10 of FIPUG and the Florida Retail Federation. I have experience  
11 in finance resulting from my service as Executive Director of  
12 the State Board of Administration, Director of the Florida  
13 Department of Revenue, State Budget Director and a variety of  
14 other professional positions. In addition, during the time  
15 that I spent as Executive Director of the State Board of  
16 Administration we managed approximately \$100 billion in pension  
17 assets. I currently also serve on boards and foundations that  
18 have assets that are actively managed.

19 My testimony can be summarized into three major  
20 points. First, the Commission should adopt an ROE of  
21 7.5 percent as opposed to the 12 percent requested by the  
22 company. My reasoning for this recommendation is as follows.  
23 TECO is a monopoly provider of electricity and not subject to  
24 any market-based competition. Thereby, eliminating competition  
25 is one of the risk factors that might conceivably support such

1 an exorbitant request.

2           Secondly, interest rates are at all time low and  
3 market conditions argue in favor of access to capital and more  
4 reasonable returns on equity for investors.

5           Thirdly, because of a stable consumer, customer base  
6 and Commission-authorized pass-through of costs like fuel and  
7 others through cost recovery clauses over 50 percent of TECO's  
8 annual revenues are virtually guaranteed, thereby making an  
9 investment in TECO a very low-risk proposition for investors.

10           Fourthly, utility stocks have performed much better  
11 on average than the Dow, S&P 500 or the NASDAQ over the past  
12 years, bolstering the argument that they are a higher quality,  
13 more desirable investment for lenders and investors. Tampa  
14 Electric should be able to access capital markets with little  
15 difficulty given its history and the regulatory climate in  
16 which it operates.

17           Finally, state pension fund and pension fund accounts  
18 that TECO manages for its employees do not anticipate such a  
19 high ROE as that being sought in this case by Tampa Electric.  
20 If they do not anticipate and are not investing with an eye  
21 toward earning that much for investors, why should the  
22 Commission build into their base rates such a high return for  
23 investors in their stock or debt?

24           My second point is that statistical models such as  
25 CAPM and DCF are useful aids in calculating return expectations

1 but they are not the sole determinants of reasonable return.  
2 Overall market and economic realities play a significant role  
3 in these decisions and common sense should not be ignored just  
4 because someone trots out a mathematical formula, especially  
5 one that is based on factors that are no longer valid.

6           Your decision about the return on equity is not a  
7 matter of artificial rule, models or formulas, but should be  
8 based on reasonable judgment based on consideration of all  
9 relevant facts. The Commission should pay particular attention  
10 to current market conditions which do not support an equity  
11 return of 12 percent. My judgment is that a return of 7 to  
12 8 percent with a midpoint of 7.5 is appropriate.

13           My third and final point is that TECO should not be  
14 allowed to earn excessively high rates of return based on the  
15 premise that it will somehow help the taxpayer. TECO bases its  
16 argument in favor of an artificially high rate of return on the  
17 supposed benefits of easier access to capital and a higher  
18 credit rating, thereby lowering borrowing costs.

19           My response is to say as follows: First, good  
20 companies like TECO will have access to capital markets. We  
21 have seen as recently as December that TECO was able to extend  
22 a credit facility with no difficulty that I could discern  
23 whatsoever.

24           Secondly, neither TECO nor its witnesses can  
25 guarantee that a high credit rating, a higher credit rating

1 will automatically result from a 12 percent ROE, which seems to  
2 be the chief reason why they're seeking the 12 percent figure.

3           Thirdly, TECO is seeking a high return on equity now  
4 that will increase rates to customers. They will see higher  
5 bills this summer. Customers will not see lower borrowing  
6 costs until the next rate case, which could be many years down  
7 the road. Also, future lower borrowing costs for the utility  
8 would not likely outweigh the higher rates that customers would  
9 have to pay immediately if higher rates are approved. An ROE  
10 of 12 percent will cost the customers much more in the long run  
11 than if they were authorized 7.5 percent and borrowed the  
12 needed capital at their current credit, credit rating level.

13           In closing, TECO's request for a 12 percent ROE is  
14 neither justified nor warranted by the facts or the arguments  
15 put forth by the company. The customers in TECO's service area  
16 should not be forced to pay an exorbitant ROE and further  
17 stress their family and business circumstances in this time of  
18 severe recession. In today's difficult economic environment a  
19 more appropriate return on equity is in the 7 to 8 percent  
20 range, and the Commission should be confident that Tampa  
21 Electric or TECO can raise adequate capital if the Commission  
22 sets the company's rates using an ROE in that range.

23           And, Mr. Chairman, before I close, I'd just like to  
24 thank you for the courtesy extended to me last night to allow  
25 me to go to the board meeting. Thank you.

1 CHAIRMAN CARTER: Thank you, Mr. Herndon. Even with  
2 your courtesy comment you still came in under five minutes.  
3 Perfect timing.

4 THE WITNESS: That's good.

5 CHAIRMAN CARTER: Excellent.

6 Let's hear from the company. Cross.

7 MR. HART: Mr. Chairman, we, in lieu of  
8 cross-examination, would like to insert Mr. Herndon's  
9 deposition into the record and ask that it be marked as an  
10 exhibit, identified as an exhibit.

11 CHAIRMAN CARTER: Okay. That will be -- staff, what  
12 number are we on?

13 MS. HELTON: I think it's 122, Mr. Chairman.

14 CHAIRMAN CARTER: Yeah. 122.

15 Okay. Any objections?

16 MS. CHRISTENSEN: No, other than it could have been  
17 done as part of the composite exhibit, but no objection at this  
18 point.

19 CHAIRMAN CARTER: Well, okay. No objection. Without  
20 objection, show it done.

21 (Exhibit 122 marked for identification and admitted  
22 into the record.)

23 Commissioner Skop, you're recognized.

24 COMMISSIONER SKOP: Thank you, Mr. Chairman.

25 Good morning, Mr. Herndon.

1 THE WITNESS: Good morning.

2 COMMISSIONER SKOP: Just a few questions. In your  
3 opening statement you used "exorbitant" in two contexts, but at  
4 least the context that I thought I heard is that you  
5 characterized your recommended ROE of 7.5 percent as an  
6 exorbitant request; is that correct?

7 THE WITNESS: No. I was talking about the 12 percent  
8 recommended or requested by the company.

9 COMMISSIONER SKOP: Okay. Okay. If the Commission  
10 were to adopt a 7.5 percent ROE as you suggested, what  
11 regulatory signal would a 400 basis point reduction send to the  
12 capital markets?

13 THE WITNESS: Well, Mr. Chairman or Commissioner, I'm  
14 not sure that -- I don't know what regulatory signal it would  
15 send. What I think it would send to the capital markets is a  
16 recognition of today's reality in the economic markets. I  
17 think a 7.5 percent return is more than double the risk-free  
18 rate in today's economic environment. It's a very reasonable  
19 return expectation that most investors would be pleased to have  
20 and --

21 COMMISSIONER SKOP: Well, let's talk about that  
22 return expectation. You mentioned that your, your, your  
23 analysis is based mostly in part on, on the expected return  
24 that a state pension fund would expect to receive.

25 Now you would agree, would you not, that different

1 investors have different goals; is that correct?

2 THE WITNESS: Yes, indeed.

3 COMMISSIONER SKOP: Okay. So to the extent that a  
4 pension fund would make an investment, they would be looking  
5 for a conservative, very stable, risk-free investment; is that  
6 correct?

7 THE WITNESS: Yes.

8 COMMISSIONER SKOP: Okay. So that would be seeking  
9 fixed income returns?

10 THE WITNESS: Well, most pension funds, including  
11 Florida's, has pretty high allocation to equities. So they  
12 have expectations of returns that are driven to some degree by  
13 risk.

14 COMMISSIONER SKOP: But when you mention pension  
15 fund, I mean, it's typically a fixed income looking investment,  
16 is that correct, for the most part?

17 THE WITNESS: Well, there's certainly a significant  
18 allocation to fixed income in most pension funds. Yes, sir.

19 COMMISSIONER SKOP: Okay. With respect to the  
20 recommended 7.5 percent ROE, would such action by the  
21 Commission result in the potential of an immediate credit  
22 downgrade to the utility with such an extreme measure?

23 THE WITNESS: I don't think anybody can give you a  
24 clear-cut answer to that question. I don't think that the  
25 company's witnesses can with confidence guarantee that a



1 12 percent return would give you, you know, a higher rating and  
2 I don't think that's --

3 COMMISSIONER SKOP: That's not my question. I'm not  
4 asking about what the company is seeking. I'm asking about  
5 what you've provided as an expert witness. And I'm asking in  
6 your professional opinion whether a 400 basis point reduction  
7 by this Commission adopting the requested 7.5 percent ROE could  
8 result in an immediate credit downgrade by the rating agencies.

9 THE WITNESS: Commissioner, I guess the only honest  
10 answer to your question is that anything could happen. But if  
11 I might go further.

12 COMMISSIONER SKOP: You might. That's fine.

13 THE WITNESS: Okay. I don't, I don't think that's  
14 very likely, to be perfectly honest. And I'm not sure that a  
15 downgrade by the credit rating agencies has as much  
16 significance as that action might have once had. I think  
17 investors are a great deal more skeptical about the credit  
18 rating agencies than they may have once been. But certainly  
19 that's a possibility and I would be naive to deny it.

20 COMMISSIONER SKOP: Okay. Well, let's go back a  
21 second for the institutional investors. I think that you  
22 mentioned that pension funds and other investors make equity  
23 investments, investments in equities in addition to, to fixed  
24 income investments.

25 Are you familiar with GE?

1 THE WITNESS: Yes, sir.

2 COMMISSIONER SKOP: And you're familiar with their  
3 bond ratings, credit ratings?

4 THE WITNESS: I don't know what it is today, but I'm  
5 generally familiar with the company.

6 COMMISSIONER SKOP: So you would not know with your  
7 professional experience what GE's credit or bond ratings would  
8 be?

9 THE WITNESS: I don't off the top of my head.

10 COMMISSIONER SKOP: Okay. Are you familiar with the  
11 investment that Berkshire Hathaway just recently made in GE to  
12 the extent that they purchased preferred stock?

13 THE WITNESS: I'm aware that they did come in with a  
14 pretty significant investment and, as you said, got preferred  
15 stock.

16 COMMISSIONER SKOP: And are you familiar with the  
17 yield that was --

18 THE WITNESS: I don't recall. No, sir. I'm sorry.

19 COMMISSIONER SKOP: Subject to check, would you  
20 generally agree that there was a double-digit return or yield  
21 that they sought from making that equity investment?

22 THE WITNESS: Subject to check, yes.

23 COMMISSIONER SKOP: All right. Thank you. Just one  
24 final question. I guess Mr. Moyle asked a line of -- sorry.  
25 Excuse me. I'm sorry. Mr. Moyle had asked a line of questions

1 to a prior witness suggesting that in lieu of traditional CAPM  
2 and DCF models that a more appropriate benchmark for the  
3 Commission to consider would be a recent rate case in terms of  
4 the authorized returns for the southeastern region. And in  
5 that regard, I'd like to get your thoughts on whether that  
6 would be appropriate. And too, secondly, the returns that were  
7 suggested that the Commission consider are significantly higher  
8 than your recommended return by almost 350 basis points, so I'd  
9 like to get some comment on that.

10 THE WITNESS: I'm not familiar with the specifics  
11 that Mr. Moyle proposed to another witness. But just following  
12 your thought for a moment, I think the Commission should weigh  
13 very carefully the information that is relevant coming out of  
14 other southeastern rate cases. Every company is different,  
15 every Commission is different, every state is different, every  
16 set of operating circumstances is different. You should take  
17 that into consideration, just as you should take into  
18 consideration CAPM and DCF models. They have some value. They  
19 also have some flaws. You know, you should also take into  
20 consideration the evidence that's all around us as it relates  
21 to the market and how it's functioning, and that's all I've  
22 been arguing is that the Commission should weigh all of these  
23 factors very carefully when you make a decision.

24 COMMISSIONER SKOP: Thank you.

25 CHAIRMAN CARTER: Anything further from the bench at

1 this time?

2 COMMISSIONER ARGENZIANO: Yes.

3 CHAIRMAN CARTER: Commissioner Argenziano, you're  
4 recognized.

5 COMMISSIONER ARGENZIANO: I'll wait.

6 CHAIRMAN CARTER: Okay. You'll wait.

7 Okay. Ms. Christensen.

8 MS. CHRISTENSEN: Good morning.

9 THE WITNESS: Good morning.

10 MS. CHRISTENSEN: I have a few questions for  
11 Mr. Herndon.

12 CROSS EXAMINATION

13 BY MS. CHRISTENSEN:

14 Q Mr. Herndon, you would consider yourself an  
15 institutional investor; is that how you would consider  
16 yourself?

17 A Yes. In a sense -- certainly the SBA when I was  
18 there was a very large institutional investor, one of the  
19 largest in the world. Today the foundations that I'm involved  
20 with are institutional in nature. They're not individuals.  
21 Yes.

22 Q Okay. So you yourself are not coming at this from a  
23 financing, modeling, DCF and CAPM perspective; is that correct?

24 A I'm not what in Wall Street vernacular is called a  
25 quantitative analyst, no. I'm much more of a broad-based

1 observer of the markets and have a certain modicum of financial  
2 expertise.

3 Q And I think you've testified today that you think or  
4 as an institutional investor your expectation is a 7 to  
5 8 percent range; correct?

6 A Expectation is probably where I would, would quibble  
7 with you. I'm not sure that my expectation is that. But I  
8 think a 7 to 8 percent return on equity is a reasonable return  
9 on equity.

10 Q Okay. Would you as an institutional investor  
11 recommend to your clients that they invest in an electric  
12 utility if they had an ROE of 8.75 percent?

13 A Yes.

14 Q Okay. Now you would agree that Tampa Electric is a  
15 monopoly; correct?

16 A Yes.

17 Q And as a monopoly, in your opinion is Tampa Electric  
18 a safe and reliable investment?

19 A Yes.

20 Q Okay. And I think you may have touched on this  
21 earlier, but I just want to make sure that I'm clear. As a  
22 person who makes decisions for institutions on whether or not  
23 to invest, do you use credit agency reports in the  
24 determination of whether or not to invest in certain companies  
25 or stocks and bonds?

1 A Yes.

2 Q Okay.

3 A And if I might.

4 Q Certainly.

5 A There's no question that the credit rating agencies  
6 do a good job for investors. I think we probably are in an  
7 environment where their reliability is less pervasive than it  
8 once was, but they're still valuable inputs.

9 Q Okay.

10 MR. HART: Mr. Chairman, we are -- we think we've  
11 been very patient, but this is extremely friendly cross. It's  
12 putting in additional direct testimony, and the questions are  
13 not adverse to Mr. Herndon's position.

14 MS. CHRISTENSEN: May I be heard on this?

15 First of all, I'm trying to flesh out some discussion  
16 that was presented by their testimony -- their witness in  
17 cross-examination of this witness which he did not address in  
18 his testimony because it was only presented live here during  
19 the hearing. And I think that I'm not asking additional direct  
20 testimony. This is not beyond the scope of his testimony. He  
21 does talk about credit agencies, he did in the opening  
22 statement. So it's not beyond the scope and it's asking him to  
23 comment on testimony that was elicited here at the hearing for  
24 which he has not had an opportunity. And, moreover, our  
25 positions are not exactly aligned. I don't know that there's

1 any legitimate objection.

2 CHAIRMAN CARTER: Tread lightly.

3 MS. CHRISTENSEN: I only have a few more questions.

4 CHAIRMAN CARTER: You may proceed.

5 MS. CHRISTENSEN: And if you grant me just a few more

6 --

7 CHAIRMAN CARTER: You may proceed.

8 MS. CHRISTENSEN: Thank you.

9 BY MS. CHRISTENSEN:

10 Q Okay. Is S&P, Fitch and Moody's the only information  
11 you rely on as an institutional investor?

12 A No.

13 Q Okay. And do you know -- or let me ask you this.  
14 How much does whether an electric utility is a triple B rated  
15 company versus a single A company impact your decision on  
16 whether or not to make an investment in a company?

17 A The distinction between those two ratings is a data  
18 point that you should take into consideration, but in and of  
19 itself it's not that critical. It's another factor in the  
20 overall assessment, but in and of itself it's not that  
21 critical.

22 Q Okay. So that would not, in your opinion, deny Tampa  
23 Electric access to the capital markets or an institutional  
24 investor whether they're a single A or a triple B?

25 A I don't think that the existence of one rating or the

1 other is going to weigh on whether they can access the capital  
2 markets. No.

3 MS. CHRISTENSEN: I have no further questions.

4 CHAIRMAN CARTER: Thank you.

5 Ms. Bradley.

6 MS. BRADLEY: Ms. Christensen covered them. Thank  
7 you.

8 CHAIRMAN CARTER: Thank you.

9 Mr. Wright.

10 MR. WRIGHT: Mr. Chairman, thank you. But  
11 Mr. Herndon is also my witness, so I don't have any, any  
12 questions for him on cross.

13 CHAIRMAN CARTER: Good deal.

14 Mr. Twomey.

15 MR. TWOMEY: No questions.

16 CHAIRMAN CARTER: Okay. Commissioners, I'm going  
17 to -- Commissioner Argenziano.

18 COMMISSIONER ARGENZIANO: Thank you.

19 Mr. Herndon, I've been trying to familiarize myself  
20 with CAPM models and the DCF, and I've said it here the last  
21 couple of days that it seems to me that those two models, as  
22 you said before, have some value, but they also have, I guess,  
23 some negatives to look at. And the negative I see is that they  
24 seem so subjective; that one could put the inputs in any  
25 direction they wanted to, have a particular outcome, and it



1 could inflate or -- am I, am I correct in that assumption? Do  
2 you, do you see it as subjective? And, and then -- and I've  
3 asked this question too and I'll ask it again, if beta has no  
4 predictive value, how would that affect the CAPM outcome?

5 THE WITNESS: Let me try and answer your question  
6 this way, if I might, Commissioner.

7 Once you select the data that you wish to use in your  
8 formula, the formula functions mathematically in a fairly  
9 precise way. It produces a result, but it's a result that's  
10 driven very strongly by the information that you use, the  
11 currency of that information, the relevance of that information  
12 in the marketplace that you happen to be functioning in and so  
13 forth. So I don't wish to suggest that, that it's merely a  
14 subjective use of data that may or may not be precisely on  
15 point because it's not quite that simple.

16 But having said that, both models and all of the  
17 formulas for that matter that are available out there in the  
18 investing world can be interpreted a number of different ways.  
19 And I guess that's part of my concern here is that the  
20 Commission is being asked to consider these models and these  
21 formulas as if they were gospel, and they're just simply not.  
22 They're data points that you should take into consideration and  
23 you should give them the credence that they deserve, and that  
24 ultimately is in the eyes of each of you.

25 COMMISSIONER ARGENZIANO: Well, that's, that's

1 interesting, very interesting. Because if you can do that --  
2 and I found that in life that any time you have three or four  
3 ways to, to get somewhere, if, if you can, if the input or how  
4 you place the input or what you place into that could change  
5 the outcome drastically to one side or the other, personally I  
6 don't find that valuable. I like to get to something and say  
7 this is, this is how we get there and not manipulate it in any  
8 way.

9           So what I'm getting from that then is that all the  
10 methods are, are in my opinion questionable to get the outcome.  
11 I understand how they're used, but I still have a hard time  
12 understanding the inputs and how, how they get to that, to that  
13 outcome. With that said, let me go through some of your  
14 testimony. Just bear with me a second.

15           Let me ask you, investors today in this economic  
16 climate, in your opinion what do you think they would be  
17 looking for? And, you know, I'm looking at both sides of  
18 things, but I just put myself in that place and figure if I was  
19 the investor, what would I look for? And I'd like to know in  
20 your opinion what you think is a, I mean, a place where  
21 investors would want to go. How they would, you know, look at  
22 today's market and say, you know, I want to invest but I'm not  
23 going to invest here because I'm not sure, I'm going to invest  
24 here because I'm sure, or here because I'm taking a chance, and  
25 I guess they're taking a chance on everything.

1           But what, what do you think, I guess, of a utility  
2 stock, a Florida utility stock in today's market? Do you think  
3 it's a safe bet or a safer bet than most stocks out there? Is  
4 it a good place to invest?

5           THE WITNESS: Let me try and answer a couple of your  
6 questions, if I might, by saying that I think investors first  
7 and foremost in today's market want safety. They're willing to  
8 trade a little bit of return for sleeping at night.

9           Secondly, I think depending on your appetite for risk  
10 you can always take on more of a gamble if that's your  
11 preference. But if you look at the utilities that function in  
12 Florida, I think you can rest very comfortably on the basis  
13 that they are safe and secure. They're not going to pay  
14 perhaps quite the dividend or the appreciation as a high-flying  
15 company might, but they're also less risky and it allows you to  
16 sleep a little bit better at night, and I think that's what  
17 investors are looking for.

18           COMMISSIONER ARGENZIANO: You -- what method did you  
19 use in calculating the ROE?

20           THE WITNESS: Well, this was a question that was  
21 asked of me earlier. The truth of the matter is I don't have a  
22 canned formula for calculating an ROE. What I tried to do was  
23 to look at the presentations and the testimony of the witnesses  
24 that were put on by the company to weigh as carefully as I  
25 could the models that they used, the information that they were

1 using to feed those models to look at my day-to-day experiences  
2 in the financial markets and reading and analyzing what is  
3 going on. Also to try and factor in the market conditions that  
4 we're all faced with in today's environment, including at the  
5 time the likelihood that some sort of fairly significant  
6 congressional bailout would pass and so on and so forth.

7           So all of those things went into ultimately  
8 concluding that a range of 7 to 8 percent would be acceptable  
9 to most investors, given the nature of the investment that they  
10 were making. If it was a, as I said, a much more high-flying  
11 company, then perhaps that would not be a sufficient return.  
12 But given that it's a secure, stable, long history, monopoly,  
13 noncompetitive company, that that was a reasonable return.

14           COMMISSIONER ARGENZIANO: And how significant should  
15 a risk be in factoring a company's, a utility's ROE, since you  
16 mentioned risk?

17           THE WITNESS: I'm not exactly sure how to answer.  
18 And when you say risk --

19           COMMISSIONER ARGENZIANO: Well, how do you factor  
20 in -- if I'm Company A who has far more risk, there's no  
21 guarantee of a revenue return, and then a company that has a  
22 guarantee of a revenue return, which one is, you know, which  
23 one weighs more in factoring in an ROE?

24           THE WITNESS: Any time you take on risk you should be  
25 compensated for it. The more risk you take on, the more you

1 should be compensated for it. That's a very fundamental  
2 premise of investing.

3 In this case you have a company that although  
4 certainly exposed to risks such as hurricanes and so on and so  
5 forth is also, I don't wish to overstate this word, but it's  
6 also protected to a certain degree from those risks through a  
7 very solid regulatory environment, you know, a noncompetitive  
8 geographic territory, you know, Commission decisions that  
9 authorize pass-throughs for a number of factors that are in the  
10 overall base rate. So the company has a lower risk profile  
11 than many, many, many others and you would expect a lower  
12 return.

13 COMMISSIONER ARGENZIANO: In your testimony --  
14 there's a couple of other questions I want to ask. In your  
15 testimony, I think in your direct the question was asked, some  
16 have suggested that allowing -- I know you spoke to this  
17 before, but I want to speak about it until I get a really good  
18 understanding. And they, the question was some have suggested  
19 that allowing Tampa Electric a 12 percent ROE may benefit  
20 ratepayers by lowering borrowing costs, and they asked do you  
21 agree. And I really want to understand that.

22 And your, part of your answer was any reduction in  
23 borrowing costs would likely be a slight incremental amount and  
24 would not offset the increased revenue requirements for  
25 ratepayers if a 12 ROE were to be authorized. And then you

1 further say that customers would be worse off because they  
2 would be paying higher rates than necessary. Could you go over  
3 that again and tell me why you feel that way?

4 THE WITNESS: I guess the first thing I would, would  
5 say is that Tampa Electric at least in part is requesting an  
6 ROE of 12 percent in order to obtain a higher credit rating  
7 from the credit rating agencies. Their argument is that their  
8 triple B rating today is not sufficient to give them good  
9 access to capital and access to capital at a better rate, a  
10 lower cost.

11 I don't agree with their conclusion in the sense  
12 that, number one, I think they have reasonable access to  
13 capital. I think the company has shown that throughout its  
14 history. I think we're also aware that utility companies by  
15 and large were very successful in accessing capital throughout  
16 2008; one of the most successful industries, if you will, of  
17 any of the industries in terms of accessing capital. So I  
18 don't accept that premise, number one.

19 Number two, if we accept the premise that they will  
20 get a higher rating, the cost to them that might result is only  
21 going to be marginally lower. It's not going to drop in a  
22 dramatic fashion. And as a consequence, I think what you're  
23 faced with is the reality that customers are going to pay a  
24 much higher rate for their electric service for several years  
25 until Tampa Electric comes back in for another rate case, at

1 which point they're going to then adjust their rates to reflect  
2 that lower cost of borrowing that they got as a result of this  
3 rate case.

4           So what you have is a period of -- I heard one  
5 witness say they're going to be back in within five years. You  
6 know, I don't know.

7           COMMISSIONER ARGENZIANO: We don't know.

8           THE WITNESS: But let's say five years, maybe it's 16  
9 like it was in this instance, that customers will pay a rate  
10 based on a 12 percent ROE. And in order to do that, they're  
11 going to -- the result of that is that they're going to get a  
12 marginally lower borrowing cost, maybe, you know, a half a  
13 percent or something on that order, maybe a little bit more  
14 depending on what they ultimately get.

15           So, you know, in my mind it's just not good economics  
16 to, to authorize that much of a, of a benefit on the front end  
17 in the anticipation of some undecided, unclear, unlikely  
18 outcome.

19           COMMISSIONER ARGENZIANO: So basically what you're  
20 saying is that the customers -- the benefit that the company  
21 will receive doesn't outweigh the cost to the customers. It's  
22 going to cost the customers a lot more to get a small little  
23 benefit for the company; is that right? I don't want to put  
24 words in --

25           THE WITNESS: Yes, ma'am.

1                   COMMISSIONER ARGENZIANO: Okay. And you had  
2 mentioned that the southeastern states in rate cases I think  
3 indicating that they have been resolved or have been granted  
4 different ROEs. Could you elaborate on what you meant on the  
5 southeastern rate cases?

6                   THE WITNESS: Well, I'm sorry, Commissioner. I was  
7 really responding to Commissioner Skop's question about the  
8 rate cases that were settled in the southeast. I'm not  
9 familiar with --

10                  COMMISSIONER ARGENZIANO: Okay.

11                  THE WITNESS: -- what they are. But I've always been  
12 a little reluctant to, you know, have a kind of follow the  
13 heard mentality here. I mean, the fact that Alabama may have  
14 settled a rate case is interesting and it's something that you  
15 should be aware of certainly. But does that mean that you  
16 should do it because Alabama did it? No, I don't think so. I  
17 mean, it's something you should take into consideration but  
18 that's all.

19                  COMMISSIONER ARGENZIANO: Okay. I tend to agree with  
20 not going along with the herd mentality sometimes too. I think  
21 I've got a reputation for that: Sometimes right, sometimes  
22 wrong.

23                  Also in your testimony and I think it was in  
24 Ms. Abbott's testimony also that Florida's regulatory  
25 environment is very, very, viewed very favorable. And as a



1 matter of fact, as one of the -- ranked most favorably, I  
2 guess, is the ranking that the Florida regulatory scheme has.  
3 And could you tell me how that weighs in on the company,  
4 allowing the company to access capital?

5 THE WITNESS: Yes, ma'am. It in a, in a phrase  
6 reduces risk and makes the company a better investment with a  
7 lower expectation of return.

8 If you are in -- if you are an electric company in an  
9 environment where the Commission that regulates you is perverse  
10 and undisciplined and subject to all kinds of erratic  
11 decisions, that increases risk. But that's not the environment  
12 that Tampa Electric or any of the regulated utilities find  
13 themselves in in Florida. This is a very solid Commission with  
14 a long history of progressive regulation and that's reflected  
15 in their lower risks.

16 COMMISSIONER ARGENZIANO: Bear with me one minute,  
17 Mr. Chair. I think I have another question, if I could find  
18 the page. Well, while I'm finding it, I have thought of  
19 another question.

20 If the national average or the -- well, I guess it  
21 would be the national average is -- I don't know if I'm right.  
22 I think it was 10.5 percent. Does that sound right to anybody?  
23 The national average I think was, give or take, subject to  
24 correction, 10.5 percent. And if the company was granted a  
25 lower ROE as you suggest, 7.5, would that take them out of the

1 competition, so to speak?

2 THE WITNESS: It would undoubtedly take them out of  
3 the competition in the eyes of some investors.

4 COMMISSIONER ARGENZIANO: Uh-huh.

5 THE WITNESS: But bear in mind that investors are,  
6 pardon me, looking to those higher returns because they have  
7 higher risk. So their risk appetite is perhaps a little bit  
8 more voracious than you or I might be.

9 I would be very comfortable with a rate of return of  
10 7.5 or 8 percent given the low-risk nature of Tampa Electric  
11 and the utilities in Florida. Somebody else might want a  
12 higher return but they're willing to gamble.

13 COMMISSIONER ARGENZIANO: One second, Mr. Chair.

14 CHAIRMAN CARTER: No problem. Commissioner, if you  
15 want, I can go to staff and then come back to you.

16 COMMISSIONER ARGENZIANO: Yes. That would be great.  
17 Thank you.

18 CHAIRMAN CARTER: Why don't we do that.

19 Can we get -- hang on a second. Let me see. Do you  
20 need some water?

21 THE WITNESS: I've got some.

22 CHAIRMAN CARTER: Okay. Good.

23 Commissioner Skop.

24 COMMISSIONER SKOP: Thank you, Mr. Chairman.

25 Mr. Herndon, I just wanted to follow along to -- just

1 one additional question that I did not get to before.

2 But going back to the -- again, different  
3 institutional investors have different goals. Some are looking  
4 for, you know, preservation of the investment and dividend  
5 growth and others are looking for aggressive growth and have  
6 more risk appetite.

7 But with respect to GE, I guess the, the investment,  
8 at least my recollection, that Berkshire Hathaway and Warren  
9 Buffet made in GE recently, I think it was in October 2008, was  
10 a \$3 billion, \$3 billion investment in preferred stock with a  
11 10 percent dividend. And I think that I had asked if you knew  
12 what the credit rating of GE, which is a blue chip company,  
13 was, and you did not know. But subject to check, would you  
14 agree that for all practical purposes it's a triple A rating?

15 THE WITNESS: Certainly, Commissioner. Subject to  
16 check, I would agree with you.

17 COMMISSIONER SKOP: Okay. So I guess generally  
18 speaking, and I don't want this to be construed in any way,  
19 form or fashion that I'm in support of a higher ROE or anything  
20 like that, but I'm just trying to, to put out a scenario to  
21 illustrate today's capital markets. But if Berkshire Hathaway  
22 were making a capital or equity investment in a triple A rated  
23 company yielding a 10 percent return, would it not be  
24 reasonable to expect that if Berkshire Hathaway were making the  
25 same investment in a triple B rated company, that that return

1 would be incrementally higher? I'm not saying how much higher,  
2 but some increment. Would you generally accept that premise?

3 THE WITNESS: I would generally accept that premise  
4 with the caveat that I would like very much to understand what  
5 was going on behind the scenes.

6 If I might, Commissioner, I don't recall the  
7 specifics of that particular investment, but I do recall that  
8 it was a, an arrangement that General Electric negotiated  
9 almost directly behind the scenes with Berkshire Hathaway. And  
10 my suspicion is that there was a great deal more there than met  
11 the eye. They went directly to Berkshire Hathaway, I suspect,  
12 because they needed help, and to get that help they had to pay  
13 for it.

14 COMMISSIONER SKOP: No. Absolutely. And, again,  
15 institutional investors have much more benefits available to  
16 them than the individual poor souls of investors that we are.  
17 You know, I wish I could make the deals that, or get the deals  
18 they get.

19 But, again, what I'm trying to illustrate is that,  
20 and this goes to Commissioner Argenziano's question, that there  
21 is some incremental difference in terms of the credit rating,  
22 and so I'm trying to kind of flesh that out. Because, again,  
23 the returns right now, the markets are in a state of flux and  
24 rate setting in today's economic environment is difficult at  
25 best. I mean, as you mentioned, the Commission has a rich

1 history of and is well recognized nationally as being one of  
2 the best regulatory bodies in the state. But we also need to  
3 look out for our consumers, so that's factoring into the  
4 discussions and the full vetting that we're having.

5           With respect to one other point that you touched upon  
6 with the premise, and I think that Commissioner Argenziano  
7 touched upon this, about the notion that if a company has a  
8 higher credit rating, that essentially consumers would be  
9 paying more for that credit rating than they would gain by the  
10 lower borrowing costs. Would that necessarily be -- I mean, I  
11 tend to think that that has some merit to some degree, but  
12 would that necessarily hold true if a company were taking on a  
13 large capital project or a large capital undertaking to the  
14 extent that if you start to incur, if you started to incur  
15 large, a large amount of debt, at some point that lower  
16 borrowing cost -- and the reason I'm trying to put this into  
17 perspective is that some of the investments that this  
18 Commission approves are billions of dollars. And so when, when  
19 you look at millions or, you know, a fraction of a million  
20 versus the billion, I mean, kind of do the math, but a half a  
21 percent on a billion dollars, I think I could retire today.  
22 But I just wanted to get your perspective. At some point would  
23 there be, depending upon what happens in terms of capital  
24 projects, could there be a net benefit to the ratepayer?

25           For instance, if somebody were to, to -- you know, we

1 have nuclear in Florida. I mean, half a percent on the  
2 borrowing costs on a nuclear reactor I think would probably  
3 more than outweigh -- you know, the, the borrowing costs, the  
4 savings and the borrowing costs would more than outweigh the  
5 additional incremental costs to the consumer. Would you, could  
6 you comment on that?

7 THE WITNESS: I think you're probably right that  
8 there's a, there's a flex point out there somewhere. I'm not  
9 sure exactly where it is. I think certainly the scale of the  
10 project or the scale of the investments is a factor.

11 I suspect the biggest issue though is the spread, you  
12 know, the spread between that increased or increasing credit  
13 rating, lowering of borrowing costs, whatever that spread is I  
14 expect is the real tipping point there. And I just don't think  
15 that in this case we're talking about a dramatic enough change.  
16 I think this is a marginal change here that we're talking  
17 about, and in that context I suspect it doesn't quite rise to  
18 that level. But I think you're right theoretically.  
19 Absolutely.

20 COMMISSIONER SKOP: Okay. Well, I appreciate your  
21 insight on this. Thank you so much.

22 COMMISSIONER ARGENZIANO: Mr. Chair.

23 CHAIRMAN CARTER: Commissioner Argenziano.

24 COMMISSIONER ARGENZIANO: I think I've got it. I  
25 probably later will think of a whole bunch of other questions.

1           I went through your testimony, as I did other  
2 witnesses', and found some things that were very interesting to  
3 me, and I did a little bit more homework on them and derived  
4 some questions. But really I think what it comes down to for  
5 me and I guess what Commissioner Skop said basically on large  
6 capital projects that some of the companies are entering into,  
7 but I also have to look at legislation that's passed that  
8 basically says that on those large projects you pretty much can  
9 recover everything. And I go back to risk. And if you can  
10 recover everything, if I -- and correct me if I'm wrong because  
11 I'm kind of going to ask a question here -- I'm looking at  
12 investors and then I'm looking at those who loan the money to  
13 the companies. You want to keep the companies healthy, you  
14 want to keep them in the State of Florida, also want to make  
15 sure that the ratepayers don't suffer the consequences of bad  
16 decisions.

17           But if I'm an investor, I'm looking, and I want less  
18 risk because, Commissioner Skop had said before, you know, the  
19 return may be higher for some companies, but I also look and  
20 say the risk may be higher too. So in this kind of climate  
21 today I would think that a lot of investors are saying there's  
22 a lot of risk out there. I mean, GE is one that may be going  
23 out of business any day. But, so I'm looking for safety. I'm  
24 looking for less risk. Maybe the return is not quite as high,  
25 but the investor would look to a company or, or some type of

1 investment that had less risk. And if, even if there are these  
2 big projects, if you have recovery clauses that say, even if  
3 you can recover down the line, isn't that still a safe, safer  
4 place for investors to go?

5           And on the second part of that question is those who  
6 loan the money, and I'm getting back to the A and the triple B  
7 because I'm starting to understand -- I think what you're  
8 saying is it's not that much of a difference between the two  
9 when it comes to acquiring the capital that you need from the,  
10 from the borrowers, I mean, from the loaners.

11           But from the perspective of those who loan the money,  
12 wouldn't those same features play or be part of the play and  
13 say, well, you know, I'm going to look at this company that's  
14 still investor, what do you call it, investor grade, is that  
15 the term, that's still investor grade and has a regulatory  
16 scheme that is the most favorable in the nation, don't they  
17 look at those factors too with the risk and say that, you know,  
18 who am I going to loan the money to, the GE, who may be going  
19 out of business today that has the higher return, or am I going  
20 to loan it to a company that has a guaranteed return that's not  
21 unhealthy and has less risk? And I know that's kind of a,  
22 sounds like a simple question, but does it work that way with  
23 those who loan the money?

24           THE WITNESS: Absolutely. Institutional investors  
25 and I suspect most personal investors want to have a certain



1 amount of their portfolio, however large it might be, as kind  
2 of solid as bedrock. They want to be able to put it there, not  
3 have to worry about it, expect it to give them a fair return in  
4 the market that they happen to be in but not take undue risk.  
5 And so they build in that, that bedrock there. That's the part  
6 that anchors you to the wind in, in case future hurricanes come  
7 along. So, yes, you're absolutely right. I mean, lenders,  
8 whether it's, you know, Citibank or Bank of America or whoever  
9 it is, are constructing their portfolios with that thought in  
10 mind.

11           As far as the pass-through and recovery clauses and  
12 so forth are concerned, I couldn't agree with you more. And  
13 make that point that I think that's part of what gives in this  
14 case the company a, a sound regulatory environment is that the  
15 Commission has recognized that those pass-throughs are  
16 appropriate. And I realize that the company is not in the  
17 strictest sense 100 percent guaranteed every dollar that they  
18 spend, but the fact is that those recovery clauses do operate  
19 to essentially guarantee a recovery of almost all their costs  
20 and the disallowances are going to be on the margins in those  
21 cases. And, you know, I think that gives investors, whether  
22 it's individual or institutional investors, comfort.

23           COMMISSIONER ARGENZIANO: And I've been struggling  
24 with that because I don't want to put them out of competition.

25           THE WITNESS: Absolutely not.

1           COMMISSIONER ARGENZIANO: I don't want, I don't want  
2 the loan, those who would loan our utilities the money that  
3 they need, I don't want them to look and say, well, you know,  
4 I'd rather loan the company that has at least the national  
5 average, except, you know, this company may have a 7.5 below  
6 the national average, maybe, you know -- I don't know if they  
7 make that type of decision. I know an investor may make that  
8 kind of decision, say, well, you know, I'd rather go with a  
9 company that's on the national average at least in Florida  
10 rather than the one that's below, but I don't know if those who  
11 loan the money look at that also.

12           THE WITNESS: The lenders do it every single day.  
13 And, you know, in many respects I guess you could characterize  
14 the economic environment that we're in today as being a result  
15 of lenders forgetting to be more safety conscious. They  
16 started chasing, you know, higher returns, taking on more and  
17 more risk, and we are in the situation we're in as an overall  
18 economy because of that I think. And that's obviously  
19 simplistic, but --

20           COMMISSIONER ARGENZIANO: Getting back to the other  
21 question that I asked before, and I don't know if you have this  
22 and I don't know if the numbers have been -- when you say that  
23 the bang might not be worth it for the customer for the company  
24 to get the A rating when they can acquire capital today, is  
25 there a dollar figure, do we know a dollar figure of what it

1 would cost the consumers for the company to get -- I'm trying  
2 to figure out what the bang is for the buck. Did you calculate  
3 that?

4 THE WITNESS: I did not calculate it. It could be  
5 done. What you have to do is calculate a series of different  
6 scenarios because there's no certainty about what the, how,  
7 what rate the money is going to be lent at and so on and so  
8 forth. So you'd have to construct a series of likely scenarios  
9 to give you some different outcomes and then work within that  
10 overall framework. And I, and I'm sure the staff could do  
11 that. It's not going to be an easy, out-of-the-envelope  
12 calculation.

13 COMMISSIONER ARGENZIANO: It would be -- the  
14 possibility is not --

15 THE WITNESS: But it's possible.

16 COMMISSIONER ARGENZIANO: Okay.

17 THE WITNESS: It would give you some food for  
18 thought. No question about that.

19 COMMISSIONER ARGENZIANO: Okay. If anybody has food  
20 for thought, I'd love to eat some.

21 But -- okay. And I guess the -- let me see. I think  
22 I, I think you've answered most of my questions. I probably  
23 have more, but I appreciate it. Thank you.

24 THE WITNESS: My pleasure.

25 CHAIRMAN CARTER: I'm going to come back in a minute,

1 Commissioner. I'm going to go to Commissioner McMurrian. If  
2 you think of something, I'll come back to you.

3 Commissioner McMurrian.

4 COMMISSIONER McMURRIAN: Thank you, Chairman.

5 And it's very nice to meet you, Commissioner Herndon.  
6 I've heard nothing but good things about you. And, of course,  
7 I haven't asked TECO after your testimony. But, anyway, we're  
8 glad you're here with us.

9 (Laughter.)

10 In your testimony on Page 17 you make a statement in  
11 there that you wouldn't quarrel with Witness Murry's formulaic  
12 approach in a normal investing environment and you bolded  
13 normal there. And I just wanted to be clear about  
14 understanding that.

15 If we were to accept your proposed ROE in this case  
16 of 7.5 percent and TECO were to come back in in, I don't know,  
17 a year, two, three years hopefully when the economy is better  
18 and we're back in that normal investment environment, would you  
19 support a formulaic approach in that case?

20 THE WITNESS: Commissioner, again, I think my answer  
21 would be that the formulas that Witness Murry uses and other  
22 witnesses have used are worthwhile inputs for you to take into  
23 consideration. The results that they produce in and of  
24 themselves should not be what drives your decision exclusively,  
25 and that's, that's where the rub is for me. It's not that -- I

1 mean, I appreciate that there's some weaknesses in the formulas  
2 and so forth, but it's not the use of them as, as decision  
3 points for you. It's the exclusive use of them as decision  
4 points for you that troubles me very greatly.

5           And, and so three years from now if we're back at  
6 14,000 in the Dow and everybody is just banging along and the  
7 best economy the world has ever seen and Tampa Electric comes  
8 in and says we need some adjustments, I think you ought to give  
9 them every consideration. Absolutely. I don't know what the  
10 result would be, but you certainly ought to listen to their  
11 arguments.

12           COMMISSIONER McMURRIAN: I appreciate that. And I  
13 realize in your testimony you've also taken issue that if you  
14 were going to use the mechanistic approach or the formulaic  
15 approach, that the inputs should be current and valid. You've  
16 said that.

17           But I'll just share with you, I mean, some of what  
18 I'm thinking is that while we have to consider the current  
19 state of the economy in making our decisions on several levels  
20 in the case, I guess from a regulatory certainty kind of  
21 standpoint I have some concern about using the formulaic  
22 approach or not depending on the state of the economy, I guess.  
23 And so I was trying to understand better, are you saying that,  
24 you know, you probably shouldn't use it here because of the  
25 state of the economy, but if the economy were better, we would

1 use it? And I understand your point that you're not saying to  
2 rely on it exclusively, and I don't think that when we, when we  
3 do look at those formulaic approaches that we do, and there's  
4 probably a lot of subjective nature to it too as we've been  
5 talking about with the beta and the other risk premium inputs  
6 and that, and that they have a lot of, a lot of -- they  
7 definitely influence the outcome of using those different  
8 models.

9           But I guess I'll just let you respond to what I've  
10 said about that regulatory certainty and about using those  
11 formulaic approaches or not. And then just in general -- and  
12 then also have you proposed any inputs for those approaches,  
13 for using those mechanistic approaches, if we were to use  
14 those?

15           THE WITNESS: Here's the distinction that I think I  
16 would make, Commissioner, in terms of placing, as I've  
17 characterized it, undue reliance on these formulas.

18           I would agree with you that there's value in  
19 regulatory certainty and that the customers and the company and  
20 the creditors and everybody else in the, in the economic  
21 environment should have some comfort in that certainty.

22           We are in an extraordinary time. This is not, you  
23 know, 1998, this is not 1992, this is not 1985. This is 1929,  
24 you know, all over again, and it's that factor that really  
25 makes me even more cautious than I would normally be.

1 Otherwise, I would agree with you, I think, that, that you  
2 should rely on these formulas given valid inputs, given  
3 accurate interest rates and so on and so forth and give them  
4 credence -- not exclusive even in those circumstances, but give  
5 them credence.

6 But we're in a situation in an overall economic  
7 environment where a lot of the rules are not clear anymore and  
8 I think we're perhaps heading into a different kind of space  
9 than we've been in for a while. So it's the extraordinary  
10 nature that troubles me of our current environment.

11 COMMISSIONER McMURRIAN: And I guess one final  
12 follow-up. Did you propose any inputs for the, for these  
13 approaches, or even in the deposition, which I haven't reviewed  
14 yet, did you discuss, you know, where you found fault, I guess,  
15 with some of the inputs to those approaches?

16 THE WITNESS: The principal -- I don't want to  
17 mischaracterize this because we talked about this some in the  
18 deposition. I did not recommend to Witness Murry or to the  
19 company that they should use this dividend rate as opposed to  
20 another. My principal concern, and we did talk about this a  
21 little bit, was the interest rate environment that was driving  
22 many of these factors. Interest rates per se are not a factor  
23 in the formulas, in the precise application of the formulas,  
24 but they are the backdrop, as Witness Murry, I think, points  
25 out, they are the backdrop. They're -- one of the most

1 important considerations that you can have in looking at any of  
2 these formulas is current interest rates, and his interest rate  
3 was just dated by virtue of when it was prepared. We now have  
4 an interest rate that's for all intents and purposes zero and  
5 that should be factored into the equation.

6 COMMISSIONER McMURRIAN: Okay. Thank you very much.

7 CHAIRMAN CARTER: Commissioner Argenziano.

8 COMMISSIONER ARGENZIANO: Sorry. I thought of some  
9 others.

10 First, I would like to ask because I'd like to get it  
11 into the record if we can get what I had asked prior about the  
12 bang for the buck, the sort of numbers or the possibilities  
13 that there would be for the company to -- as they say, if they  
14 went to an A rating, what that would cost the consumers. If we  
15 have, if we can have some possible scenarios, trying to figure  
16 out what the bang is for the buck, if we can enter that.

17 MS. BROWN: Could we consult just for a minute,  
18 Commissioner?

19 COMMISSIONER ARGENZIANO: Sure. And I'll ask the  
20 other, the other question, if I can.

21 CHAIRMAN CARTER: Commissioner, before you ask your  
22 next question, let me just, while staff is trying to get things  
23 together, just kind of a housekeeping matter.

24 COMMISSIONER ARGENZIANO: Sure.

25 CHAIRMAN CARTER: So that the Commission and the



1 parties can plan. For planning purposes, today we'll probably  
2 take lunch between 11:30 and 12:45. So that gives us an  
3 opportunity -- and let's do this while staff is consulting.

4 COMMISSIONER ARGENZIANO: Sure.

5 CHAIRMAN CARTER: And we've been going at it for  
6 almost two hours with our court reporter. Let's give Linda a  
7 break and we'll come back on the half hour. We're on recess.

8 (Recess taken.)

9 We're back on the record and we have Mr. Herndon on  
10 the stand. And just before we left, we had asked -- and,  
11 staff, you're recognized to kind of explain where we are. And  
12 you're recognized, staff. Mr. Young.

13 MR. YOUNG: Yes. Thank you, sir. It's my  
14 understanding that TECO is going to, TECO wants to, TECO is  
15 going to provide the comparison, the comparisons. Also, FRF is  
16 going to provide an exhibit, the same exhibit. And I'll let  
17 Mr. Maurey speak to staff.

18 CHAIRMAN CARTER: Staff. Okay.

19 MR. MAUREY: Staff will file, prepare also an  
20 independent analysis.

21 CHAIRMAN CARTER: Okay. And that, Commissioners,  
22 will be 123. It'll be a composite exhibit. Let me ask staff,  
23 would it be better if I broke them up or what do you think?

24 MR. YOUNG: We can keep it as 123.

25 CHAIRMAN CARTER: Let's make it a composite exhibit.

1 So we'll have the, staff's analysis, the breakdown with the  
2 spread, the company's analysis and FRF's, do I have it right,  
3 and FIPUG's analysis and the OPC.

4 MS. CHRISTENSEN: Yeah. To the extent, I need to  
5 talk to my witness, but to the extent that we can do one, we'll  
6 provide it as well.

7 CHAIRMAN CARTER: Okay. That will be fine. So all  
8 the parties. And, Ms. Bradley, if you would like to do one,  
9 that would be fine as well. And that way we can, you know --  
10 and a title, staff. Is it computation of the spread -- how  
11 about I just say computation of the spread between A and triple  
12 B? Everyone knows that we're trying to see what that cost  
13 ratio would be on that. That's as articulate as I can be on  
14 that for now, unless you guys want me to go further and I could  
15 be really loopier.

16 Mr. Wright.

17 MR. WRIGHT: Mr. Chairman, just so I'm clear, I would  
18 not suggest that you call this the bang for the buck exhibit,  
19 but I think it was my understanding that that's what we were  
20 talking about.

21 CHAIRMAN CARTER: That is correct. It is the bang  
22 for the buck exhibit.

23 MR. WRIGHT: It would be an appropriate analysis of  
24 the difference in costs to customers of achieving a higher, a  
25 higher debt rating and ostensibly a lower debt cost in return

1 for paying a higher return on equity. Is that a correct  
2 understanding?

3 COMMISSIONER ARGENZIANO: Isn't that so much more  
4 complicated than bang for the buck?

5 CHAIRMAN CARTER: Bang for the buck.

6 MR. WRIGHT: Of course it is.

7 CHAIRMAN CARTER: It's a short title. I was looking  
8 for a short title, you know.

9 MS. CHRISTENSEN: Commissioners, can I ask for some  
10 clarification?

11 CHAIRMAN CARTER: Hang on one second. Hang on.  
12 Let's work on the title here.

13 MS. CHRISTENSEN: Bang for the buck.

14 MR. WRIGHT: How about Debt/Equity Cost Comparison.

15 CHAIRMAN CARTER: Debt/Equity Cost Comparison. Does  
16 anybody have any heartburn on that? I'm really liking bang for  
17 the buck, but we'll go with Debt/Equity Cost Comparison.  
18 Debt/Equity Cost Comparison.

19 Ms. Christensen.

20 MS. CHRISTENSEN: I was just wondering if we had some  
21 clarification over a particular time period and what ROE spread  
22 you wanted to use between the 12 and the 10 just to make it  
23 uniform or --

24 CHAIRMAN CARTER: I think what we probably ought to  
25 do, Commissioners and staff, I'm thinking aloud and sometimes

1 that's not necessarily the best thing to do, use the same  
2 timeframe that the company used, that we're using in this, in  
3 the case. Wouldn't that make sense, if you guys used the  
4 same -- yeah. It would --

5 COMMISSIONER ARGENZIANO: Is there such a thing as as  
6 soon as possible?

7 MS. CHRISTENSEN: Like a five-year time spread or  
8 something like that?

9 COMMISSIONER ARGENZIANO: Yeah. And I think that --

10 CHAIRMAN CARTER: Mr. Wright, you're shaking your  
11 head. What are you --

12 MR. WRIGHT: I'm just trying to get my arms around,  
13 around the scope. I mean, we're talking about a 2009 test  
14 year. I think maybe 2009, 2010 would be a good period, 2009,  
15 '10, '11.

16 CHAIRMAN CARTER: Mr. Willis?

17 MR. WILLIS: I believe that it is, would be  
18 inappropriate at this juncture for us to set a specific  
19 timeframe or any of these detailed parameters. I think it's  
20 important for us all to do an analysis and to set out exactly  
21 what we've done and to, to present an analysis of what the  
22 Commission wants. I think we've all heard the, the testimony  
23 and the responses here and can address that. I think it  
24 becomes too confining to, to, to try here on the fly to specify  
25 this too closely.

1 CHAIRMAN CARTER: Commissioner Argenziano.

2 COMMISSIONER ARGENZIANO: Well, if it comes in too  
3 late, it's useless. So if the company can't provide it in a  
4 certain amount of time, maybe they can't, maybe the others can.

5 MR. WILLIS: No. The time, I'm not speaking about  
6 that time. We can provide it quickly.

7 COMMISSIONER ARGENZIANO: Oh, you mean the time of  
8 the years.

9 MR. WILLIS: All these different parameters, how do  
10 you make this analysis?

11 CHAIRMAN CARTER: Well, I thought what I said was the  
12 simplest thing in the fact that we're talking about a finite  
13 time in the rate case here, the years that we use there.  
14 That's what I thought would make sense to everyone, you know.  
15 Where is that chart that tells us? Andrew, have you got -- can  
16 you -- do you have a suggestion on, a simple one?

17 MR. MAUREY: No, but I'll come up with something.

18 MR. WRIGHT: Mr. Chairman?

19 CHAIRMAN CARTER: Mr. Wright.

20 MR. WRIGHT: I'll just add, we have no heartburn  
21 with, with Tampa Electric's suggestion, which I think a former  
22 member of this, a couple of former members of this Commission  
23 would refer to as the get your best hold on the exhibit  
24 approach. It may be more, it may be more voluminous than you  
25 want. But I think, you know, the company's witness --

1           CHAIRMAN CARTER: We should have gone with the bang  
2 for the buck. Do you see that?

3           MR. WRIGHT: The company's witness will have an idea  
4 of what they believe is the appropriate time period. Our  
5 witness will have the same. Dr. Woolridge will have the same.  
6 We're happy with that.

7           CHAIRMAN CARTER: Okay. That's fine. Ms.  
8 Christensen, does that help?

9           MS. CHRISTENSEN: As long as I guess it's clear on  
10 the exhibit what timeframe you used and the differential  
11 between the ROEs that are used.

12           CHAIRMAN CARTER: Yeah. That will be in your, that  
13 will be in your own exhibit and we can evaluate.

14           MS. CHRISTENSEN: As long as it's clear I think on  
15 everybody's exhibit so you can attempt to make some sort of  
16 comparison yourselves, then I think we can probably live with  
17 that parameter.

18           CHAIRMAN CARTER: Okay. And that will be a  
19 late-filed exhibit. And thank you so kindly on that.

20           (Late-Filed Exhibit 123 identified for the record.)

21           Commissioner Argenziano, you're recognized.

22           COMMISSIONER ARGENZIANO: I just have I think two  
23 other questions for Mr. Herndon.

24           Do utility stocks --

25           CHAIRMAN CARTER: 123. Wait.

1 COMMISSIONER ARGENZIANO: Sorry.

2 CHAIRMAN CARTER: I'm at 123.

3 MR. YOUNG: It's 123.

4 CHAIRMAN CARTER: 123? Okay.

5 You may proceed.

6 COMMISSIONER ARGENZIANO: Do utility stocks normally,  
7 I don't know whether the word is do better in the investment  
8 markets, and how would they be doing in your opinion now in the  
9 type of market that we have now? Do you know?

10 THE WITNESS: The, the utility stocks as a group have  
11 performed better than the Dow Jones industrial average, than  
12 the S&P 500 or the NASDAQ over the last couple of years.

13 Now when I say perform better, that's a very relative  
14 term. What I mean by that, in this specific time period we're  
15 talking about, the last couple of years, is they've lost less  
16 money than the other indices. Obviously each individual  
17 company may or may not be performing better or worse and that's  
18 a function of so many variables.

19 COMMISSIONER ARGENZIANO: But in mass --

20 THE WITNESS: But when you put them all together and  
21 you look at the utilities versus the industrials versus the S&P  
22 500 versus NASDAQ stocks, utility stocks have performed better.  
23 And, again, as I say, that means they have lost less. That's  
24 not the outcome that you want, but nevertheless that is better  
25 performance.

1           COMMISSIONER ARGENZIANO: And the second part of that  
2 question, do you think, I have my own opinion but I'm not an  
3 expert and I'm trying to formulate one, do you think that they  
4 have performed better because of the characteristics, the, the  
5 less risk, the certainty of cost recovery, the certainty in the  
6 revenue stream? Is that, is that one or all of the components  
7 that makes them perform better?

8           THE WITNESS: Without a doubt. In an environment  
9 like we're going through right now, investors flee to quality  
10 and they flee to safety. That's what they want more than  
11 anything else. And they know full well that they're not going  
12 to get paid as well with a utility stock as they might with a  
13 high-flying company, but their money is going to be safe and  
14 they're going to get a reasonable return and that's what they  
15 want. They want security and safety and that's what they get  
16 with utility stocks by and large.

17           COMMISSIONER ARGENZIANO: Thank you. Thank you,  
18 Mr. Chair.

19           CHAIRMAN CARTER: Thank you. I'm going to go to  
20 staff now, Commissioners, but always I can come back to the  
21 bench.

22           Staff, you're recognized.

23           MR. YOUNG: We have no questions.

24           CHAIRMAN CARTER: Okay. Anything further from the  
25 bench?



1           Okay. Redirect?

2           MR. WRIGHT: Yes, sir.

3           CHAIRMAN CARTER: One second. Give you guys a chance  
4 to get --

5           MR. MOYLE: Can we talk?

6           CHAIRMAN CARTER: Yes, sir. You've got a minute.  
7 Take a minute.

8           Just while they're doing that, Commissioner Skop, for  
9 the record we marked it as a composite Exhibit 123, and that's  
10 the bang for the buck -- actually we called it the Debt/Equity  
11 Cost Comparison, and it will be a late-filed and each one of  
12 the parties will present this Debt/Equity Cost Comparison about  
13 the ratio, and both staff will present one and each one of the  
14 parties will present that. And so 123 will be a composite  
15 exhibit of that. I'm trying to get my notes together here.

16           Okay. Mr. Moyle, you're recognized for your  
17 redirect.

18           MR. MOYLE: Thank you, Mr. Chairman. And as  
19 indicated when Mr. Herndon took the stand, he's sponsored by  
20 the Florida Retail Federation and FIPUG. So Mr. Wright and I  
21 compared notes briefly, but I'm going to go ahead and conduct  
22 the redirect on a couple of points.

23           CHAIRMAN CARTER: Okay.

24                                 REDIRECT EXAMINATION

25 BY MR. MOYLE:

1 Q Mr. Herndon, in response to a question from  
2 Commissioner Skop talking about the signal to Wall Street, I  
3 think he used the phrase "extreme measure." You're not, you're  
4 not suggesting that your recommendation is an extreme measure,  
5 are you?

6 A No, I'm not.

7 Q Okay. With respect to a question about other rates  
8 decided in the southeastern United States, the debt market is a  
9 national market; correct?

10 A Yes.

11 Q And I think while you said that those cases would,  
12 you know, be another data point that could be considered, with  
13 respect to accessing debt it may be more appropriate to  
14 consider nationally the cases decided around the country and  
15 the respective ROEs if you were going to use that as a, as a  
16 tool for informing your decision.

17 A I think any time you can get a larger sample  
18 population you're better off using that, and so I would  
19 certainly agree with you.

20 Q Okay. There were some questions about GE and the  
21 Berkshire deal that was done. Preferred stock is not the same  
22 as bonds; correct?

23 A Correct.

24 Q Okay. And then finally, Commissioner Argenziano  
25 asked you some questions about, and so did Commissioner Skop

1 about the relative measurement of impacts as related to having  
2 lower cost of debt as compared to a higher ROE. If I could  
3 just spend a couple of minutes and discuss that, that with you.  
4 Your high end of your recommendation is 8 percent, correct --

5 A Yes.

6 Q -- in terms of ROE? And Commissioner -- I'm sorry.  
7 Dr. Murry's recommendation is 12 percent. Have you assumed,  
8 and I think this is in the record, that each percentage point  
9 in the ROE was \$30 million, that would be a \$120 million spread  
10 on ROE, correct, the difference between 8 and 12 percent?

11 A Correct.

12 Q And that would be something that ratepayers would see  
13 this summer upon the conclusion of the hearing if, if a  
14 12 percent return were, were awarded; correct?

15 A The rates to capture that amount would start and  
16 would continue monthly, yes.

17 Q Okay. There's been some testimony and some evidence  
18 about the spread in the debt markets between triple B and A.  
19 And for the purposes of the question I'd ask you to assume that  
20 it's a 2 percent spread.

21 A Okay.

22 Q And I'd also ask you to assume that Tampa Electric is  
23 going to go into the debt markets for \$250 million. And to  
24 make it simple, let's just say they're going to do it, you  
25 know, next November, \$250 million. A 2 percent spread on

1 \$250 million is \$5 million; correct?

2 A Correct.

3 Q In terms of the debt difference? And that would be  
4 \$5 million per year that you would have in lower debt costs;  
5 correct?

6 A Correct.

7 Q There were questions about how long you would have to  
8 run these numbers to make a judgment about where do you get  
9 your bigger bang for your buck. But if you, if you did them  
10 for five years, five, \$5 million savings over five years is  
11 \$25 million; correct?

12 A Correct.

13 Q And if you did --

14 MR. HART: Mr. Chairman, I hate to interrupt, but  
15 this is the most inappropriate direct testimony. Mr. Moyle is  
16 just testifying and asking the witness if he's correct. These  
17 aren't questions. These are leading questions and they're  
18 extremely leading questions and we would object to them.

19 CHAIRMAN CARTER: He's right, Mr. Moyle. I've given  
20 you great leeway, so let's wrap it up.

21 MR. MOYLE: Okay. I think I have one or two more  
22 questions. That'll be it.

23 CHAIRMAN CARTER: Okay. Let's do it. I'm going to  
24 withhold my ruling. Just wrap it up.

25 MR. MOYLE: Thanks.

1 BY MR. MOYLE:

2 Q \$120 million times five is \$600 million?

3 A Correct.

4 Q Would those be the two numbers that you would  
5 consider, the \$5 million times five years, if you used a  
6 five-year time frame, \$25 million as compared to \$600 million  
7 for trying to figure out, you know, the bang for the buck in  
8 your opinion?

9 A I haven't had a chance to think through the numbers  
10 or the various factors associated with the calculation that  
11 you're describing. On the surface that seems to be correct.  
12 I'd like the opportunity to verify that, but on the surface  
13 that seems to be correct.

14 MR. MOYLE: Okay. That's all I have, Mr. Chairman.  
15 Thank you.

16 CHAIRMAN CARTER: Thank you. Thank you. Exhibits?  
17 Number 54, are there any objections?

18 MR. HART: No, Mr. Chairman.

19 CHAIRMAN CARTER: Okay. Show it done without  
20 objection.

21 (Exhibit 54 admitted into the record.)

22 Also, Commissioners, the Exhibit Number 123 is a  
23 late-filed, so that's the composite exhibit we'll be looking  
24 for.

25 Commissioners, anything further for this witness?

1 MR. HART: Mr. Chairman, was Exhibit 122 entered into  
2 the record?

3 CHAIRMAN CARTER: Yes, it was. Yes, it was.

4 MR. HART: Thank you.

5 CHAIRMAN CARTER: Thank you for the reminder. But  
6 Exhibit 122, as you know, Commissioners, that was Mr. Herndon's  
7 deposition. It was entered into the record without objection.

8 So thank you, Mr. Herndon. You may be excused.

9 THE WITNESS: Mr. Chairman, thank you. Might I just  
10 add it's a lot more fun up there than it is down here?

11 CHAIRMAN CARTER: Sometimes it is.

12 Okay. Is it Mr. -- Mr. Moyle.

13 MR. MOYLE: Mr. Pollock is the next witness.

14 CHAIRMAN CARTER: He's been sworn.

15 MR. MOYLE: And Ms. Kaufman is going to handle that  
16 witness.

17 CHAIRMAN CARTER: Oh, Ms. Kaufman. Okay. Let's take  
18 a moment.

19 Before you get going, let's just take about a  
20 five-minute stretch break, Commissioners. We'll start on the  
21 hour.

22 (Recess taken.)

23 We are back on the record. And when we last left, I  
24 think, Ms. Kaufman, you're up. You're recognized.

25 MS. KAUFMAN: Thank you, Mr. Chairman.

1           The Florida Industrial Power Users Group has called  
2 Mr. Jeffrey Pollock. And Mr. Moyle is going to be passing out  
3 an errata to Mr. Pollock's testimony that was provided to all  
4 the parties Monday of this week.

5           CHAIRMAN CARTER: Excellent. You may do so. Let's  
6 do -- let Mr. Moyle pass this out and then we'll begin the, let  
7 Mr. Pollock do his opening at that point in time. Okay. Let's  
8 hang on for a second.

9           MS. KAUFMAN: And I would just ask, if it's all right  
10 while we're waiting, I think I'd like to give this an exhibit  
11 number, if that would be all right.

12           COMMISSIONER EDGAR: Of course.

13           MS. KAUFMAN: Because it contains some revised  
14 exhibits as well. Just so the record is clear.

15           CHAIRMAN CARTER: No problemo. Let's make this one  
16 Exhibit 125. Wait. Hang on. Let me be sure here before I --  
17 124.

18           MS. KAUFMAN: Thank you, Mr. Chairman.

19           CHAIRMAN CARTER: This will be Exhibit 124. How  
20 about a title?

21           MS. KAUFMAN: I think we can just call it Pollock  
22 Errata Sheet.

23           CHAIRMAN CARTER: I love it. See, simple.

24           MS. KAUFMAN: I'm trying.

25           CHAIRMAN CARTER: There you go. I like it.

1 (Exhibit 124 marked for identification.)

2 Does everyone have a copy? Okay. You may proceed.

3 MS. KAUFMAN: Thank you, Mr. Chairman.

4 JEFFRY POLLOCK

5 was called as a witness on behalf of the Florida Industrial  
6 Power Users Group and, having been duly sworn, testified as  
7 follows:

8 DIRECT EXAMINATION

9 BY MS. KAUFMAN:

10 Q Mr. Pollock, would you state your name and business  
11 address for the record, please.

12 A Yes. I'm Jeffry Pollock. My address is 12655 Olive  
13 Boulevard, St. Louis, Missouri.

14 Q By whom are you employed and in what capacity?

15 A I'm employed at J. Pollock, Incorporated, and I am  
16 its President.

17 Q Mr. Pollock, you are testifying on behalf of the  
18 Florida Industrial Power Users Group; correct?

19 A Yes.

20 Q Did you cause to be filed in this proceeding 87 pages  
21 of direct testimony?

22 A Yes.

23 Q And we have distributed an errata sheet which has  
24 some changes to your direct testimony; correct?

25 A Yes.



1 Q With these changes, if I asked you the questions in  
2 your direct testimony this morning, would your answers be the  
3 same?

4 A Yes, they would.

5 MS. KAUFMAN: And, Mr. Chairman, we would ask that  
6 Mr. Pollock's testimony be inserted into the record as though  
7 read.

8 CHAIRMAN CARTER: The prefiled testimony of the  
9 witness will be entered into the record as though read.

10 BY MS. KAUFMAN:

11 Q Mr. Pollock, did you also have 19 exhibits to your  
12 testimony that I believe have been marked as Exhibits  
13 55 through 73?

14 A Yes.

15 Q And also we have passed out an errata to three of  
16 those exhibits; is that correct?

17 A Yes.

18 Q And with those changes, are your exhibits accurate  
19 and correct as you sit here today?

20 A Yes.

21 (Exhibits 55 through 73 marked for identification.)  
22  
23  
24  
25

1                   **1. INTRODUCTION, QUALIFICATIONS, AND PURPOSE**

2    **Q     PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

3    A     Jeffry Pollock; 12655 Olive Blvd., Suite 335, St. Louis, MO 63141.

4    **Q     WHAT IS YOUR OCCUPATION AND BY WHO ARE YOU EMPLOYED?**

5    A     I am an energy advisor and President of J. Pollock, Incorporated.

6    **Q     PLEASE STATE YOUR EDUCATIONAL BACKGROUND AND EXPERIENCE.**

7    A     I have a Bachelor of Science Degree in Electrical Engineering and a Masters in  
8           Business Administration from Washington University. Since graduation in 1975, I  
9           have been engaged in a variety of consulting assignments, including energy  
10          procurement and regulatory matters in both the United States and several  
11          Canadian provinces. I have participated in regulatory matters before this  
12          Commission since 1976. More details are provided in Appendix A to this  
13          testimony.

14   **Q     ON WHOSE BEHALF ARE YOU TESTIFYING IN THIS PROCEEDING?**

15   A     I am testifying on behalf of the Florida Industrial Power Users Group (FIPUG)  
16          and The Mosaic Company (Mosaic).<sup>1</sup>

17   **Q     WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

18   A     I am testifying on TECO's proposed revenue requirements, retail class cost-of-  
19          service study, class revenue allocation, firm and non-firm rate design, and the  
20          Transmission Base Rate Adjustment (TBRA).

21   **Q     ARE YOU SPONSORING ANY EXHIBITS?**

22   A     Yes. I am sponsoring Exhibits \_\_\_(JP-1) through \_\_\_(JP-19). Many of these  
23          exhibits are based on TECO's claimed revenue requirements in this proceeding.

1 As such, they are for illustrative purposes only and should not be interpreted as  
2 an endorsement of TECO's proposed base rate increase.

3 **Summary**

4 **Q PLEASE SUMMARIZE YOUR RECOMMENDATIONS.**

5 **A** My recommendations are as follows:

- 6 • Reductions of \$17.5 million to TECO's claim base rate revenue increase,  
7 which remove, abnormally high expenses for plant outages, to provide for a  
8 five-year amortization of actually incurred (rather than projected) rate case  
9 expenses, and exclude incentive compensation tied to achieving certain  
10 financial goals because it benefits shareholders and not TECO ratepayers;
- 11 • Revisions to TECO's class cost-of-service study that maintains the current  
12 homogeneous (GSLD and IS) customer classes, more appropriately  
13 classifies the Big Bend scrubber and Polk gasifier costs to demand, rejects  
14 the 12CP-25% AD method (which has never been approved by this  
15 Commission), applies the Commission-approved 12CP-1/13<sup>th</sup> AD method of  
16 allocation, and treats interruptible customers as firm for both pricing and  
17 costing purposes;
- 18 • A revised class revenue allocation that follows the revised class cost-of-  
19 service study and moves all rates to cost (*i.e.*, parity) while moving the  
20 lighting facilities class closer to cost;
- 21 • A firm rate design where demand and energy-related costs are recovered in  
22 demand and energy charges, respectively, and appropriate credits are  
23 provided to customers taking service at higher voltages;

- 1       • An interruptible rate design that will provide greater stability, more properly  
2           reflect the value of interruptibility, which is a cost that should be borne by firm  
3           customers, and fairly compensate interruptible customers; and
- 4       • Rejection of fifth piecemeal cost recovery clause, the Transmission Base  
5           Rate Adjustment factor, which is not needed, would unnecessarily shift risk to  
6           ratepayers and allow TECO to over-recover certain transmission rate base  
7           additions.

**2. REVENUE REQUIREMENTS**

1

**2 Q WHAT REVENUE REQUIREMENT ISSUES ARE YOU ADDRESSING?**

3 A I am addressing TECO's proposed test year production operation and  
4 maintenance (O&M) expenses related to scheduled outages, rate case  
5 expenses, and incentive compensation.

**6 Q DOES THE FACT THAT YOU DO NOT DISCUSS ALL OF TECO'S REVENUE  
7 REQUESTS MEAN THAT YOU ENDORSE THE OTHER REQUESTS TECO  
8 HAS MADE?**

9 A No. Based on the volume of material filed, as well as time constraints, I will only  
10 comment on selected revenue issues. I am sure that other parties will discuss  
11 additional revenue issues. The fact that I do not discuss such issues in my  
12 testimony does not mean that FIPUG and Mosaic endorse or support the other  
13 revenue requests TECO has made.

**14 Q WHAT IS THE TEST YEAR THAT TECO PROPOSES TO USE FOR  
15 PURPOSES OF SETTING RATES?**

16 A TECO is proposing to use a forecasted test year, using projected sales, revenues  
17 and expenses for 2009. In doing so TECO is apparently seeking to match rates  
18 to the time frame when those rates will be in effect.

**19 Q EXPLAIN THE CONCEPT OF THE TEST YEAR.**

20 A A test year is a period of time used to measure the utility's revenues and  
21 expenses for the purpose of setting base rates. In order to set rates that provide  
22 the utility a reasonable opportunity to earn a reasonable return on its used and  
23 useful investments, a test year must be representative; that is, the revenue  
24 requirements (which consist of a return on rate base plus operating expenses)  
25 should be set using sales, revenues, expenses and net investments that reflect

1 the conditions expected to exist during the period when new base rates are in  
2 effect. Thus, non-recurring and other atypical costs should be removed.

3 **Q IS TECO PROJECTING A CONTINUATION OF THE GROWTH IN SALES**  
4 **THAT HAS OCCURRED IN THE MOST RECENT 10-YEAR PERIOD?**

5 A No. In the short run, 2008 and 2009, TECO is projecting sales increases.  
6 However, the increase in test year sales is below the TECO's projected average  
7 2008-2017 sales growth.<sup>2</sup> Specifically, projected growth in total sales for 2008 is  
8 approximately 0.8% and for 2009 growth is approximately 1.5% -- both below the  
9 projected 2% average used for the remainder of the time period.

10 **Q DOES THE SLOWER PROJECTED GROWTH RAISE ANY CONCERNS?**

11 A Yes. Base rates reflect a utility's test year costs divided by test year sales. The  
12 higher the costs (*i.e.*, the numerator) and/or the lower the sales (*i.e.*, the  
13 denominator), the higher the rate. All things being equal, the higher rate will  
14 provide the utility the opportunity to cover increased costs and provide increased  
15 returns to shareholders. Given that TECO is forecasting a slower growth in sales  
16 – particularly in the Test Year – and higher O&M expenses, the Commission  
17 should thoroughly “scrub” the filing and remove unnecessary and unreasonable  
18 costs.

19 **Q. WHAT GROWTH RATE HAS TECO USED TO DETERMINE WHAT**  
20 **GENERATION AND PLANT IT NEEDS?**

21 A TECO has procured generation capacity and added plant in service in  
22 anticipation of continued 2% per year sales growth. This includes the addition of  
23 five new combustion turbine (CT) units in the test year, totaling 285 MW. With  
24 slower sales growth, the proposed base rates will be higher. All other things  
25 being equal, the resumption of normal sales growth would result in lower per unit  
26 costs. This would allow TECO to absorb higher base rate costs, such as

1 additional transmission investment, without the need for additional rate relief, as  
2 discussed later in this testimony.

3 **Scheduled Outages**

4 **Q HAVE YOU REVIEWED THE O&M EXPENSES FOR SCHEDULED**  
5 **PRODUCTION PLANT OUTAGES?**

6 A Yes. As part of my review of TECO's projected test year O&M expenses, I have  
7 determined that these expenses are overstated because they reflect an abnormal  
8 number of scheduled (or planned) outages. Thus, I recommend that test year  
9 O&M expenses be adjusted to reflect a more normal level of scheduled outages.

10 **Q WHAT DID YOUR REVIEW OF PLANT OUTAGES REVEAL?**

11 A TECO is projecting the highest number of scheduled outages in 2009 than in any  
12 other year since 2003. TECO's projections are provided in **Exhibit \_\_ (JP-1)**.  
13 Specifically, the planned outages at Big Bend Station are shown on page 1, while  
14 total planned outages are shown on page 2. As can be seen on page 1, TECO  
15 projects the duration of planned Big Bend outages to increase from 22.5 weeks  
16 in 2008 to 32 weeks in 2009, a more 30% increase. Overall plant outages would  
17 increase from 43 weeks in 2008 to 54 weeks in 2009 (page 2).

18 **Q WOULD YOU CHARACTERIZE THE TEST YEAR OUTAGES AS NON-**  
19 **RECURRING?**

20 A Yes. The last time two major Big Bend outages occurred in the same year was  
21 in 2006 when Units 1 and 3 were both down for major inspection outages.<sup>3</sup> In  
22 2009, there are three outages. Two of the three 2009 scheduled outages are to  
23 install selective catalytic refiners (SCR) at Units 1 and 2.<sup>4</sup> TECO has also  
24 scheduled a maintenance overhaul of most of the operating equipment and boiler  
25 of Unit 4.<sup>5</sup> Further, the SCR-related outages are non-recurring. As TECO  
26 witness, Mr. Hornick, points out, the Company's settlement with the

1 Environmental Protection Agency and the Florida Department of Environmental  
2 Protection require that these alterations be in place by 2010<sup>6</sup>.

3 **Q DID TECO ORIGNALLY PLAN FOR TWO MAJOR BIG BEND OUTAGES IN**  
4 **2009?**

5 A No. **Exhibit \_\_\_(JP-2)** is a document provided in discovery that shows the  
6 planned outages for Big Bend for the period 2007-2013. The document shows  
7 that the Company originally planned only one major outage per year at Big Bend  
8 through 2013.

9 **Q IS THERE ANY RELATIONSHIP BETWEEN THE NUMBER OF PLANNED**  
10 **OUTAGES AND THE COSTS ASSOCIATED WITH THESE OUTAGES?**

11 A Yes. **Exhibit \_\_ (JP-3)** shows the outage costs for the period 2003-2009. As can  
12 be seen, TECO incurs higher costs in those years when more outages occur.  
13 This is particularly evident when comparing the test year to prior years. For  
14 example, in 2008, there were 43 outage weeks that resulted in \$13.7 million of  
15 O&M expenses. This compares to 54 outage weeks at a projected cost of \$20.2  
16 million for the test year. The projected increase can be attributed to Big Bend.

17 **Q SHOULD AN ADJUSTMENT BE MADE TO TEST YEAR O&M EXPENSE?**

18 A Yes. The test year should be representative of normal circumstances. Using  
19 past history and TECO's planning document as a guide, it is simply not normal to  
20 have multiple major outages at the Big Bend Plant. For that reason, I  
21 recommend that Test Year O&M expenses be adjusted to reflect normal  
22 maintenance outage levels in terms of costs.

23 The recommended adjustment is quantified in **Exhibit \_\_ (JP-3)**.  
24 Specifically, TECO has incurred or budgeted for an average of \$12.2 million per  
25 year in outage-related expenses over the period 2003 – 2009. Thus, TECO  
26 should be allowed \$12.2 million for planned outages during the test year and



1 TECO's proposed expense should be reduced by \$8 million.

2 **Rate Case Expenses**

3 **Q HOW DOES TECO PROPOSE TO RECOVER RATE CASE EXPENSE?**

4 A TECO proposes to recover \$3.15 million in rate case expenses amortized over  
5 three years.

6 **Q DO YOU HAVE ANY RECOMMENDATIONS WITH REGARD TO TECO'S**  
7 **PROPOSED RECOVERY OF RATE CASE EXPENSE?**

8 A Yes. I have two recommendations. First, rather than including a projection of  
9 what the expense will be, upon completion of the proceeding, and as part of the  
10 compliance filing, TECO should be required to provide actual rate case  
11 expenditures, with the actual expenditures being used to set the level of rate  
12 case expense to be recovered from customers. Second, the amortization period  
13 for rate case expenses should be at least five years rather than the three years  
14 TECO requests.

15 **Q WHY DO YOU RECOMMEND A LONGER AMORTIZATION PERIOD FOR**  
16 **RATE CASE EXPENSE?**

17 A TECO's last rate case was in 1992. There is no indication when TECO will file its  
18 next case following this case. Since 1992 TECO has begun to use cost recovery  
19 clauses to recover carrying costs for items that would normally fall in base rates.  
20 The most significant is the costs related to environmental capital expenditures.  
21 As discussed later, TECO is proposing to shift \$22 million from base rates to the  
22 conservation clause by terminating Schedules IS and SBI. If history is any guide,  
23 there will be an extended period of time between this rate case and TECO's next  
24 rate case. A longer amortization period is much more in line with TECO's rate  
25 case history. Adjusting the amortization period from three to five years would  
26 reduce TECO's revenue requirement by \$420,000.

1 **Incentive Compensation**

2 **Q HAVE YOU REVIEWED THE TEST YEAR EXPENSES FOR INCENTIVE**  
3 **COMPENSATION?**

4 A Yes.

5 **Q. ARE THERE PORTIONS OF THE REQUEST THAT RAISE AN ISSUE?**

6 A Yes. A portion of TECO's total compensation is tied directly to the financial  
7 performance of the operating company and the parent company. The issue is  
8 whether compensation tied to financial performance should be included as an  
9 expense for ratemaking purposes.

10 **Q SHOULD INCENTIVE COMPENSATION THAT IS TIED TO FINANCIAL**  
11 **PERFORMANCE BE ALLOWED IN RATES?**

12 A No. Incentive compensation that is contingent upon the parent and/or operating  
13 company achieving certain financial goals, such as net income, cash flow, or  
14 other (stand-alone or comparative) measures, is beneficial to shareholders but  
15 not of direct benefit to ratepayers. For this reason, incentives to achieve financial  
16 goals are appropriately borne by shareholders not ratepayers.

17 **Q WHAT FINANCIALLY-BASED PERFORMANCE INCENTIVES ARE**  
18 **REFLECTED IN TECO'S TEST YEAR EXPENSES?**

19 A TECO witness Merrill describes two components of TECO's annual pay program.  
20 First, there is an annual merit increase which is predicated upon individual  
21 performance and overall salary position relative to the market.<sup>7</sup> The second  
22 component of the annual pay program is the "variable incentive pay program  
23 known as 'Success Sharing'. It provides an annual one-time payment based on  
24 the achievements of the team member and company against pre-established  
25 goals".<sup>8</sup> TECO has included the expected payouts under the Success Sharing  
26 Plan in the gross payroll reflected on Schedule C-31. Incentive compensation is

1 not separately broken down in the filing or the Company's Testimony.

2 **Q WHAT IS YOUR UNDERSTANDING OF THE SUCCESS SHARING PLAN?**

3 A There are three levels of participation – Officers, Key Employees and General  
4 Employees. Under the Officer Short Term Incentive portion of the plan, goals are  
5 established at the corporate, operating and individual levels and payout is based  
6 on level of achievement. However, “the payout to all participants is zero if TECO  
7 Energy’s income threshold set for that year by the Compensation Committee is  
8 not achieved.”<sup>9</sup>

9 The Key Employee Short-Term Annual Incentive Plan is administered  
10 “virtually identical to the incentive plan for officers” with goals based 50% on  
11 financial and 50% on individual.

12 The general employee short term incentive program is available to all  
13 non-officer/key employees and is based upon five non-financial goals and two  
14 financial goals, cash flow and net income. The maximum payout under the plan  
15 is 12% of either the higher of the employee’s total earnings or the job market  
16 value for the calendar year.<sup>10</sup>

17 Finally, there is a separate officer/key employee long-term incentive  
18 program which awards shares to employees. There are two classes of awards,  
19 performance restricted shares, for which total shareholder return must exceed  
20 the bottom quartile of a group of peer companies for there to be any award, and  
21 a time-restricted award, for which the officer/key employee must remain with the  
22 company for a given period of time.

23 **Q HAS TECO PAID ITS EXECUTIVES AND OTHER EMPLOYEES INCENTIVE**  
24 **COMPENSATION IN THE PAST?**

25 A Yes. **Exhibit \_\_\_(JP-4)** is a copy of TECO's Response to OPC's Third Set of  
26 Interrogatories No. 29. It shows that TECO has paid Incentive Compensation in

1 each year since 2003. In all but 2003, employees received payments in excess  
2 of the targeted level of incentive compensation. The most recent actual payment  
3 made was for 2007, in which employees received \$12.9 million in incentive  
4 compensation.

5 **Q HAVE YOU BEEN ABLE TO DETERMINE WHAT INCENTIVE**  
6 **COMPENSATION WAS RECEIVED BY ANY OF THE OFFICERS OF TECO**  
7 **DURING 2007?**

8 A No. However, published information reveals that two TECO officers, the  
9 President and CFO, received approximately \$1.5 million in incentive  
10 compensation including stock awards worth approximately \$810,000 and non-  
11 equity incentive payments of approximately \$690,000 for 2007<sup>11</sup>.

12 **Q WHAT IS TECO'S JUSTIFICATION FOR SEEKING RECOVERY OF 100% OF**  
13 **THE INCENTIVE COMPENSATION FROM RATEPAYERS?**

14 A According to TECO witness Merrill, the purpose of the Success Sharing Plan is  
15 "to attract, retain and motivate high performing goal-oriented team members."  
16 However, as explained above, the portion of the compensation to executives and  
17 key employees is predicated upon the corporate parent, TECO Energy attaining  
18 certain financial goals. Further, even the general plan for all non-executive/key  
19 employees rewards the individuals predicated upon financial goals of not only the  
20 operating company (TECO) but also is upon certain financial goals for the parent  
21 company, TECO Energy.<sup>12</sup> In current economic times, when executive  
22 compensation has come under great scrutiny and criticism, this Commission  
23 must ensure that all compensation is directly related to enhancing the value  
24 ratepayers receive and is not a windfall for executives.

1 Q HAVE OTHER JURISDICTIONS DISALLOWED INCENTIVE COMPENSATION  
2 TIED TO FINANCIAL PERFORMANCE?

3 A Yes. Texas, a jurisdiction in which I have testified with regularity, has disallowed  
4 the portion of incentive compensation tied to corporate financial objectives.<sup>13</sup>  
5 Specifically, in the AEP Texas Central rate case, the Public Utility Commission of  
6 Texas (PUCT) permitted inclusion of the incentive compensation only to the  
7 extent that it was tied to operational factors.

8 The Proposal for Decision (PFD) addressed the issue initially, pointing out  
9 that the incentive compensation was predicated on both financial and operational  
10 objectives.<sup>14</sup> In addressing the issue of inclusion in rates, the PFD addressed the  
11 issue as follows:

12 With regard to the measures themselves, the Financial Measures  
13 are of more immediate benefit to shareholders and less so to  
14 ratepayers. Conversely, the Operating Measures are of more  
15 immediate benefit to ratepayers and less so to shareholders. The  
16 question is whether these various interests satisfy the regulatory  
17 scheme by which expenses may be included as part of a  
18 proposed rate change. By statute, the Commission may not  
19 consider for ratemaking purposes an "expenditure, including an  
20 executive salary, . . . [that the Commission] finds to be  
21 unreasonable, unnecessary, or not in the public interest." By rule,  
22 the Commission has interpreted the "public interest" requirement  
23 to mean that an expense is "reasonable and necessary to provide  
24 service to the public."<sup>15</sup>

25 The PFD went on to conclude that the operational goals and related incentive  
26 compensation were reasonable and necessary expenses in the setting of rates:

27 The Applicant makes a plausible case for including in the cost of  
28 service the 34% portion of the incentive expense that is related to  
29 Operational Measures. By their very nature, Operational  
30 Measures reflect goals that relate to the public interest. Indeed,  
31 many are required to be considered as independent issues in this  
32 proceeding. Although the Operational Measures relate to AEP as  
33 a corporate holding company rather than to the Applicant, the  
34 Applicant shares in those Operational Measures on an allocated  
35 basis. The ALJs find that the goals of the Operational Measures  
36 are in the public interest and reasonable and necessary to provide  
37 service to the public.<sup>16</sup>

1 In reviewing the PFD and issuing its own decision, the PUCT concluded as  
2 follows:

3 The financial measures are of more immediate benefit to  
4 shareholders, and the operating measures are of more immediate  
5 benefit to ratepayers.

6 Incentives to achieve operational measures are necessary and  
7 reasonable to provide T&D utility services, but those to achieve  
8 financial measures are not.<sup>17</sup>

9 The Commission approved recovery of 34% of \$4.4 million in requested incentive  
10 compensation, with \$2.8 million being disallowed.<sup>18</sup>

11 Likewise, the Wyoming Public Service Commission disallowed 50% of  
12 PacificCorp's proposed incentive compensation because business unit and  
13 corporate incentives are primarily for the benefit of shareholders.<sup>19</sup> The  
14 Wyoming Commission found:

15 Part of PacifiCorp's employee compensation package is made up  
16 of incentives for meeting various goals set at different levels of  
17 organization on the individual (50%), business unit (30%) and  
18 corporate (20%) levels. PacifiCorp recommended that 5% of the  
19 overall incentive package should be considered related to  
20 shareholder rather than rate payer benefit and therefore excluded  
21 for rate making purposes. . . . WIEC recommended that half of  
22 the incentive compensation package should be excluded. . . . The  
23 exclusions are based on the premise that the business unit and  
24 corporate incentives, which total 50%, are primarily of benefit to  
25 shareholders rather than rate payers. WIEC observed that, "[b]y  
26 tying incentive payments to financial performance, PacifiCorp  
27 made the financial success and enhanced shareholder wealth  
28 significant objectives for [its incentive plan]." . . .

29 We adopt the WIEC adjustment as a fair and reasonable sharing  
30 of the value of the incentive program between the rate payers and  
31 PacifiCorp's shareholders. This tracks the most prominent  
32 divisions of the plan and fairly allows for the situations in which  
33 program elements might benefit both shareholders and  
34 ratepayers.<sup>20</sup>

1 Q SPECIFICALLY WHAT EXPENSES SHOULD BE DISALLOWED FOR  
2 RATEMAKING PURPOSES?

3 A TECO's Response to OPC's Third Set of Interrogatories No. 31, indicates that  
4 Performance Restricted Shares are awarded based on TECO Energy total  
5 shareholder return. No factors related to the operation of TECO are identified as  
6 being relevant to the awarding of Time-Vested Restricted Shares. Therefore, I  
7 recommend that 100% of the cost of those two awards be removed from test  
8 year expenses. Stock compensation on Schedule C-35, line 15 for 2009 is  
9 shown as \$2.6 million and that amount should be excluded.

10 I would also recommend the disallowance of 100% of officer and key  
11 employee cash payments because those payments are contingent upon TECO  
12 Energy achieving a specific level of net income. Additionally, a portion of the  
13 general employee-based incentive pay also should be excluded from allowable  
14 operating expenses because it is based upon financial goals of both TECO and  
15 TECO Energy, the parent. I recommend that 50% of the incentive compensation  
16 be disallowed. Based upon the 2007 incentive compensation payout of \$12.9  
17 million, the additional disallowance would be \$6.45 million. In total, I recommend  
18 a reduction of \$9.05 million in the allowance of incentive compensation on the  
19 basis that such compensation is for the benefit of shareholders rather than  
20 ratepayers.





1 kilowatts (or kW). This includes production, transmission, and some distribution  
2 investment and related fixed operation and maintenance (O&M) expenses. As  
3 explained later, peak demand determines the amount of capacity needed for  
4 reliable service. Energy-related costs vary with the production of energy (or  
5 kWh). Energy-related costs include fuel and variable O&M expense. Customer-  
6 related costs vary directly with the number of customers, and include expenses  
7 such as meters, service drops, billing, and customer service.

8 Each functionalized and classified cost must then be *allocated* to the  
9 various customer classes. This is accomplished by developing allocation factors  
10 that reflect the percentage of the total cost that should be paid by each class.  
11 The allocation factors should reflect *cost-causation*; that is, the degree to which  
12 each class caused the utility to incur the cost.

13 **Q WHAT KEY PRINCIPLES ARE RECOGNIZED IN A CLASS COST-OF-**  
14 **SERVICE STUDY?**

15 **A** A properly conducted class cost-of-service study recognizes two key cost-  
16 causation principles. First, customers are served at different delivery voltages.  
17 This affects the amount of investment the utility must make to deliver electricity to  
18 the meter. Second, since cost-causation is also related to how electricity is used,  
19 both the timing and rate of energy consumption (*i.e.*, demand) are critical.  
20 Because electricity cannot be stored for any significant time period, a utility must  
21 acquire sufficient generation resources and construct the required transmission  
22 facilities to meet the maximum projected demand, including a reserve margin as  
23 a contingency against forced and unforced outages, severe weather, and load  
24 forecast error. Customers that use electricity during the critical peak hours cause  
25 the utility to invest in generation and transmission facilities.

1    **Q    WHAT FACTORS CAUSE THE PER-UNIT COSTS TO DIFFER BETWEEN**  
2           **CUSTOMER CLASSES?**

3    A    Factors that affect the per-unit cost include whether a customer's usage is  
4           constant or fluctuating (load factor), whether the utility must invest in  
5           transformers and distribution systems to provide the electricity at lower voltage  
6           levels, and the amount of electricity that a customer uses. In general, industrial  
7           consumers are less costly to serve on a per unit basis because they:

- 8                   (1)    Operate at higher load factors;  
9                   (2)    Take service at higher delivery voltages; and  
10                  (3)    Use more electricity per customer.

11        These three factors explain why some customers pay higher average rates than  
12        others.

13                For example, the difference in the losses incurred to deliver electricity at  
14        the various delivery voltages is a reason why the per-unit energy cost to serve is  
15        not the same for all customers. More losses occur to deliver electricity at  
16        distribution voltage (either primary or secondary) than at transmission voltage,  
17        which is generally the level at which industrial customers take service. This  
18        means that the cost per kWh is lower for a transmission customer than a  
19        distribution customer. The cost to deliver a kWh at primary distribution, though  
20        higher than the per-unit cost at transmission, is also lower than the delivered cost  
21        at secondary distribution.

22                In addition to lower losses, transmission customers do not use the  
23        distribution system. Instead, transmission customers construct and own their  
24        own distribution systems. Thus, distribution system costs are not allocated to  
25        transmission level customers who do not use that system. Distribution  
26        customers, by contrast, require substantial investments in these lower voltage

1 facilities to provide service. Secondary distribution customers require more  
2 investment than do primary distribution customers. This results in a different cost  
3 to serve each type of customer.

4 Two other cost drivers are efficiency and size. These drivers are  
5 important because most fixed costs are allocated on either a demand or  
6 customer basis.

7 Efficiency can be measured in terms of load factor. Load factor is the  
8 ratio of average demand (*i.e.*, energy usage divided by the number of hours in  
9 the period) to peak demand. A customer that operates at a high load factor is  
10 more efficient than a lower load factor customer because it requires less capacity  
11 for the same amount of energy. For example, assume that two customers  
12 purchase the same amount of energy, but one customer has an 80% load factor  
13 and the other has a 40% load factor. The 40% load factor customers would have  
14 twice the peak demand of the 80% load factor customers, and the utility would  
15 therefore require twice as much capacity to serve the 40% load factor customer  
16 as the 80% load factor. Said differently, the fixed costs to serve a high load  
17 factor customer are spread over more kWh usage than for a low load factor  
18 customer.

19 **Q HAVE YOU REVIEWED THE CLASS COST-OF-SERVICE STUDY TECO**  
20 **FILED IN THIS PROCEEDING?**

21 **A** Yes.

22 **Q DOES TECO'S CLASS COST-OF-SERVICE STUDY COMPORT WITH**  
23 **ACCEPTED INDUSTRY PRACTICES?**

24 **A** With the exceptions I will discuss below, yes. TECO's class cost-of-service study  
25 recognizes the different types of costs as well as the different ways electricity is  
26 used by various customers.

1    **Q**    **DO YOU AGREE WITH ALL OF TECO'S PROPOSED ALLOCATION**  
2           **METHODS?**

3    A    No. I disagree with the following TECO proposals:

- 4           • The consolidation of the GSD, GSLD, and IS classes;
- 5           • Classifying the Big Bend scrubber and Polk Unit 1 gasifier
- 6           investments to energy, rather than demand; and
- 7           • The 12 Coincident Peak and 25% Average Demand (12CP-
- 8           25%AD) method of allocating production plant.

9           Finally, even though the Commission approved TECO's proposal to increase the

10          Energy Conservation Cost Recovery (ECCR) surcharge in Docket No. 08802 EI

11          to allow the recovery of Rider GSLM-2 and GSLM-3 credits, these credits are not

12          allocable to interruptible customers. I will explain later in this section why

13          interruptible customers should not be charged for any of these credits.

14   **Q**    **WHAT PORTION OF PRODUCTION PLANT COSTS WOULD BE ALLOCATED**  
15           **TO ENERGY UNDER TECO'S CLASSIFICATION/ALLOCATION**  
16           **PROPOSALS?**

17   A    Taking all production plant costs into account, including costs recovered through

18          the ECRC, TECO's proposals in this base rate case would result in allocating

19          43% of these costs to energy.

20   **Q.**    **IS THIS ALLOCATION APPROPRIATE?**

21   A    No. TECO is placing undue emphasis on year-round energy, or annual average

22          demand, rather than peak demand. As explained later, peak demand drives the

23          need to install operable generation capacity. Annual average demand is not a

24          cost driver.

1 **GSD, GSLD, IS Class Consolidation**

2 **Q WHY IS TECO PROPOSING TO CONSOLIDATE THE GSD, GSLD, AND IS**  
3 **CLASSES?**

4 A TECO bases its request to consolidate these classes on two proposed rate  
5 design changes. First, TECO proposes to eliminate Schedule IS (Interruptible  
6 Service) and to price this service under Rider GSLM-2 (GSLM-3 for standby  
7 service). It asserts that the GSLM are riders to Schedule GSD. Second, TECO  
8 asserts that the present GSD and GSLD base rate charges for energy and  
9 demand are nearly identical, with the only real difference being the customer  
10 charge that reflects the different percentage of customers taking service at a  
11 higher voltage level, and the application of a power factor clause for GSLD.

12 **Q. IS CONSOLIDATION OF THESE CLASSES APPROPRIATE?**

13 A No. As previously explained, customer classes should be homogeneous  
14 according to their usage patterns and service characteristics. While TECO  
15 asserts that there are minimal differences between the current GSD and GSLD  
16 prices, it fails to show that there are no significant differences in either usage  
17 patterns or service characteristics among GSD, GSLD, and IS customers.

18 **Q DOES TECO'S PROPOSED CHANGE (WHICH FIPUG AND MOSAIC**  
19 **OPPOSE) IN THE PRICING OF INTERRUPTIBLE SERVICE JUSTIFY**  
20 **TRANSFERRING SCHEDULE IS CUSTOMERS TO SCHEDULE GSD?**

21 A No. The design of riders GSLM-2 and GSLM-3 is not tied to a specific firm rate  
22 design, such as GSD. Thus, there is no connection whatsoever between pricing  
23 interruptible service on these riders and the proposed consolidation of the GSD,  
24 GSLD, and IS classes.

25 **Q ARE THE GSD, GSLD, AND IS CLASSES HOMOGENEOUS?**

26 A No. **Exhibit \_\_\_(JP-5)** is an analysis of the characteristics of GSD, GSLD, and

1 IS classes. The key characteristics include: size, load factor, coincidence factor,  
 2 and delivery voltage. The analysis is summarized in the table below. As can be  
 3 seen, there are significant differences in each of the key characteristics.

Description	GSD	GSLD	IS
<b>Size:</b>			
kW per Customer	1,051	22,865	52,746
kWh per Customer	380,000	11,468,000	24,898,000
<b>Coincident Load Factor</b>	68.6%	79.5%	95.6%
<b>Coincidence Factor</b>	71.8%	86.5%	67.6%
<b>Percent of Sales at:</b>			
Secondary	98%	54.4%	0%
Primary	2%	45.2%	46%
Sub-transmission	0%	0.4%	54%

4 **Q WHAT IS COINCIDENCE FACTOR?**

5 A Coincidence factor is the ratio of coincident demand to billing demand. It  
 6 measures how much of a customer's peak demand occurs coincident with the  
 7 system peak.

8 **Q HOW IS COINCIDENCE FACTOR RELEVANT IN DETERMINING WHETHER**  
 9 **CUSTOMER CLASSES ARE HOMOGENEOUS?**

10 A Differences in coincidence factor have important rate design implications.  
 11 Specifically, a lower coincidence factor means that it is less costly to serve a  
 12 customer on a per kW basis. The higher the coincidence factor, the higher the  
 13 demand charge when the charge is based on maximum demand. This result is  
 14 illustrated on the next page. Coincident demand is the primary basis upon which  
 15 production, transmission and distribution costs are allocated among the customer  
 16 classes. Billing or non-coincident demand is the maximum metered demand  
 17 during the billing month.

Relationship Between Coincidence Factor and Demand Charges					
Customer Class	Coincident Demand (kW)	Billing or Non-Coincident Demand (kW)	Coincidence Factor <sup>(a)</sup>	Allocated Demand Costs <sup>(b)</sup>	Demand Charge <sup>(c)</sup>
	(1)	(2)	(3)	(4)	(5)
1	1,000	2,000	50%	\$10,000	\$5.00
2	1,000	1,430	70%	\$10,000	\$6.99
3	1,000	1,175	85%	\$10,000	\$8.51
(a) Column (1) ÷ Column (2)					
(b) Assume that costs are allocated in proportion to Column (1).					
(c) Column (4) ÷ Column (2)					

1 As can be seen, the lower the coincidence factor, the lower per unit demand  
2 charge, all other things being equal. This is because there are more billing units  
3 (Column 2) over which to spread the allocated demand-related costs (Column 4).

4 **Q WHAT IS THE IMPLICATION OF THE DIFFERENT COINCIDENCE FACTORS**  
5 **IN DETERMINING WHETHER THE GSD, GSLD, AND IS CLASSES SHOULD**  
6 **BE COMBINED?**

7 **A** As shown previously, the GSD, GSLD, and IS classes have very different  
8 coincidence factors. Ignoring all of the other differences, combining these three  
9 classes would result in inappropriate cross subsidies.

10 **Q ARE THERE OTHER REASONS THE GSD, GSLD, AND IS CLASSES**  
11 **SHOULD NOT BE COMBINED?**

12 **A** Yes. The IS class is much larger than either the GSD or GSLD classes. IS  
13 customers take a preponderance of service at sub-transmission voltage, whereas  
14 virtually no electricity is provided to GSD or GSLD customers at this high voltage  
15 level. Further, IS customers have much higher coincident load factors than GSD  
16 or GSLD customers. The higher coincident load factor means that more energy  
17 is purchased during off-peak hours. And finally, as explained later, applying the

1 GSLD rates to the IS class will result in the IS class earning a much higher rate  
2 of return than the GSLD class.

3 **Q PLEASE SUMMARIZE YOUR RECOMMENDATION ON TECO'S PROPOSAL**  
4 **TO CONSOLIDATE THE GSD, GSLD, AND IS CLASSES.**

5 A The Commission should not consolidate these classes. The proposed class  
6 consolidation is not supported because there are dramatic differences in class  
7 load and service characteristics. While this is one of the criteria that Mr. Ashburn  
8 references in describing a proper rate design,<sup>21</sup> he has failed to follow his own  
9 criterion in this instance. The IS class should remain intact regardless of how  
10 interruptible service is priced.

11 **Polk Unit 1 Gasifier**

12 **Q HOW DOES TECO PROPOSE TO CLASSIFY THE INVESTMENT AND**  
13 **RELATED EXPENSES OF THE GASIFIER AT POLK UNIT 1?**

14 A TECO proposes to classify the gasifier train equipment (gasifier) to energy. Polk  
15 Unit 1 is an integrated gasified combined cycle (IGCC) facility. In explaining this  
16 treatment, Mr. Ashburn states that the gasifier converts coal as the fuel feedstock  
17 into gas used in the power block and thus performs a fuel conversion function.

18 **Q SHOULD THE POLK UNIT 1 FUEL CONVERSION EQUIPMENT BE**  
19 **CLASSIFIED TO ENERGY?**

20 A No. All power plants are built to produce capacity when it is needed to serve  
21 load and maintain reliability. However, the need for power plants is dictated by  
22 the projected peak demand, not the annual energy requirements. This is no less  
23 true for Polk Unit 1. In approving a determination of need for this unit, the  
24 Commission found that:

25 TECO's reliability criteria will not be met unless the proposed  
26 IGCC unit is completed in the time frame requested.

\* \* \*



1                    Thus, the addition of capacity from the proposed IGCC unit is  
2                    needed for TECO to maintain acceptable reliability criteria.

\*                    \*                    \*

3                    TECO's proposed 220 MW IGCC unit is also needed to contribute  
4                    to the reliability and integrity of the electric system of the State as  
5                    a whole.<sup>22</sup>

6                    In other words, the entire plant (including the gasifier) is needed to meet  
7                    projected peak load growth and maintain reliability. Thus, it was peak demand,  
8                    not year-round energy that caused the capacity of Polk Unit 1 and the rest of  
9                    TECO's generation fleet to be built. Without the growth in peak demand, Polk  
10                    Unit 1 and other capacity would not be needed. Therefore, the gasifier should be  
11                    classified to demand and not to energy.

12                    **Q.    WOULD CLASSIFYING THE GASIFIER TO DEMAND BE CONSISTENT WITH**  
13                    **THE COST OF SERVICE PRINCIPLES YOU DISCUSSED ABOVE?**

14                    A.    Yes. Mr. Ashburn has selectively chosen only one component of Polk Unit 1 for  
15                    this special, and inappropriate, treatment. It can be said that the land, turbine  
16                    generators, step-up transformers, and structures of every TECO power plant  
17                    have all been sized to provide the capacity needed to meet peak demand. Yet,  
18                    Mr. Ashburn proposes to allocate 25% of these costs to energy. Further, most of  
19                    the remaining costs would be allocated to spring and fall months as a  
20                    consequence of using the 12CP method. As explained later, TECO experiences  
21                    its annual system peaks during the summer and winter months. These are the  
22                    demands that drive TECO's capacity planning process. The 12CP method, on  
23                    the other hand, allocates production plant costs to each of the twelve months in a  
24                    calendar year.

1           Thus, it is improper and inconsistent with cost of service principles to  
2           selectively choose one component of one plant, the Polk Unit 1 gasifier, without  
3           also recognizing that other plants and plant components are caused by the need  
4           to meet annual peak demands.

5   **Q    DOES IT FOLLOW THAT THE INVESTMENT IN THOSE POWER PLANT**  
6   **COMPONENTS DESIGNED TO CONVERT FUEL INTO ENERGY SHOULD BE**  
7   **CLASSIFIED TO ENERGY?**

8   A    No. All power plants physically convert fuel into energy. For example, coal is  
9        received, processed and transported into the boilers to produce steam (another  
10       form of energy) at the Big Bend Units. It is this steam that is used to provide the  
11       energy to rotate the turbine generator, which in turn generates electricity.  
12       Despite this similarity to the Polk Unit 1 gasifier, there is no debate that the  
13       individual components of a power plant are *sized* to provide the capacity need for  
14       TECO to meet peak demand and provide reliable service. Thus, they should not  
15       be classified to energy.

16                For all of the above reasons, the Polk gasifier should be classified to  
17       demand.

18   **12CP-25% AD Method**

19   **Q    WHAT METHOD DOES TECO ASK THE COMMISSION TO APPROVE TO**  
20   **ALLOCATE PRODUCTION PLANT COSTS?**

21   A    TECO asks this Commission to approve the 12CP-25% AD methodology for  
22        allocating production plant costs to the retail customer classes.

23   **Q    HAS THIS COMMISSION EVER APPROVED THE 12CP-25% AD METHOD ?**

24   A    No.

1    **Q    WHAT METHOD HAS THE COMMISSION PREVIOUSLY APPROVED?**

2    A    In past rate cases, the Commission has approved the 12CP-1/13<sup>th</sup> AD method.  
3        The Commission used this method in TECO's most recent base rate case (with  
4        the exception of the Big Bend scrubbers) and uses this method in both the ECCR  
5        and Capacity Cost Recovery (CCR) clauses.

6    **Q    WHAT IS THE 12CP-25% AD METHOD?**

7    A    The 12CP-25% AD method classifies 75% of production plant costs as demand-  
8        related and 25% as energy-related. The 12CP method is then used to allocate  
9        those capacity costs classified to demand, while annual energy usage, or  
10       average demand, is used to allocate those capacity costs classified to energy.

11   **Q    WHAT REASON DOES TECO OFFER FOR ASKING THE COMMISSION TO**  
12   **CHANGE TO THE 12CP-25% AD METHOD TO SET RATES IN THIS**  
13   **PROCEEDING?**

14   A    TECO argues that the 25% weighting to average demand represents a "balance"  
15        between the "inadequate" 12 CP-1/13<sup>th</sup> AD and Equivalent Peaker (EP)  
16        methodologies. Specifically, Mr. Ashburn cites the substantial base load and  
17        intermediate generation that TECO has built to serve load. TECO's investment  
18        in base load and intermediate capacity is generally higher in cost on a per kW  
19        basis than the corresponding investment in peaking capacity. He further argues  
20        that TECO has significant production plant investment related to environmental  
21        concerns, which he asserts is incurred more as a function of the energy  
22        utilization of a production facility than its peak capability. The bottom line of Mr.  
23        Ashburn's contention is that higher investment or capital costs are incurred to  
24        save energy costs. The notion that a utility is said to "substitute" capital  
25        investment for fuel savings is often referred to as the theory of "Capital  
26        Substitution." The EP method was a specific application of Capital Substitution

1 theory.

2 **Q HAS THIS COMMISSION PREVIOUSLY ADDRESSED THE EQUIVALENT**  
3 **PEAKER (EP) METHOD?**

4 A Yes. This Commission has previously rejected the EP method. Specifically, the  
5 Commission stated that:

6 The equivalent peaker methodology implies a refined knowledge  
7 of costs which is misleading, particularly as to the allocation of the  
8 plant costs to hours past the break-even point.<sup>23</sup>

9 Thus, the Commission recognized that allocating the extra plant investment  
10 associated with generating units that provide fuel cost savings (e.g., base load  
11 and intermediate capacity) to energy usage beyond the economic break-even  
12 point is at odds with the utility planning process. This is because all production  
13 from a specific plant (i.e., kWh sales) is not the critical factor in deciding what  
14 type of capability to install. I will explain why this is so below.

15 **Q WHAT IS MEANT BY THE "BREAK-EVEN POINT?"**

16 A The break-even point is the number of operating hours in which the total cost of  
17 base/intermediate and peaking capacity is the same. The illustration is based on  
18 a break-even point of 1,000 hours. This reflects the fact that peaking units rarely  
19 operate more than 1,000 hours per year on a recurring basis.

20 **Q WHAT IS THE SIGNIFICANCE OF THE BREAK-EVEN POINT?**

21 A Once a utility decides that additional production capacity is needed to meet peak  
22 demand, if that new capacity is expected to run only a limited number of hours,  
23 total costs are minimized by the choice of a peaker. On the other hand, if it is  
24 projected that a unit will run for a sufficient number of hours, then the  
25 intermediate or base load unit will be more economical.


26 Therefore, annual energy usage does not cause plant investment.  
27 However, load duration up to the break-even point may influence plant

1 investment decisions. Beyond the break-even point, energy utilization is no  
 2 longer a factor in the decision to select base load capacity or peaking capacity.

3 To provide an analogy, suppose two different customers are required to  
 4 rent cars from a fleet that contains only two types of cars, "Car P" and "Car B":

		Car B
Fixed Charge	\$200	\$800
Mileage Charge	80¢	20¢

5 Car B has a high fixed charge and gets high mileage (like a base load plant),  
 6 while the Car P has a low fixed charge but gets poor mileage (like a peaking  
 7 unit). The graph below shows total cost of both cars over a range of miles  
 8 driven.



9 The total cost is also calculated in the table below.

Miles Driven	Total Cost		Best Choice
	Car A	Car B	
0	\$200	\$800	
500	\$600	\$900	
1,000	\$1,000	\$1,000	P or B
1,500	\$1,400	\$1,100	B
2,000	\$1,800	\$1,200	B
2,500	\$2,200	\$1,300	B
3,000	\$2,600	\$1,400	B
3,500	\$3,000	\$1,500	B
4,000	\$3,400	\$1,600	B
4,500	\$3,800	\$1,700	B
5,000	\$4,200	\$1,800	B

1 As can be seen, the break-even point between Car P and Car B is 1,000 miles.  
2 That is, the higher mileage Car B has a lower total cost per mile than the Car P if  
3 it operated more than 1,000 miles. If one customer needed to drive 1,500 miles  
4 and a second customer needed to drive a car 4,500 miles, both customers would  
5 choose the same car, Type B. The 12CP-25% AD, however, would charge the  
6 second customer about 47% more solely because that customer needed to drive  
7 three times as many miles. This result is arbitrary and inequitable because the  
8 Type B car was the more economical choice for both customers.

9 **Q DOES THE 12CP-25% AD METHOD REFLECT COST-CAUSATION**  
10 **CONSISTENT WITH THE BREAK-EVEN POINT CONCEPT?**

11 **A** No. As previously stated, TECO is proposing to classify and/or allocate 43% of  
12 production plant costs to energy. The 25% AD portion is shown in **Exhibit**  
13 **\_\_\_(JP-6)**. As can be seen, the 25% AD has the effect of allocating substantial  
14 costs beyond the break-even point. Further, some of the 12CPs fall outside of  
15 the hours that peaker units operate. Thus, the 12CP-25% AD is totally contrary  
16 to capital substitution theory. The Commission should (once again) not endorse  
17 a cost allocation method which, on its face, is inconsistent with system planning

1 principles, the underlying theory of capital substitution, and past precedent.

2 **Q DOES THE 12CP-25% AD METHOD HAVE ANY OTHER FLAWS?**

3 A Yes. The 12CP-25% AD method would be used to allocate all production plant  
4 costs, irrespective of the type of resource. This would include plant costs  
5 associated with the combustion turbine (CT) units. Further, TECO is also  
6 proposing to apply this method to allocate the dispatchable costs recoverable in  
7 the ECCR. This would include GSLM-2/3 payments as discussed below. Both  
8 CTs and GSLM resources provide peaking capacity and are not incurred to  
9 achieve lower fuel costs. Finally, this method is not consistent with TECO's load  
10 and supply characteristics.

11 **Q IS THE 12CP-25% AD CONSISTENT WITH CAPITAL SUBSTITUTION**  
12 **THEORY?**

13 A No. In addition to allocating costs beyond the break-even point, TECO's  
14 proposed application would fail to fully reflect capital substitution theory.

15 **Q WHY DO YOU CONTEND THAT THE 12CP-25% AD FAILS TO FULLY**  
16 **REFLECT CAPITAL SUBSTITUTION THEORY?**

17 A Mr. Ashburn implements capital substitution theory by altering the method in  
18 which production plant-related costs are allocated among the retail customer  
19 classes. The result of applying capital substitution in this fashion is to allocate  
20 above-average plant investment to high load factor customer classes and below-  
21 average investment to lower load factor customers. This is shown in **Exhibit**  
22 **\_\_\_\_\_ (JP-7)**. As can be seen, TECO's average production investment is \$553  
23 per 12CP kW. The RS and GS classes have been allocated net investment less  
24 than \$530 per kW, while the allocations to other classes would range from \$561  
25 per kW to over \$1,300, which is above the average.

26 However, Mr. Ashburn fails to apply capital substitution theory to allocate

1 production operating expense. That is, the 12CP-25% AD erroneously assumes  
2 that customers should be charged average or "slice of the system" fuel costs. A  
3 slice of the system means that each class is served from the same mix of base  
4 load and peaking capacity. Thus, each class would pay the same average fuel  
5 charge, or 5.93¢ per kWh

6 **Q WHY IS THIS APPROACH INCONSISTENT WITH CAPITAL SUBSTITUTION**  
7 **THEORY?**

8 A There is a symmetrical relationship between plant investment and operating  
9 expense. This relationship is shown in **Exhibit \_\_\_\_ (JP-7)**, page 2. On  
10 average, TECO's net production investment is \$442 per kW of winter capacity.  
11 The average fuel expense associated with this investment is \$5.46¢ per kWh. As  
12 can be seen, the capacity that TECO classifies as base load (line 1) has a net  
13 plant investment of \$558 per kW and associated fuel expense of \$3.95¢ per  
14 kWh. The corresponding costs for peaking capacity are \$309 per kW, and  
15 14.88¢ per kWh. The base load capacity, thus, has a higher plant investment but  
16 a lower operating expense, on a per unit basis. The opposite is true for TECO's  
17 peaking capacity (line 3).

18 Given the symmetrical relationship, the application of capital substitution  
19 theory would not be complete unless the allocation and recovery of fuel expense  
20 was consistent (symmetrical) with the corresponding allocation of plant  
21 investment. This means that a class that is allocated a larger share of production  
22 plant investment should also receive more of the associated benefits of the lower  
23 operating costs of base/intermediate capacity. Stated differently, if a class is  
24 allocated above-average plant investment per kW, then consistency demands  
25 that this same class be allocated below average operating expense (fuel and  
26 variable O&M) per MWh. This would explicitly recognize the symmetrical



1 relationship between plant investment and operating expense.

2 Consider again the analogy of the two cars (P and B) with different fuel  
3 efficiencies and fixed costs. The customer who drives the car only a few miles  
4 (low load factor) would incur a higher average mileage charge than the customer  
5 that drives many miles per day (high load factor). This symmetrical relationship  
6 is consistent with capital substitution theory.

7 **Q DO TECO'S LOAD CHARACTERISTICS SUPPORT USE OF THE 12CP-25%**  
8 **AD METHOD?**

9 **A** No. TECO experiences its maximum annual demand for electricity in either the  
10 summer or winter months. This is shown in **Exhibit \_\_\_\_ (JP-8\_)**, page 1, which  
11 is an analysis of TECO's monthly firm peak demands as a percent of the annual  
12 system peak for the years 2003 through 2007. The peak demands in the other  
13 months are typically well below the summer and winter peak demands.

14 These characteristics are further summarized in **Exhibit \_\_\_\_ (JP-8)**,  
15 page 2. As can be seen:

- 16 • The minimum month peak is consistently below 70% of the  
17 annual system peak.
- 18 • Monthly peak demands are only 85% of the annual system  
19 peak.
- 20 • Summer peak demands are 20% (or higher) of the non-  
21 summer peak demands.
- 22 • And with one exception, TECO's annual load factor is at or  
23 below 60%.

24 These ratios confirm that TECO has seasonal load characteristics. Thus,  
25 electricity demands in the spring and fall months are not relevant in determining  
26 the amount of capacity needed for TECO to provide reliable service.

1 Q ARE THE MONTHLY PEAKS IN THE SPRING/FALL MONTHS IMPORTANT  
2 BECAUSE TECO HAS TO REMOVE GENERATION FOR SCHEDULED  
3 MAINTENANCE?

4 A No. Although TECO does schedule most planned outages during the spring and  
5 fall months, this does not make these months important from a cost-causation  
6 perspective. Specifically, despite planned outages, TECO generally has higher  
7 reserve margins during the non-summer months than during the summer  
8 months. This is shown in Exhibit \_\_\_(JP-9). The reserve margins were  
9 calculated as the margin (available capacity less scheduled outages less firm  
10 peak demand) divided by firm peak demand. As can be seen, the summer  
11 month reserve margins, adjusted for scheduled outages, have been well below  
12 the corresponding non-summer month reserve margins.

13 Q WHAT DO THE PEAK DEMAND AND RESERVE MARGIN ANALYSES  
14 DEMONSTRATE?

15 A The analyses demonstrate that the summer peak demands, and to a lesser  
16 extent the winter peak demand, determine TECO's capacity requirements. The  
17 spring and fall months are irrelevant. Thus, the 12CP method does not reflect  
18 cost-causation when measured by TECO's load and supply characteristics.

19 Q PLEASE SUMMARIZE THE REASONS THAT IT IS INAPPROPRIATE TO USE  
20 THE 12CP-25% AD METHOD TO ALLOCATE PRODUCTION CAPITAL  
21 COSTS TO THE VARIOUS RATE CLASSES.

22 A First, the 12CP-25% AD method results in 43% of production plant costs being  
23 allocated based on year-round energy usage, taking into account costs  
24 recovered in base rates and through the ECRC. The assumption that year-round  
25 energy usage causes higher production capital investment is totally inaccurate  
26 and flawed. As discussed above, investment decisions are not caused by energy

1 usage. At most, they are influenced by load duration but only up to the break-  
2 even point between different types of capacity. Therefore, allocating production  
3 investment on energy utilization, as is the case under the 12CP-25% AD, is a  
4 flawed application of capital substitution theory.

5 Second, there is no symmetrical allocation of fuel costs which is required  
6 because the 12CP-25% AD allocates a larger share of base load plants, which  
7 have both above-average investment and below-average fuel costs. TECO's  
8 cost study makes no effort to change the way that fuel costs are allocated and  
9 recovered from customer classes. Currently, each class pays the same average  
10 fuel costs, which is the same allocation as in methodologies that do not explicitly  
11 recognize system planning principles. Absent a symmetrical allocation of  
12 investment and operating costs, which would result in below-average fuel costs  
13 per kWh being assigned to those classes that are also assigned above-average  
14 investment per kW, the 12CP-25% AD is an incomplete and inaccurate  
15 representation of capital substitution theory.

16 Finally, TECO has seasonal load characteristics, and it experiences its  
17 lowest reserve margins during the summer and winter peak months rather than  
18 during the spring and fall months. For these reasons, the 12CP method cannot  
19 be justified solely on the basis of the summer and winter peak months that are  
20 driving TECO's capacity needs.

21 **Q YOU STATED EARLIER THAT THE COMMISSION HAS PREVIOUSLY**  
22 **APPROVED THE 12CP-1/13<sup>TH</sup> AD METHOD. WHY DID THE COMMISSION**  
23 **SELECT THIS METHOD?**

24 **A** It is my understanding that the Commission originally adopted the 12CP-1/13<sup>th</sup>  
25 AD method to recognize the same economic theory that Mr. Ashburn associates  
26 with the 12CP-25% AD. Although the 12CP-1/13<sup>th</sup> AD allocates production

1 investment beyond the break-even point, it does so only minimally. It also  
2 recognizes that load duration is a driver that determines utility investment  
3 decisions.

4 **Q WHICH OF THE TWO METHODS, 12CP-1/13<sup>TH</sup> AD OR 12CP-25% AD, COMES**  
5 **CLOSER TO REFLECTING UTILITY SYSTEM PLANNING PRINCIPLES?**

6 A While neither method perfectly reflects system planning principles, the 12CP-  
7 1/13<sup>th</sup> AD method (with the Big Bend Scrubber and Polk gasifier costs classified to  
8 demand) would come much closer to recognizing cost-causation and the  
9 economic theory underlying generation expansion planning (i.e., capital  
10 substitution). TECO's proposed production plant classification/allocation  
11 methodology is nothing more than an unsupported "compromise" between the  
12 currently approved 12CP-1/13<sup>th</sup> AD method and the previously discredited  
13 Equivalent Peaker method. For this and all of the above reasons, the  
14 Commission should reject the 12CP-25% AD method in this proceeding.

15 **Environmental Costs**

16 **Q IS TECO PROPOSING TO RECOVER ANY ENVIRONMENTAL COSTS IN**  
17 **BASE RATES?**

18 A Yes. TECO proposes to recover the scrubber portion of the Big Bend Unit 4  
19 environmental equipment in base rates.

20 **Q HOW DOES TECO PROPOSE TO ALLOCATE THE BIG BEND 4 SCRUBBER**  
21 **COSTS?**

22 A TECO proposes to classify and allocate the entirety of these costs to energy.

1 Q MR. ASHBURN ARGUES THAT CLASSIFYING ENVIRONMENTAL COSTS  
2 TO ENERGY CAPTURES THE PRODUCTION COST IMPACT OF HIGHER  
3 LOAD FACTOR AND INTERRUPTIBLE CUSTOMERS WHO BENEFIT FROM  
4 THE LOWER VARIABLE COSTS OF BASE AND INTERMEDIATE LOAD  
5 UNITS. DO YOU AGREE?

6 A No. This argument is inconsistent with well-known principles of cost-causation.  
7 The proper application of cost-causation is to identify the specific usage  
8 characteristics that cause the utility to incur production plant and related  
9 expenses. While environmental concerns may be reflected in the investment in  
10 production equipment and may influence production operating expenses, they  
11 are a prerequisite to plant operation. In other words, a plant could not be legally  
12 operated to provide either capacity or energy unless it was in full compliance with  
13 all applicable environmental regulations. Thus, environmental concerns do not  
14 alter the fundamental reasons that cause electric utilities to install generation  
15 capacity: namely, to meet the projected peak demand for electricity and load  
16 duration up to the break-even point.

17 In addition to being directly related to production plant, pollution control  
18 investments are primarily fixed. They vary directly in proportion to the size (*i.e.*,  
19 the capacity) of a generating unit. More importantly, other than some operation  
20 and maintenance expenses, these costs do not vary with energy usage.  
21 Therefore, the cost characteristics of pollution control equipment do not support  
22 the classification of production plant costs to the energy function.

23 Q DID THE COMMISSION ORDER THAT THE BIG BEND SCRUBBERS BE  
24 CLASSIFIED TO ENERGY IN TECO'S LAST RATE CASE?

25 A No. The ratemaking treatment of the Big Bend scrubbers was stipulated to in  
26 TECO's last rate case, Docket No. 92-0314.<sup>24</sup>

1 Q HOW SHOULD THE BIG BEND SCRUBBER COSTS BE CLASSIFIED AND  
2 ALLOCATED IN THIS PROCEEDING?

3 A The Big Bend scrubber costs should be classified 100% to demand and allocated  
4 to retail customer classes using the 12CP-1/13<sup>th</sup> AD method. In other words, the  
5 scrubber should not be classified and allocated any differently than the plant.

6 Q SHOULD THE COMMISSION ALSO CHANGE THE WAY THAT  
7 ENVIRONMENTAL COSTS ARE ALLOCATED IN THE ECRC?

8 A Yes. The 12CP-1/13<sup>th</sup> AD method should also be used to allocate environmental  
9 investments and related costs and fixed operating expenses that are currently  
10 recovered in the ECRC.

11 Q IS THERE ANY PRECEDENT FOR ALLOCATING ENVIRONMENTAL COSTS  
12 ON A BASIS OTHER THAN ENERGY?

13 A Yes. Progress Energy Florida (PEF) and Florida Power & Light Company (FPL)  
14 have agreed to allocate some environmental costs on a demand basis.<sup>25</sup>  
15 Further, Alabama Power Company and Georgia Power Company allocate  
16 environmental costs relative to base rate (non-fuel) revenues.

17 Revised Class Cost-of-Service Study

18 Q HAVE YOU REVISED THE CLASS COST-OF-SERVICE STUDY TO  
19 INCORPORATE THE ADJUSTMENTS YOU HAVE DISCUSSED?

20 A Yes. A summary of the revised class cost-of-service study at present is  
21 presented in Exhibit \_\_\_(JP-10). A complete copy of the revised cost-of-service  
22 study is provided in my workpapers which will be provided in response to a  
23 discovery request.

24 Q WHAT CHANGES DID YOU MAKE TO TECO'S COST OF SERVICE STUDY?

25 A I have made three changes:

- 1                   1. Production plant costs were allocated using the 12CP-1/13<sup>th</sup>  
2                   AD method.
- 3                   2. Big Bend scrubber and Polk Unit 1 gasifier costs were  
4                   classified 100% to demand.
- 5                   3. The IS class was treated as firm for both costing and pricing  
6                   purposes.

7                   **Treatment of the Schedule IS Class**

8                   **Q       PLEASE DESCRIBE THE INTERRUPTIBLE CLASS.**

9                   A       The interruptible class consists of rate schedules IS (interruptible service) and  
10                  SBI (standby interruptible service). Under these rate schedules, service may be  
11                  interrupted at TECO's sole discretion when capacity is needed to maintain  
12                  service to its firm customers.

13                  **Q       IS INTERRUPTIBLE LOAD THE SAME QUALITY OF SERVICE AS FIRM  
14                  LOAD?**

15                  A       No. In addition to the fact that TECO does not plan its capacity additions to  
16                  serve interruptible load, TECO can cut-off service to interruptible customers at  
17                  any time for any reason. Schedule IS provides as follows:

18                               CHARACTER OF SERVICE: The electric energy supplied under  
19                               this schedule is three phase primary voltage or higher, and is  
20                               subject to immediate and total interruption whenever any portion  
21                               of such energy is needed by the utility for the requirements of its  
22                               firm customers or to comply with requests for emergency power to  
23                               serve the needs of firm customers of other utilities. Any essential  
24                               needs the customer must have shall be furnished through a  
25                               separate meter on a firm rate schedule.<sup>26</sup>

26                  **Q       PLEASE EXPLAIN THE TREATMENT OF THE SCHEDULE IS CLASS IN  
27                  YOUR COST OF SERVICE STUDY.**

28                  A       The interruptible loads were included in the 12CP demands used to develop the  
29                  class allocation factors. Because this treatment assumes for costing purposes  
30                  that Schedule IS customers are receiving firm service, it is both logical and

1 consistent to re-state the Schedule IS revenues at the firm service rates. In this  
2 instance, I re-priced IS at the current Schedule GSLD rate. This is shown in  
3 **Exhibit\_\_(JP-11)**. The difference between the restated and actual current  
4 Schedule IS revenues reflects the amount of interruptible "credits" currently being  
5 paid to Schedule IS customers. As can be seen, current Schedule IS/SBI rates  
6 are \$22.9 million below the corresponding firm (Schedule GSLD/SBF) rates.

7 **Q WHY SHOULD THE INTERRUPTIBLE CREDITS BE ALLOCATED ONLY TO**  
8 **THE FIRM CUSTOMER CLASSES?**

9 A Production capacity costs should not be allocated to interruptible customers  
10 because they do not cause such costs to be incurred. There are two basic ways  
11 to accomplish this. The first is to exclude interruptible load from the cost-of-  
12 service study. The second method, which is the approach I have taken, is to  
13 include interruptible load as if it were firm, but then to spread the amount of the  
14 interruptible credits to the firm classes in the cost-of-service study. The two  
15 treatments are mathematically equivalent, as illustrated in **Exhibit \_\_\_\_(JP-12)**.

16 The illustration shows the allocation of \$10,000 in production capacity  
17 costs to two equal size classes: A and B. Class A is comprised of only firm load,  
18 while Class B's load is 50% firm and 50% interruptible. The interruptible load  
19 provides \$1,500 in revenue. Method 1 allocates zero production capacity costs  
20 to interruptible customers (line 8). The revenues provided by interruptible  
21 customers are used to lower the cost to provide firm service (line 9). This results  
22 in allocating the \$10,000 as follows: Class A \$5,667; Class B \$4,333 (\$2,833 plus  
23 \$1,500), of which the firm load would be charged \$2,833.

24 Method 2 treats interruptible load as firm, but allocates the interruptible  
25 credits only to firm load. The interruptible credits are the difference between the  
26 revenues at firm rates (or \$2,500) and the revenues paid by the interruptible



1 customers (or \$1,500). Thus, in the illustration, the interruptible credits are  
2 \$1,000. As can be seen on line 13, the \$10,000 of production capacity costs is  
3 allocated as follows: Class A \$5,667; Class B \$4,333 (\$2,833 plus \$1,500), of  
4 which firm Class B customers are allocated \$2,833. However, this is the same  
5 allocation as if no production capacity costs were allocated to interruptible  
6 customers in the first place (*i.e.*, Method 1).

7 **Q WHAT DOES THIS EXAMPLE DEMONSTRATE?**

8 A The example demonstrates that the costs of providing interruptible service should  
9 be allocated in proportion to *firm* loads. It would be inappropriate to allocate the  
10 credits to total loads, including interruptible load, because that would effectively  
11 charge interruptible customers for the production plant they avoid. This would be  
12 contrary to the principle of cost-causation and regulatory precedent. Yet, TECO  
13 is proposing to spread these costs to all customers, including interruptible  
14 customers, in the ECCR.

15 **Q WHY IS TECO'S PROPOSAL TO REQUIRE INTERRUPTIBLE CUSTOMERS  
16 TO PAY FOR A PORTION OF THEIR OWN CREDITS CONTRARY TO  
17 ACCEPTED REGULATORY PRACTICE?**

18 A TECO's proposal would, in effect, be identical to allocating production capacity  
19 costs to interruptible customers. This proposition was recently considered and  
20 unequivocally rejected by the Federal Energy Regulatory Commission (FERC).  
21 The FERC has traditionally excluded interruptible load from the allocation of  
22 production capacity-related costs. This long-standing practice is described in the  
23 following excerpt from the recent FERC order rejecting a proposal by Entergy to  
24 allocate capacity costs to interruptible load:

25 61. The Initial Decision overlooks that Entergy bases the recovery  
26 of its costs on the coincident peak recovery method, in which  
27 Entergy allocates its costs among its customers according to each

1 customer's share of the System load at the time of the System  
2 peak. **It assesses its capacity costs to peak period users**  
3 **because it is peak demand that determines how much**  
4 **Entergy will invest in capacity.** [FN116] In Kentucky Utilities, the  
5 Commission explained the theory behind this method of cost  
6 allocation. A utility builds its bulk power facilities, i.e., generating  
7 units and transmission lines, to meet the maximum or peak  
8 demand of its firm customers. **Because the utility incurs the**  
9 **cost of these facilities to meet the peak demand of its firm**  
10 **customers, those customers should pay for the facilities. The**  
11 **peak responsibility method accomplishes this by allocating**  
12 **the cost of the facilities among the firm customers in the**  
13 **same proportion as each customer's demand bears to the**  
14 **system peak.** [FN117] In contrast, as explained below, a utility  
15 **need not build to meet its interruptible demand.**

16 **62. The Commission thus traditionally has not "allocated" the**  
17 **cost of facilities to interruptible load.**

\* \* \*

18 63. Since Entergy can curtail interruptible service so that it does  
19 not contribute to the System peak, **interruptible load does not**  
20 **determine how much Entergy must invest in capacity to meet**  
21 **the System peak, i.e., its customers' needs. Therefore, under**  
22 **the peak load responsibility cost allocation method, Entergy**  
23 **should not include interruptible load in its calculations.**

24 67. Thus, as explained above, because Entergy did not and does  
25 not have to construct capacity to serve interruptible load at the  
26 time of its System peak (and thus can and does offer interruptible  
27 service at a lower rate), the Initial Decision cannot stand. [FN121]  
28 Moreover, the cost recovery system that the Initial Decision  
29 adopts [FN122] is without foundation. There is no evidence that  
30 Entergy built capacity to serve interruptible load. While Entergy  
31 may have considered interruptible capacity in its planning before  
32 1995, [FN123] it then already had sufficient capacity to meet its  
33 load and did not need to construct additional capacity; its most  
34 recent capacity additions occurred in the mid-1980's. [FN124] So  
35 reference to interruptible load in Entergy's planning documents  
36 does not demonstrate that Entergy actually built capacity to serve  
37 interruptible load. [FN125]

38  
39 69. Also, it is uncontroverted that Entergy does not now acquire  
40 capacity, and, since at least 1995 has not acquired capacity, to  
41 serve interruptible loads. [FN131] The Presiding Judge so found,  
42 [FN132] and no one disputes this finding. [FN133] Since it is clear,  
43 then, that firm load currently drives Entergy's capacity  
44 acquisitions, there is no credible basis to allocate the cost of  
45 capacity to interruptible loads that existed in 1995. For example,  
46 in 2000, Entergy needed all of its existing generating capacity, plus  
47 2950 MW, to meet firm load. [FN134] When all capacity is needed

1 to serve firm load, there is no logical reason to allocate the  
2 cost of this capacity based, in part, on interruptible load - -  
3 either pre-1995 or post-1995.<sup>27</sup>

4 Q WOULD ALLOCATING PRODUCTION CAPACITY COSTS TO  
5 INTERRUPTIBLE CUSTOMERS BE COMPATIBLE WITH TECO'S OWN  
6 SYSTEM PLANNING PRACTICES?

7 A No. TECO does not plan to install generating capacity or purchase firm power to  
8 provide interruptible service. TECO specifically removes interruptible loads in  
9 assessing the need for new capacity.<sup>28</sup> Since TECO does not incur production  
10 capacity costs to serve interruptible customers, no such costs should be  
11 allocated to them. The fundamental principal of utility cost allocation is that costs  
12 are allocated to those customers that cause them to be incurred. Interruptible  
13 customers do not cause capacity costs to be incurred, and thus those costs  
14 should not be allocated to them.

15 Q SHOULD THE COSTS INCURRED TO SUSTAIN INTERRUPTIBLE LOAD BE  
16 ALLOCATED DIFFERENTLY IF THESE COSTS ARE RECOVERED IN BASE  
17 RATES OR THROUGH A COST RECOVERY CLAUSE?

18 A No. Payments to interruptible customers represent the value of the capacity not  
19 built or acquired to serve interruptible load. Thus, they are not caused by or  
20 allocable to interruptible customers. This treatment should apply irrespective of  
21 whether the cost of providing interruptible service is recovered in base rates or  
22 through the ECCR, as TECO is proposing.

23 **Revised Class Cost-of-Service Study Results**

24 Q PLEASE EXPLAIN HOW THE COST-OF-SERVICE STUDY RESULTS ARE  
25 EVALUATED.

26 A Cost-of-service study results shown in my revised study (Exhibit \_\_\_(JP-10) are  
27 measured in three ways: (1) rate of return, (2) relative rate of return, and (3)

1 interclass subsidies.

2 **Rate of return** (line 29) is the ratio of net operating income (revenues  
3 less allocated operating expenses as shown in line 18) to the allocated rate base  
4 (line 27). Net operating income is the difference between operating revenues at  
5 current rates (line 6) and allocated operating expenses (line 16). If a class is  
6 presently providing revenues sufficient to recover its cost-of-service (at the  
7 current system rate of return), it will have a rate of return equal to or greater than  
8 the total system return of 5.00%.

9 **Relative rate of return** (RROR), which is shown on line 31, is the ratio of  
10 each class' rate of return to the Florida Retail average rate of return. A relative  
11 rate of return above 100 means that a class is providing a rate of return higher  
12 than the system average, while a relative rate of return below 100 indicates that a  
13 class is providing a below-system average rate of return.

14 **Subsidy** (line 33) measures the difference between the revenues  
15 required from each class to achieve the system rate of return and the revenues  
16 actually being recovered. A negative amount indicates that a class is being  
17 subsidized each year (*i.e.*, revenues are below cost at the system rate of return),  
18 while a positive amount indicates that a class is providing a subsidy each year  
19 (*i.e.*, revenues are above cost).

20 **Q WHAT DO THE RESULTS OF YOUR REVISED CLASS COST-OF-SERVICE**  
21 **STUDY SHOW?**

22 A The IS class is producing the highest ROR (nearly twice the system average) of  
23 any customer class *before* TECO's proposed base rate increase.

24 **Q WHAT IMPLICATIONS DO THESE RESULTS HAVE IN THIS CASE?**

25 A Even with no base rate increase, this class is currently providing a higher ROR  
26 than TECO is requesting in this proceeding. Thus:

1  
2  
3  
4  
5

- The cost of providing firm service to Schedule IS customers is below the current Schedule GSLD pricing; and
- It is not appropriate to consolidate the IS and GSLD/GSD classes because it would result in Schedule IS customers subsidizing the firm service rates of Schedule GSLD/GSD customers.

1 **4. CLASS REVENUE ALLOCATION**

2 **Q WHAT IS CLASS REVENUE ALLOCATION?**

3 A Class revenue allocation is the process of determining how any base revenue  
4 change the Commission approves should be spread to each customer class the  
5 utility serves.

6 **Q HOW SHOULD ANY CHANGE IN BASE REVENUES APPROVED IN THIS**  
7 **DOCKET BE SPREAD AMONG THE VARIOUS CUSTOMER CLASSES TECO**  
8 **SERVES?**

9 A Base revenues should reflect the actual cost of providing service to each  
10 customer class as closely as practicable. Regulators sometimes limit the  
11 immediate movement to cost based on principles of gradualism and rate  
12 administration.

13 **Q PLEASE EXPLAIN THE PRINCIPLE OF GRADUALISM.**

14 A *Gradualism* is a concept that is applied to prevent a class from receiving an  
15 overly-large rate increase. That is, the movement to cost-of-service should be  
16 made gradually rather than all at once because it would result in rate shock to the  
17 affected customers.

18 **Q PLEASE EXPLAIN HOW RATE ADMINISTRATION IS RELATED TO RATE**  
19 **CHANGE.**

20 A. *Rate administration* is a concept that applies when the design of a rate may be  
21 tied to the design of other rates to minimize revenue losses when customers  
22 migrate from a more expensive to a less expensive rate.

1 Q SHOULD THE RESULTS OF THE COST-OF-SERVICE STUDY BE THE  
2 PRIMARY FACTOR IN DETERMINING HOW ANY BASE REVENUE CHANGE  
3 SHOULD BE ALLOCATED?

4 A Yes. Cost-based rates will send the proper price signals to customers. This will  
5 allow customers to make rational consumption decisions.

6 Q ARE THERE OTHER REASONS TO APPLY COST-OF-SERVICE PRINCIPLES  
7 WHEN CHANGING RATES?

8 A Yes. The other reasons for adhering to cost-of-service principles are equity,  
9 engineering efficiency (cost-minimization), stability and conservation.

10 Q WHY ARE COST-BASED RATES EQUITABLE?

11 A Rates which primarily reflect cost-of-service considerations are equitable  
12 because each customer pays what it actually costs the utility to serve the  
13 customer – no more and no less. If rates are not based on cost, then some  
14 customers must pay part of the cost of providing service to other customers,  
15 which is inequitable.

16 Q HOW DO COST-BASED RATES PROMOTE ENGINEERING EFFICIENCY?

17 A With respect to engineering efficiency, when rates are designed so that demand  
18 and energy charges are properly reflected in the rate structure, customers are  
19 provided with the proper incentive to minimize their costs, which will, in turn,  
20 minimize the costs to the utility.

21 Q HOW CAN COST-BASED RATES PROVIDE STABILITY?

22 A When rates are closely tied to cost, the utility's earnings are stabilized because  
23 changes in customer use patterns result in parallel changes in revenues and  
24 expenses.

25 Q HOW DO COST-BASED RATES ENCOURAGE CONSERVATION?

26 A By providing balanced price signals against which to make consumption

1 decisions, cost-based rates encourage conservation (of both peak day and total  
2 usage), which is properly defined as the avoidance of wasteful or inefficient use  
3 (not just *less use*). If rates are not based on a class cost-of-service study, then  
4 consumption choices are distorted.

5 **Q DOES COMMISSION POLICY SUPPORT THE MOVEMENT OF UTILITY**  
6 **RATES TOWARD ACTUAL COST?**

7 A Yes. The Commission's support for cost-based rates is longstanding and  
8 unequivocal. For example,

9 The authorized revenue increase is allocated to the rate classes in  
10 a manner that moves each class rate of return as close to parity  
11 as practicable based on the approved cost allocation  
12 methodology, and subject to the following constraints: (1) no class  
13 shall receive an increase greater than 1.5 times the system  
14 average percentage increase; and (2) no class shall receive a  
15 decrease.<sup>29</sup>

16  
17 Therefore, moving TECO's rates closer to cost would be consistent with  
18 Commission policy.

19 **Q HOW IS TECO PROPOSING TO ALLOCATE THE PROPOSED BASE**  
20 **REVENUE INCREASE IN THIS PROCEEDING?**

21 A TECO's proposed base revenue increase is shown in Exhibit \_\_\_(JP-13). As  
22 can be seen on page 1, TECO is proposing a 26.4% base rate increase. The  
23 increases by rate would range from 7.9% for Lighting Facilities to 134.3% for the  
24 interruptible (Schedule IS/SBI) class.

25 **Q WOULD INTERRUPTIBLE CUSTOMERS EXPERIENCE 134% BASE RATE**  
26 **INCREASES?**

27 A The answer depends on the level and structure of the interruptible credits that will  
28 be provided under the GSLM-2 and GSLM-3 riders. As discussed later, TECO's  
29 proposal to provide interruptible service under these riders will subject  
30 interruptible customers to periodic base rate changes. Based on the riders that



1 TECO proposes for 2009, interruptible customers would experience an "effective"  
2 base revenue increase of 35.5%. The corresponding increases for all rate  
3 classes is shown on page 2 of **Exhibit \_\_\_(JP-13)**. The difference between  
4 page 2 and page 1 is the assumption that Rider GSLM-2 & 3 payments would be  
5 recovered in the ECCR (see Column 3). As can be seen, interruptible customers  
6 would receive the second highest base rate increase of any rate class.

7 **Q HOW SHOULD ANY RATE INCREASES OR DECREASES RESULTING**  
8 **FROM THIS CASE BE ALLOCATED AMONG THE VARIOUS CLASSES?**

9 A Consistent with Commission policy and precedent, rates for each class should be  
10 set at a level that will recover the cost of serving that class. Under my revised  
11 class cost-of-service study, interruptible base rates should be reduced. The  
12 same is true of Lighting Facility rates.

13 To avoid rate shock and to reflect gradualism considerations, I propose  
14 that no rate class should receive a base rate decrease. This is reflected in  
15 **Exhibit \_\_\_ (JP-14)** using TECO's proposed revenue requirement.

16 **Q WOULD YOUR RECOMMENDED REVENUE ALLOCATION MOVE ALL**  
17 **CLASSES CLOSER TO COST?**

18 A Yes. This is shown in **Exhibit \_\_\_(JP-15)**, which shows the cost-of-service study  
19 results under my recommended class revenue allocation. As can be seen, all but  
20 one class would be moved very close to cost. The lighting facility class would  
21 move 63% closer to cost.

## 5. FIRM RATE DESIGN

1

2 **Q WHAT RATE DESIGN ISSUES WILL YOU ADDRESS?**

3 A In this section, I will discuss the appropriate design of the firm rates. Non-firm  
4 rate design is addressed in Part 5. Specifically, I will discuss:

- 5 • The Demand and Non-Fuel Energy charges; and
- 6 • The Transformer Ownership Discounts.

### 7 Demand and Non-Fuel Energy Charges

8 **Q DESCRIBE THE DEMAND AND NON-FUEL ENERGY CHARGES.**

9 A These charges are designed to recover base rate (non-fuel) costs. Demand  
10 charges are billed relative to a customer's maximum metered (kW) demand in  
11 the billing month, while the non-fuel energy charges are billed on the kWh  
12 purchased.

13 **Q DO YOU AGREE WITH HOW TECO HAS PROPOSED TO DEVELOP THE  
14 DEMAND AND NON-FUEL ENERGY CHARGES?**

15 A No. Consistent with cost-causation, TECO's demand-related costs should be  
16 recovered through the demand charge, and energy-related base rate costs  
17 should be collected through the energy charge. TECO has underpriced the  
18 demand charge and overpriced the energy charge (based on TECO's proposed  
19 revenue levels). The demand and non-fuel energy charges should closely reflect  
20 the corresponding demand and non-fuel energy related costs as derived in the  
21 class cost-of-service study.

22 **Q WHAT ARE THE UNIT ENERGY COSTS DERIVED FROM YOUR REVISED  
23 CLASS COST-OF-SERVICE STUDY?**

24 A The unit costs from the revised class cost-of-service study are shown in **Exhibit**  
25 **\_\_\_ (JP-16)**. As can be seen, the Schedule IS non-fuel energy costs would be

1 0.75¢ per kWh. TECO's proposed non-fuel energy charge would be 1.06¢ per  
2 kWh, which is substantially above the actual unit cost. Accordingly, I recommend  
3 that the non-fuel energy charge be set at the per unit energy cost, or 0.75¢ per  
4 kWh.

5 **Transformer Ownership Discounts**

6 **Q EXPLAIN THE CONCEPT OF TRANSFORMER OWNERSHIP DISCOUNTS.**

7 A TECO's current rates apply to customers that take service at different delivery  
8 voltages. However, the base demand and energy charges in Schedules GSD  
9 and GSLD are designed to reflect the cost to serve at secondary distribution,  
10 while the corresponding Schedule IS base rate charges are designed for service  
11 at primary distribution. Thus, to prevent intra-class subsidies, there must be a  
12 mechanism to adjust the base charges to reflect the lower cost of providing  
13 primary and sub-transmission service.

14 **Q WHAT MECHANISMS ARE APPROPRIATE TO ACCOMPLISH THIS?**

15 A There are two such mechanisms to reflect voltage-differentiated costs in the  
16 current tariffs: (1) the Metering Level Discount and (2) the Transformer  
17 Ownership Discount. Though the term "discount" is sometimes interpreted as a  
18 below-cost rate, both the Metering Level and the Transformer Ownership  
19 Discounts are cost-based; that is, they reflect differences in the cost of providing  
20 service by delivery voltage. Whereas the Metering Level Discount reflects the  
21 differences in losses where electricity is metered (*i.e.*, the utility incurs lower  
22 losses to deliver electricity at sub-transmission than distribution voltage), the  
23 Transformer Ownership Discount reflects the differences in the cost of the  
24 facilities used to provide service.

25 For example, Schedule GSLD customers served at primary voltage  
26 receive a 36¢ per kW credit, which reflects the costs of providing secondary

1 distribution service, which are avoided when the customer supplies the  
2 necessary equipment. A GSLD customer served at sub-transmission receives a  
3 59¢ per kW credit. The corresponding credit for a Schedule IS customer is 23¢  
4 per kW. The lower credit is due to the fact that the base rate Schedule IS  
5 charges are designed for service at primary, rather than secondary, distribution  
6 service. In both cases, however, the latter credits reflect the cost of distribution  
7 facilities avoided when a customer takes sub-transmission service.

8 In summary, the Metering Service and Transformer Ownership Discounts  
9 are consistent with cost-of-service principles. They prevent intra-class subsidies  
10 by providing lower rates to customers that take service at higher delivery  
11 voltages. This is appropriate because the utility does not invest in distribution  
12 facilities and it also incurs lower losses to serve sub-transmission customers.

13 **Q WHAT CONCERNS DO YOU HAVE ABOUT THE PROPOSED**  
14 **TRANSFORMER OWNERSHIP DISCOUNT?**

15 **A** The proposed credits are understated because TECO divided the avoided cost  
16 by "ratcheted" rather than actual billing demand. The ratcheted demands were  
17 assumed to be 22% higher than the billing demand. However, there are no  
18 demand ratchets in TECO's tariffs. Thus, a cost-based credit should reflect  
19 actual billing demands.

20 **Q HOW WOULD USING BILLING DEMANDS AFFECT THE PROPOSED**  
21 **TRANSFORMER OWNERSHIP DISCOUNT?**

22 **A** The analysis is shown in **Exhibit \_\_\_(JP-17)**. The calculation is identical to  
23 TECO's, as found in TECO's response to FIPUG's Production of Document  
24 Request No. 20, but for substituting actual rather than ratcheted billing demands  
25 on lines 21 and 48.

## 6. INTERRUPTIBLE RATES

1

2 **Q WHAT IS INTERRUPTIBLE POWER?**

3 A Interruptible power is a tariff option that allows a utility to curtail interruptible  
4 load when resources are needed to maintain system reliability; that is, when  
5 there are insufficient resources to meet customer demand, a utility can curtail  
6 interruptible load. This allows the utility to maintain service to firm (i.e., non-  
7 interruptible) customers. Interruptible power, thus, is a lower quality of  
8 service than firm power. TECO does not include interruptible load in  
9 determining the need for additional capacity. Thus, TECO does not plan  
10 capacity additions to serve interruptible load.

11 **Q DOES INTERRUPTIBLE POWER PROVIDE ANY OTHER BENEFITS?**

12 A Yes. The Florida Reliability Coordinating Council (FRCC) requires that all  
13 reserve sharing groups and balancing authorities maintain adequate  
14 Contingency Reserves to cover the FRCC's most severe single contingency,  
15 which is currently 910 MW. Of this amount, TECO's contingency reserve  
16 requirement is currently 86.4 MW. TECO must supply this reserve when  
17 called upon to replace reserve capacity that is no longer available due to  
18 sudden forced outages of major generating facilities or the loss of  
19 transmission facilities.

20 Contingency reserves may be comprised of those generating  
21 resources and Interruptible Load that are available within 15 minutes. Thus,  
22 TECO counts interruptible power in meeting its contingency reserve  
23 obligations.<sup>30</sup>

1 Q PLEASE SUMMARIZE TECO'S PROPOSED REVISIONS TO ITS  
2 INTERRUPTIBLE TARIFFS.

3 A TECO proposes to continue to change the design of its interruptible tariffs,  
4 which it began in 1999 following Order No. PSC-99-1778-FOF-EI.

5 First, TECO asks this Commission to allow it to eliminate Schedules  
6 IS-1, IS-3, and SBI. The customers currently on these tariffs would be  
7 transferred to other rates. IS-1 and IS-3 customers would be transferred to  
8 Schedule GSD for firm service and Rider GSLM-2 for interruptible service.  
9 (As previously discussed, Schedule IS customers should not be transferred to  
10 Schedule GSD because the IS class load and service characteristics  
11 substantially differ from the GSD and GSLD classes.) Interruptible standby  
12 (SBI) customers would be transferred to Schedule SBF for firm supplemental  
13 and standby service and Rider GSLM-3 for standby interruptible service.  
14 Thus, all interruptible customers would pay firm rates and receive a credit that  
15 is supposed to reflect the value of interruptibility.

16 Second, the interruptible credit in the GSLM-2 and GSLM-3 Riders  
17 would be based on the Contracted Credit Value (CCV). The CCV  
18 approximately reflects TECO's avoided cost and is designed to provide a 1.2  
19 benefit-to-cost ratio using the ratepayer impact measure (RIM) test. This is  
20 the same treatment accorded to demand-side management (DSM) programs.  
21 As discussed later, TECO has understated the capacity benefits Schedule IS  
22 customers provide, thereby understating the CCV.

23 Third, Riders GSLM-2 and GSLM-3 would be re-filed annually based  
24 on the then estimate of TECO's avoided costs. If TECO's avoided costs  
25 change, the CCV will change. This would subject interruptible customers to  
26 continual changes in their base rates. Under TECO's proposal, the CCV

1 would only remain constant for up to three years thus making the rate highly  
2 unstable.

3 Fourth, by transferring all interruptible service to Riders GSLM-2 and  
4 GSLM-3, the interruptible credits would be removed from base rates and  
5 collected in the ECCR. Thus, TECO would be guaranteed dollar-for-dollar  
6 recovery of all capacity payments, including past over- (under) collections.

7 Fifth, the capacity payments recovered through the ECCR would be  
8 allocated to all customers, including the interruptible customers. As  
9 previously discussed, payments to interruptible customers are caused by and  
10 should be allocated to firm service customers only.

11 **Q HOW WOULD TECO'S PROPOSALS IMPACT INTERRUPTIBLE**  
12 **CUSTOMERS TAKING SERVICE ON SCHEDULES IS AND SBI?**

13 **A** As a consequence of TECO's proposals, Schedule IS/SBI customers would  
14 experience a 134% base rate increase, before the application of Riders  
15 GSLM-2 and GSLM-3. These Riders will offset some portion of the base rate  
16 increase. The amount of the offset will depend on (1) the CCV and (2) the  
17 customer's monthly billing load factor.

18 For 2009, the (CCV) would be \$10.91 per monthly coincident peak  
19 (CP) kW. This would result in net annual payments of about \$25.4 million.  
20 However, this would be offset by higher ECCR charges of \$1 million. The net  
21 non-fuel rate increase for 2009 for IS/SBI customers would be 35%. These  
22 calculations are shown in **Exhibit \_\_\_\_ (JP-18)**. If TECO's proposals are  
23 approved, the IS class would receive the second highest base rate increases.  
24 This is despite the fact that the IS class is currently subsidizing other  
25 customer classes and is providing a return higher than TECO is seeking in  
26 this case.

1    **Q     CAN INTERRUPTIBLE CUSTOMERS RELY ON RECEIVING A \$10.91 PER**  
2    **KW CREDIT?**

3    A     No. Under TECO's proposal, the CCV changes over time due to (1) changes  
4    in the CCV and (2) variations in the customer's monthly billing load factor.

5           The first change is addressed in Paragraph 5 of the Special  
6    Provisions paragraph in Riders GSLM-2 and GSLM-3. It states:

7           When the customer's Initial Term of service runs out, that  
8           customer shall have a new CCV applied then for a new 36  
9           month period. The credit applied shall be the one on file at that  
10          time at the FPSC. At any time, at the customer's discretion,  
11          the customer may request a new 36 month commitment  
12          whereupon their CCV shall be changed to the one then on file  
13          at the FPSC and a new Initial Term of 36 months shall be  
14          established.

15          The second change is addressed in the Monthly Credits paragraph of the  
16          GSLM-2 and GSLM-3 riders. It states:

17          The Interruptible Demand Credit is the product of the  
18          Contracted Credit Value (CCV) (set forth in the Tariff  
19          Agreement for the Purchase of Industrial Load Management  
20          Rider Service) and the monthly Load Factor Adjusted  
21          Demand. The Load Factor Adjusted Demand shall be the  
22          product of the monthly Billing Demand and the monthly Billing  
23          Load Factor. The Billing Load Factor shall be the ratio of the  
24          Billing Energy to the monthly Billing Demand times the number  
25          of Billing Hours in the billing period. Billing Hours shall exclude  
26          any hours during which interruption of service occurred and no  
27          Optional Provision Energy was provided.

28          A customer's monthly load factor can also vary due to changing operating  
29          levels. However, as discussed later, load factor is not an appropriate proxy of  
30          the amount of load available for interruption.

31    **Q     IS THE VARIABILITY OF THESE PAYMENTS PROBLEMATIC?**

32    A     Yes. The variability of the capacity payments in the GSLM-2 and GSLM-3  
33    riders is in stark contrast to the current IS/SBI structure. Currently, Schedule  
34    IS and SBI customers pay a lower rate that reflects the inferior quality of



1 interruptible service. Thus, the capacity payment is fixed until the next  
2 general rate case and the amount of the payment does not fluctuate with a  
3 customer's monthly load factor. The changing nature of these payments  
4 would subject IS and SBI customers to rate instability.

5 **Q WHAT SUPPORT DOES TECO PROVIDE FOR PROPOSED RATE**  
6 **DESIGN CHANGES?**

7 A In support of its proposals, Mr. Ashburn cites Order No. PSC-93-0165-FOF-  
8 EI, the Commission Order in TECO's last rate case (Docket No. 920324-EI).  
9 This case was filed in 1992 and decided in February 1993, over 15 years  
10 ago.

11 **Q YOU PREVIOUSLY REFERENCED A 1999 COMMISSION ORDER ON**  
12 **INTERRUPTIBLE RATES. WHAT DID THE COMMISSION DECIDE?**

13 A The Commission granted TECO's petition to close Schedule IS-3 and to allow  
14 new interruptible service to be provided under the terms and conditions of  
15 Riders GSLM-2 and GSLM-3.<sup>31</sup>

16 **Q HAS THE WORLD CHANGED SINCE THAT 1999 ORDER WAS ISSUED?**

17 A Yes. The primary reason the Commission gave for closing Schedule IS-3  
18 and creating the GSLM-2 and GSLM-3 riders was that interruptible load  
19 ceased being cost-effective due to declining equipment costs.<sup>32</sup> However,  
20 the cost of new generation capacity has increased significantly. The avoided  
21 unit being used to establish the \$10.91 CCV is estimated to cost \$871/kW.<sup>33</sup>  
22 By comparison, the installed cost of the Polk CTs is only \$228/kW. As  
23 demonstrated later, rising equipment costs mean that Schedule IS/IS-3 is  
24 currently cost-effective.

1 Q HOW ELSE HAS THE WORLD CHANGED SINCE 1999?

2 A Interruptible power has received increasing attention from legislative and  
3 regulatory policy makers. I previously cited a FERC Order affirming that no  
4 production capacity costs should be allocated to interruptible customers.  
5 Interruptible load was also addressed in the Energy Policy Act of 2005  
6 (EPACT 2005). Specifically:

7 “(d) DEMAND RESPONSE.—The Secretary shall be  
8 responsible for—

9 “(1) educating consumers on the availability, advantages, and  
10 benefits of advanced metering and communications  
11 technologies, including the funding of demonstration or pilot  
12 projects;

13 “(2) working with States, utilities, other energy providers and  
14 advanced metering and communications experts to identify  
15 and address barriers to the adoption of demand response  
16 programs; and

17 “(3) not later than 180 days after the date of enactment of the  
18 Energy Policy Act of 2005, providing Congress with a report  
19 that identifies and quantifies the national benefits of demand  
20 response and makes a recommendation on achieving specific  
21 levels of such benefits by January 1, 2007.”

22 (e) DEMAND RESPONSE AND REGIONAL  
23 COORDINATION.—

24 (1) IN GENERAL.—It is the policy of the United States to  
25 encourage States to coordinate, on a regional basis, State  
26 energy policies to provide reliable and affordable demand  
27 response services to the public.

28 (2) TECHNICAL ASSISTANCE.—The Secretary shall provide  
29 technical assistance to States and regional organizations  
30 formed by two or more States to assist them in—

31 (A) identifying the areas with the greatest demand response  
32 potential;

33 H. R. 6—373

34 (B) identifying and resolving problems in transmission and  
35 distribution networks, including through the use of demand  
36 response;

37 (C) developing plans and programs to use demand response  
38 to respond to peak demand or emergency needs; and

39 (D) identifying specific measures consumers can take to  
40 participate in these demand response programs.

41 Following enactment, the FERC issued Order No. 693 in which it directed  
42 NERC to submit a modification to BAL-002 that includes a requirement that

1 explicitly allows demand-side management (DSM) to be used as a resource  
2 for contingency reserves provided that it is treated on a comparable basis  
3 and meets similar technical requirements as other resources providing this  
4 service.<sup>34</sup>

5 Last February, the FERC issued an Advanced Notice of Proposed  
6 Rulemaking (ANOPR) to improve the operation of organized wholesale  
7 electric power markets. One of the improvements discussed in the ANOPR is  
8 in the area of demand response and the use of market prices to elicit demand  
9 response. In particular, the reforms would further eliminate barriers to  
10 demand response.<sup>35</sup>

11 Demand response is already providing certain ancillary services in  
12 various organized markets, including the PJM Interconnection and Electric  
13 Reliability Council of Texas (ERCOT). Thus, it is clear that promoting  
14 demand response (of which interruptible power is a primary option) is now a  
15 preferred policy.

16 **Q IS INTERRUPTIBLE POWER AN IMPORTANT RESOURCE FOR THE**  
17 **STATE OF FLORIDA?**

18 **A** Yes. The interruptible tariffs have been in place for decades. They have  
19 been and currently are a valuable resource to TECO and to the state as a  
20 whole. When capacity is needed to serve firm load customers, interruptible  
21 customers, statewide, may be called upon (with or without notice and without  
22 limitation as to the frequency and duration of curtailments) to discontinue  
23 service so that the lights will stay on for the firm customer base. Such  
24 interruption often causes production to be shut down resulting in losses for  
25 the interruptible customer.

1    **Q     HOW CAN THE COMMISSION NURTURE THIS VALUABLE RESOURCE?**

2    A     The Commission should not approve any changes that would discourage the  
3           continued use of this valuable resource. Rate designs that create instability,  
4           such as TECO's proposed rate structure, should be rejected.

5    **Q     WHY IS A STABLE RATE DESIGN IMPORTANT TO MAINTAIN THE**  
6           **VIABILITY OF INTERRUPTIBLE POWER?**

7    A     Interruptible power is not cost free for the participating customer. It may  
8           require substantial investment in equipment and modifications to  
9           manufacturing operations, the cost of which interruptible customers expect to  
10          recover over a period of time through lower rates. Thus, rate stability is an  
11          important consideration in the design of interruptible rates. Significant  
12          changes in interruptible rates that reduce a customer's expected savings are  
13          inequitable to the existing customers as a matter of policy, because such  
14          changes increase the risk that the expected benefits will not outweigh the  
15          costs.

16                 Further, for some customers, interruptible service is the only viable  
17          option. This is particularly the case for firms that produce commodity  
18          products, such as phosphate and industrial gases. Electricity is a significant  
19          operating cost in producing these products. Firms operating in these  
20          industries continue to face increasing global and domestic competition. An  
21          arbitrary change in cost allocation policy and drastic rate design changes  
22          could further raise their manufacturing costs and seriously hamper the  
23          continued operation of these firms.

24    **Q     WHAT CONCERNS DO TECO'S RATE DESIGN PROPOSALS RAISE?**

25    A     TECO's proposals raise several policy concerns. Specifically:

- 26                 • Should payments to interruptible customers be subject to

- 1 periodic changes outside of a base rate case?
- 2 • Is it reasonable and necessary for TECO to recover the cost of  
3 providing interruptible service through the ECCR?
- 4 • Is TECO properly valuing interruptible service?
- 5 • Is interruptible service the same as DSM?
- 6 • Should the interruptible credit be reduced by the customer's  
7 monthly load factor?

8 I address each of these important questions below.

9 **Subjecting the CCV to Periodic Changes**

10 **Q DOES TECO'S PROPOSAL TO TRANSFER SCHEDULE IS/SBI**  
11 **CUSTOMERS TO THE GSLM RIDERS SUBJECT THESE CUSTOMERS**  
12 **TO PERIODIC BASE RATE CHANGES?**

13 **A** Yes. The CCV is updated in the annual ECCR filings. The most recent  
14 update was filed in Docket No. 080002-EG. In that filing, TECO proposed a  
15 CCV of \$10.91 for the period January through December 2009.<sup>36</sup> Prior years'  
16 CCVs have ranged from \$3.71 in 2001 to \$7.78 in 2007.<sup>37</sup> Thus, unlike firm  
17 customers, interruptible rates would be subject to change (up or down).

18 **Q ARE RETAIL CUSTOMERS THAT PURCHASE FIRM POWER FROM**  
19 **TECO SUBJECT TO BASE RATE CHANGES OUTSIDE OF A BASE RATE**  
20 **CASE?**

21 **A** No. Once the Commission sets base rates, they are not changed until the  
22 next rate case.

23 **Q IS IT REASONABLE TO SUBJECT SCHEDULE IS/SBI CUSTOMERS TO**  
24 **PERIODIC BASE RATE CHANGES OUTSIDE A FULL RATE CASE?**

25 **A** No. Among the rate design criteria TECO says it has considered in this  
26 proceeding are revenue stability and continuity.<sup>38</sup> Subjecting customers to

1 potentially unstable rate designs, by pegging the CCV to ever changing  
2 measures of avoided cost, is fundamentally incompatible with these criteria.

3 **Q HOW CAN THIS PROBLEM BE AVOIDED WITHOUT CAUSING HARM TO**  
4 **TECO'S CUSTOMERS?**

5 A The easiest solution is to maintain the current Schedule IS/SBI structure but  
6 reset the rate to reflect the increasing value of interruptibility. As with TECO's  
7 other rates, no further changes would be made until the next rate case. With  
8 rising equipment costs, this more traditional rate-making approach would  
9 provide the necessary stability without causing harm to other customers.

10 Should the Commission prefer the approach that TECO proposes in  
11 this case, then an interruptible customer should have the option of locking-in  
12 the current CCV for an extended period of time, say five or ten years, at the  
13 customer's option. This alternative would also provide a more stable rate  
14 design. Further, other customers would not be harmed even if equipment  
15 costs were to suddenly (and unexpectedly) decline. This is because, as  
16 discussed later, interruptible load has allowed and (if properly nurtured) will  
17 continue to allow TECO to defer capacity additions.

18 **Recovery through the ECCR**

19 **Q IS IT REASONABLE AND NECESSARY TO RECOVER INTERRUPTIBLE**  
20 **CREDITS FROM SCHEDULE IS/SBI CUSTOMERS THROUGH THE**  
21 **ECCR?**

22 A No. The purpose of cost recovery clauses is to allow more timely recovery of  
23 costs outside of a general rate case when the failure to adjust rates would  
24 otherwise have an adverse financial impact on the utility. Thus, the costs  
25 subject to change in between general rate cases should be:

- 1                   1. **Material**—that is, the particular expense is large in relation to  
2                   the utility's overall revenue requirement,
- 3                   2. **Volatile**—that is, the level of a particular expense is subject to  
4                   wide fluctuations over a relatively short time-period; and
- 5                   3. **Beyond the utility's direct control**—that is, a particular  
6                   expense is subject to the impact of global and domestic  
7                   commodity markets.

8                   Fuel and purchased power energy costs meet these criteria. These costs  
9                   account for over 48% of TECO's overall revenue requirements. As the  
10                  Commission is well-aware, fuel costs reflect volatile changes in commodity  
11                  costs. And, coal and natural gas prices affected by global markets are largely  
12                  beyond TECO's direct control.

13    **Q    DO THE CAPACITY CREDITS PAID TO INTERRUPTIBLE CUSTOMERS**  
14           **MEET ALL THREE CRITERIA NECESSARY FOR SPECIAL COST**  
15           **RECOVERY TREATMENT?**

16    **A    No.** These payments constitute less than 1% of TECO's overall revenue  
17           requirements. Fixing interruptible rates based on the current value of  
18           interruptibility is well within TECO's direct control. Further, it would provide  
19           greater stability both for interruptible customers and the Company. Rates  
20           that fluctuate due to ever changing avoided cost estimates would make the  
21           capacity credits unnecessarily volatile.

22    **Value of Interruptibility**

23    **Q    HAS TECO CALCULATED THE LEVEL OF INTERRUPTIBLE SERVICE**  
24           **CREDIT?**

25    **A    Yes.** TECO filed a cost-effectiveness test in Docket No. 080002-EG that  
26           shows that the resulting credit for interruptible customers should be \$10.91  
27           per coincident peak (CP) kW.<sup>39</sup>

1 **Q DO YOU AGREE WITH THE \$10.91 VALUE AS DETERMINED BY TECO?**

2 A No. The \$10.91 CCV is understated for two reasons. First, the analysis  
3 assumed zero avoided capacity costs for the period 2008 through 2011. This  
4 assumption is based on a further assumption that the capacity avoided by  
5 interruptible power would be a 2012 combustion turbine (CT). Second, the  
6 analysis is based on the net present value of the costs and benefits of  
7 interruptible power with 2008 as the base year. As a consequence, the costs  
8 and benefits in 2009 were discounted. The CCV is supposed to be in effect  
9 in 2009. Therefore, 2009 should be used as the base year, rather than 2008,  
10 and the corresponding 2009 costs and benefits should not be discounted by  
11 one year.

12 **Q WHY WOULD USING A 2012 AVOIDED UNIT UNDERSTATE THE VALUE**  
13 **OF INTERRUPTIBILITY?**

14 A TECO's cost-effectiveness analysis assigns *costs* to interruptible service in  
15 the form of incentive payments beginning in 2008 and for each year over the  
16 model's 25-year time horizon. However, the corresponding *benefits*, which  
17 primarily consist of avoided generation capacity costs, do not commence until  
18 2012. In other words, the analysis assumes zero avoided generation  
19 capacity *benefits* for the period 2008 through 2011.

20 **Q IS IT REASONABLE TO ASSIGN ZERO VALUE TO DEFERRED**  
21 **GENERATION CAPACITY IN THE YEARS 2008 THROUGH 2011?**

22 A No. The interruptible tariffs have been in existence for decades. Their  
23 existence has allowed TECO to avoid building unneeded generation capacity  
24 (because capacity additions are based on projected firm loads). It should be  
25 noted that TECO is including the cost of five new CTs in its test year revenue  
26 requirements. Without interruptible load, TECO could have added six or



1 more CTs. By specifically ignoring the capacity benefits provided by  
2 interruptible loads in the past, which continue to accrue benefits in the years  
3 2008 through 2011, TECO's cost-effectiveness analysis understates the  
4 CCV.

5 **Q WHAT CHANGES SHOULD BE MADE TO TECO'S APPLICATION OF THE**  
6 **COST-EFFECTIVENESS MODEL TO MORE APPROPRIATELY MEASURE**  
7 **THE COSTS AND BENEFITS OF INTERRUPTIBLE POWER?**

8 A First, the base year of the model should be 2009 to recognize that the rates  
9 approved in this case will not become effective until May 2009, and the CCV  
10 would remain in effect for up to 36 months.

11 Second, since the incentive payments are principally made to  
12 recognize the avoided capacity cost benefits of interruptible service, the  
13 model should include avoided generation capacity costs for each year of the  
14 model's time horizon. It would be reasonable to set these avoided generation  
15 capacity benefits based on the installed cost of the Baytown and Polk CTs  
16 that TECO is proposing to include in rate base in this proceeding.

17 **Q HAVE YOU RE-RUN THE COST-EFFECTIVENESS MODEL WITH THE**  
18 **TWO CHANGES DESCRIBED ABOVE?**

19 A Yes. Exhibit \_\_\_(JP-19) is a revised cost-effectiveness analysis, which is  
20 based on the same analysis TECO presented in Docket No. 080002-EG, with  
21 the two recommended changes. As can be seen, the two changes would  
22 result in a CCV of over \$13.70/kW, which is 25% higher than the \$10.91/kW  
23 CCV derived by TECO and much more representative of the value of  
24 interruptible power.

1 Q YOU PREVIOUSLY STATED THAT THE CCV IS BASED ON ACHIEVING  
2 A 1.2 BENEFIT-TO-COST RATIO USING THE RIM TEST. IS THERE ANY  
3 ECONOMIC REASON WHY THE CCV NEEDS TO ACHIEVE A 1.2  
4 BENEFIT-TO-COST RATIO?

5 A No. Other ratepayers would be no worse off if the CCV were set at full  
6 avoided cost (*i.e.*, a 1.0 benefit-to-cost ratio). Interruptible power offsets the  
7 need for additional generating capacity, thereby reducing total capacity costs  
8 from what they would have otherwise been without the presence of  
9 interruptible service.

10 The obvious analogy is with a fire insurance policy. Even though  
11 many years may pass without incident, the homeowner will continue to pay  
12 the insurance company to maintain the appropriate coverage. At a minimum,  
13 the cost that the system pays for this insurance coverage (in the form of  
14 interruptible demand credits) should reflect the avoided cost associated with  
15 deferring the installation of new peaking generation capacity on the TECO  
16 system. This is the case because peaking capacity is the type of generation  
17 that is most likely to be avoided through the continued presence of  
18 interruptible load on the utility's system.

19 Q HAVE POLICY MAKERS ALSO RECOGNIZED THIS INTRINSIC VALUE  
20 OF INTERRUPTIBLE POWER?

21 A Yes. Interruptible power provides "insurance" in the event that the utility  
22 experiences extreme weather, understates load growth, or sustains forced  
23 outages of a major resource. As the FERC has found:

24 \*61804 [E]ven a limited right of interruption, if it enables  
25 the Company to keep a customer from imposing demands on  
26 the system during peak periods, gives a Company the ability  
27 to control its capacity costs. Therefore, that customer  
28 shares no responsibility for capacity costs under a peak

1 responsibility method. [FN145]

2 It is, thus, the right to interrupt that is critical to the analysis,  
3 and not the actual interruptions or even the number or length  
4 of such interruptions. If a Company can keep a customer from  
5 imposing its load on the system at system peak, as Entergy  
6 can do here, then, under the peak responsibility method of  
7 cost allocation that Entergy uses, "that customer shares no  
8 responsibility for capacity costs...." [FN146]

9 75. Second, the distinction that the initial decision draws  
10 between "reliability" and "economic" considerations is also  
11 unclear. When a utility makes a commitment to serve firm  
12 load, it commits to serve that load at all times (absent a force  
13 majeure event on the system). When a utility makes a  
14 commitment to serve interruptible load, it does not commit to  
15 serve that load at all times. **To the contrary, it expressly**  
16 **reserves the right to interrupt (even if there is no force**  
17 **majeure event on its system).** Moreover, when it curtails  
18 interruptible load, it does so to protect its service to its firm  
19 load. That is, it curtails interruptible load precisely because it  
20 has not undertaken to construct or otherwise acquire the  
21 necessary facilities to serve interruptible load at all times and  
22 most particularly when use of the system is peaking; for firm  
23 load, in contrast, it has undertaken to construct or otherwise  
24 acquire such facilities.<sup>40</sup>

25 **Q HAS THE INTRINSIC VALUE OF INTERRUPTIBLE POWER RECENTLY**  
26 **BEEN DEMONSTRATED?**

27 **A** Yes. This past September, interruptible customers were curtailed twice, on  
28 two consecutive days, so that TECO could provide contingency reserves to  
29 assist other utilities in the state.<sup>41</sup>

30 **Interruptible Service is Not the Same as DSM**

31 **Q SHOULD INTERRUPTIBLE SERVICE BE TREATED THE SAME AS DSM**  
32 **PROGRAMS FOR THE PURPOSE OF DESIGNING INTERRUPTIBLE**  
33 **RATES?**

34 **A** No. The utility's obligation to serve customers who participate in DSM  
35 programs distinguishes DSM programs from interruptible service. A utility  
36 that funds a DSM program, such as home insulation, continues to provide

1 firm service to its customers. The capacity and energy savings associated  
2 with such programs are merely a substitute for the power and energy sales  
3 that have been the traditional services provided by a regulated utility. Thus,  
4 DSM programs maintain or enhance the quality of firm service that customers  
5 receive.

6 By contrast, interruptible power is a lower quality of service. The  
7 utility does not have an obligation to serve interruptible customers whenever  
8 (and without limit) capacity is needed to maintain service to firm load  
9 customers. Non-firm customers therefore relinquish their entitlement to use  
10 power and energy upon demand in exchange for a lower rate.

11 Further, as previously explained, interruptible loads are used to satisfy  
12 TECO's contingency reserve requirements as determined by the FRCC.

13 These characteristics clearly distinguish interruptible power from  
14 passive DSM programs.

15 **Load Factor Adjustment**

16 **Q UNDER TECO'S PROPOSAL, WOULD ALL INTERRUPTIBLE**  
17 **CUSTOMERS RECEIVE THE \$10.91 PER CP KW CCV?**

18 **A** No. Under TECO's proposal, the \$10.91 per kW CCV would be reduced in  
19 proportion to the customer's billing load factor. These credits would, in turn,  
20 be further reduced by any applicable metering voltage adjustment. For  
21 example, a primary distribution level customer having a maximum kW  
22 demand of 5,000 kW at a 70% load factor would have an effective  
23 interruptible credit of only \$7.48 per kW ( $\$10.91 \text{ per CP kW} \times 70\% \times 98\%$  to  
24 account for the metering voltage adjustment).

1 Q IS THIS LOAD FACTOR ADJUSTMENT A VALID APPROACH FOR  
2 ALLOCATING THE INTERRUPTIBLE CREDITS WITHIN THE IS CLASS?

3 A No. First, TECO's proposal uses a customer's billing load factor as a proxy  
4 for the customer's coincidence factor. This approach assumes that there is a  
5 linear relationship between load factor and coincidence factor. However,  
6 TECO has provided no evidence of such a linear relationship.

7 Second, even if such a relationship could be demonstrated, since the  
8 amount of interruptible load is based on the average 12CP demand of the IS  
9 class, the adjustment should be made relative to the class average load  
10 factor or 96%.

11 Also, recall that the definition of coincidence factor is the ratio of the  
12 customer's coincident peak demand (that is, the demand coincident with the  
13 one-hour monthly system peak) to the customer's non-coincident peak  
14 demand. Thus, the load factor adjustment erroneously implies that the  
15 amount of interruptible load is strictly a function of the demand coincident with  
16 TECO's one-hour monthly system peak. In reality, interruptions can occur at  
17 any time, not just coincident with the system peak or with the on-peak hours.  
18 For example, a customer could be planning to operate at his maximum  
19 demand but be unable to do so because of a curtailment. If this same  
20 customer only operated at a 50% load factor during the month, he would only  
21 get credit for half of the interruptible capacity that he is providing to TECO.

22 If a customer's load factor is sufficiently low in a given month, TECO's  
23 proposed adjustment could effectively cause the customer to pay a firm rate  
24 for an interruptible service of lower quality. This result could cause  
25 interruptible customers to reduce their operations in TECO's service territory  
26 or to relocate those operations to other parts of the country.

1    **Q     HOW SHOULD THE MONTHLY CREDIT BE STRUCTURED?**

2    **A     The Monthly Credit should reasonably measure the amount of load that**  
3           TECO is not obligated to serve during an interruption event.  When an  
4           interruption event occurs, an interruptible customer's operating demand may  
5           immediately be reduced to zero.  However, reducing existing operating  
6           demand to zero is not the only benefit of an interruption.  In lieu of an  
7           interruption, a customer may have anticipated operating at a higher level of  
8           demand.  The fact that the customer was prevented from imposing a higher  
9           level of demand during an interruption period provides a benefit to the  
10          system.

11                 To measure this benefit, it is my recommendation that the amount of  
12                 interruptible demand subject to credit be determined by establishing each  
13                 customer's normal operating demand for a defined "base line" period.  For  
14                 example, Southwestern Public Service Company (SPS) uses the following  
15                 definition of interruptible demand:

16                         **MONTHLY CREDIT**  
17                         The customer's Monthly Credit shall be calculated by  
18                         multiplying the Monthly Credit Rate (MCR) by the lesser of the  
19                         customer's CIL or the actual Interruptible Demand during the  
20                         billing month.

21                 The CIL or Contract Interruptible Load is defined as:

22                         The median of the customer's maximum daily thirty (30)  
23                         minute integrated kW demands occurring between the hours  
24                         of 12:00 noon and 8:00 p.m. Monday through Friday,  
25                         excluding federal holidays, during the period June 1 through  
26                         September 30 of the prior year, less the Contract Firm  
27                         Demand, if any.  If customer has no history in the prior year or  
28                         customer anticipates that its CIL for the upcoming year will  
29                         exceed the prior year's CIL by one hundred (100) kW or more,  
30                         at customer's request, Company may, in its sole discretion,  
31                         estimate the CIL.  In extraordinary circumstances, Company  
32                         may calculate CIL using load data from the year one year prior  
33                         to the year normally used to calculate the CIL, if the customer  
34                         has shown that, due to extraordinary circumstances, the load

1 data that would normally be used to calculate its CIL is less  
2 representative of what the customer's load is likely to be in the  
3 upcoming year than its load data from the year one year prior  
4 to the period normally used.

5 For existing customers, Company shall calculate the  
6 customer's CIL to be used in the upcoming year by December  
7 31st of the then current year. If the Company determines that  
8 the customer's CIL to be used in the upcoming year is less  
9 than 500 kW, then the Agreement shall terminate at the end of  
10 the then current year. If the Company determines that the  
11 combined CIL of all existing customers to be used in the  
12 upcoming year exceeds 85MW, then those existing customers  
13 whose CIL is greater than the prior year's CIL may be required  
14 to reduce their CIL (by increasing their Contract Firm Demand)  
15 proportionally in order that total CIL does not exceed 85MW.<sup>42</sup>

16 Thus, SPS does not use load factor as a proxy for the amount of interruptible  
17 load.

18 **Q IS THERE ANOTHER ALTERNATIVE TO DETERMINE THE AMOUNT OF**  
19 **INTERRUPTIBLE LOAD?**

20 A Yes. Another alternative would be to directly measure the amount of  
21 interruptible demand in real-time. This would require establishing a "normal"  
22 operating demand from a past period, such as on the day, week, or month  
23 that curtailments occur (excluding the curtailment periods).

24 **Q WHICH OF THESE TWO ALTERNATIVES DO YOU RECOMMEND?**

25 A While the real-time method would be the most accurate, I recommend using  
26 the SPS method as described above. This method would be easier to  
27 administer.

28 **Q IS THERE ANOTHER REASONABLE ALTERNATIVE APPROACH IF THE**  
29 **COMMISSION REJECTS THE SPS METHOD?**

30 A Yes. In lieu of the two alternatives discussed earlier, the credit could be  
31 applied as a reduction to the maximum demand charge as is presently the  
32 case. In other words, each customer should receive the same credit per kW

1 of billing demand. Finally, in no event should load factor be used to adjust  
2 the amount of the credit unless the load factor is based on the class average  
3 load factor, not the 100% load factor that the Company proposes to use.



1

## 7. COST RECOVERY CLAUSES

2 **Q IS TECO PROPOSING TO IMPLEMENT A NEW COST RECOVERY CLAUSE?**

3 A Yes. TECO is proposing to add a fifth cost recovery clause, the Transmission  
4 Base Rate Adjustment (TBRA). As described by TECO witness, Jeffrey  
5 Chronister, the purpose of the TBRA would be to allow TECO to timely recover  
6 the costs associated with 230 kV and above transmission projects submitted for  
7 FRCC review, which are not already being recovered through base rates or a  
8 cost recovery clause.<sup>43</sup>

9 **Q HOW WOULD THE TBRA WORK?**

10 A The details are sketchy because TECO did not provide a written tariff. However,  
11 Mr. Chronister states that the TBRA would be similar to the Capacity Cost  
12 Recovery (CCR) clause. The Company would seek cost recovery for  
13 transmission plant additions that TECO projects will be substantially complete by  
14 calculating a revenue requirement using the authorized cost of equity and capital  
15 structure. A true up would be made to account for differences between  
16 estimated and actual expenditures.

17 **Q HOW WOULD THE TBRA DETERMINE TRANSMISSION PLANT COSTS  
18 THAT ARE NOT ALREADY BEING RECOVERED THROUGH BASE RATES  
19 OR A COST RECOVERY CLAUSE?**

20 A Assuming the design of the TBRA is similar to the CCR, recovery would include  
21 100% of the costs of all new 230 kV transmission investment related to the  
22 specific FRCC-approved projects that are not already in rate base.

23 **Q SHOULD THE PROPOSED TBRA BE IMPLEMENTED?**

24 A No. TECO already has four separate cost recovery clauses that account for over  
25 54% of its total revenue requirements. Adding a fifth clause would only

1           exacerbate the current bias (that favors cost-recovery clauses) and would not  
2           provide a balanced regulatory framework. The Commission must balance the  
3           interests of ratepayers with the interests of the regulated utility. That balance  
4           would be thwarted by yet another new piecemeal rate rider. This is because  
5           piecemeal rate riders shift the risks that are normally the responsibility of utility  
6           shareholders between rate cases to ratepayers. Ratepayers would see their  
7           non-fuel rates rise and fall without a rate case. This represents piecemeal or  
8           single-issue ratemaking.

9   **Q    WHAT DO YOU MEAN BY *PIECEMEAL* OR *SINGLE-ISSUE* RATEMAKING?**

10  **A**    Piecemeal ratemaking would allow a utility to raise rates to reflect changes in  
11           certain specified costs, while ignoring potentially offsetting changes in other costs  
12           not subject to the rider. For example, the proposed TBRA would allow TECO to  
13           reflect changes in certain transmission capital costs. However, these changes  
14           would be made in isolation because they would ignore any potentially offsetting  
15           rate base reductions due to plant retirements or depreciation. Thus, even if  
16           TECO's rate base decreases, TECO would be allowed to increase rates solely  
17           based on incremental transmission investment.

18  **Q    WHAT OTHER CONCERNS DO YOU HAVE ABOUT THE TBRA?**

19  **A**    As previously stated, costs that are subject to recovery outside of a general rate  
20           case should be *material, volatile, and beyond the utility's control*. Transmission  
21           investment does not meet any of these criteria. Specifically, the projected \$68.1  
22           million of transmission plant additions in 2009 is less than 2% of TECO's rate  
23           base. Once a transmission facility commences service, the revenue requirement  
24           is fixed and does not vary over time. Further, as a member of the FRCC and as  
25           the party responsible for constructing new facilities, TECO has some control over  
26           the both the timing and cost.

1 Q WOULD THE ABSENCE OF A TBRA PREVENT TECO FROM HAVING A  
2 REASONABLE OPPORTUNITY TO RECOVER THE COST OF  
3 TRANSMISSION CAPACITY ADDITIONS?

4 A No. As TECO sells more energy, base rate revenues will also grow. Thus,  
5 TECO will have more revenue with which to recover increasing costs, including  
6 future plant additions. Stated differently, transmission plant additions will be  
7 offset to some degree by the growth in revenues stemming from growing  
8 electricity sales. The offset would be more significant because, as previously  
9 discussed, the base rates in this case are being set with an assumption of much  
10 slower sales growth during the test year.

11 Finally, if TECO is unable to earn a reasonable return, then it always has  
12 the option of filing a general rate case.

13 Q IF ANOTHER PIECEMEAL RATE RIDER IS ADOPTED, WHAT IMPACT  
14 SHOULD THIS HAVE IN DETERMINING TECO'S REVENUE REQUIREMENTS  
15 IN THIS PROCEEDING?

16 A Dollar-for-dollar recovery of costs, with interest, not only reduces regulatory lag  
17 but lowers TECO's regulatory risk. Thus, if the piecemeal rate riders are  
18 adopted, this lower risk should be considered in determining TECO's authorized  
19 return on equity. All other things being equal, adopting the proposed riders  
20 should result in a lower authorized return on common equity.

21 Q DOES THIS CONCLUDE YOUR DIRECT TESTIMONY?

22 A Yes.



1 service and rate design, and conducting site evaluation. Recent  
2 engagements have included advising clients on electric restructuring  
3 issues, assisting clients to procure and manage electricity in both  
4 competitive and regulated markets, developing and issuing request for  
5 proposals (RFPs), evaluating RFP responses and contract negotiation. I  
6 was also responsible for developing and presenting seminars on  
7 electricity issues.

8 I have worked on various projects in over 20 states and in two  
9 Canadian provinces, and have testified before the Federal Energy  
10 Regulatory Commission and the state regulatory commissions of  
11 Alabama, Arizona, Colorado, Delaware, Florida, Georgia, Illinois, Iowa,  
12 Louisiana, Minnesota, Mississippi, Missouri, Montana, New Jersey, New  
13 Mexico, Ohio, Pennsylvania, Texas, Virginia and Washington. I have also  
14 appeared before the City of Austin Electric Utility Commission, the Board  
15 of Public Utilities of Kansas City, Kansas, the Bonneville Power  
16 Administration, Travis County (Texas) District Court, and the U.S. Federal  
17 District Court. A list of my appearances since 1994 is attached.

18 **Q PLEASE DESCRIBE J.POLLOCK INCORPORATED.**

19 **A** J.Pollock assists clients to procure and manage energy in both regulated  
20 and competitive markets. The J.Pollock team also advises clients on  
21 energy and regulatory issues. Our clients include commercial, industrial  
22 and institutional energy consumers. Currently, J.Pollock has offices in St.  
23 Louis, Missouri and Austin and Houston, Texas.

## ENDNOTES

- <sup>1</sup> Mosaic filed a petition to intervene in this case on November 25, 2008.
- <sup>2</sup> *Direct Testimony of Lorraine L Cifuentes*, Exhibit \_\_\_, (LLC-1) Document No. 6.
- <sup>3</sup> TECO's Response to FIPUG First Set of Interrogatories, No. 1.
- <sup>4</sup> TECO's Response to FIPUG First Set of Interrogatories, No. 2.
- <sup>5</sup> TECO's Response to FIPUG First Set of Interrogatories, No. 2.
- <sup>6</sup> *Direct Testimony of Mark J. Hornick* at 15.
- <sup>7</sup> *Direct Testimony of Dianne S. Merrill* at 10.
- <sup>8</sup> *Id.*
- <sup>9</sup> TECO Response to OPC's Third Set of Interrogatories, Interrogatory No. 31.
- <sup>10</sup> *Id.*
- <sup>11</sup> Source: SNL Financial
- <sup>12</sup> TECO Response to OPC's Third Set of Interrogatories, Interrogatory No. 30.
- <sup>13</sup> See, Application of AEP Texas Central Company for Authority to Change Rates, PUCT Docket No. 28840, *Final Order* issued August 15, 2005 at paragraphs 164 – 170.
- <sup>14</sup> Application of AEP Texas Central Company for Authority to Change Rates, PUCT Docket No. 28840, *Proposal for Decision*, issued July 1, 2004 at 92.
- <sup>15</sup> *Id.*, at 95.
- <sup>16</sup> *Id.*, at 96.
- <sup>17</sup> See, Application of AEP Texas Central Company for Authority to Change Rates, PUCT Docket No. 28840, *Final Order* issued August 15, 2005 at paragraphs 169 – 170.
- <sup>18</sup> *Id.*
- <sup>19</sup> *In the Matter of the Application of PacifiCorp for a Retail Electric Utility Rate Increase of \$41.8 Million per Year*, Docket No. 20000-ER-03-198, *Order* issued February 28, 2004 at pp. 30-31.
- <sup>20</sup> *Id.*
- <sup>21</sup> *Direct Testimony of William R. Ashburn* at 38.
- <sup>22</sup> Order No. PSC-92-0002-FOF-EI at 4.
- <sup>23</sup> Gulf Power Company, Florida Public Service Commission Docket No. 891345-EI, *Order No. 23573* at 42 (Oct. 3, 1990).
- <sup>24</sup> Order No. PSC-93-0165-FOF-EI at 74.
- <sup>25</sup> Order No. PSC-05-0945-5-S-EI; Order No. PSC-05-0902-S-EI at 4.
- <sup>26</sup> Tampa Electric Company Nineteenth Revised Sheet No.6.090.
- <sup>27</sup> 106 FERC ¶61,228, at 14 (emphasis added).
- <sup>28</sup> Tampa Electric Company, *Ten Year Site Plan, 2008* at 51.
- <sup>29</sup> Docket No. 010949-EI, *Order No. PSC-02-0787-FOF-EI* at 80.

<sup>30</sup> Florida Reliability Coordinating Council, *Handbook*, FRCC Contingency (Operating) Reserve Policy, November 2008.

<sup>31</sup> *Order No. PSC-99-1778-FOF-EI* at 8.

<sup>32</sup> *Id.* at 2.

<sup>33</sup> Docket No. 080002-EG, *Testimony of Howard T. Bryant* at Bates 60.

<sup>34</sup> FERC Docket No. RM06-16-000, Order No. 693 at 102.

<sup>35</sup> 122 FERC P 61167,2008 WL 469319 (FERC).

<sup>36</sup> Docket No. 080002-EG, *Testimony of Howard T. Bryant* at 9.

<sup>37</sup> TECO's Response to FIPUG's POD 20 at Bates 1507.

<sup>38</sup> *Direct Testimony of William J. Ashburn* at 38.

<sup>39</sup> Docket No. 080002-EG, *Testimony of Howard T. Bryant* at 9.

<sup>40</sup> 106 FERC ¶61,228, at 14 (emphasis added).

<sup>41</sup> TECO's Reply to FIPUG Interrogatory No. 38.

<sup>42</sup> Southwestern Public Service Company, *Electric Tariff*, Section No. IV, Sheet No. IV-177.

<sup>43</sup> *Direct Testimony of Jeffrey S. Chronister* at 44.

**Appendix A**  
**Testimony Filed in Regulatory Proceedings**  
**by Jeffrey Pollock**

PROJECT	UTILITY	ON BEHALF OF	Docket	TYPE	Regulatory Jurisdiction	Subject	DATE
80601	SOUTHWESTERN PUBLIC SERVICE COMPANY	Texas Industrial Energy Consumers	35763	Supplemental Direct	TX	Recovery of Energy Efficiency Costs	11/6/2008
80601	SOUTHWESTERN PUBLIC SERVICE COMPANY	Texas Industrial Energy Consumers	35763	Cross-Rebuttal	TX	Cost Allocation, Demand Ratchet, Renewable Energy Certificates (REC)	10/28/2008
80601	SOUTHWESTERN PUBLIC SERVICE COMPANY	Texas Industrial Energy Consumers	35763	Direct	TX	Revenue Requirements, Fuel Reconciliation Revenue Allocation, Cost-of-Service and Rate Design Issues	
50106	ALABAMA POWER COMPANY	Alabama Industrial Energy Consumers	18148	Direct	AL	Energy Cost Recovery Rate (WITHDRAWN)	9/16/2008
50701	ENERGY TEXAS, INC.	Texas Industrial Energy Consumers	35269	Direct	TX	Allocation of rough production costs equalization payments	7/9/2008
70703	ENERGY GULF STATES UTILITIES, TEXAS	Texas Industrial Energy Consumers	34800	Direct	TX	Non-Unanimous Stipulation	6/11/2008
50103	TEXAS PUC STAFF	Texas Industrial Energy Consumers	33672	Supplemental Rebuttal	TX	Transmission Optimization and Ancillary Services Studies	6/3/2008
50103	TEXAS PUC STAFF	Texas Industrial Energy Consumers	33672	Supplemental Direct	TX	Transmission Optimization and Ancillary Services Studies	5/23/2008
60104	SOUTHWESTERN ELECTRIC POWER COMPANY	Texas Industrial Energy Consumers	33891	Supplemental Direct	TX	Certificate of Convenience and Necessity	5/8/2008
70703	ENERGY GULF STATES UTILITES, TEXAS	Texas Industrial Energy Consumers	34800	Cross-Rebuttal	TX	Cost Allocation and Rate Design and Competitive Generation Service	4/18/2008
70703	ENERGY GULF STATES UTILITES, TEXAS	Texas Industrial Energy Consumers	34800	Direct	TX	Eligible Fuel Expense	4/11/2008
70703	ENERGY GULF STATES UTILITES, TEXAS	Texas Industrial Energy Consumers	34800	Direct	TX	Competitive Generation Service Tariff	4/11/2008
70703	ENERGY GULF STATES UTILITES, TEXAS	Texas Industrial Energy Consumers	34800	Direct	TX	Revenue Requirements	4/11/2008
70703	ENERGY GULF STATES UTILITES, TEXAS	Texas Industrial Energy Consumers	34800	Direct	TX	Cost of Service study, revenue allocation, design of firm, interruptible and standby service tariffs; interconnection costs	4/11/2008
41229	TEXAS-NEW MEXICO POWER COMPANY	Texas Industrial Energy Consumers	35038	Rebuttal	TX	Over \$5 Billion Compliance Filing	4/14/2008
71202	SOUTHWESTERN PUBLIC SERVICE COMPANY	Occidental Periman Ltd.	07-00319-UT	Rebuttal	NM	Revenue requirements, cost of service study, rate design	3/28/2008
61101	AEP TEXAS CENTRAL COMPANY	Texas Industrial Energy Consumers	35105	Direct	TX	Over \$5 Billion Compliance Filing	3/20/2008
51101	CENTERPOINT ENERGY HOUSTON ELECTRIC, LLC	Texas Industrial Energy Consumers	32902	Direct	TX	Over \$5 Billion Compliance Filing	3/20/2008
71202	SOUTHWESTERN PUBLIC SERVICE COMPANY	Occidental Periman Ltd	07-00319-UT	Direct	NM	Revenue requirements, cost of service study (COS); rate design	3/7/2008
50701	ENERGY GULF STATES UTILITIES TEXAS	Texas Industrial Energy Consumers	34724	Direct	TX	IPCR Rider increase and interim surcharge	11/28/2007
70601	GEORGIA POWER COMPANY	Georgia Industrial Group/Georgia Traditional Manufacturers Group	25060-U	Direct	GA	Return on equity; cost of service study; revenue allocation; ILR Rider; spinning reserve tariff, RTP	10/24/2007
70303	ONCOR ELECTRIC DELIVERY COMPANY & TEXAS ENERGY FUTURE HOLDINGS LTD	Texas Industrial Energy Consumers	34077	Direct	TX	Acquisition; public interest	9/14/2007
60104	SOUTHWESTERN ELECTRIC POWER COMPANY	Texas Industrial Energy Consumers	33891	Direct	TX	Certificate of Convenience and Necessity	8/30/2007
61201	ALTAMAHA ELECTRIC MEMBERSHIP CORPORATION	SP Newsprint Company	25226-U	Rebuttal	GA	Discriminatory Pricing; Service Territorial Transfer	7/17/2007
61201	ALTAMAHA ELECTRIC MEMBERSHIP CORPORATION	SP Newsprint Company	25226-U	Direct	GA	Discriminatory Pricing; Service Territorial Transfer	7/6/2007



**Appendix A**  
**Testimony Filed in Regulatory Proceedings**  
**by Jeffrey Pollock**

PROJECT	UTILITY	ON BEHALF OF	Docket	TYPE	Regulatory Jurisdiction	Subject	DATE
70502	PROGRESS ENERGY FLORIDA	Florida Industrial Power Users Group	070052-EI	Direct	FL	Nuclear uprate cost recovery	6/19/2007
70603	ELECTRIC TRANSMISSION TEXAS LLC	Texas Industrial Energy Consumers	33734	Direct	TX	Certificate of Convenience and Necessity	6/8/2007
60601	TEXAS PUC STAFF	Texas Industrial Energy Consumers	32795	Rebuttal Remand	TX	Interest rate on stranded cost reconciliation	6/15/2007
60601	TEXAS PUC STAFF	Texas Industrial Energy Consumers	32795	Remand	TX	Interest rate on stranded cost reconciliation	6/8/2007
50103	TEXAS PUC STAFF	Texas Industrial Energy Consumers	33672	Rebuttal	TX	CREZ Nominations	5/21/2007
50701	ENERGY GULF STATES UTILITES, TEXAS	Texas Industrial Energy Consumers	33687	Direct	TX	Transition to Competition	4/27/2007
50103	TEXAS PUC STAFF	Texas Industrial Energy Consumers	33672	Direct	TX	CREZ Nominations	4/24/2007
61101	AEP TEXAS CENTRAL COMPANY	Texas Industrial Energy Consumers	33309	Cross-Rebuttal	TX	Cost Allocation, Rate Design, Riders	4/3/2007
50701	ENERGY GULF STATES UTILITIES TEXAS	Texas Industrial Energy Consumers	32710	Cross-Rebuttal	TX	Fuel and Rider IPCR Reconciliation	3/16/2007
61101	AEP TEXAS NORTH COMPANY	Texas Industrial Energy Consumers	33310	Direct	TX	Cost Allocation, Rate Design, Riders	3/13/2007
61101	AEP TEXAS CENTRAL COMPANY	Texas Industrial Energy Consumers	33309	Direct	TX	Cost Allocation, Rate Design, Riders	3/13/2007
50701	ENERGY GULF STATES UTILITIES TEXAS	Texas Industrial Energy Consumers	32710	Direct	TX	Fuel and Rider IPCR Reconciliation	2/28/2007
41219	AEP TEXAS CENTRAL COMPANY	Texas Industrial Energy Consumers	31461	Direct	TX	Rider CTC design	2/15/2007
50701	ENERGY GULF STATES UTILITIES TEXAS	Texas Industrial Energy Consumers	33586	Cross-Rebuttal	TX	Hurricane Rita reconstruction costs	1/30/2007
60104	SOUTHWESTERN ELECTRIC POWER COMPANY	Texas Industrial Energy Consumers	32898	Direct	TX	Fuel Reconciliation	1/29/2007
50701	ENERGY GULF STATES UTILITIES TEXAS	Texas Industrial Energy Consumers	33586	Direct	TX	Hurricane Rita reconstruction costs	1/18/2007
60303	GEORGIA POWER COMPANY	Georgia Industrial Group/Georgia Textile Manufacturers Group	23540-U	Direct	GA	Fuel Cost Recovery	1/11/2007
60503	SOUTHWESTERN PUBLIC SERVICE COMPANY	Texas Industrial Energy Consumers	32766	Cross Rebuttal	TX	Cost allocation, Cost of service, Rate design	1/8/2007
60503	SOUTHWESTERN PUBLIC SERVICE COMPANY	Texas Industrial Energy Consumers	32766	Direct	TX	Cost allocation, Cost of service, Rate design	12/22/2006
60503	SOUTHWESTERN PUBLIC SERVICE COMPANY	Texas Industrial Energy Consumers	32766	Direct	TX	Revenue Requirements,	12/17/2006
60503	SOUTHWESTERN PUBLIC SERVICE COMPANY	Texas Industrial Energy Consumers	32766	Direct	TX	Fuel Reconciliation	12/17/2006
50701	ENERGY GULF STATES UTILITIES TEXAS	Texas Industrial Energy Consumers	32907	Cross Rebuttal	TX	Hurricane Rita reconstruction costs	10/12/06
50701	ENERGY GULF STATES UTILITIES TEXAS	Texas Industrial Energy Consumers	32907	Direct	TX	Hurricane Rita reconstruction costs	10/09/06
60601	TEXAS PUC STAFF	Texas Industrial Energy Consumers	32795	Cross Rebuttal	TX	Stranded Cost Reallocation	09/07/06
60101	COLQUITT EMC	ERCO Worldwide	23549-U	Direct	GA	Service Territory Transfer	08/10/06
60601	TEXAS PUC STAFF	Texas Industrial Energy Consumers	32795	Direct	TX	Stranded Cost Reallocation	09/07/06
60104	SOUTHWESTERN ELECTRIC POWER COMPANY	Texas Industrial Energy Consumers	32672	Direct	TX	ME-SPP Transfer of Certificate to SWEPCO	8/23/2006

**Appendix A**  
**Testimony Filed in Regulatory Proceedings**  
**by Jeffrey Pollock**

PROJECT	UTILITY	ON BEHALF OF	Docket	TYPE	Regulatory Jurisdiction	Subject	DATE
50503	AEP TEXAS CENTRAL COMPANY	Texas Industrial Energy Consumers	32758	Direct	TX	Rider CTC design and cost recovery	08/24/06
60503	SOUTHWESTERN PUBLIC SERVICE COMPANY	Texas Industrial Energy Consumers	32685	Direct	TX	Fuel Surcharge	07/26/06
60301	PUBLIC SERVICE ELECTRIC AND GAS COMPANY	New Jersey Large Energy Consumers	171406	Direct	NJ	Gas Delivery Cost allocation and Rate design	06/21/06
60303	GEORGIA POWER COMPANY	Georgia Industrial Group/Georgia Textile Manufacturers Group	22403-U	Direct	GA	Fuel Cost Recovery Allowance	05/05/06
50503	AEP TEXAS CENTRAL COMPANY	Texas Industrial Energy Consumers	32475	Cross-Rebuttal	TX	ADFIT Benefit	04/27/06
50503	AEP TEXAS CENTRAL COMPANY	Texas Industrial Energy Consumers	32475	Direct	TX	ADFIT Benefit	04/17/06
41229	TEXAS-NEW MEXICO POWER COMPANY	Texas Industrial Energy Consumers	31994	Cross-Rebuttal	TX	Stranded Costs and Other True-Up Balances	3/18/2006
41229	TEXAS-NEW MEXICO POWER COMPANY	Texas Industrial Energy Consumers	31994	Direct	TX	Stranded Costs and Other True-Up Balances	3/10/2006
50303	SOUTHWESTERN PUBLIC SERVICE COMPANY	Occidental Periman Ltd. Occidental Power Marketing	ER05-168-001	Direct	NM	Fuel Reconciliation	3/6/2006
50701	ENTERGY GULF STATES UTILITIES TEXAS	Texas Industrial Energy Consumers	31544	Cross-Rebuttal	TX	Transition to Competition Costs	01/13/06
50701	ENTERGY GULF STATES UTILITIES TEXAS	Texas Industrial Energy Consumers	31544	Direct	TX	Transition to Competition Costs	01/13/06
50801	PUBLIC SERVICE ELECTRIC AND GAS COMPANY AND EXELON CORPORATION	New Jersey Large Energy Consumers Retail Energy Supply Association	BPU EM05020106 OAL PUC-1874-05	Surrebuttal	NJ	Merger	12/22/2005
50705	SOUTHWESTERN PUBLIC SERVICE COMPANY	Occidental Periman Ltd. Occidental Power Marketing	EL05-19-002; ER05-168-001	Responsive	FERC	Fuel Cost adjustment clause (FCAC)	11/18/2005
50601	PUBLIC SERVICE ELECTRIC AND GAS COMPANY AND EXELON CORPORATION	New Jersey Large Energy Consumers Retail Energy Supply Association	BPU EM05020106 OAL PUC-1874-05	Direct	NJ	Merger	11/14/2005
50102	PUBLIC UTILITY COMMISSION OF TEXAS	Texas Industrial Energy Consumers	31540	Direct	TX	Nodal Market Protocols	11/10/2005
50701	ENTERGY GULF STATES UTILITIES TEXAS	Texas Industrial Energy Consumers	31315	Cross-Rebuttal	TX	Recovery of Purchased Power Capacity Costs	10/4/2005
50701	ENTERGY GULF STATES UTILITIES TEXAS	Texas Industrial Energy Consumers	31315	Direct	TX	Recovery of Purchased Power Capacity Costs	9/22/2005
50705	SOUTHWESTERN PUBLIC SERVICE COMPANY	Occidental Periman Ltd. Occidental Power Marketing	EL05-19-002; ER05-168-001	Responsive	FERC	Fuel Cost Adjustment Clause (FCAC)	9/19/2005
50503	AEP TEXAS CENTRAL COMPANY	Texas Industrial Energy Consumers	31056	Direct	TX	Stranded Costs and Other True-Up Balances	9/2/2005
50705	SOUTHWESTERN PUBLIC SERVICE COMPANY	Occidental Periman Ltd. Occidental Power Marketing	EL05-19-00; ER05-168-00	Direct	FERC	Fuel Cost adjustment clause (FCAC)	8/19/2006
50203	GEORGIA POWER COMPANY	Georgia Industrial Group/Georgia Textile Manufacturers Group	19142-U	Direct	GA	Fuel Cost Recovery	4/8/2005
41230	CENTERPOINT ENERGY HOUSTON ELECTRIC, LLC	Texas Industrial Energy Consumers	30706	Direct	TX	Competition Transition Charge	3/16/2005
41230	CENTERPOINT ENERGY HOUSTON ELECTRIC, LLC	Texas Industrial Energy Consumers	30485	Supplemental Direct	TX	Financing Order	1/14/2005
41230	CENTERPOINT ENERGY HOUSTON ELECTRIC, LLC	Texas Industrial Energy Consumers	30485	Direct	TX	Financing Order	1/7/2005
8201	PUBLIC SERVICE COMPANY OF COLORADO	Colorado Energy Consumers	04S-164E	Cross Answer	CO	Cost of Service Study, Interruptible Rate Design	12/13/2004
8201	PUBLIC SERVICE COMPANY OF COLORADO	Colorado Energy Consumers	04S-164E	Answer	CO	Cost of Service Study, Interruptible Rate Design	10/12/2004

**Appendix A**  
**Testimony Filed in Regulatory Proceedings**  
**by Jeffry Pollock**

PROJECT	UTILITY	ON BEHALF OF	Docket	TYPE	Regulatory Jurisdiction	Subject	DATE
8244	GEORGIA POWER COMPANY	Georgia Industrial Group/Georgia Textile Manufacturers Group	18300-U	Direct	GA	Revenue Requirements, Revenue Allocation, Cost of Service, Rate Design, Economic Development	10/8/2004
8195	CENTERPOINT, RELIANT AND TEXAS GENCO	Texas Industrial Energy Consumers	29526	Direct	TX	True-Up	8/1/2004
8156	GEORGIA POWER COMPANY/SAVANNAH ELECTRIC AND POWER COMPANY	Georgia Industrial Group	17687-U/17688-U	Direct	GA	Demand Side Management	5/14/2004
8148	TEXAS-NEW MEXICO POWER COMPANY	Texas Industrial Energy Consumers	29206	Direct	TX	True-Up	3/29/2004
8095	CONNECTIV POWER DELIVERY	New Jersey Large Energy Consumers	ER03020110	Surrebuttal	NJ	Cost of Service	3/18/2004
8111	AEP TEXAS CENTRAL COMPANY	Texas Industrial Energy Consumers	28840	Rebuttal	TX	Cost Allocation and Rate Design	2/4/2004
8095	CONNECTIV POWER DELIVERY	New Jersey Large Energy Consumers	ER03020110	Direct	NJ	Cost Allocation and Rate Design	1/4/2004
7850	RELIANT ENERGY HL&P	Texas Industrial Energy Consumers	26195	Supplemental Direct	TX	Fuel Reconciliation	9/23/2003
8045	VIRGINIA ELECTRIC AND POWER COMPANY	Virginia Committee for Fair Utility Rates	PUE-2003-00285	Direct	VA	Stranded Cost	9/5/2003
8022	GEORGIA POWER COMPANY	Georgia Industrial Group/Georgia Textile Manufacturers Group	17066-U	Direct	GA	Fuel Cost Recovery	7/22/2003
8002	AEP TEXAS CENTRAL COMPANY	Flint Hills Resources, LP	25395	Direct	TX	Delivery Service Tariff Issues	5/9/2003
7857	PUBLIC SERVICE ELECTRIC AND GAS COMPANY	New Jersey Large Energy Consumers	ER02050303	Supplemental	NJ	Cost of Service	3/14/2003
7850	RELIANT ENERGY HL&P	Texas Industrial Energy Consumers	26195	Direct	TX	Fuel Reconciliation	12/31/2002
7857	PUBLIC SERVICE ELECTRIC AND GAS COMPANY	New Jersey Large Energy Consumers	ER02050303	Surrebuttal	NJ	Revenue Allocation	12/16/2002
7836	PUBLIC SERVICE COMPANY OF COLORADO	Colorado Energy Consumers	02S-315EG	Answer	CO	Incentive Cost Adjustment	11/22/2002
7857	PUBLIC SERVICE ELECTRIC AND GAS COMPANY	New Jersey Large Energy Consumers	ER02050303	Direct	NJ	Revenue Allocation	10/22/2002
7863	DOMINION VIRGINIA POWER	Virginia Committee for Fair Utility Rates	PUE-2001-00306	Direct	VA	Generation Market Prices	8/12/2002
7718	FLORIDA POWER CORPORATION	Florida Industrial Power Users Group	000824-EI	Direct	FL	Rate Design	1/18/2002
7633	GEORGIA POWER COMPANY	Georgia Industrial Group/Georgia Textile Manufacturers Group	14000-U	Direct	GA	Cost of Service Study, Revenue Allocation, Rate Design	10/12/2001
7555	TAMPA ELECTRIC COMPANY	Florida Industrial Power Users Group	010001-EI	Direct	FL	Rate Design	10/12/2001
7658	SOUTHWESTERN ELECTRIC POWER COMPANY	Texas Industrial Energy Consumers	24468	Direct	TX	Delay of Retail Competition	9/24/2001
7647	ENTERGY GULF STATES, INC.	Texas Industrial Energy Consumers	24469	Direct	TX	Delay of Retail Competition	9/22/2001
7608	RELIANT ENERGY HL&P	Texas Industrial Energy Consumers	23950	Direct	TX	Price to Beat	7/3/2001
7593	GEORGIA POWER COMPANY	Georgia Industrial Group/Georgia Textile Manufacturers Group	13711-U	Direct	GA	Fuel Cost Recovery	5/11/2001
7520	GEORGIA POWER COMPANY SAVANNAH ELECTRIC & POWER COMPANY	Georgia Industrial Group/Georgia Textile Manufacturers Group	12499-U, 13305-U, 13306-U	Direct	GA	Integrated Resource Planning	5/11/2001
7303	ENTERGY GULF STATES, INC.	Texas Industrial Energy Consumers	22356	Rebuttal	TX	Allocation/Collection of Municipal Franchise Fees	3/31/2001

**Appendix A**  
**Testimony Filed in Regulatory Proceedings**  
**by Jeffrey Pollock**

PROJECT	UTILITY	ON BEHALF OF	Docket	TYPE	Regulatory Jurisdiction	Subject	DATE
7309	SOUTHWESTERN PUBLIC SERVICE COMPANY	Texas Industrial Energy Consumers	22351	Cross-Rebuttal	TX	Energy Efficiency Costs	2/22/2001
7305	CPL, SWEPCO, and WTU	Texas Industrial Energy Consumers	22352, 22353, 22354	Cross-Rebuttal	TX	Allocation/Collection of Municipal Franchise Fees	2/20/2001
7423	GEORGIA POWER COMPANY	Georgia Industrial Group/Georgia Textile Manufacturers Group	13140-U	Direct	GA	Interruptible Rate Design	2/16/2001
7305	CPL, SWEPCO, and WTU	Texas Industrial Energy Consumers	22352, 22353, 22354	Supplemental Direct	TX	Transmission Cost Recovery Factor	2/13/2001
7310	TEXAS-NEW MEXICO POWER COMPANY	Texas Industrial Energy Consumers	22349	Cross-Rebuttal	TX	Rate Design	2/12/2001
7308	TXU ELECTRIC COMPANY	Texas Industrial Energy Consumers	22350	Cross-Rebuttal	TX	Unbundled Cost of Service	2/12/2001
7303	ENTERGY GULF STATES, INC.	Texas Industrial Energy Consumers	22356	Cross-Rebuttal	TX	Stranded Cost Allocation	2/8/2001
7308	TXU ELECTRIC COMPANY	Texas Industrial Energy Consumers	22350	Direct	TX	Rate Design	2/5/2001
7303	ENTERGY GULF STATES, INC.	Texas Industrial Energy Consumers	22356	Supplemental Direct	TX	Rate Design	1/25/2001
7307	RELIANT ENERGY HL&P	Texas Industrial Energy Consumers	22355	Cross-Rebuttal	TX	Stranded Cost Allocation	1/12/2001
7303	ENTERGY GULF STATES, INC.	Texas Industrial Energy Consumers	22356	Direct	TX	Stranded Cost Allocation	1/9/2001
7307	RELIANT ENERGY HL&P	Texas Industrial Energy Consumers	22355	Direct	TX	Cost Allocation	12/13/2000
7375	CENTRAL POWER AND LIGHT COMPANY	Texas Industrial Energy Consumers	22352	Cross-Rebuttal	TX	CTC Rate Design	12/1/2000
7375	CENTRAL POWER AND LIGHT COMPANY	Texas Industrial Energy Consumers	22352	Direct	TX	Cost Allocation	11/1/2000
7308	TXU ELECTRIC COMPANY	Texas Industrial Energy Consumers	22350	Direct	TX	Cost Allocation	11/1/2000
7308	TXU ELECTRIC COMPANY	Texas Industrial Energy Consumers	22350	Cross-Rebuttal	TX	Cost Allocation	11/1/2000
7305	CPL, SWEPCO, and WTU	Texas Industrial Energy Consumers	22352, 22353, 22354	Direct	TX	Excess Cost Over Market	11/1/2000
7315	VARIOUS UTILITIES	Texas Industrial Energy Consumers	22344	Direct	TX	Generic Customer Classes	10/14/2000
7308	TXU ELECTRIC COMPANY	Texas Industrial Energy Consumers	22350	Direct	TX	Excess Cost Over Market	10/10/2000
7315	VARIOUS UTILITIES	Texas Industrial Energy Consumers	22344	Rebuttal	TX	Excess Cost Over Market	10/1/2000
7310	TEXAS-NEW MEXICO POWER COMPANY	Texas Industrial Energy Consumers	22349	Cross-Rebuttal	TX	Generic Customer Classes	10/1/2000
7310	TEXAS-NEW MEXICO POWER COMPANY	Texas Industrial Energy Consumers	22349	Direct	TX	Excess Cost Over Market	9/27/2000
7307	RELIANT ENERGY HL&P	Texas Industrial Energy Consumers	22355	Cross-Rebuttal	TX	Excess Cost Over Market	9/26/2000
7307	RELIANT ENERGY HL&P	Texas Industrial Energy Consumers	22355	Direct	TX	Excess Cost Over Market	9/19/2000
7334	GEORGIA POWER COMPANY	Georgia Industrial Group/Georgia Textile Manufacturers Group	11708-U	Rebuttal	GA	RTP Petition	3/24/2000
7334	GEORGIA POWER COMPANY	Georgia Industrial Group/Georgia Textile Manufacturers Group	11708-U	Direct	GA	RTP Petition	3/1/2000
7232	PUBLIC SERVICE COMPANY OF COLORADO	Colorado Industrial Energy Consumers	99A-377EG	Answer	CO	Merger	12/1/1999

**Appendix A**  
**Testimony Filed in Regulatory Proceedings**  
**by Jeffrey Pollock**

PROJECT	UTILITY	ON BEHALF OF	Docket	TYPE	Regulatory Jurisdiction	Subject	DATE
7258	TXU ELECTRIC COMPANY	Texas Industrial Energy Consumers	21527	Direct	TX	Securitization	11/24/1999
7246	CENTRAL POWER AND LIGHT COMPANY	Texas Industrial Energy Consumers	21528	Direct	TX	Securitization	11/24/1999
7089	VIRGINIA ELECTRIC AND POWER COMPANY	Virginia Committee for Fair Utility Rates	PUE980813	Direct	VA	Unbundled Rates	7/1/1999
7090	AMERICAN ELECTRIC POWER SERVICE CORPORATION	Old Dominion Committee for Fair Utility Rates	PUE980814	Direct	VA	Unbundled Rates	5/21/1999
7142	SHARYLAND UTILITIES, L.P.	Sharyland Utilities	20292	Rebuttal	TX	Certificate of Convenience and Necessity	4/30/1999
7060	PUBLIC SERVICE COMPANY OF COLORADO	Colorado Industrial Energy Consumers Group	98A-511E	Direct	CO	Allocation of Pollution Control Costs	3/1/1999
7039	SAVANNAH ELECTRIC AND POWER COMPANY	Various Industrial Customers	10205-U	Direct	GA	Fuel Costs	1/1/1999
6945	TAMPA ELECTRIC COMPANY	Florida Industrial Power Users Group	950379-EI	Direct	FL	Revenue Requirement	10/1/1998
6873	GEORGIA POWER COMPANY	Georgia Industrial Group	9355-U	Direct	GA	Revenue Requirement	10/1/1998
6729	VIRGINIA ELECTRIC AND POWER COMPANY	Virginia Committee for Fair Utility Rates	PUE960036,PUE960296	Direct	VA	Alternative Regulatory Plan	8/1/1998
6713	CENTRAL POWER AND LIGHT COMPANY	Texas Industrial Energy Consumers	16995	Cross-Rebuttal	TX	IRR	1/1/1998
6582	HOUSTON LIGHTING & POWER COMPANY	Lyondell Petrochemical Company	96-02867	Direct	COURT	Interruptible Power	1997
6758	SOUTHWESTERN ELECTRIC POWER COMPANY	Texas Industrial Energy Consumers	17460	Direct	TX	Fuel Reconciliation	12/1/1997
6729	VIRGINIA ELECTRIC AND POWER COMPANY	Virginia Committee for Fair Utility Rates	PUE960036,PUE960296	Direct	VA	Alternative Regulatory Plan	12/1/1997
6713	CENTRAL POWER AND LIGHT COMPANY	Texas Industrial Energy Consumers	16995	Direct	TX	Rate Design	12/1/1997
6646	ENTERGY TEXAS	Texas Industrial Energy Consumers	16705	Rebuttal	TX	Competitive Issues	10/1/1997
6646	ENTERGY TEXAS	Texas Industrial Energy Consumers	16705	Rebuttal	TX	Competition	10/1/1997
6646	ENTERGY TEXAS	Texas Industrial Energy Consumers	473-96-2285/16705	Direct	TX	Rate Design	9/1/1997
6646	ENTERGY TEXAS	Texas Industrial Energy Consumers	16705	Direct	TX	Wholesale Sales	8/1/1997
6744	TAMPA ELECTRIC COMPANY	Florida Industrial Power Users Group	970171-EU	Direct	FL	Interruptible Rate Design	5/1/1997
6632	MISSISSIPPI POWER COMPANY	Colonial Pipeline Company	96-UN-390	Direct	MS	Interruptible Rates	2/1/1997
6558	TEXAS-NEW MEXICO POWER COMPANY	Texas Industrial Energy Consumers	15560	Direct	TX	Competition	11/11/1996
6508	TEXAS UTILITIES ELECTRIC COMPANY	Texas Industrial Energy Consumers	15195	Direct	TX	Treatment of margins	9/1/1996
6475	TEXAS UTILITIES ELECTRIC COMPANY	Texas Industrial Energy Consumers	15015	DIRECT	TX	Real Time Pricing Rates	8/8/1996
6449	CENTRAL POWER AND LIGHT COMPANY	Texas Industrial Energy Consumers	14965	Direct	TX	Quantification	7/1/1996
6449	CENTRAL POWER AND LIGHT COMPANY	Texas Industrial Energy Consumers	14965	Direct	TX	Interruptible Rates	5/1/1996
6449	CENTRAL POWER AND LIGHT COMPANY	Texas Industrial Energy Consumers	14965	Rebuttal	TX	Interruptible Rates	5/1/1996

**Appendix A**  
**Testimony Filed in Regulatory Proceedings**  
**by Jeffrey Pollock**

PROJECT	UTILITY	ON BEHALF OF	Docket	TYPE	Regulatory Jurisdiction		Subject	DATE
6523	PUBLIC SERVICE COMPANY OF COLORADO	Multiple Intervenors	95A-531EG	Answer	CO	Merger		4/1/1996
6235	TEXAS UTILITIES ELECTRIC COMPANY	Texas Industrial Energy Consumers	13575	Direct	TX	Competitive Issues		4/1/1996
6435	SOUTHWESTERN PUBLIC SERVICE COMMISSION	Texas Industrial Energy Consumers	14499	Direct	TX	Acquisition		11/1/1995
6391	HOUSTON LIGHTING & POWER COMPANY	Grace, W.R. & Company	13988	Rebuttal	TX	Rate Design		8/1/1995
6353	SOUTHWESTERN PUBLIC SERVICE COMPANY	Texas Industrial Energy Consumers	14174	Direct	TX	Costing of Off-System Sales		8/1/1995
6157	WEST TEXAS UTILITIES COMPANY	Texas Industrial Energy Consumers	13369	Rebuttal	TX	Cancellation Term		8/1/1995
6391	HOUSTON LIGHTING & POWER COMPANY	Grace, W.R. & Company	13988	Direct	TX	Rate Design		7/1/1995
6157	WEST TEXAS UTILITIES COMPANY	Texas Industrial Energy Consumers	13369	Direct	TX	Cancellation Term		7/1/1995
6296	GEORGIA POWER COMPANY	Georgia Industrial Group	5601-U	Rebuttal	GA	EPACT Rate-Making Standards		5/1/1995
6296	GEORGIA POWER COMPANY	Georgia Industrial Group	5601-U	Direct	GA	EPACT Rate-Making Standards		5/1/1995
6278	COMMONWEALTH OF VIRGINIA	VCFUR/ODCFUR	PUE940067	Rebuttal	VA	Integrated Resource Planning		5/1/1995
6295	GEORGIA POWER COMPANY	Georgia Industrial Group	5600-U	Supplemental	GA	Cost of Service		4/1/1995
6063	PUBLIC SERVICE COMPANY OF COLORADO	Multiple Intervenors	94I-430EG	Rebuttal	CO	Cost of Service		4/1/1995
6063	PUBLIC SERVICE COMPANY OF COLORADO	Multiple Intervenors	94I-430EG	Reply	CO	DSM Rider		4/1/1995
6295	GEORGIA POWER COMPANY	Georgia Industrial Group	5600-U	Direct	GA	Interruptible Rate Design		3/1/1995
6278	COMMONWEALTH OF VIRGINIA	VCFUR/ODCFUR	PUE940067	Direct	VA	EPACT Rate-Making Standards		3/1/1995
6125	SOUTHWESTERN PUBLIC SERVICE COMPANY	Texas Industrial Energy Consumers	13456	Direct	TX	DSM Rider		3/1/1995
6235	TEXAS UTILITIES ELECTRIC COMPANY	Texas Industrial Energy Consumers	13575 13749	Direct	TX	Cost of Service		2/1/1995
6063	PUBLIC SERVICE COMPANY OF COLORADO	Multiple Intervenors	94I-430EG	Answering	CO	Competition		2/1/1995
6061	HOUSTON LIGHTING & POWER COMPANY	Texas Industrial Energy Consumers	12065	Direct	TX	Rate Design		1/1/1995

1 BY MS. KAUFMAN:

2 Q Okay. Have you prepared a summary of your testimony?

3 A I have.

4 Q And would you please give that?

5 A I will.

6 Good morning, Commissioners. My testimony addresses  
7 the class cost-of-service study, revenue allocation,  
8 interruptible rates, other rate design issues, certain revenue  
9 requirements in the proposed transmission base rate adjustment.  
10 Since you've heard a lot of discussion mostly on revenue  
11 requirement issues, I'm going to focus my summary on the  
12 cost-of-service rate design issues.

13 Tampa Electric's class cost-of-service study is  
14 seriously flawed and should be rejected. The interruptible  
15 class should not be consolidated either with the GSD or GSLD  
16 classes, nor should the credit that TECO proposes vary between  
17 rate cases. Further, the interruptible credit must  
18 appropriately compensate interruptible customers for the type  
19 of service they receive.

20 The reasons for rejecting the company's  
21 cost-of-service study are as follows. First, it improperly  
22 allocates production plant costs. The 12CP and 25 percent  
23 average demand method would more than triple the amount of  
24 production plant costs that are classified to energy or average  
25 demand rather than peak demand.

1           In addition, the environmental and Polk gasifier  
2 costs are improperly classified to energy, and, as a  
3 consequence, 43 percent of total production plant costs are  
4 being classified to energy. That's an inordinate amount.

5           Third, the 12CP method doesn't reflect TECO's cost  
6 system load characteristics.

7           Regarding the 12CP and 25 percent average demand  
8 method, this method has never been approved by you, and for  
9 good reason. Power plant components are sized to meet, provide  
10 a certain amount of capacity. The company must have sufficient  
11 capacity to meet projected firm annual system peak demand. For  
12 TECO its firm annual system peaks occur primarily during those  
13 hot and humid summer months and a short duration of peak occurs  
14 during brief cold snaps in the winter months. The heat and  
15 humidity mean that generators and transmission lines and  
16 equipment cannot carry as much load during the summer months.  
17 Despite scheduling outages during the spring and fall months  
18 which reduce available capacity, the company still has lower  
19 reserve capacity in the summer months when the peaks occur.  
20 These physical realities suggest that all production plant  
21 costs should be allocated on a summer or winter peak basis, not  
22 12CP, which assumes that all months are equally important in  
23 meeting customer demand throughout the year.

24           Unlike peak demand, year-round energy is not a  
25 determinant of the amount of capacity TECO needs to meet its



1 obligation to serve. As a matter of pure physics, if TECO  
2 would only have the amount of capacity needed to serve its  
3 year-round energy requirement, it could not provide reliable  
4 service.

5           However, the Commission has historically recognized  
6 that some production plant costs are incurred to reflect  
7 energy-related considerations. While this issue has been and  
8 continues to be extensively debated, recognizing energy-related  
9 considerations is what led this Commission to adopt the 12CP  
10 and 1/13th average demand method. As shown in my analysis,  
11 even this method allocates costs beyond the economic break-even  
12 point between baseload and peaking capacity.

13           Let me elaborate. The concept of a break-even point  
14 has previously been recognized by the Commission when it  
15 rejected costing methods similar to TECO's proposal in this  
16 case such as equivalent peaker. It is an important concept  
17 because the break-even line, break-even point is the dividing  
18 line between cost causation and cost shifting. Only energy  
19 usage up to the break-even point is cost causative. A  
20 methodology that goes far beyond the break-even point such as  
21 that proposed by TECO in this proceeding is nothing more than  
22 cost shifting.

23           Particularly egregious is the failure to follow the  
24 methodology to its complete and logical end. If it's  
25 appropriate to shift higher production plant costs to high load

1 factor customers, it's just as appropriate to shift higher fuel  
2 costs to low load factor customers. The failure to do so is  
3 theoretically inconsistent, it's unsound, it's unfair, it's  
4 inequitable. My recommendations stay the course. Apply the  
5 12CP and 1/13th with no special treatment for environmental and  
6 the gasifier investment.

7           TECO has assumed that for costing purposes the  
8 interruptible or IS class is receiving firm service. First of  
9 all, let's recognize that interruptible customers receive the  
10 lowest quality of service. But using this assumption it  
11 follows that in determining the cost of serving the IS class,  
12 the class's revenues should be restated to the otherwise  
13 applicable firm rate. This adjustment recognizes that the  
14 costs were interruptible credits incurred to support the  
15 interruptible service, and it recognizes that none of these  
16 costs should be allocated to the interruptible customers  
17 because they are the ones that are providing the capacity for  
18 the benefit of the firm customers. Allocating the  
19 interruptible credits to interruptible customers as TECO  
20 proposes would result in these customers receiving less than  
21 the full value for the contingency reserves and other  
22 reliability benefits that they have been providing firm  
23 customers for decades.

24           Coupled with my other recommended adjustments to the  
25 company's cost-of-service study, the results shown in my

1 Exhibit JP-10 demonstrate that the interruptible class is  
2 providing the highest rate of return, even higher than the GSLD  
3 class. And for this reason alone, the company's proposal to  
4 consolidate interruptible with GSD and GSLD should be rejected.

5 Another reason for rejecting class consolidation is  
6 the three classes as a whole are quite different. This is  
7 shown in my Exhibit JP-5. While Mr. Ashburn notes that there  
8 are similarities when you look at monthly bills, he overlooks  
9 the differences on a customer basis, and further he totally  
10 ignores the primary difference between the three classes, which  
11 is that more than half of the interruptible load is served at  
12 a --

13 CHAIRMAN CARTER: Mr. Pollock, I'm sorry.

14 THE WITNESS: Am I --

15 CHAIRMAN CARTER: You're at, you're at six minutes,  
16 already, sir.

17 THE WITNESS: I'm sorry.

18 CHAIRMAN CARTER: Thank you. Ms. Kaufman.

19 MS. KAUFMAN: The witness is available for  
20 cross-examination.

21 CHAIRMAN CARTER: Okay. Commissioners, why don't I  
22 go through the parties first, but I can always come to the  
23 bench. Just let me know, we'll do that.

24 Ms. Christensen.

25 MS. CHRISTENSEN: TECO. TECO.

1 CHAIRMAN CARTER: You have no questions for --

2 MS. CHRISTENSEN: Well, I do. I just didn't know if

3 --

4 CHAIRMAN CARTER: Well, it's not your witness, so you  
5 go ahead. You're recognized.

6 MS. CHRISTENSEN: Certainly.

7 CHAIRMAN CARTER: Thank you.

8 CROSS EXAMINATION

9 BY MS. CHRISTENSEN:

10 Q I just have a few questions. You talk about in your  
11 testimony the transmission base rate adjustment mechanism that  
12 Tampa Electric has proposed. To your knowledge has any state  
13 commission or even this Commission approved such a mechanism?

14 A Your question was has any state commission or this  
15 Commission approved this previously?

16 Q Yeah. And I can break it down into two questions.

17 A Yeah. Let me answer the first question. There are  
18 circumstances where utilities are allowed to recover  
19 transmission costs in between base rate cases. The Commission  
20 in Texas, which is a little different situation than exists  
21 here because the utilities there are completely unbundled and  
22 the utilities, the regulated utilities in Texas only provide  
23 delivery of service, so that's a little different situation  
24 than exists here. But that is a case where the utilities were  
25 allowed to recover increases in transmission investment between

1 rate cases.

2 As far as this Commission is concerned, I'm not aware  
3 that any such clause has been provided, has been approved in  
4 past cases.

5 Q Okay. So let me see if I understand your, your  
6 response. Even though Texas has allowed it, allowed some  
7 transmission recovery, they don't, they're not talking about a  
8 similar mechanism as what Tampa Electric has requested in this  
9 case?

10 A It's hard to say what the mechanism is that the  
11 company has requested because, as I explain in my testimony,  
12 the details are somewhat sketchy. But the concept is to allow  
13 some, some, recover some current recovery of costs, and the  
14 Texas transmission cost recovery factor does allow that. It  
15 doesn't -- it does so in a way that recognizes the dynamics of  
16 ratemaking, which I'm not sure that the company's proposal in  
17 this case would, would fully recognize.

18 Q I'm not sure what you mean by the dynamics of  
19 ratemaking.

20 A And I discuss this in my testimony. The fact of the  
21 matter is, is that in between rate cases there's, there are  
22 always changes that occur, and one of the biggest changes that  
23 occur is that sales grow. And in a growing sales environment,  
24 those additional sales generate additional revenues that then  
25 defray and offset the incurrence of additional fixed costs.

1           So what happens is just because the company may  
2 incur, let's say, a \$100 million investment for transmission,  
3 some of those costs, some of the costs of that investment are  
4 already recovered in the fact that just the revenues -- the  
5 utility growing generates additional revenue that offsets or  
6 defrays a portion of the cost. So the utility, the utility  
7 doesn't get the full incremental increase associated with the  
8 \$100 million. It's reduced by the amount of revenue growth.  
9 And, further, it's reduced by the amount of depreciation  
10 because as we go out beyond the test year plant is depreciated  
11 more. Therefore, the rate base is going down. Therefore, the  
12 revenue requirement goes down. So there are two offsetting  
13 adjustments, one for growth and one for additional  
14 depreciation.

15           Q     Okay. And let me ask you this. Currently would you  
16 agree that at least 54 percent of the revenue that Tampa  
17 Electric collects is already recovered through clauses, through  
18 the existing clauses?

19           A     Yes.

20           Q     Okay. And would you agree that this proposed TBRA  
21 mechanism would shift additional risk from shareholders to  
22 ratepayers for which they're already getting compensated  
23 through base rates for?

24           A     That would be my view, that any time you shift cost  
25 recovery from base rates to adjustment clauses that get

1 basically trued up dollar for dollar every year, that's a  
2 pretty significant reduction in the regulatory risk of the  
3 utility.

4 MS. CHRISTENSEN: Okay. No further questions.

5 CHAIRMAN CARTER: Thank you.

6 Ms. Bradley.

7 MS. BRADLEY: No questions.

8 CHAIRMAN CARTER: Okay. Now this is not one that you  
9 guys are jointly sponsoring; right? This is a separate --  
10 okay. Mr. Wright.

11 MR. WRIGHT: I have no, I have no questions, Mr.  
12 Chairman. Thank you.

13 CHAIRMAN CARTER: Okay. From the company.

14 MR. WILLIS: No questions.

15 CHAIRMAN CARTER: Okay. Commissioners? Commissioner  
16 Argenziano, you're recognized.

17 COMMISSIONER ARGENZIANO: Thank you.

18 Mr. Pollock, you are opposed, let me find the right  
19 place, to the incentive -- where am I? Oh, incentive  
20 compensation. And could you explain why and, why you're  
21 opposed to that and I guess opposed to the executives, the CFO  
22 and the President receiving that compensation?

23 THE WITNESS: Yeah. I don't think we're opposed to  
24 that per se. But I think what our testimony is and our  
25 recommendation is that any incentive compensation where the

1 payout is geared to the financial performance of either Tampa  
2 Electric or TECO Energy is clearly for the benefit of the  
3 shareholders, increasing shareholder value. It's not clear and  
4 I don't think the company has demonstrated that those costs are  
5 for ratepayer benefits and provide direct benefits to actual  
6 ratepayers.

7 COMMISSIONER ARGENZIANO: So the compensation part of  
8 that being, being related to enhancing the value of the parent  
9 company and not the -- there's no benefit to the ratepayer is  
10 what you're saying.

11 THE WITNESS: That's our position. Yes.

12 COMMISSIONER ARGENZIANO: Okay. And do you recall, I  
13 can't find the page, the compensation to the executive officers  
14 for the incentive?

15 THE WITNESS: Yes. Yes. That's on Page 13.

16 COMMISSIONER ARGENZIANO: Which was how much? Is  
17 that, is that correct, the parent -- let's see. The president  
18 and CFO received approximately \$1.5 million in incentive  
19 compensation including stock awards worth approximately  
20 \$810,000 and nonequity and incentive payments for approximately  
21 \$690,000 for 2007?

22 THE WITNESS: Yes. That's information we got, we  
23 obtained publicly.

24 COMMISSIONER ARGENZIANO: And it is your belief that  
25 that, that compensation is really benefiting the parent



1 company?

2 THE WITNESS: Well, that is the compensation that the  
3 officers received. It's a little different issue than how much  
4 should the rates of Tampa Electric Company, which include some  
5 incentive compensation, how much those rates should be adjusted  
6 to reflect that or not.

7 COMMISSIONER ARGENZIANO: And I wonder if you could  
8 talk to me more about the cost sifting. I need a better  
9 understanding of the cost shifting.

10 THE WITNESS: You mean on the cost allocation stuff?

11 COMMISSIONER ARGENZIANO: Yes.

12 THE WITNESS: Yes. Basically what -- if you look at  
13 the utility, the utility is designed to provide capacity to  
14 meet the peak demand.

15 And if I could use a, kind of a bang for the buck  
16 example. If I'm the guy that's got to cross a proverbial  
17 stream, and I'm about 5'6" tall and the proverbial stream has  
18 an average depth of five feet, but in the middle the depth is  
19 about 12 feet and I can't swim, guess what's going to happen?  
20 I'm not going to make it.

21 COMMISSIONER ARGENZIANO: You're going to get your  
22 hair wet.

23 THE WITNESS: Yes. Well, I'm going to do more than  
24 that. I might not make it to the other side. And, of course,  
25 I'm obligated to do that and a utility is obligated to provide

1 service to its customers as well. And so they have to provide  
2 capacity to meet those, those summer -- as I said, TECO is a  
3 summer peak utility with a secondary winter peak.

4           When you allocate costs away from the demands that  
5 cause the utility to incur these costs and look at factors such  
6 as demands in the spring and fall months like the 12CP method  
7 or you look at energy which is another way of saying average  
8 demand, that's the average five foot depth of that stream that  
9 we just tried to cross unsuccessfully, then what you're really  
10 doing is you're shifting costs away from the things that really  
11 caused the capacity to be incurred on to something else and  
12 that's the cost shifting issue. I describe it a little  
13 differently in the concept of the break-even point, but that's  
14 essentially what the cost shift is.

15           COMMISSIONER ARGENZIANO: Okay. Thank you.

16           THE WITNESS: Thank you.

17           CHAIRMAN CARTER: Anything further from the bench?  
18 Redirect?

19           MS. KAUFMAN: I just have one redirect follow-up on  
20 Commissioner Argenziano's question about the cost shifting.

21   REDIRECT EXAMINATION

22 BY MS. KAUFMAN:

23           Q     Can you explain how Tampa Electric's proposed  
24 methodology inappropriately shifts costs on to the  
25 interruptible class?

1           A       Certainly.  And this again kind of relates to two  
2 factors of their cost study.  One is the increase from 1/13th  
3 or roughly 8 percent to 25 percent on the average demand and  
4 allocating all production plant costs.  That's the first level  
5 of shift.

6                   The second level of shift is then taking the  
7 environmental equipment and the gasifier and allocating  
8 entirely on an average demand basis, when we all know that  
9 those components are necessary for the plants to operate and  
10 provide the capacity.

11                   MS. KAUFMAN:  Thank you, Mr. Chairman.

12                   CHAIRMAN CARTER:  Thank you.

13                   Exhibit Numbers -- Commissioners, in your records --  
14 55 through 73, I believe it is.  Help me.  Yes.  73.  And  
15 Exhibit 124.  Any objections?  Without objection, show it done.

16                   (Exhibits 55 through 73 and Exhibit 124 admitted into  
17 the record.)

18                   Anything further for this witness, staff?

19 Commissioners?  You may be excused.

20                   THE WITNESS:  Short and sweet.  Thank you very much.

21                   CHAIRMAN CARTER:  Okay.  Let's do this while I'm  
22 checking these exhibits.  I think we're making progress,  
23 Commissioners.  And since we're making progress, I want to try  
24 to reward good behavior.  And we said we were going to do lunch  
25 from 11:30 to 12:45.  We'll just go now and be back at 12:45.

1 We're on lunch.

2 (Recess taken.)

3 (Transcript continues in sequence with Volume 15.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF FLORIDA )  
2 COUNTY OF LEON ) : CERTIFICATE OF REPORTER

3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I, LINDA BOLES, RPR, CRR, Official Commission Reporter, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorneys or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 30<sup>th</sup> day of January,

2009.

Linda Boles  
LINDA BOLES, RPR, CRR  
FPSC Official Commission Reporter  
(850) 413-6734