

BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS (FLORIDA POWER & LIGHT COMPANY). DOCKET NO. 080407-EG

COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS (PROGRESS ENERGY FLORIDA, INC.). DOCKET NO. 080408-EG

COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS (TAMPA ELECTRIC COMPANY). DOCKET NO. 080409-EG

COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS (GULF POWER COMPANY). DOCKET NO. 080410-EG

COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS (FLORIDA PUBLIC UTILITIES COMPANY). DOCKET NO. 080411-EG

COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS (ORLANDO UTILITIES COMMISSION). DOCKET NO. 080412-EG

COMMISSION REVIEW OF NUMERIC CONSERVATION GOALS (JEA). DOCKET NO. 080413-EG


VOLUME 1

Pages 1 through 221

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE A CONVENIENCE COPY ONLY AND ARE NOT THE OFFICIAL TRANSCRIPT OF THE HEARING, THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS: HEARING

FLORIDA PUBLIC SERVICE COMMISSION



DOCUMENT NUMBER - DA 08402 AUG 13 8 FPSC-COMMISSION CLERK

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

COMMISSIONERS  
PARTICIPATING: CHAIRMAN MATTHEW M. CARTER, II  
COMMISSIONER LISA POLAK EDGAR  
COMMISSIONER KATRINA J. McMURRIAN  
COMMISSIONER NANCY ARGENZIANO  
COMMISSIONER NATHAN A. SKOP

DATE: Monday, August 10, 2009

TIME: Commenced at 9:33 a.m.

PLACE: Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida

REPORTED BY: LINDA BOLES, RPR, CRR  
Official FPSC Reporter  
(850) 413-6734

## 1 PARTICIPATING:

2 JESSICA A. CANO, ESQUIRE, 700 Universe  
3 Boulevard, Juno Beach, Florida 33408-0420, and CHARLES  
4 A. GUYTON, ESQUIRE, Squire, Sanders & Dempsey, LLP, 215  
5 South Monroe Street, Suite 601, Tallahassee, Florida  
6 32301, representing Florida Power & Light Company.

7 STEVEN R. GRIFFIN, ESQUIRE, and RUSSELL A.  
8 BADDERS, ESQUIRE, Beggs & Lane Law Firm, Post Office Box  
9 12950, Pensacola, Florida 32591-2950, representing Gulf  
10 Power Company.

11 JOHN T. BURNETT, ESQUIRE, Post Office Box  
12 14042, St. Petersburg, Florida 33733-4042, appearing on  
13 behalf of Progress Energy Florida, Inc.

14 LEE L. WILLIS, ESQUIRE, and JAMES D. BEASLEY,  
15 ESQUIRE, Ausley & McMullen, Post Office Box 391,  
16 Tallahassee, Florida 32302, representing Tampa Electric  
17 Company.

18 ROY C. YOUNG, ESQUIRE, and CHRIS BROWDER,  
19 GENERAL COUNSEL, Young van Assenderp, P.A., 225 South  
20 Adams Street, Suite 200, Tallahassee, Florida 32301,  
21 representing Orlando Utilities Commission.

22 NORMAN H. HORTON, JR., ESQUIRE, Messer,  
23 Caparello & Self, P.A., Post Office Box 15579,  
24 Tallahassee, Florida 32317, appearing on behalf of  
25 Florida Public Utilities Company.

1 PARTICIPATING (Continued):

2 SUSAN CLARK, ESQUIRE, Radey, Thomas, Yon &  
3 Clark, 301 South Bronough Street, Suite 200,  
4 Tallahassee, Florida 32301, representing Florida Power &  
5 Light Company, Progress Energy Florida, Inc., Tampa  
6 Electric Company, Gulf Power Company, Florida Public  
7 Utilities Company, Orlando Utilities Commission and JEA.

8 GARY V. PERKO, ESQUIRE, Hopping, Green & Sams,  
9 P.A., Post Office Box 6526, Tallahassee, Florida 32314,  
10 appearing on behalf of JEA.

11 VICKI G. KAUFMAN, ESQUIRE, c/o Keefe, Anchors,  
12 Gordon & Moyle, 118 North Gadsden Street, Tallahassee,  
13 Florida 32301, representing the Florida Industrial Power  
14 Users Group.

15 SUZANNE BROWNLESS, ESQUIRE, c/o Suzanne  
16 Brownless, P.A., 1975 Buford Boulevard, Tallahassee,  
17 Florida 32308, representing Florida Solar Coalition.

18 JEREMY SUSAC, EXECUTIVE DIRECTOR, Florida  
19 Energy and Climate Commission, Governor's Energy Office,  
20 600 South Calhoun Street, Suite 251, Tallahassee,  
21 Florida 32399-0001, representing the Florida Energy and  
22 Climate Commission.

23

24

25

1 PARTICIPATING (Continued):

2 E. LEON JACOBS, JR., ESQUIRE, c/o Williams &  
3 Jacobs, LLC, 1720 South Gadsden Street, MS 14, Suite  
4 201, Tallahassee, Florida 32301; BENJAMIN LONGSTRETH,  
5 ESQUIRE, Natural Resources Defense Council, 1200 New  
6 York Avenue NW, Washington, DC 20005; BRANDI COLANDER,  
7 ESQUIRE, Natural Resources Defense Council, 40 West 20th  
8 Street, New York, NY 10011; DANIEL WEINER, ESQUIRE,  
9 Jenner & Block, 1099 New York Avenue NW, Washington, DC  
10 20005; and GEORGE S. CAVROS, ESQUIRE, 120 East Oakland  
11 Park Boulevard, Suite 105, Ft. Lauderdale, Florida  
12 33334, representing the Natural Resources Defense  
13 Council and the Southern Alliance for Clean Energy.

14 KATHERINE FLEMING, ESQUIRE, and ERIC SAYLER,  
15 ESQUIRE, FPSC General Counsel's Office, 2540 Shumard Oak  
16 Boulevard, Tallahassee, Florida 32399-0850, representing  
17 the Commission Staff.

18 MARY ANNE HELTON, DEPUTY GENERAL COUNSEL, FPSC  
19 General Counsel's Office, 2540 Shumard Oak Boulevard,  
20 Tallahassee, Florida 32399-0850, Advisor to the Florida  
21 Public Service Commission.

22  
23  
24  
25

## I N D E X

1		
2	OPENING STATEMENTS:	PAGE NO.
3	MR. GUYTON	18
	MR. HORTON	30
4	MR. YOUNG	32
	MR. PERKO	37
5	MS. KAUFMAN	37
	MS. BROWNLESS	41
6	MR. JACOBS	46
	MR. SUSAC	56
7		
8	WITNESSES	
9	NAME:	PAGE NO.
10	STEVEN SIM	
11	Direct Examination by Ms. Cano	60
	Prefiled Direct Testimony Inserted	63
12	Errata to Prefiled Direct Testimony	
	Inserted	149
13	Cross Examination by Ms. Kaufman	155
	Cross Examination by Mr. Longstreth	165
14	Cross Examination by Ms. Brownless	178
	Cross Examination by Ms. Fleming	209
15		
16		
17	CERTIFICATE OF REPORTER	221
18		
19		
20		
21		
22		
23		
24		
25		

	EXHIBITS		
	NUMBER:	ID.	ADMTD.
1			
2	1 Comprehensive Exhibit List	13	13
3	2 Staff's Composite Exhibit #2	14	14
4	3 Staff's Composite Exhibit #3	14	14
5	4 Staff's Composite Exhibit #4	14	14
6	5 SRS-1	61	218
7	6 SRS-2	61	218
8	7 SRS-3	61	218
9	8 SRS-4	61	218
10	9 SRS-5	61	218
11	10 SRS-6	61	218
12	11 SRS-7	61	218
13	12 SRS-8	61	218
14	13 SRS-9	61	218
15	14 SRS-10	61	218
16	15 SRS-11	61	218
17	16 SRS-12	61	218
18	133 Florida's Energy & Climate Change Action Plan, 10/15/08	16	16
19			
20	134 Gulf's Amended Responses to Interrogatories	17	17
21	135 Witness Sim Deposition Errata Sheet	62	219
22	136 Excerpt from Cost-Effectiveness Manual	157	219
23			
24	137 FSC 2d Set of Interrogatories	180	220
25	138 Comparison of Carbon Costs	216	

## P R O C E E D I N G S

1  
2           **CHAIRMAN CARTER:** I'd like to call this  
3 hearing to order. First of all, staff, would you please  
4 read the notice.

5           **MS. FLEMING:** Pursuant to notice issued by the  
6 Commission Clerk, this time and place has been set for a  
7 hearing in Docket No. 080407 through 080413-EG.

8           **CHAIRMAN CARTER:** Okay. Let's take  
9 appearances.

10          **MS. CANO:** Good morning. Jessica Cano and  
11 Charlie Guyton on behalf of Florida Power & Light  
12 Company.

13          **MR. GRIFFIN:** Good morning. Steven Griffin  
14 and Russell Badders on behalf of Gulf Power Company.

15          **MR. BURNETT:** Good morning. John Burnett for  
16 Progress Energy Florida.

17          **MR. BEASLEY:** Good morning. James D. Beasley  
18 and Lee L. Willis of Ausley & McMullen on behalf of  
19 Tampa Electric Company.

20          **MR. YOUNG:** Roy Young with the firm of Young  
21 van Assenderp here in Tallahassee on behalf of OUC,  
22 along with our general counsel, Chris Browder.

23          **CHAIRMAN CARTER:** Okay.

24          **MR. HORTON:** Norman H. Horton, Jr., Messer,  
25 Caparello & Self, on behalf of Florida Public Utilities



1 Company.

2 **MS. CLARK:** I'm Susan Clark with the Radey Law  
3 Firm on behalf of the FEECA utilities.

4 **CHAIRMAN CARTER:** Mr. Perko?

5 **MR. PERKO:** Gary Perko on behalf of JEA.

6 **MS. KAUFMAN:** Good morning, Commissioners.  
7 Vicki Gordon Kaufman of Keefe, Anchors, Gordon & Moyle  
8 here in Tallahassee on behalf of the Florida Industrial  
9 Power Users Group.

10 **CHAIRMAN CARTER:** Mr. Jacobs, good morning.

11 **MR. JACOBS:** Good morning, Commissioners.  
12 Leon Jacobs with the firm of Williams & Jacobs. And  
13 with me is Mr. Ben Longstreth, Ms. Brandi Colander, Mr.  
14 Dan Weiner, and Mr. George Cavros, and we're all  
15 appearing on behalf of the Natural Resources Defense  
16 Council and the Southern Alliance for Clean Energy.

17 **CHAIRMAN CARTER:** Ms. Brownless, good morning.

18 **MS. BROWNLESS:** Good morning. Suzanne  
19 Brownless, Suzanne Brownless, P.A., Tallahassee, here on  
20 behalf of the Florida Solar Coalition.

21 **CHAIRMAN CARTER:** Mr. Susac, good morning to  
22 you.

23 **MR. SUSAC:** Good morning, Chairman. Jeremy  
24 Susac, Florida Energy and Climate Commission.

25 **CHAIRMAN CARTER:** Before I go to staff, did we

1 get all the parties?

2 Staff, you're recognized.

3 **MS. FLEMING:** Katherine Fleming and Eric  
4 Sayler on behalf of the Commission.

5 **MS. HELTON:** Mary Anne Helton, advisor to the  
6 Commission.

7 **CHAIRMAN CARTER:** Okay. Commissioner  
8 Argenziano, can you hear us okay?

9 **COMMISSIONER ARGENZIANO:** Yes, I can. Can you  
10 hear me?

11 **CHAIRMAN CARTER:** Good morning to you.

12 **COMMISSIONER ARGENZIANO:** Good morning. And I  
13 will be listening as long as it takes.

14 **CHAIRMAN CARTER:** Okay. Thank you so kindly.

15 Commissioners and to the parties, we have a --  
16 we're moving into the 21st century. And despite our  
17 best efforts to, to explain and recommend to people  
18 about the times that were in the orders, for whatever  
19 reason it seems like when we get to hearing time, people  
20 have amnesia. So we're going to help you today.

21 This is our timing system. Green means that's  
22 when you begin. Two minutes in you'll see the yellow  
23 light. Okay? And that means -- when you have two  
24 minutes left, you'll see the yellow light. Red, when it  
25 gets solid, you've got 30 seconds left. When the red

1 starts blinking, you're out of time. If you ignore the  
2 lights, we shut the mikes off. Okay? All righty.  
3 Good.

4 Now I'm sure that all the parties and the  
5 attorneys have looked over the, the order, the  
6 Prehearing Order in terms of the times for your opening  
7 statements as well as times for your, your witnesses to  
8 do their opening statements.

9 Now are there any questions pertaining to this  
10 before we get going?

11 **MR. GUYTON:** Mr. Chairman?

12 **CHAIRMAN CARTER:** Yes, sir.

13 **MR. GUYTON:** The investor-owned utilities are  
14 going to consolidate their statements so that the  
15 parties --

16 **CHAIRMAN CARTER:** Okay. We can work with  
17 that. We'll work with that. And you just let me know  
18 when we get there and we'll have Chris to set up an  
19 omnibus block of time and we can deal with it on that  
20 level.

21 **MR. JACOBS:** Mr. Chairman, on that note --

22 **CHAIRMAN CARTER:** Mr. Jacobs, yes, sir.

23 **MR. JACOBS:** On that note also I believe there  
24 will be some consolidation on our parts as well.

25 **CHAIRMAN CARTER:** No problem at all.

1           **MR. JACOBS:** Thank you.

2           **CHAIRMAN CARTER:** Just remember, green is  
3 good. Yellow is watch out. The blinking red is never  
4 good. Okay? But we can accommodate you with the time.  
5 It's just a matter of we'll -- all we need to know is  
6 what amount of time we're going to plug in and Chris  
7 will be dealing with that on that level. Okay?

8           Staff, are there any preliminary matters?

9           **MS. FLEMING:** Yes, Chairman, there are several  
10 preliminary matters. We would first like to note for  
11 the record that several witnesses have been excused from  
12 the hearing. And if you'd like, I can identify those at  
13 this time.

14           **CHAIRMAN CARTER:** You're recognized.

15           **MS. FLEMING:** Witnesses Eysie for FPUC;  
16 Rollins for FPUC; Kushner for FPUC, OUC, and JEA; Haddad  
17 for OUC; Pollock for FIPUG; and Cavanagh for SACE and  
18 NRDC. And staff would suggest that the stipulated  
19 prefiled testimony and exhibits can be taken up in turn  
20 as witnesses would be called on the order of witnesses  
21 list.

22           **CHAIRMAN CARTER:** Hang on one second. Let me  
23 step back here. Oh, I see some of those witnesses are  
24 also for rebuttal. That's why they're listed twice.  
25 Okay. Good.

1 All right. Now the next thing you were saying  
2 after --

3 **MS. FLEMING:** As far as when we move in the  
4 stipulated testimony and exhibits? We've provided the  
5 Commissioners a cheat sheet with the order of witnesses.

6 **CHAIRMAN CARTER:** Okay.

7 **MS. FLEMING:** And what we would suggest is  
8 when we get to those witnesses on the list, we would  
9 move in their prefiled testimony and any exhibits at  
10 that time.

11 **CHAIRMAN CARTER:** Okay. We'll do that. And  
12 we'll do that as the witnesses come up so that way we'll  
13 have a natural flow to things. You may proceed.

14 **MS. FLEMING:** Staff has prepared the  
15 Comprehensive Exhibit List, and at this time staff would  
16 ask the Comprehensive Exhibit List, which is Exhibit  
17 Number 1, be marked and moved into the record.

18 **CHAIRMAN CARTER:** Are there any objections by  
19 any of the parties? Without objection, show it done.

20 (Exhibit 1 marked for identification and  
21 admitted into the record.)

22 **MS. FLEMING:** Staff has also compiled  
23 stipulated exhibits which contain interrogatories, PODs,  
24 technical potential studies, as well as the Ten-Year  
25 Site Plans. Those are contained as Exhibits 2, 3, and 4

1 in the staff exhibit list. With respect to Exhibit 4,  
2 staff would like to note that Items 3 and 10, which is  
3 the deposition transcript of John Haney, and the  
4 late-filed deposition Exhibits 1 through 4 to the  
5 deposition of John Floyd are not in this exhibit as of  
6 yet. But staff would ask permission to supplement this  
7 exhibit after lunch, if, if that's possible. But staff  
8 would still ask that we go ahead and move in Exhibits 2  
9 through 4 into the record.

10 **CHAIRMAN CARTER:** Are there any objections of  
11 the parties?

12 **MR. GUYTON:** Mr. Chairman, I just want to make  
13 sure, does that include the FECC?

14 **MS. FLEMING:** No, it does not.

15 **MR. GUYTON:** Okay. No.

16 **CHAIRMAN CARTER:** Okay. Without objection,  
17 show it done.

18 (Exhibits 2, 3, and 4 marked for  
19 identification and admitted into the record.)

20 You may proceed, staff.

21 **MS. FLEMING:** The next exhibit is a hearing  
22 exhibit, Number 133, which is what Mr. Guyton was just  
23 asking about. This is the FECC Governor's Action Plan.  
24 It was discussed at the prehearing conference that it  
25 would be identified as a hearing exhibit. And at this

1 point staff would ask that the hearing -- or the exhibit  
2 be moved into the record.

3 **CHAIRMAN CARTER:** Are there any objections?

4 **MS. BROWNLESS:** May I?

5 **CHAIRMAN CARTER:** Ms. Brownless, good morning.  
6 You're recognized.

7 **MS. BROWNLESS:** Thank you. Where is that on,  
8 on the pages you handed out to us, Katherine?

9 **MS. FLEMING:** It would be on Page 29. It's --  
10 Page 29 starts the section with hearing exhibits, and  
11 we've designated as Exhibit Number 133.

12 **MS. BROWNLESS:** Okay. Thank you.

13 **CHAIRMAN CARTER:** Okay.

14 **MR. GUYTON:** Mr. Chairman --

15 **CHAIRMAN CARTER:** Yes, sir.

16 **MR. GUYTON:** -- if we might, we'd just simply  
17 like to lodge an objection for the record. If you'll  
18 indulge me, I'll just read it in. I understand it's  
19 going to be admitted.

20 **CHAIRMAN CARTER:** You may proceed.

21 **MR. GUYTON:** FPL objects to the report as  
22 evidence of what DSM, its goals should be on the grounds  
23 that the report is unsupported by a witness or  
24 testimony. FPL has had no opportunity to cross-examine  
25 the person or persons who prepared the report. FPL has

1 no opportunity to rebut the report. The report was  
2 prepared for the purpose of addressing an executive  
3 order, not a statutory mandate. The report was not  
4 prepared consistently with the standards set forth in  
5 FEECA and the DSM goals rule, and the report is hearsay  
6 and contains double hearsay. Thank you.

7 **CHAIRMAN CARTER:** Thank you.

8 Ms. Helton.

9 **MS. HELTON:** Mr. Chairman, as I understand  
10 Mr. Guyton's comments, he's just preserving his  
11 objection for the record. My recollection is at the  
12 prehearing conference you had already agreed to admit  
13 the exhibit and give it the weight it's due.

14 **CHAIRMAN CARTER:** And the ruling stands.

15 (Exhibit 133 marked for identification and  
16 admitted into the record.)

17 Let's proceed.

18 **MS. FLEMING:** Finally, Commissioners and  
19 Chairman, staff recently handed out a yellow exhibit.  
20 It is titled Gulf Power Company. It is related to  
21 Gulf's amended responses to certain interrogatories.  
22 The interrogatory responses were already included as  
23 part of staff's stipulated Exhibit Number 2, but for  
24 having a complete record we feel that the amended  
25 responses need to be put in the record. So we ask that



1 this be marked as Hearing Exhibit 134.

2 **CHAIRMAN CARTER:** For the record,  
3 Commissioners, that will be Exhibit Number 134. Any  
4 objection of the parties? Without objection, show it  
5 done.

6 (Exhibit 134 marked for identification and  
7 admitted into the record.)

8 Okay. Staff, you may proceed.

9 **MS. FLEMING:** Chairman, I am not aware of any  
10 other additional preliminary matters at this point.

11 **CHAIRMAN CARTER:** Are there any preliminary  
12 matters of any of the parties at this point in time?

13 **MR. JACOBS:** Mr. Chairman.

14 **CHAIRMAN CARTER:** Mr. Jacobs.

15 **MR. JACOBS:** There's one matter. We've  
16 discussed this. We will have some, some calculation  
17 corrections to one of our exhibits. We want to make  
18 sure that we get it out to the parties in advance of our  
19 witness taking the stand, so we'll probably have that  
20 available and ask that -- and distribute it to the  
21 parties. But we'll only mark it at the time he takes  
22 the stand.

23 **CHAIRMAN CARTER:** Okay. That'll be fine.

24 Anything further from any of the parties? Any  
25 preliminary matters from any of the parties?

1           Okay. We are ready to proceed with our  
2 opening statements. Each party is permitted -- has ten  
3 minutes.

4           Now let's go back to this -- you said that you  
5 wanted to combine yours; is that correct?

6           **MR. GUYTON:** That's correct.

7           **CHAIRMAN CARTER:** Turn your mike on.

8           **MR. GUYTON:** Thank you. That's correct. And  
9 we'll only take about 15 or 20 minutes instead of the  
10 40.

11          **CHAIRMAN CARTER:** You want to just do 20?

12          **MR. GUYTON:** Yes, sir. Instead of --

13          **CHAIRMAN CARTER:** Okay. Chris will set it for  
14 20.

15          **MR. GUYTON:** Yes, sir.

16          **CHAIRMAN CARTER:** Okay. You may proceed.

17          **MR. GUYTON:** Thank you. Commissioners, my  
18 name is Charlie Guyton, and it's a pleasure to appear  
19 before you again this morning. In the interest of time,  
20 the four investor-owned utilities have asked me to make  
21 one combined opening statement.

22                 The fundamental legal requirements being  
23 implemented in this proceeding are the Florida Energy  
24 Efficiency and Conservation Act, commonly known as  
25 FEECA, and Rule 25-17.0021, your DSM goals rule, which,

1 as you know, was adopted in implementation of FEECA.

2 Now the evidence in this case provides a  
3 striking contrast. On the one hand, you have an  
4 analytically robust nearly yearlong evaluation of DSM  
5 performed by the FEECA utilities and a respected  
6 consultant, Itron. Those results were then integrated  
7 by the FEECA utilities into their respective resource  
8 plans. The methods that were followed by Itron and the  
9 utilities fully complied with FEECA as recently amended  
10 by House Bill 7135, and they even went beyond the  
11 requirements of your DSM goals rule.

12 On the other hand, you have proposed goals by  
13 NRDC, SACE and GDS that are back-of-the-envelope hurried  
14 type estimates. NRDC and SACE did not perform any study  
15 at all. They proposed arbitrary goals of 1 percent of  
16 sales per year. GDS's alternative, which they  
17 acknowledge is not a study, would force customers to  
18 acquire DSM resources that are not needed to provide  
19 service and it would result in rate increases in  
20 billions. Yes, I said billions of dollars.

21 As one rebuttal witness summarizes it, NRDC  
22 and SACE and GDS's estimates are, quote, legally  
23 bankrupt and analytically baseless, end quote. We  
24 respectfully submit that the proper choice is readily  
25 apparent and compelling.

1           The evidence will show that the deliberative  
2 and thorough analyses undertaken by Itron and the  
3 investor-owned utilities to develop proposed goals went  
4 beyond legal requirements because the FEECA utilities  
5 initiated a collaborative, including SACE and NRDC, to  
6 perform an exhaustive technical potential study. The  
7 NRDC and SACE had a full and equal opportunity to  
8 oversee that technical potential study, and in that  
9 study Itron analyzed 267 unique measures, 58 of which  
10 Itron, a respected consultant, had never analyzed  
11 before.

12           These robust technical potential results were  
13 then screened for cost-effectiveness by the  
14 investor-owned utilities under all of the Commission's  
15 approved cost-effectiveness methodology: The  
16 Participant Test, the rate impact measure or RIM Test,  
17 and the total resource cost or TRC Test. However, for  
18 the first time the RIM and the TRC Test were enhanced to  
19 capture the cost of anticipated greenhouse gas  
20 regulation emissions during the goals horizons.

21           This enhancement was made so that you now have  
22 two enhanced tests, E-RIM and E-TRC, so that a new  
23 requirement under FEECA could be met, that is, a  
24 consideration of cost of greenhouse gases. The use of a  
25 new E-RIM Test significantly increased the number of

1 measures found to be cost-effective compared to the  
2 number of cost-effective measures under the original RIM  
3 Test.

4 Those cost-effective measures were then  
5 screened to account for free riders. That is required  
6 by your DSM goals rule. We did this by using a two-year  
7 payback criterion, an approach that's been used in  
8 setting DSM goals in Florida for 15 years.

9 The fundamental idea underlying that is pretty  
10 simple. You have customer dollars that are pretty  
11 precious, and they shouldn't be given away to other  
12 customers who already have a sufficient economic  
13 incentive to embrace this measure on their own. We  
14 encourage those customers to invest in DSM through  
15 audits and through advertising, but we don't throw other  
16 customers' dollars at them when they should have a  
17 sufficient economic incentive to implement the measure  
18 themselves.

19 The remaining measures for each utility were  
20 then fed into Itron's sophisticated DSM ASSYST model,  
21 and two sets of achievable potential were developed for  
22 each utility. Achievable potential estimates are  
23 estimates of DSM that actually are achievable given  
24 underlying assumptions about measures, their costs,  
25 their savings, the markets, customer awareness,

1 incentives, and a host of other factors that Mr. Rufo  
2 will testify to.

3 One estimate was for the achievable potential  
4 measures that passed both the E-RIM and the participants  
5 test. The other estimate of achievable potential was  
6 for the measures that passed the E-TRC and the  
7 Participant Test. And then those two sets of achievable  
8 potential were then given back to the utilities for  
9 their integration into their respective planning  
10 processes.

11 For the four major IOUs the proposed goals  
12 were based on measures that passed E-RIM and the  
13 Participants test rather than measures that passed the  
14 E-TRC and the Participant Test.

15 Now that choice has several important  
16 advantages: One, it minimizes the DSM-related rate  
17 impacts. Two, it avoids customer cross-subsidization.  
18 Three, it avoids creating DSM winners and losers. And  
19 finally, it protects the most vulnerable customers, the  
20 low income customers. I want to address each one of  
21 those advantages.

22 In regard to minimizing rate impacts, measures  
23 cost-effective under the E-RIM Test will result in lower  
24 rates than if the utility built a supply-side option.  
25 In contrast, measures that are cost-effective under the

1 E-TRC Test will result in higher rates if the utility  
2 had built a supply-side option. So using E-RIM instead  
3 of E-TRC results in lower rates to customers.

4 Similarly, when one uses the E-RIM Test case  
5 to identify cost-effective measures, all customers win.  
6 They all experience lower rates than they otherwise  
7 would if the utility built to meet their need. In  
8 contrast, when one uses the E-TRC Test for  
9 cost-effectiveness, some customers win and some  
10 customers lose.

11 The winning customers are those that receive  
12 the incentives, reduce their kilowatt hour consumption  
13 through DSM, and even with higher rates enjoy a lower  
14 bill. But the losing customers under E-TRC are those  
15 who do not or cannot participate in DSM, and even some  
16 of the participating customers whose DSM savings, the  
17 reduced energy, is not sufficient to offset the higher  
18 rates that they'll have to pay. So the use of the E-TRC  
19 creates DSM winners and DSM losers.

20 An easier way or a more summary way of saying  
21 that is under E-TRC participating customers subsidize --  
22 I'm sorry -- nonparticipating customers subsidize  
23 participating customers through higher rates.

24 E-RIM also better protects low income  
25 customers. E-RIM avoids the rate increases associated

1 with E-TRC. Low income customers have less ability to  
2 absorb discretionary rate increases. If they can't  
3 participate, then they're better served by measures that  
4 pass E-RIM that don't raise their rates, but they share  
5 in the benefits that they help pay for through ECCR.

6           Commissioners, the proposed goals that are  
7 based on E-RIM and the Participants test comply with  
8 your DSM goals rule in three important aspects. First,  
9 they're based on each utility's planning process, as is  
10 specifically required by (1) of your DSM goals rule.  
11 This results in utilities acquiring only the DSM that's  
12 needed to meet customer needs.

13           Second, these goals are reasonably achievable  
14 in that they incorporate expected participation rates  
15 that are aggressive but reasonable, not idyllic. And  
16 your DSM goals rule specifically establishes a standard  
17 of reasonably achievable, not maximum achievable.

18           And finally the DSM goals rule accounts for --  
19 or the E-RIM and the participant portfolio accounts for  
20 all the specific measures that are required under your  
21 DSM goals rule in (3), such as minimizing free riders.

22           More importantly than satisfying your DSM  
23 goals rule, the proposals meet the requirements of FEECA  
24 as it's been amended by House Bill 7135. They reduce  
25 and control the growth rate of electric consumption.



1 They reduce the growth rate of weather-sensitive peak  
2 demand. They increase the conservation of expensive  
3 resources such as petroleum. They are based on the  
4 evaluation of full technical potential. They consider  
5 the cost and benefits to participants. They consider  
6 all the costs and all the benefits to the general body  
7 of ratepayers, including utility incentives and  
8 participant costs, because they pass both the E-RIM and  
9 the Participants test. They consider the need for  
10 incentives to promote energy efficiency and demand-side  
11 renewables. And, finally, they properly reflect the  
12 cost of the regulation of greenhouse gases as is  
13 required by the recent amendments to FEECA.

14 Now, Commissioners, you should also be aware  
15 that in addition to complying with all those legal  
16 requirements that there will be a significant amount of  
17 energy efficiency savings in Florida over the next ten  
18 years, independent of any DSM goals. The energy  
19 efficiency savings from new building codes, new federal  
20 appliance efficiency and lighting standards will be  
21 achieved without the first DSM program, and they're  
22 huge.

23 Those energy efficiency savings will exceed  
24 the utilities' proposed DSM goals by a factor of two.  
25 And in fact, those savings actually reduce the

1 utilities' achievable potential because it used to  
2 could -- we could have met it before but we can't now  
3 because it's going to be captured by a code.

4 And more importantly, or just as importantly,  
5 they're going to reduce the utilities' resource needs  
6 that will have to be met either through DSM or building  
7 a power plant. And you need to be aware of that in  
8 terms of examining goals in this context. Now that's  
9 the utilities' case.

10 In stark contrast you will hear testimony from  
11 NRDC, SACE, and GDS witnesses, and they offer a  
12 multitude of criticisms of Itron and the utilities'  
13 analyses.

14 Now particularly ironic are NRDC's and SACE's  
15 criticisms of Itron, the consultant that they helped to  
16 select as part of the Collaborative. Also ironic are  
17 the attacks of decisions for which they're partially  
18 responsible, such as the scope of the technical  
19 potential study, the measures chosen by the  
20 Collaborative to be analyzed, and the use of a two-year  
21 payback criterion to address free ridership.

22 They use scattergun criticisms to try to  
23 convince you that the deliberative, comprehensive  
24 analyses undertaken should be ignored, and instead their  
25 hurried, back-of-the-envelope calculation should be

1 embraced.

2 Now because of the radical nature of NRDC's,  
3 SACE's, and GDS's proposals, the utilities and Itron  
4 have responded extensively in rebuttal. Mr. Rufo, the  
5 Itron witness, and 12 utility witnesses rebut each of  
6 the criticisms offered to show that they are groundless.  
7 Similarly we rebut their extreme goals proposals. We  
8 show an important part, that their proposals fail to  
9 meet the new amendments to FEECA which they supposedly  
10 championed, as well as the basic fundamental  
11 requirements of the DSM goals rule.

12 As analytically infirm as their criticisms  
13 are, their legal analysis is even more flawed. They  
14 completely fail to acknowledge that House Bill 7135 only  
15 modestly amended FEECA, leaving intact most of the parts  
16 of FEECA that the Commission has relied upon for its  
17 historic and successful implementation. They also fail  
18 to recognize the Commission's extensive authority under  
19 Chapter 366 to set fair, just and reasonable rates  
20 remains unchanged by House Bill 7135. They read far too  
21 much into selective amendments of FEECA. They  
22 completely ignore, completely ignore the substantial  
23 body of law, both statutory and decisional, that remains  
24 unchanged. And that decisional law, that includes a  
25 Florida Supreme Court decision upholding the

1 Commission's use of the RIM Test in setting DSM goals.

2 One of the SACE nonlawyer witnesses even goes  
3 so far as to say the Commission can no longer focus on  
4 electricity rates and cannot even use or consider its  
5 Commission-approved RIM Test.

6 Commissioners, you have a rich heritage when  
7 it comes to your reasoned and consistent implementation  
8 of FEECA. You have led Florida to a place of leadership  
9 in your implementation of FEECA. Other states are now  
10 trying to adopt extreme measures and play catch-up for  
11 what you've achieved over the course of a deliberative  
12 30-year period.

13 NRDC, SACE, and GDS disparage your  
14 implementation of FEECA, your DSM goals rule and the  
15 successful performance of Florida utilities. They  
16 erroneously suggest that Florida is not a leader in DSM,  
17 and they encourage you to abandon this reasoned and  
18 proven approach and embark on a new radical approach.

19 This new approach would no longer rely on  
20 utility planning processes. This new approach would no  
21 longer minimize rate impacts. This new approach would  
22 no longer avoid creating DSM winners and losers. For  
23 NRDC and SACE, this new approach is designed to achieve  
24 one primary goal, reduction of air emissions through  
25 DSM, and they would have you disregard the other

1 important considerations like rate impact and the  
2 resource needs of utilities.

3 Commissioners, the choice in this case is a  
4 choice that has been faced by other Commissions over a  
5 course of decades. In the past this Commission has  
6 consistently taken the position of protecting customers  
7 by aggressively pursuing DSM that is cost-effective and  
8 that has the results of lowering customer rates. In  
9 this case the investor-owned utilities' proposed goals  
10 meets the needs of their customers with the lowest rate  
11 impact. The utilities' proposed goals meet all the  
12 requirements of FEECA, including a new requirement that  
13 greenhouse gas costs be considered. And the utilities'  
14 proposed goals are the only goals before you that meet  
15 the requirements of your DSM goals rule.

16 Commissioners, please, please do not allow  
17 customer-funded acquisition of DSM to change from the  
18 reasonable pursuit of needed resources designed to  
19 minimize rates to an aggressive and costly pursuit of  
20 energy savings with little or no capacity to fuel  
21 (phonetic) benefits or reliability value. Thank you.

22 **CHAIRMAN CARTER:** Thank you very kindly. And  
23 your comments were for?

24 **MR. GUYTON:** Florida Power & Light Company,  
25 Progress Energy, Tampa Electric Company and Gulf Power

1 Company.

2 **CHAIRMAN CARTER:** Okay. Very good.

3 Good morning, Mr. Horton.

4 **MR. HORTON:** Good morning, sir.

5 **CHAIRMAN CARTER:** You're recognized, sir.

6 **MR. HORTON:** Thank you. I'm going to need  
7 five minutes or less.

8 **CHAIRMAN CARTER:** Five minutes. Let's give  
9 him five minutes, Chris.

10 Hang on one second. Okay. You're recognized,  
11 sir.

12 **MR. HORTON:** Thank you, sir. I'm Doc Horton  
13 on behalf of Florida Public Utilities Company, and we  
14 certainly as an investor-owned utility also concur with  
15 the comments that Mr. Guyton has presented. But in the  
16 next few days you're going to hear from a number of  
17 witnesses, but you're not going to hear any witnesses  
18 from Florida Public Utilities. Nobody had any questions  
19 and our witnesses have been excused.

20 But I wanted to take a second to tell you a  
21 little bit what would Mr. Eysie and our witnesses would  
22 have said had they appeared. You're familiar with our  
23 company and you know our areas of operations and the  
24 fact that we are an IOU and a FEECA utility, but we're a  
25 nongenerating utility, and there are some differences

1 between us and some of these other parties.

2 Mr. Eysie in his testimony addressed FPUC's  
3 historical and ongoing commitment to conservation, the  
4 overall process to develop goals, and he explained  
5 FPUC's approach and proposal. Goals were first  
6 established for and programs approved for FPUC in 1996  
7 and most recently in 2005. Now these consolidated  
8 dockets that are here before you this week, FPUC was  
9 part of the Collaborative and participated in that  
10 process.

11 Mr. Guyton reviewed some of Itron's  
12 responsibilities, and you're certainly going to hear  
13 more as the week goes on as far as Itron's involvement  
14 in this proceeding. But in addition to the work  
15 performed for all of the FEECA utilities, Itron also  
16 conducted the economic potential for Florida Public  
17 Utilities as well as for the municipalities. Itron's  
18 analysis indicated that there is no achievable potential  
19 for residential and commercial industry energy  
20 efficiency for FPUC, and therefore FPUC has not  
21 submitted goals for 2010, 2019 in this, in this docket.

22 FPUC has had and met goals since 1996 and  
23 certainly since last approved in 2005, and proposes to  
24 continue the existing programs. FPUC has put a lot of  
25 effort into the development and implementation of the

1 existing programs, and we believe that they are in the  
2 overall best interest of our customers.

3 Thank you, sir.

4 **CHAIRMAN CARTER:** Thank you so kindly,  
5 Mr. Horton.

6 Mr. Young?

7 **MR. YOUNG:** Yes, sir. I think we'll be about  
8 maybe ten minutes.

9 **CHAIRMAN CARTER:** Ten minutes?

10 **MR. YOUNG:** Or less.

11 **CHAIRMAN CARTER:** You're recognized.

12 **MR. YOUNG:** My name is Roy Young, and I'm  
13 speaking on behalf of OUC and JEA at this time. I will  
14 allow time for JEA's attorney to add to my comments if I  
15 don't cover everything that he thinks is important.

16 Our colleague from Florida Power & Light has  
17 given you a very concise statement on behalf of the IOUs  
18 and we endorse most of what he said. But I would refer  
19 you to the Prehearing Order Issue Number 7. It's the  
20 issue that is of the most concern to JEA and OUC. It  
21 simply says, "In setting goals, what consideration  
22 should the Commission give to the impact on rates?" We  
23 will be focusing on that, our testimony focused on that,  
24 and that will be the primary motivation for us in this  
25 whole hearing. We don't think there's anything any more



1 important than the impact on rates to our customers and  
2 we hope that you will agree with that.

3 We, of course, are different from our fellow  
4 FEECA utilities, and we think that that difference could  
5 be profound in regard to these proceedings. As JEA and  
6 OUC are munis, you have no ratemaking authority  
7 regarding the rates that are charged to our customers.  
8 That's the responsibility of the governing body of JEA  
9 and OUC, and it's a responsibility that they take very  
10 seriously. That's why this proceeding is so important  
11 to them and their customers.

12 OUC and JEA are not against conservation.  
13 They are against anything that would cause the rates to  
14 its customers to increase without across-the-board  
15 benefits to all of its customers. JEA and OUC, we don't  
16 have -- they don't have stockholders that want  
17 dividends. Their stockholders are really their  
18 customers, and the dividend to their customers is the  
19 commitment to provide reliable service at the lowest  
20 possible rate.

21 Some of the intervenors want you to ignore the  
22 rate impact of goals on customers. Believe me, OUC and  
23 JEA cannot ignore this impact. Their customers are  
24 right in their face every day when they have Commission  
25 meetings and when they set rates.

1 Under FEECA law you can reward IOUs if they  
2 exceed their goals. You can add to their rate of return  
3 on equity, you can give consideration to their goal  
4 performance when you're establishing their rates, but  
5 not true, not available for OUC and JEA. Their only  
6 reward is the satisfaction that they are treating all  
7 customers fairly.

8 The intervenors say their suggested goals will  
9 mean lower bills. Why would our customers not like  
10 this? The answer is that the bills will only be lower  
11 for some, but the rates will be higher for all. Those  
12 unable to participate, the lower income, the seasonal,  
13 the renters, the folks that OUC and JEA have probably as  
14 much, if not more, than any other utilities in the  
15 state, they cannot absorb any kind of rate increase.  
16 And in order to make sure that all benefit from the  
17 goals is why the RIM Test is used.

18 As Jim Dean says in his filed testimony, it's  
19 what he refers to, I think a good statement, it's the no  
20 losers test. In all the other tests there are winners  
21 and losers. But in order to treat all of our customers  
22 fairly, the RIM Test is a no losers test.

23 Itron, in providing technical and achievable  
24 potential for OUC and JEA, also conducted the economic  
25 potential analysis that the investor utilities did on

1 their own. When Itron had finished this, and this was a  
2 much more robust study than the FIRE (phonetic) model  
3 that has been used in the past by the munis to set -- in  
4 the past conservation goal dockets. But the same result  
5 came about, and that is that none passed the RIM Test.

6 It is our contention that any other test other  
7 than RIM will impact rates, and I think the testimony of  
8 all the parties in this proceeding will attest to that.

9 OUC and JEA customers cannot stand an increase  
10 in rates. These are bad times. And even though some  
11 pushing more aggressive measures mean well, I guess,  
12 they don't put themselves in the shoes of those who are  
13 living day to day. An increase of any amount is too  
14 much at this time for a significant, significant number  
15 of folks that live in the OUC and JEA area.

16 \$25 might not seem like a lot to a lot of  
17 folks, maybe a lot of folks in this room. But when you  
18 don't have \$25 and you've got to look at where do you  
19 get that 25, do you take it from your medicine, where do  
20 you take it from, that's the point that we're concerned  
21 about. That's why we think that the impact of this  
22 proceeding on the rates is the most important thing that  
23 you can consider in this proceeding.

24 It might be of interest to you and I hope  
25 those well-intended intervenors to know that we at OUC

1 at least have recently experienced consumption levels  
2 below those proposed by them in this proceeding. With  
3 bad economic times no further incentive is needed to  
4 reduce consumptions. People are turning off their air  
5 conditioners, they're turning off their water heaters,  
6 they're turning off their TVs for a very simple reason:  
7 They don't have the money to pay their utility bill.

8 I think OUC at least is experiencing the worst  
9 delinquency rate that they have in the history of the  
10 company, and they're trying to work with those  
11 customers. They know that people are having bad times  
12 and you just don't want to cut people off. You want to  
13 give them every opportunity, and they're working hard  
14 with all of those.

15 In the last goals hearing, the PSC set OUC's  
16 DSM goals at zero for the period 2005 to 2014. In that  
17 order the PSC agreed with OUC that where no DSM measure  
18 passed both the Participant and the RIM  
19 cost-effectiveness test, no DSM measures were  
20 appropriate. None of the DSM measures evaluated by  
21 Itron passed the RIM Test. However, as I think our  
22 witnesses Mr. Halley and Mr. Vento for JEA will testify,  
23 they both offer DSM, they both offer conservation and  
24 they both offer renewable energy programs.

25 As to those programs, again in the last order

1 the Commission noted, "It is reasonable to allow OUC to  
2 determine whether or not such programs should be  
3 continued because OUC is in the best position to  
4 determine its customer needs." We ask that you in this  
5 proceeding go forth and do likewise. Thank you very  
6 much.

7 **CHAIRMAN CARTER:** Thank you, Mr. Young.

8 Mr. Perko.

9 **MR. PERKO:** Thank you, Mr. Chairman. In the  
10 interest of time, we'd just confirm Mr. Young's remarks.

11 **CHAIRMAN CARTER:** Thank you.

12 Ms. Kaufman.

13 **MS. KAUFMAN:** Thank you, Mr. Chairman,  
14 Commissioners. As I said earlier, I'm Vicki Gordon  
15 Kaufman, and I'm here on behalf of the Florida  
16 Industrial Power Users Group.

17 And as you're probably aware from other  
18 proceedings --

19 **CHAIRMAN CARTER:** How much time are you going  
20 to take, ten minutes?

21 **MS. KAUFMAN:** I imagine it would be less than  
22 ten minutes.

23 **CHAIRMAN CARTER:** Okay. Well, we have to have  
24 a specific time to set it to, so have you got --

25 **MS. KAUFMAN:** Okay. Eight minutes. It will

1 probably be less.

2 **CHAIRMAN CARTER:** Okay. Good. Thank you.

3 You may proceed.

4 **MS. KAUFMAN:** Thank you. Sorry.

5 I was saying that as you probably are aware  
6 from other proceedings, FIPUG members are large  
7 industrial consumers, and electricity represents the  
8 biggest variable cost in their operations.

9 Having said that though, I think it's  
10 important to tell you that FIPUG members are proponents  
11 of cost-effective conservation, and in fact have  
12 implemented many conservation measures including  
13 cogeneration on their own in order to reduce consumption  
14 and demand. So FIPUG believes that cost-effective  
15 conservation is important and that it should be an  
16 aspect of each utility's portfolio.

17 Mr. Pollock's testimony, who is FIPUG's  
18 witness, was stipulated into the record, so you won't  
19 hear him. But I commend his testimony to you. It makes  
20 some important points.

21 And along those lines I would point out to you  
22 that load management programs, such as interruptible  
23 rates, play an important role in conservation and should  
24 be encouraged. In addition, cogeneration, in which  
25 waste heat which would otherwise go into the atmosphere

1 is used to create power, is also a very efficient method  
2 and it should be encouraged.

3 Now, as Mr. Pollock described in his  
4 testimony, however, there are barriers that exist  
5 currently to utilizing the full range of cogeneration,  
6 and we would ask you to consider removing such barriers,  
7 particularly the large cost differential between average  
8 fuel costs, which is what customers pay to the utility,  
9 and the costs that are paid from the utility to the  
10 cogenerator when the cogenerator is selling his power.

11 We would also ask you to take a look at a  
12 program that would allow customers to centrally manage  
13 their energy usage at multiple locations, and  
14 Mr. Pollock describes that and calls it multiple,  
15 multiple load management.

16 In addition, as has been mentioned before, as  
17 you consider the goals that you're going to set for the  
18 FEECA utilities, we strongly urge you to consider rate  
19 impact, the rate impact that such programs will have on  
20 all consumers, residential, commercial and industrial.  
21 One of your main charges is to keep rates as low as you  
22 can.

23 I know that, that some of us in this room have  
24 recently sat through the Tampa Electric rate case in  
25 which you granted a base rate increase to Tampa

1 Electric, and soon you'll have the Florida Power & Light  
2 case, the Progress case. Increase upon increase is very  
3 difficult for all consumers to deal with, and we ask you  
4 to be fully aware of the impact of some of the goals  
5 that are being suggested to you, as well as the fact  
6 that some of the goals that are on the higher end, as I  
7 understand it, the witnesses who are proponents of those  
8 goals have not even attempted to calculate what the rate  
9 impact would be. We think that's a critical question  
10 for you.

11           You're going to hear a lot of testimony, I am  
12 sure, about what is the most appropriate cost-effective  
13 test -- cost-effectiveness test, and we believe you  
14 should give significant weight to the RIM Test. But  
15 whatever test you ultimately choose as a result of this  
16 docket, we think that you should ensure that all  
17 utilities are performing that test in the same way,  
18 they're using the same calculations, assumptions and  
19 inputs.

20           And, lastly, our recommendation to you is that  
21 you open a separate docket or investigation to review  
22 how these avoided costs are being calculated and in  
23 determining why there is this big differential for the  
24 realtime payments for cogenerated power, and that you  
25 also consider implementation of the multiple load



1 management program that Mr. Pollock describes in his  
2 testimony. Thank you.

3 **CHAIRMAN CARTER:** Thank you, Ms. Kaufman.

4 Mr. Jacobs. Or Ms. Brownless.

5 **MS. BROWNLESS:** Yes, sir. I'll go next, sir.

6 **CHAIRMAN CARTER:** How much time?

7 **MS. BROWNLESS:** Well, I timed mine to be five  
8 minutes and 56 seconds, so we'll go for six minutes.

9 **CHAIRMAN CARTER:** How about we give you six  
10 minutes?

11 **MS. BROWNLESS:** And I'll cede my four minutes  
12 of my ten to Mr. Jacobs.

13 **CHAIRMAN CARTER:** No problemo. Ready, Chris?  
14 You're recognized.

15 **MS. BROWNLESS:** Thank you. Good morning. I'm  
16 here today representing the Florida Solar Coalition.  
17 The Florida Solar Coalition is comprised of three  
18 groups, the Florida Solar Energy Industries Association,  
19 FlaSEIA, the Vote Solar Initiative and the Solar  
20 Alliance.

21 This docket will determine the megawatt goals  
22 associated with energy efficiency and demand-side  
23 renewable energy measures, which include solar water  
24 heating and solar photovoltaic systems under 2 megawatts  
25 for the five Florida investor-owned utilities and the

1 state's two largest municipal utilities, JEA and OUC.

2 FPL, TECO, Gulf and FPUC have excluded all  
3 solar technologies from the technologies used to set  
4 their goals on the grounds that they are not  
5 cost-effective under either the E-RIM or the E-TRC Test.  
6 To its credit, Progress has included solar technologies  
7 by combining solar and load management technologies and  
8 developed goals based on those programs. The other IOUs  
9 should be required to combine solar technologies with  
10 other energy efficiency measures as well.

11 Likewise, OUC and JEA have programs for solar  
12 hot water and PV systems in place and will continue  
13 those programs. These munis have evaluated their  
14 programs on a portfolio, not an individual measured  
15 basis. And their portfolio has been capped at 1.0 or  
16 above, so it's effective under the RIM Test on a  
17 portfolio basis.

18 For the Florida solar industry this docket has  
19 a significant and immediate practical impact. If solar  
20 programs are included in the IOUs' DSM programs,  
21 incentives will be paid by the IOUs for those programs  
22 and the solar industry will be able to grow, bringing  
23 the price of technology down until it reaches a  
24 cost-effective level as measured by the E-RIM and E-TRC  
25 Test. This is the recommendation of Mr. Spellman.

1           We support Mr. Spellman's recommendation with  
2 the suggestion that the amount allocated to solar  
3 technologies be increased to 1 percent of each IOU's  
4 2008 retail sales revenues during the five-year goal  
5 period. This is an increase from roughly the  
6 24.4 million recommended by Mr. Spellman for the four  
7 largest IOUs, and that's FP&L, Progress, TECO, and Gulf,  
8 to roughly 184 million.

9           We recommend that the funds be used to set  
10 rebates of \$2 a watt for photovoltaic systems up to 50  
11 kW, a kilowatt hour payment program be set up for larger  
12 PV systems, with incentive levels to decline according  
13 to market penetration and the decline in system-involved  
14 costs -- installed costs. We also suggest that PV  
15 customers taking advantage of this IOU incentive  
16 programs not be eligible for any other state rebate.

17           For solar water heating systems we recommend  
18 that the rebates be set consistent with the currently  
19 available combined state and utility rebates. From the  
20 customers' perspective it is the total out-of-pocket  
21 cost that matters, and a state rebate program without  
22 funding does not decrease that out-of-pocket cost. It  
23 is a benefit in name only.

24           Finally, you're going to hear a lot of  
25 testimony from both the IOU and intervenor witnesses

1 regarding the effect of the statutory revisions to  
2 Section 366.82 made by House Bill 7135 last year. If  
3 you listen closely, the IOU bottom line is that nothing  
4 has changed and that the Commission should continue  
5 doing exactly what it has always done for the last 15 to  
6 20 years when setting goals. That simply is not true.

7 The new statutory language does make a  
8 significant difference. It specifically requires this  
9 Commission to encourage the development of demand-side  
10 renewable energy resources, solar resources less than  
11 2 megawatts. It requires that the cost of regulating  
12 greenhouse gas emissions be taken into account. It  
13 establishes the TRC, not the RIM Test, as the  
14 appropriate test for screening demand-side and energy  
15 efficiency technologies. It provides for the Commission  
16 to give incentives when an IOU exceeds its goals and  
17 penalties when it does not.

18 If the Commission simply continues to do what  
19 it has always done, it is ignoring the Legislature's  
20 clear directives as stated in Section 366.82. We are  
21 confident that the Commission will closely examine the  
22 statute and will not do so, meaning will not ignore the  
23 legislative intent.

24 The solar industry is ready to work with  
25 Florida to realize this opportunity to build a robust

1 and sustainable solar energy industry and market, a  
2 market that will reduce its dependence on fossil fuel  
3 and create a strong 21st century renewable energy  
4 economy.

5 In this docket Florida can begin the process  
6 of creating solar energy programs that take advantage of  
7 the existing 30 percent federal tax investment credit,  
8 solar programs that can generate renewable energy  
9 credits or attributes which can be used to comply with  
10 anticipated federal and state renewable portfolio  
11 standards.

12 The process of making Florida the Sunshine  
13 State in reality as well as in name starts with this  
14 Commission, and the Florida Solar Coalition looks  
15 forward to working with the Commission to fulfill that  
16 goal.

17 **CHAIRMAN CARTER:** Thank you.

18 Mr. Jacobs, four minutes.

19 **MR. JACOBS:** I'm sorry?

20 **CHAIRMAN CARTER:** Four minutes.

21 **MS. BROWNLESS:** No. Fourteen minutes.

22 **MR. JACOBS:** Fourteen. I'm sorry.

23 **MS. BROWNLESS:** I ceded my four to him.

24 **MR. JACOBS:** We have ten and she, she ceded  
25 the remaining.

1                   **CHAIRMAN CARTER:** Oh, I see how it is. Okay.

2                   **MR. JACOBS:** It was the same consolidation  
3 as the other --

4                   **CHAIRMAN CARTER:** That's okay. Not a problem.  
5 Not a problem. Give Chris a moment to reset the timer.

6                   Fourteen minutes. Chris, you got it?

7                   Mr. Jacobs, you're recognized, sir.

8                   **MR. JACOBS:** Thank you, Mr. Chairman and  
9 Commissioners. On behalf of the Natural Resources  
10 Defense Council and the Southern Alliance for Clean  
11 Energy, we thank you for the opportunity to participate  
12 in this important docket, these dockets.

13                   And these dockets are significant  
14 opportunities for the Commission. First, you have a  
15 tremendous opportunity to affect the economy of the  
16 State of Florida. Consumers in Florida have spoken.  
17 They've spoken loudly. On the bottom lines of each one  
18 of these utilities is evidence of that. They want ways  
19 to cut their bills. They're doing it, as has already  
20 been described to you, in fairly significant levels.

21                   So they're looking for ways to, to reduce a  
22 household expense that has proven itself to be highly  
23 volatile and very unmanageable.

24                   Second, at the same time you have an  
25 opportunity to address a critical matter of public

1 policy, energy policy. You stated on many occasions  
2 that we need to decrease energy diversity. Here is an  
3 incredible way to do that.

4 Thirdly, the Commission has the opportunity,  
5 while it addresses these goals, to address some  
6 important public policy goals that the Legislature has  
7 clearly enunciated: The reduction of the state's  
8 reliance on fossil fuels and the alleviation of state  
9 carbon emissions.

10 Energy efficiency is that critical resource.  
11 Consumers in Florida understand that. They've resorted  
12 to that. They know the reduction of consumption is the  
13 direct path to managing this incredible resource expense  
14 in their households. There can no longer be any  
15 question then about the viability of energy efficiency.  
16 The question simply is whether the Commission should  
17 pursue the full range of cost-effective energy options  
18 that will benefit Florida's consumers. They need to  
19 lower their bills and they will continue to follow that  
20 path. Now the question becomes do we follow the  
21 preference that the utilities have expressed to you  
22 today?

23 Historically the Commission has tended to  
24 defer to the utilities and has adopted only selective  
25 energy efficiency measures. As a consequence, Florida

1 has not realized the full and true potential of this  
2 resource and has left on the table significant savings  
3 that consumers can reap through this one policy  
4 initiative.

5           According to energy statistics, Florida's  
6 track record supports the utilities' claims that they  
7 have reduced peak demand through demand reduction  
8 programs. These favor utility operations. However,  
9 those same statistics show very clearly that utilities  
10 have missed opportunities to diversify Florida's energy  
11 portfolio through energy efficiency.

12           Our witness John Wilson identifies a  
13 persistent pattern of sacrificing energy reduction  
14 programs in order to reduce peak system demand, thus  
15 leaving Florida's consumers to contend with this ever  
16 increasing burden of energy expense in their homes and  
17 their businesses. Customers, customers in Florida are  
18 harmed by this because of highly beneficial energy  
19 efficiency programs which have not been introduced. As  
20 a result, Florida consumers are paying extra on their  
21 portions of their household income to energy.

22           Now the evidence of successful energy  
23 efficiency programs exists right here in Florida among  
24 utilities that have appropriately valued and deployed  
25 energy efficiency measures. These utilities have



1 recently achieved energy efficiency gains of close to  
2 1 percent of their sales.

3 In contrast, the seven utilities in this  
4 proceeding have asked for goals between zero and  
5 1.5 percent over ten years versus an annual reduction  
6 for the other utilities who have looked at it more  
7 aggressively. Such goals are, for these, for this  
8 docket are astonishingly low and undermine the potential  
9 of Florida utilities to better serve their customers,  
10 while depriving this agency and the citizens of this  
11 state of an incredibly important resource to address  
12 challenges in energy markets.

13 There can be little question as to why the  
14 utilities strenuously resist goals that would provide  
15 customers greater relief. Under the current structure,  
16 when utilities -- when customers pay lower bills, the  
17 utilities' opportunities to achieve greater profit is  
18 compromised.

19 Question: If you accept the premise that  
20 simply the reduction in consumption yields rate impact,  
21 the consumers would be ill-advised, if not  
22 unintelligent, to be reducing their consumption today.  
23 They're just putting off a payoff for later. For them  
24 to be reducing their consumption today, as is clearly  
25 evident by the sales of these utilities, simply means

1 they want to have their rates increased later. That's,  
2 that's the premise that you'll hear today. Reduced  
3 consumption yields greater rate impact. I don't think  
4 consumers are saying that to you.

5 In 2008 I think the Legislature said as much.  
6 It acknowledged the trend of, of minimal impact from  
7 energy efficiency and it determined that more was  
8 required of this important resource. The Legislature  
9 made careful amendments to the statutes which make up  
10 the federal energy, Florida Energy Efficiency and  
11 Conservation Act, known as FEECA.

12 These revisions are clear and direct. Any  
13 reasonable legal interpretation must conclude that the  
14 amended statute requires this Commission to use a new  
15 test for setting energy efficiency goals, a test that  
16 will allow Florida's consumers viewed as a whole to  
17 benefit from the full range of energy efficiency  
18 measures.

19 Commissioners, you earlier indicated in your  
20 response to our petition for rulemaking that you would  
21 address these public policy changes in these  
22 proceedings. We welcome this opportunity and we ask  
23 that you would seriously consider and fulfill that  
24 promise.

25 As our witness Ralph Cavanagh demonstrates,

1 the amended statute requires a changed analysis from  
2 this Commission. The utilities would have you think  
3 today that that's a great loss, that there's a great  
4 evil in doing that. Simply put, the amendments made by  
5 the Legislature require both specific direction and  
6 changes in manner and process by which a  
7 cost-effectiveness test is done, and a greater  
8 consistency in the overall implementation of this  
9 important public policy initiative so as to eliminate  
10 barriers and disincentives used to resist the  
11 application of many energy efficiency measures.

12           Commissioners, this is not a rate case, but  
13 rather a balancing process that considers rates.  
14 Totally different perspective. Specifically we believe  
15 that all seven utilities have unfortunately viewed it in  
16 such a way as to devalue energy efficiency, and they've  
17 done so in several ways. First of all, by screening out  
18 measures of high potential value using the rate impact  
19 test and recommending their demand-side management  
20 goals. This is contrary to the clear language of the  
21 amended statute.

22           The Commission should follow the Legislature's  
23 direction and use the total resource cost test to  
24 qualify measures in setting DSM goals. Only by  
25 employing the TRC Test, which considers the full range

1 of benefits to customers as a whole, will this  
2 Commission ensure that it complies with the amendments  
3 and the Legislature's overarching directive to maximize  
4 the potential of energy efficiency in the state's energy  
5 portfolio.

6 It is also critical that the Commission  
7 reevaluate a very onerous tactic that's implemented in  
8 this statute, the two-year payback restriction. This is  
9 a particularly onerous tactic used by the utilities to  
10 devalue energy efficiency. Through this restriction the  
11 utilities have arbitrarily eliminated the most  
12 cost-effective measures which have a payback of less  
13 than two years. This tactic amounts to a reverse  
14 cost-effectiveness test and has the effect of  
15 arbitrarily eliminating hundreds of measures that go  
16 directly to consumers' pocketbooks.

17 As we will demonstrate, omitting such measures  
18 does not make sense and results in Florida leaving the  
19 opportunity for millions of dollars of savings on the  
20 table in this proceeding.

21 Finally, all the utilities have devalued  
22 energy efficiency by significantly underestimating their  
23 avoided cost when an appropriate DSM plan is  
24 implemented. We urge you to devote a high degree of  
25 scrutiny to the avoided cost calculus in this proceeding

1 because it holds deep and lasting impact for your  
2 ability to set sound public policy. All avoided costs  
3 should be included in the calculation and all plants  
4 might -- for all plants that might be avoided, even  
5 those that have received a certificate of need.  
6 Should -- these should be the correct measurement and  
7 the correct bucket of avoided cost that you use to  
8 generate these goals.

9           Fortunately you have some important precedents  
10 to help you guide your decision, particularly in the  
11 experiences of the City of Gainesville. In 2005, the  
12 City of Gainesville adopted policies which we believe  
13 are virtually identical to those that the Legislature  
14 has prescribed by the 2008 FEECA amendments. The  
15 success of Gainesville's program demonstrates that the  
16 course established by this Legislature will lead to  
17 significant savings by the Legislature -- by customers  
18 and make Florida more competitive and energy secure.

19           The city of Gainesville has been able to help  
20 their customers lower their bills while concurrently  
21 meeting the city's public policy objectives. These  
22 policies in Gainesville are now reaping real and  
23 significant benefits both on behalf of the city's  
24 electric utility and its customers.

25           Thus, far from sending you off into a deep

1 void, as has been, has been suggested today, we're here  
2 for a very important and I think a very deliberate  
3 process. The focus of these proceedings must be  
4 reasoned and purposeful implementation of the amended,  
5 of the amended statute. This will require, as the  
6 Legislature directed, that this Commission assess the  
7 full technical potential of all available measures.

8 While we have pointed out some omissions in  
9 the technical study, the most significant flaws in the  
10 utilities' programs concern the assessment of the  
11 economic and achievable potential. The record presented  
12 by the utilities shows that energy efficiency gains of  
13 at least 1 percent are achievable, and we recommend that  
14 these be adopted immediately while we, while the  
15 utilities are required to correct the deficiencies in  
16 their existing analysis.

17 We believe that your discretion in  
18 implementing the new statute must adhere to a  
19 consistent, rational balancing of the public policy  
20 initiatives on the FEECA. Yes, there is legal  
21 precedent. We believe now that you have the ability to  
22 look, to reassess and relook at your discretion under  
23 the amended statute, and I think you will find that the  
24 Legislature has given you somewhat of a narrow road as  
25 to how you will do that.

1           As members of NARUC, you're probably aware of  
2 a national discussion on this topic that prescribes a  
3 least-cost life cycle approach to these, to these  
4 questions. The State of California has followed these  
5 recommendations and instituted a formal broad rulemaking  
6 in which it is looking at the full scope of issues as to  
7 how you do a full and robust full-bodied DSM program. I  
8 would recommend that proceeding to you. I'm sure you're  
9 well aware and have the ability to do much on your own.

10           Under this approach there is -- this long-term  
11 least-cost approach, there's negligible impact on rates.  
12 That evidence is becoming very clear. And so the hue  
13 and cry about the mere presence of rate impact I think  
14 is misguided.

15           The Commission has prescribed a rich -- I'm  
16 sorry. Again, the evidence presented to you and the  
17 recommendation of the utilities in this proceeding  
18 completely fail to propose such a reasoned process. For  
19 these reasons we ask that you exercise your discretion  
20 to fully balance the record in this proceeding and  
21 devote particular scrutiny to the evidence presented  
22 regarding the potential of energy efficiency in Florida,  
23 that you accord energy efficiency its true value to all  
24 those affected in achieving the public policy objectives  
25 set out by the Legislature, that you set standards of a

1 new potential study, and upon the basis of a complete  
2 and equitable potential analysis establish final goals.

3 In the interim, we request that you establish  
4 goals for each jurisdictional utility under FEECA that  
5 ramp up to 1 percent of these sales over a three- to  
6 four-year horizon.

7 Again, we thank you for the opportunity and we  
8 look forward to this proceeding.

9 **CHAIRMAN CARTER:** Thank you, Mr. Jacobs. I  
10 finally got a chance to see the red light today.

11 **MR. JACOBS:** It didn't blink, I think.

12 **CHAIRMAN CARTER:** It did not blink. You're  
13 correct. And we'll reset it.

14 Good morning, Mr. Susac. You're recognized.

15 **MR. SUSAC:** Good morning, Chairman. I think  
16 you will be happy to hear that we will yield our time to  
17 the red light in less than 30 seconds.

18 We would like to just thank you as Prehearing  
19 Officer granting our intervention, working with your  
20 professional staff to enable us to file posthearing  
21 comments. Thank you.

22 **CHAIRMAN CARTER:** Thank you, Mr. Susac.

23 And thank you to all of the parties. I  
24 appreciate your adherence to our new system here, and I  
25 think it kind of helps us all do what we need to do.



1                   Staff, are there any other preliminary matters  
2 before we start with the witnesses?

3                   **MS. FLEMING:** I'm not aware of any matters,  
4 Chairman.

5                   **CHAIRMAN CARTER:** Any of the parties, before  
6 we start with the witnesses, are there any other  
7 preliminary matters from any of the witnesses? Okay.  
8 I'll take your silence as being golden, as being no.  
9 Right?

10                   Now the witnesses --

11                   **MR. JACOBS:** One moment. I'm sorry.

12                   **CHAIRMAN CARTER:** Oh, Mr. Jacobs, you're  
13 recognized, sir.

14                   **MR. JACOBS:** One brief matter, Mr. Chairman.

15                   **CHAIRMAN CARTER:** Okay. You're recognized.

16                   **MR. JACOBS:** There will be a series of counsel  
17 appearing to cross-examine. We have submitted qualified  
18 representation petitions on each of them, just for your  
19 information.

20                   **CHAIRMAN CARTER:** Okay. And I think that --  
21 Ms. Fleming, I think that we -- most of those we've  
22 already taken care of; is that correct?

23                   **MS. FLEMING:** Yes. The order was issued this  
24 morning. For your reference, it's Order Number  
25 PSC-09-0554-FOF-EG.

1                   **MR. JACOBS:** Thank you.

2                   **CHAIRMAN CARTER:** Okay. And before we begin,  
3 always let's remember -- I'm going to give you the  
4 shorthand version of it. No friendly cross. And if you  
5 have to know -- if you don't know what that means, then  
6 you're in the wrong place.

7                   I think Judge Padovano states it clearly in  
8 his book on civil procedure. But, again, let's conduct  
9 ourselves -- this is a hearing. We have to respect the  
10 process. In America we believe in the rule of law.  
11 That's what keeps us from going out back of the building  
12 with guns and knives and resolving issues. This is a  
13 far more civilized approach, I think.

14                   With that, no preliminary, no additional  
15 preliminary matters. For those of you that are wishing  
16 to speak today, are there any witnesses that will be  
17 speaking, would you please stand and I can swear you in  
18 as a group.

19                   (Witnesses collectively sworn.)

20                   Thank you. Please be seated.

21                   Now let me just say to those of you that will  
22 be giving your statements, for each one of the  
23 witnesses, the order states that you'll have five  
24 minutes for your summation of your testimony, and we'll  
25 have the same illumination system here. I hope there's

1 no one color blind here today. If so, just go in order  
2 of the lights, and I'll turn it so you can see it  
3 better. But we'll have the same system for our  
4 witnesses here. And I think with that, that will be  
5 most convenient for all parties involved.

6 Let me take one second and see, check with our  
7 court reporter and then we'll begin. One second.

8 (Pause.)

9 Okay. Thank you so kindly. We -- we've got a  
10 good -- we're off to a good start. We're off to a real  
11 good start this morning.

12 Would you please call your first witness.

13 **MS. CANO:** Thank you, Chairman Carter. FPL  
14 calls John Haney.

15 Oh, I apologize. I apologize. FPL calls  
16 Steven Sim.

17 **CHAIRMAN CARTER:** Okay. Steven Sim.

18 You did say Steven Sim, didn't you?

19 **MS. CANO:** Yes.

20 Whereupon,

21 **STEVEN SIM**

22 was called as a witness on behalf of Florida Power &  
23 Light Company and, having been duly sworn, testified as  
24 follows:

25 **DIRECT EXAMINATION**

FLORIDA PUBLIC SERVICE COMMISSION

1           **BY MS. CANO:**

2           **Q.**    Good morning, Dr. Sim.

3           **A.**    Good morning.

4           **Q.**    Have you just been sworn in?

5           **A.**    Yes, I have.

6           **Q.**    Would you please state your name and business  
7 address?

8           **A.**    9250 West Flagler Street, Miami.

9           **Q.**    By whom are you employed and in what capacity?

10          **A.**    By Florida Power & Light Company as Senior  
11 Manager, Integrated Resource Planning, in the Resource  
12 Assessment and Planning Department.

13          **Q.**    Have you prepared and caused to be filed 86  
14 pages of prefiled direct testimony in this proceeding?

15          **A.**    Yes.

16          **Q.**    And did you also prepare and cause to be filed  
17 one errata sheet to your direct testimony?

18          **A.**    Yes.

19          **Q.**    Do you have any other changes or revisions to  
20 your prefiled direct testimony to make at this time?

21          **A.**    No, I don't.

22          **Q.**    With the errata, if I were to ask you the same  
23 questions contained in your prefiled direct testimonied  
24 today, would your answers be the same?

25          **A.**    Yes.

1           **MS. CANO:** Chairman Carter, I ask that the  
2 prefiled direct testimony of Dr. Sim be inserted into  
3 the record as though read.

4           **CHAIRMAN CARTER:** The prefiled testimony of  
5 the witness will be inserted into the record as though  
6 read.

7 **BY MS. CANO:**

8           **Q.** Are you also sponsoring exhibits to your  
9 testimony?

10          **A.** Yes, I am.

11          **Q.** And are those exhibits true and correct to the  
12 best of your knowledge?

13          **A.** Yes.

14          **Q.** Do those consist of Exhibits SRS-1 to SRS-12?

15          **A.** Yes.

16          **MS. CANO:** Mr. Chairman, I would note that  
17 these exhibits have been premarked for identification on  
18 staff's exhibit list as Numbers 5 through 16.

19          **CHAIRMAN CARTER:** For the record, exhibits for  
20 identification only, 5 through 16.

21                   (Exhibits 5 through 16 marked for  
22 identification.)

23          **MS. CANO:** At this time I also have one  
24 additional exhibit to distribute. This is the errata  
25 sheet to the deposition transcript of Dr. Sim.

1                   **CHAIRMAN CARTER:** Okay. You may proceed.  
2                   Let's take a moment, everyone. Let's kind of -- leave  
3                   one for Commissioner Skop as well. There you go. Thank  
4                   you. Just hang on before you begin. I want to make  
5                   sure that --

6                   **MS. CANO:** I would just point out that his  
7                   deposition transcript has already been stipulated into  
8                   the record, so this is just the errata sheet.

9                   **CHAIRMAN CARTER:** Okay. Let me make sure that  
10                  all the parties have a copy before we proceed further,  
11                  and give our staff a copy. Staff?

12                  **MS. FLEMING:** We haven't received a copy yet.

13                  But, Chairman, I would ask that this be marked  
14                  as hearing Exhibit 135.

15                  **CHAIRMAN CARTER:** Okay. For the record,  
16                  Commissioners, this will Exhibit Number 135, the errata  
17                  sheet for the deposition of Dr. Steven Sim, 135 from the  
18                  exhibit list.

19                  (Exhibit 135 marked for identification.)

20                  Okay. You may proceed.

21                  **MS. CANO:** Thank you.

22

23

24

25

1                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2                   **FLORIDA POWER & LIGHT COMPANY**

3                   **DIRECT TESTIMONY OF DR. STEVEN R. SIM**

4                   **DOCKET NO. 080407 - EG**

5                   **JUNE 1, 2009**

6  
7           **Q.     Please state your name and business address.**

8           A.     My name is Steven R. Sim, and my business address is 9250 West Flagler  
9                 Street, Miami, Florida 33174.

10          **Q.     By whom are you employed and what is your position?**

11          A.     I am employed by Florida Power & Light Company (FPL) as Senior Manager  
12                 of Integrated Resource Planning in the Resource Assessment & Planning  
13                 Department.

14          **Q.     Please describe your duties and responsibilities in that position.**

15          A.     I supervise and coordinate analyses that are designed to determine the  
16                 magnitude and timing of FPL's resource needs and then develop the  
17                 integrated resource plan with which FPL will meet those resource needs.

18          **Q.     Please describe your education and professional experience.**

19          A.     I graduated from the University of Miami (Florida) with a Bachelor's degree  
20                 in Mathematics in 1973. I subsequently earned a Master's degree in  
21                 Mathematics from the University of Miami (Florida) in 1975 and a Doctorate  
22                 in Environmental Science and Engineering from the University of California  
23                 at Los Angeles (UCLA) in 1979.

1 While completing my degree program at UCLA, I was also employed full-  
2 time as a Research Associate at the Florida Solar Energy Center during 1977 -  
3 1979. My responsibilities at the Florida Solar Energy Center included an  
4 evaluation of Florida consumers' experiences with solar water heaters and an  
5 analysis of potential renewable resources including photovoltaics, biomass,  
6 wind power, etc., applicable in the Southeastern United States.

7  
8 In 1979 I joined FPL. From 1979 until 1991, I worked in various departments  
9 including Marketing, Energy Management Research, and Load Management,  
10 where my responsibilities concerned the development, monitoring, and cost-  
11 effectiveness of demand side management (DSM) programs. In 1991 I joined  
12 my current department, then named the System Planning Department, where I  
13 held different supervisory positions dealing with integrated resource planning.  
14 In late 2007 I assumed my present position.

15 **Q. Are you sponsoring any exhibits in this case?**

16 **A.** Yes. I am sponsoring Exhibits SRS-1 through SRS-12, which are attached to  
17 my testimony:

18 Exhibit SRS-1 Projection of FPL's Resource Needs for 2010-2019  
19 with No Incremental DSM Signups After 2009;

20 Exhibit SRS-2 Economic Elements Included in the DSM Cost-  
21 Effectiveness Tests: Benefits Only;

22 Exhibit SRS-3 Economic Elements Included in the DSM Cost-  
23 Effectiveness Tests: Benefits and Costs;



- 1 Exhibit SRS-4 Summary Results of the DSM Cost-Effectiveness  
2 Screenings;
- 3 Exhibit SRS-5 Results of Sensitivity Case Analyses of DSM Cost-  
4 Effectiveness Screening: Economic Potential  
5 Screening Analysis Only;
- 6 Exhibit SRS-6 Fuel Cost Forecast Values Utilized in the Analyses;
- 7 Exhibit SRS-7 The Environmental Compliance Cost Forecasts  
8 Utilized in the Analyses;
- 9 Exhibit SRS-8 Comparison of the Five Resource Plans: Economic  
10 Analysis Results and Consequences;
- 11 Exhibit SRS-9 Example of Levelized System Average Electric Rate  
12 for One Resource Plan: E-RIM 664 MW;
- 13 Exhibit SRS-10 Projection of Average Customer Bill and Bill  
14 Differentials Assuming 1,200 kWh Usage;
- 15 Exhibit SRS-11 Comparison of the Five Resource Plans: Projection of  
16 System Emissions; and,
- 17 Exhibit SRS-12 Comparison of the Five Resource Plans: Projection of  
18 System Oil and Natural Gas Usage.

19 **Q. What is the scope of your testimony?**

20 **A. My testimony addresses ten main points.**

21 (1) I briefly discuss FPL's resource planning process.

- 1 (2) I discuss how FPL determines what its future resource needs are projected  
2 to be. I also discuss FPL's projection of additional resource needs for the  
3 2010-2019 time period assuming no incremental DSM signups after 2009.
- 4 (3) An overview of FPL's general approach to evaluating DSM resource  
5 options is provided.
- 6 (4) I briefly discuss the various cost-effectiveness tests that FPL used to  
7 analyze DSM options versus a competing Supply option and describe  
8 enhancements that FPL has made to its DSM cost-effectiveness analyses. I  
9 also discuss these cost-effectiveness tests in regard to the cost-  
10 effectiveness analysis language in HB 7135.
- 11 (5) An overview of FPL's DSM Goals analytical process that was used to first  
12 develop four DSM portfolios, and was then used to develop five resource  
13 plans with which the DSM portfolios were analyzed, is provided.
- 14 (6) I provide details of the DSM cost-effectiveness screenings that led to the  
15 development of the DSM portfolios, and I discuss the results of a number  
16 of DSM cost-effectiveness sensitivity case analyses that were performed at  
17 the request of the Florida Public Service Commission ("Commission" or  
18 "FPSC") Staff.
- 19 (7) I discuss the development of the four DSM portfolios and the creation of  
20 four DSM-based resource plans that included these DSM portfolios. I also  
21 discuss a fifth resource plan - a Supply Only resource plan that contained  
22 no incremental DSM.

1 (8) The results of the economic analyses of the five resource plans are  
2 presented.

3 (9) The results of the non-economic analyses of these resource plans are  
4 presented.

5 (10) I summarize the results of the economic and non-economic analyses of the  
6 resource plans and draw a conclusion as to what DSM-based resource  
7 plan, and accompanying DSM portfolio, is the best overall choice for  
8 FPL's customers as the basis for FPL's DSM Goals for 2010 – 2019.

9 **Q. Please summarize your testimony.**

10 A. In FPL's resource planning work in 2009, FPL evaluated how much  
11 incremental DSM was cost-effective and feasible for the 2010 through 2019  
12 time period; i.e., the time period to be addressed in this DSM Goals docket.

13  
14 This evaluation began with an assumption that FPL would add no incremental  
15 DSM signups beyond what is currently planned through the year 2009. Based  
16 on this assumption, two projections of FPL's incremental resource needs for  
17 the years 2010 through 2019 were made. One projection was made assuming  
18 that all of these incremental resource needs would be met only with Supply  
19 options (i.e., new generation and/or firm capacity purchases). The other  
20 projection was made assuming that all of these incremental resource needs  
21 would be met only with DSM options.

1 Using the results of the collaborative analysis of the technical potential for  
2 DSM that is addressed in FPL witness Haney's testimony, FPL first applied  
3 the Participant cost-effectiveness test, and enhanced versions of the Rate  
4 Impact Measure (RIM) and Total Resource Cost (TRC) cost-effectiveness  
5 tests, to the DSM measures identified in the technical potential work. (The  
6 enhanced versions of these tests are referred to as the E-RIM and E-TRC tests  
7 and these will be discussed later in my testimony.) In addition, FPL's two-  
8 year payback criterion that is designed to minimize potential "free riders" (i.e.,  
9 customers who would have adopted a specific DSM measure without a utility  
10 DSM program and/or incentive payment from the utility) was applied to these  
11 DSM measures.

12  
13 These analyses determined which DSM measures were potentially cost-  
14 effective on the FPL system and the incentive level that could be paid to  
15 potential participants under each of the two "utility perspective" cost-  
16 effectiveness tests, E-RIM and E-TRC. Using this information, FPL  
17 developed two different pairs of projections of the achievable potential for  
18 DSM measures; one pair of projections for the DSM measures identified in  
19 the E-RIM test as potentially cost-effective and one pair of projections for the  
20 DSM measures identified in the E-TRC test as potentially cost-effective. (The  
21 term "achievable potential" as used in my testimony refers to the maximum  
22 number of signups for each DSM measure without any adjustments.) Each of  
23 these projections provided, for each DSM measure that remained after the

1 cost-effectiveness screening, the projected maximum numbers of annual  
2 participants, MW reductions, and GWh reductions.

3

4 This information was then utilized to develop four separate DSM portfolios of  
5 DSM measures:

- 6 - An E-RIM-based portfolio (i.e., a portfolio of measures passing both the  
7 E-RIM and Participant tests) that had sufficient DSM to at least meet  
8 FPL's projected resource needs through 2019;
- 9 - An E-TRC-based portfolio (a portfolio of measures passing both the E-  
10 TRC and Participant tests) that had sufficient DSM to at least meet FPL's  
11 projected resource needs through 2019;
- 12 - An E-RIM-based portfolio that utilized all of the achievable potential  
13 DSM based on the E-RIM test; and,
- 14 - An E-TRC-based portfolio that utilized all of the identified achievable  
15 potential DSM based on the E-TRC test.

16 These four DSM-based portfolios were developed after accounting for various  
17 criteria and/or constraints that will be addressed later in my testimony.

18

19 These four DSM portfolios were then used to develop four DSM-based  
20 resource plans: two E-RIM-based resource plans and two E-TRC-based  
21 resource plans. In order to both assist with the development of, and to provide  
22 a more meaningful analysis of, these four DSM-based resource plans, a fifth

1 resource plan was also developed: the Supply Only resource plan that  
2 included no incremental DSM signups after 2009.

3  
4 FPL then analyzed the five resource plans from both economic and non-  
5 economic perspectives. In the economic analysis, the levelized system average  
6 electric rate perspective was utilized to compare the five resource plans. In  
7 addition, the economic analysis evaluated the resource plans in regard to  
8 whether the incremental DSM included in each plan would result in cross-  
9 subsidization of one customer group by another customer group. In the non-  
10 economic analysis, two perspectives were taken. First, for each of the five  
11 resource plans, the projected FPL system emissions of sulfur dioxide (SO<sub>2</sub>),  
12 nitrogen oxides (NO<sub>x</sub>), and carbon dioxide (CO<sub>2</sub>) were compared. Second, the  
13 five resource plans were compared in regard to projections of FPL system  
14 usage of oil and natural gas.

15  
16 In regard to the economic analyses alone, the E-RIM 664 MW plan emerged  
17 as the clear winner. Regarding the non-economic analyses alone, no one plan  
18 emerged as the clear winner. However, all of the economic impacts of system  
19 fuel usage and emissions were fully accounted for in the economic analyses  
20 that identified the E-RIM 664 MW plan as the best plan for FPL's customers,  
21 i.e., the non-economic portion of the analysis has been effectively included in  
22 the economic portion.

1 FPL concludes that the E-RIM 664 MW portfolio should be the basis for  
2 FPL's DSM Goals for the 2010 – 2019 time period. This DSM portfolio fully  
3 meets FPL's projected resource needs through 2019, results in the lowest  
4 levelized average electric rates over the 34-year term of the analyses for all  
5 five plans, results in the lowest average rates and bills among the four DSM-  
6 based resource plans for the 2010 – 2019 time period, best avoids or  
7 minimizes cross-subsidization of one customer group by another, results in  
8 lower SO<sub>2</sub> and NO<sub>x</sub> system emissions and system oil usage than the Supply  
9 Only plan for most years, and results in the lowest system SO<sub>2</sub> and NO<sub>x</sub>  
10 emissions and system oil usage of any plan for at least one year.

11  
12 Consequently, FPL's petition for approval of its DSM Goals for the 2010 –  
13 2019 time period is a request for the Commission to approve the E-RIM 664  
14 MW portfolio.

#### 15 16 I. FPL'S RESOURCE PLANNING PROCESS

17  
18 **Q. What are the objectives of FPL's resource planning process?**

19 **A.** FPL's basic integrated resource planning (IRP) process was developed in the  
20 early 1990s and, with numerous enhancements over the years, has been used  
21 since that time to determine: 1) the timing of when new resources are needed,  
22 2) the magnitude (MW) of the needed resources, and 3) the types of resources  
23 that should be added. The determination of the types of resources that should

1 be added is typically based primarily on what resources result in the lowest  
2 average electric rates for FPL's customers.

3  
4 It should be noted that when only Supply options (i.e., power plants or power  
5 purchases) are the resources in question, the determination can be made on the  
6 basis of lowest total costs. In cases addressing only Supply options, the  
7 outcome when viewing results from the lowest total cost perspective is the  
8 same as when viewing results from the lowest average electric rate  
9 perspective, because the number of kilowatt-hours (kWh) over which the costs  
10 are distributed or recovered from customers does not change, as would be the  
11 case when DSM resources are being examined. Consequently, when only  
12 Supply options are being analyzed, the results of a total cost analysis indicate  
13 simultaneously both a total cost and an electric rate perspective.

14 **Q. Please provide an overview of this resource planning process.**

15 A. The IRP process has four main tasks. These four tasks are as follows:

- 16 - Task 1: Determine the magnitude and timing of FPL's new resource  
17 needs.
- 18 - Task 2: Identify the resource options and resource plans that are  
19 available to meet the determined magnitude and timing of FPL's  
20 resource needs (i.e., identify the available competing options and  
21 resource plans).
- 22 - Task 3: Evaluate the competing resource options and resource plans in  
23 regard to system economics and non-economic factors.



1                     -       Task 4: Select a resource plan from which FPL management will  
2                                       commit, as needed, to the nearer-term options.

3       **Q.    Was this resource planning approach used to analyze the DSM resource**  
4       **options?**

5       **A.    Yes.** The IRP process outlined above describes the basic approach that FPL  
6       takes in its major resource planning efforts, including previous DSM Goals  
7       dockets, and which was taken in the analyses presented in this filing.

8  
9       In regard to the analysis work conducted for this filing, each of the four tasks  
10       outlined above was performed. Once the timing and magnitude of FPL's  
11       resource needs were established, FPL then identified resource options that  
12       could meet those needs. These options included a wide range of DSM  
13       measures that were applicable to FPL and potentially cost-effective, plus  
14       Supply options with which the DSM options must compete. FPL then  
15       developed five resource plans that included these competing resource options.  
16       System economic and non-economic analyses were then conducted, and a  
17       decision was made as to the best resource plan and associated resource options  
18       for FPL's customers.

## II. FPL'S PROJECTION OF RESOURCE NEEDS FOR 2010-2019

1  
2  
3 **Q. How does FPL decide whether it needs additional future resources?**

4 A. FPL uses two analytical approaches in its reliability analyses to determine the  
5 timing and magnitude of its future resource needs. The first approach is to  
6 make projections of reserve margins both for Winter and Summer peak hours  
7 for future years. A minimum reserve margin criterion of 20% is used to judge  
8 the projected reserve margins. The 20% reserve margin criterion is based on  
9 the reliability planning standard that FPL believes is the appropriate criterion,  
10 that FPL is committed to maintain, and that the Commission approved in  
11 Order No. PSC-99-2507-S-EU issued in Docket No. 981890-EU.

12  
13 The second approach is a Loss-of-Load-Probability (LOLP) methodology.  
14 Simply stated, LOLP is an index of how well a generating system may be able  
15 to meet its demand (i.e., a measure of how often load may exceed available  
16 resources). In contrast to the reserve margin approach, the LOLP approach  
17 looks at the daily peak demands for each year, while taking into consideration  
18 the probability of individual generators being out-of-service due to scheduled  
19 maintenance or forced outages. LOLP is typically expressed in units of  
20 "numbers of times per year" that the system demand could not be served.  
21 FPL's LOLP criterion is a maximum of 0.1 days per year. This LOLP  
22 criterion is generally accepted throughout the electric utility industry.

1 For a number of years, FPL's projected need for additional resources has been  
2 driven by the Summer reserve margin criterion. This again was the case in  
3 FPL's reliability analysis that was the basis for FPL's projected resource  
4 needs for 2010-2019.

5 **Q. In making its projection of FPL's future resource needs, what were the**  
6 **assumptions used?**

7 A. The primary assumptions used in making the projection of resource needs  
8 include: FPL's January 2009 load forecast, FPSC-approved generating unit  
9 additions, a projection of new firm and non-firm capacity renewable additions,  
10 the temporary removal from active service of specific generating units as they  
11 are placed on Inactive Reserve status and their return to active service, and no  
12 incremental DSM signups after the end of 2009.

13 **Q. What is the implication of assuming no incremental DSM signups after**  
14 **the end of 2009?**

15 A. This assumption has two implications. First, it allows FPL to start its DSM  
16 Goals analyses for the 2010 – 2019 period with the proverbial "clean sheet of  
17 paper" in which previous decisions regarding DSM implementation for 2010  
18 and beyond are discarded, allowing a fresh look at DSM in light of current  
19 load forecasts, fuel cost forecasts, etc. Second, the removal of the previously  
20 projected DSM signups after 2009 increases the magnitude (MW) of FPL's  
21 projected resource needs and moves those projected resource needs closer to  
22 the present. The resulting greater magnitude of, and earlier timing of, future

1 resource needs will tend to increase the projected cost-effectiveness of DSM  
2 options by showing a greater resource need.

3 **Q. What was the magnitude and timing of the projection of resource needs?**

4 A. The incremental resource need projection for 2010-2019 is presented in  
5 Exhibit SRS-1. Column (9) of this exhibit shows what the projected resource  
6 needs are if the resource needs are met solely by Supply options while  
7 Column (10) shows what the projected resource needs are if the resource  
8 needs are met solely by DSM options.

9  
10 These columns show that FPL's first resource need is in 2017. In 2017, the  
11 resource need is relatively small: 160 MW if the need is met solely by Supply  
12 options or 134 MW if met solely by DSM options. (The difference in the two  
13 values is caused by FPL's 20% reserve margin criterion. For example, if  
14 FPL's projected load grows by 100 MW, FPL can meet this need by either  
15 implementing 100 MW of new DSM or by adding 120 MW of new Supply  
16 options. Either option would result in an identical reserve margin value.)

17  
18 There is no resource need in 2018, due to the projected addition of the Turkey  
19 Point Unit 6 nuclear unit, but there is an additional resource need in 2019: In  
20 2019, the projected resource need is 796 MW if the need is met solely by  
21 Supply options or 664 MW if met solely by DSM options.

1 Exhibit SRS-1 also shows that, if these levels of Supply or DSM additions are  
2 added to meet the Summer resource needs, these additions will also satisfy the  
3 lower resource needs dictated by the Winter reserve margin criterion.  
4

5 (Note: The MW values mentioned above, and which are presented in Exhibit  
6 SRS-1, are MW values “at the generator”; i.e., after line losses have been  
7 accounted for. FPL’s resource planning work typically uses only MW values  
8 “at the generator”. Therefore, unless otherwise noted in either my testimony  
9 or exhibits, all MW values will be “at the generator” values.)

10 **Q. What was the impact of FPL’s current load forecast on FPL’s projected**  
11 **resource needs?**

12 A. FPL’s 2009 load forecast is lower than FPL’s 2007 and early 2008 load  
13 forecasts, both in terms of peak demand and annual net energy for load. There  
14 are two basic impacts of the current peak demand forecast on FPL’s projection  
15 of resource needs compared to previous resource need projections based on  
16 prior load forecasts.

17  
18 First, FPL’s projected next resource need is pushed out in time. As mentioned  
19 above, FPL’s projected first resource need does not appear until 2017 and the  
20 first resource need of any significant size is projected to occur in 2019.  
21 Second, the magnitude of FPL’s projected resource need is smaller. As  
22 discussed above, the total resource need through 2019 is approximately 664  
23 MW if that resource need were to be solely met by incremental DSM signups

1 starting in 2010. This projected resource need over ten years is significantly  
2 smaller than with previous load forecasts.

3  
4 Consequently, the impact of FPL's new, lower load forecast is that FPL's  
5 need for new resource additions – whether Supply or DSM resources – is later  
6 and smaller than previously projected.

7 **Q. What does this lower load forecast and projection of lower resource needs**  
8 **mean in regard to energy efficiency for FPL's customers?**

9 A. It means that energy efficiency and/or DSM will continue to play a growing  
10 role for FPL's customers, but that the relative amounts of energy efficiency  
11 that are delivered to FPL's customers through two different "paths" will likely  
12 change compared to what has occurred in previous years.

13  
14 One of the two paths to providing energy efficiency/DSM to FPL's customers  
15 is through cost-effective FPL DSM programs and the other is through  
16 federally mandated appliance efficiency and lighting standards. The impacts  
17 of the latter, appliance efficiency and lighting standards based on the 2005  
18 National Energy Policy Act (NEPACT) and the 2007 Energy Independence  
19 and Security Act (EISA), are already reflected in FPL's lower load forecast.

20  
21 These updated appliance efficiency and lighting standards are one of several  
22 significant "drivers" of the new lower load forecast. FPL's 2009 load forecast  
23 reflects a projection of approximately 895 MW of Summer peak load

1 reduction, and a projection of approximately 8,925 GWh of annual energy  
2 reduction, by 2019 due to these updated standards, over and above the  
3 projected impact of federal standards in FPL's previous load forecast. This  
4 large amount of additional energy efficiency projected to be realized from the  
5 updated federal standards lowers FPL's forecasted load which, in turn,  
6 significantly lowers FPL's future resource needs through 2019. As a  
7 consequence, there is less need for any new resource, whether DSM or Supply  
8 options, through 2019.

9  
10 There is another impact from these updated federal standards beyond a  
11 lowering of FPL's projected needs. Prior to these updated federal standards,  
12 the large amount of energy efficiency projected to be realized from the  
13 standards would have been available for utility DSM programs to address.  
14 Thus, the potential for energy efficiency delivered through utility DSM  
15 programs is diminished by the updated federal standards.

16  
17 FPL's IRP process recognizes the reality of the growing impact of appliance  
18 efficiency and lighting standards through the incorporation of the energy  
19 efficiency impacts of these standards in FPL's load forecast, resulting in  
20 projections of lower resource needs through 2019. The analyses conducted for  
21 this DSM Goals docket uses this projection of lower resource needs as the  
22 starting point to determine the appropriate role for FPL's DSM programs to  
23 meet those lower resource needs.

1 In summary, the updated federal appliance efficiency and lighting standards  
2 result in two impacts to DSM cost-effectiveness analysis. The first impact is a  
3 lower projection of need for additional resources, regardless of whether the  
4 resources are Supply or DSM options. The second impact is that higher  
5 appliance efficiency and lighting standards lower the potential efficiency  
6 gains that utility DSM programs can deliver.

7 **Q. Are you suggesting that one should consider both the updated federal**  
8 **appliance efficiency standards and utility DSM programs when viewing**  
9 **how much energy efficiency/DSM will be ultimately delivered to FPL's**  
10 **customers over the next 10 years?**

11 **A. Yes. As described above, FPL's customers are projected to receive**  
12 **approximately 895 MW and 8,925 GWh of additional energy efficiency**  
13 **through these federally mandated standards by 2019. FPL's January 2009 load**  
14 **forecast reflects these reductions and the forecast is the starting point for**  
15 **FPL's analyses of how much utility-sponsored DSM is cost-effective for its**  
16 **customers. Therefore, this amount of utility-sponsored DSM, which will be**  
17 **discussed later in my testimony, should be added to the approximately 895**  
18 **MW from the federal standards to obtain a full and complete picture of how**  
19 **much total energy efficiency/DSM FPL's customers will receive in the 2010 -**  
20 **2019 time frame.**



1           **III. FPL'S GENERAL APPROACH FOR EVALUATING DSM OPTIONS**

2

3           **Q.     Earlier you provided an overview of FPL's integrated resource planning**  
4           **(IRP) process. How does FPL approach the analysis of DSM resource**  
5           **options within this IRP process?**

6           A.     A fundamental guiding principle of integrated resource planning is that all  
7           resource options, Supply and DSM options, are competing options and that  
8           analyses should evaluate all resource options on a level playing field in order  
9           to determine which of these competing options is (are) the best choice(s) for a  
10          utility's customers. FPL agrees with this guiding principle and seeks to  
11          incorporate it in its IRP process.

12

13          FPL's view is that, to the extent practical, a Supply option must compete both  
14          with other Supply options and with DSM options to earn a place in FPL's  
15          resource plan. Similarly, a DSM option must compete both with other DSM  
16          options and with Supply options to earn a place in FPL's resource plan. In  
17          addition, FPL's IRP process is designed to evaluate all resource options, both  
18          Supply and DSM options, on a level playing field.

19          **Q.     How do FPL's IRP analyses seek to achieve a level playing field for**  
20          **Supply and DSM options?**

21          A.     FPL's analyses are designed to achieve a level playing field through two  
22          approaches. First, FPL's IRP analyses typically compare each resource  
23          option's impacts on the FPL system from both economic and non-economic

1 perspectives. The economic perspective considers the impact on electric rates  
2 and also examines the question of “cross-subsidization”; i.e., whether one  
3 group of customers is subsidizing another group due to the selection of a  
4 resource option. The non-economic perspective considers the impacts on  
5 system emissions and system fuel usage.

6  
7 Both emissions and fuel usage have economic impacts, and these impacts are  
8 fully captured in the economic analyses. However, emissions and fuel usage  
9 are frequently discussed in non-economic terms such as tons of emissions and  
10 mMBTU of fuel usage. I will discuss them in similar terms in this testimony.  
11 The use of these different perspectives in examining the various impacts of the  
12 competing resource options on the FPL system ensures that resource decisions  
13 are made with broad knowledge of the variety of impacts resource options will  
14 have on the FPL system and FPL’s customers.

15  
16 FPL’s IRP process also seeks to evaluate resource options on a level playing  
17 field in another very important way. For each resource option, FPL’s analyses  
18 attempt to include a complete set of costs and benefits that will directly impact  
19 FPL’s customers for each of the perspectives discussed above. This ensures  
20 that the analyses are as complete as possible and that a level playing field is  
21 maintained throughout the analyses.

1       **Q. Did FPL incorporate these two approaches to achieve a level playing field**  
2       **in its analyses presented in this docket?**

3       A. Yes. Later in my testimony I will present the results of the analyses of  
4       resource plans based on DSM and Supply options from each of these four  
5       system perspectives: electric rates, cross-subsidization of one customer group  
6       by another group, system emissions, and system fuel usage. I will also discuss  
7       the aspect of using a complete set of costs and benefits in DSM analyses when  
8       discussing the different DSM cost-effectiveness tests.

9  
10       **IV. VARIOUS COST-EFFECTIVENESS TESTS USED TO ANALYZE**  
11       **DSM OPTIONS**

12  
13       **Q. Which DSM cost-effectiveness tests were used in FPL's analyses that are**  
14       **presented in this docket, and what information are the tests intended to**  
15       **convey?**

16       A. FPL utilized three basic DSM cost-effectiveness tests in these analyses: the  
17       Participant test, the RIM test, and the TRC test. All three tests are designed to  
18       provide economic information regarding the DSM option being evaluated.  
19       The intent of the Participant test is to determine if it makes economic sense for  
20       a potential participant to participate in a specific FPL DSM program. The  
21       purported intent of the other two tests is to determine if it makes economic  
22       sense for the utility system as a whole; i.e., for non-participants as well as for  
23       participants, for FPL to offer the DSM option. However, as will be discussed

1 in my testimony, only one of these two tests really addresses the issue of  
2 whether it makes sense for a utility to offer a DSM option when considering  
3 all customers on a utility system.

4 **Q. Are all three cost-effectiveness tests currently required by the Florida**  
5 **Public Service Commission?**

6 A. Yes. All three tests, the Participant test, the RIM test, and the TRC test, are  
7 currently required by the Commission as part of the Commission-approved  
8 cost-effectiveness methodology.

9 **Q. Please discuss the primary differences in these three tests.**

10 A. The differences in the three tests can best be described by comparing the  
11 specific economic elements that are included in each test. Exhibit SRS-2  
12 presents a comparison of the economic elements that are included in the  
13 calculation of the benefits for each test.

14  
15 A listing of the types of DSM-related economic benefits that DSM program  
16 participants obtain, and that utility systems obtain, from DSM measures  
17 appears in the two shaded columns. Adjacent to the shaded columns are  
18 columns that indicate whether a specific cost-effectiveness test actually  
19 incorporates those economic benefits in the test.

20  
21 Two main conclusions can be drawn from this exhibit. First, all three tests  
22 include all of the relevant economic impacts that represent benefits from  
23 either participating in, or from implementing, a DSM measure. This is

1 obviously a desirable characteristic for these tests to have. Second, in regard  
2 to the RIM and TRC tests, the tests are identical in regard to the calculations  
3 of benefits that can be derived from DSM measures. In other words, these two  
4 tests will provide an identical calculation of benefits for a specific DSM  
5 measure.

6 **Q. Do the three tests also include all relevant DSM-related costs, and do the**  
7 **RIM and TRC tests provide an identical calculation of costs for a specific**  
8 **DSM option?**

9 A. No, not all of the tests include all of the relevant DSM-related costs. Exhibit  
10 SRS-3 expands the benefits-only perspective presented in Exhibit SRS-2 to  
11 also include DSM-related costs. Several additional conclusions can be drawn  
12 from this exhibit that presents a complete perspective of these cost-  
13 effectiveness tests.

14  
15 First, the Participant test includes all of the relevant DSM-related costs that  
16 will be incurred by a customer who may participate in a DSM program.  
17 Therefore, the Participant test fully accounts for all benefits and costs that are  
18 received and/or incurred by a potential participant in a DSM program. This is  
19 obviously a good thing.

20  
21 Second, the RIM test also includes all of the relevant DSM-related costs that  
22 will be incurred by the utility and its customers, both DSM participants and  
23 non-participants. Therefore, the RIM test fully accounts for all benefits and

1 costs that are received and/or incurred by all of a utility's customers if the  
2 utility decides to offer a DSM program. This is obviously a good thing as  
3 well.

4  
5 Third, the TRC test does not include all of the DSM-related costs that will be  
6 incurred by the utility and all of its customers. This so-called "total resource  
7 cost" test omits the incentive payments made to DSM program participants,  
8 costs that are recovered from all of the utility's customers. The TRC test also  
9 omits the economic impact of unrecovered revenue requirements on the  
10 utility's electric rates. In addition, the TRC test includes the participant's out-  
11 of-pocket costs for participating in the DSM program. These participant's out-  
12 of-pocket costs are not recovered from all of a utility's customers, and these  
13 costs are already captured in the Participant test.

14  
15 Therefore, only the combination of the Participant and RIM tests correctly  
16 include all of the economic impacts, benefits and costs, which are incurred by  
17 all of a utility's customers when DSM options are implemented. The TRC test  
18 omits two important costs/economic impacts and "double counts" the  
19 participant's costs which are already captured in the Participant test.

20  
21 The use of the combination of both the RIM and Participant tests achieves the  
22 objective of creating and maintaining a level playing field for IRP analyses  
23 because all of the relevant DSM-based benefits and costs are included. On the

1 other hand, because the TRC test does not include all of the relevant DSM  
2 costs and economic impacts when comparing DSM to Supply options, the  
3 TRC test, whether alone or paired with the Participant test, does not allow  
4 DSM options to be compared on a level playing field to Supply options.

5  
6 In summary, the Participant test includes all of the relevant benefits and costs  
7 that a customer who is considering participating in a DSM measure would  
8 consider. Similarly, the RIM test includes all of the relevant benefits and costs  
9 that all of the utility's customers would incur if the utility implements a DSM  
10 measure. Conversely, although the TRC test includes all of the relevant DSM-  
11 based benefits that a utility's customers would realize, this test does not  
12 include all of the DSM-related costs. This is a fundamental flaw in the TRC  
13 test.

14 **Q. What is the practical result of the TRC test omitting some significant**  
15 **DSM-related costs?**

16 A. Because the TRC test only recognizes a subset of DSM-related costs, more  
17 DSM options, either in the form of the number of measures or the amount of  
18 MW or GWh, will "pass" the TRC test than will pass the RIM test, which  
19 correctly includes all of the relevant costs and economic impacts of DSM  
20 options.

21  
22 All relevant costs and benefits are included in FPL's analyses of Supply  
23 options. The inclusion of all relevant costs and benefits of DSM options that is

1 accomplished by using the RIM test allows FPL to evaluate Supply and DSM  
2 options on a level playing field; i.e., a principle of IRP analyses.

3  
4 Conversely, comparing resource options on a level playing field is simply not  
5 possible with the TRC test, because this test omits significant DSM-related  
6 costs, thus giving an erroneous advantage to DSM options when they are  
7 compared to Supply options. As a result, a resource plan developed based on  
8 the TRC test would not be the most cost-effective resource plan for the  
9 utility's customers.

10 **Q. If one were to overlook the fact that the TRC test gives an erroneous**  
11 **advantage to DSM options over Supply options, would there be other**  
12 **undesirable consequences?**

13 **A.** Yes. There are a number of serious and undesirable consequences. First, the  
14 use of the TRC test would violate the fundamental principle of integrated  
15 resource planning: evaluating competing resource options on a level playing  
16 field.

17  
18 Second, the use of the TRC test rather than the RIM test would tend to lead  
19 to the selection of more DSM than is truly cost-effective if all DSM-related  
20 costs were accounted for. Such an occurrence would, in turn, lead to a sub-  
21 optimal resource plan.



1 Third, the inclusion in a resource plan of DSM measures that “passed” the  
2 TRC test, but did not pass the RIM test, would result in higher electric rates  
3 than if either the competing Supply option or RIM-based DSM measure had  
4 been chosen.

5  
6 Fourth, the inclusion in a resource plan of DSM measures that “passed” the  
7 TRC test, but did not pass the RIM test, would result in customer cross-  
8 subsidization with non-participants in those DSM measures paying higher  
9 bills due to the higher electric rates than if either the competing Supply  
10 option or RIM-based DSM had been chosen. Therefore, the use of TRC-  
11 based DSM measures results in “winners” (participants in TRC-based DSM  
12 measures) and “losers” (all other customers) among a utility’s customers. I’ll  
13 return to the issue of cross-subsidization later in my testimony as I discuss  
14 the economic analysis results.

15  
16 Fifth, from the Commission’s perspective, the use of the TRC test would  
17 prevent the Commission from having a complete picture of all of the costs of  
18 the DSM options being compared to a competing Supply option. From my  
19 experience in a variety of need determinations and prior DSM Goals filings, I  
20 believe that the Commission always seeks to have a full accounting of costs  
21 associated with both Supply and DSM options. The use of the TRC test  
22 would not provide the Commission with a full accounting of DSM-related  
23 costs for their deliberations.

1       **Q.    Has FPL made any enhancements to its analytical approach regarding**  
2       **these cost-effectiveness tests?**

3       A.    Yes. FPL's analyses in support of its recent determination of need filings,  
4       including the filings for the supercritical coal units, the nuclear uprates, the  
5       Turkey Point Units 6 & 7 new nuclear units, the West County Energy Center  
6       Unit 3, and the conversions/modernizations of FPL's existing Cape Canaveral  
7       and Riviera units, have each included the economic impact of environmental  
8       compliance costs for specific emissions including sulfur dioxide (SO<sub>2</sub>),  
9       nitrogen oxides (NO<sub>x</sub>), and carbon dioxide (CO<sub>2</sub>). These analyses first  
10      determined the projected system net emissions (after accounting for any  
11      allowances that FPL is projected to have) for resource plans that each included  
12      a specific competing resource option. Then projected environmental  
13      compliance costs (generally in terms of \$/ton of a given emission) were  
14      applied to the projected system emissions for each resource plan to ensure that  
15      the costs of these system emissions are captured in the economic analyses.

16  
17      In order to maintain a level playing field for all resource options, FPL has  
18      enhanced its DSM analyses to include these environmental compliance costs.  
19      This accounting for projected environmental compliance costs is included in  
20      all of the analyses of Supply and DSM options that are presented in FPL's  
21      filing in this docket. In this way, FPL is able to economically quantify the  
22      impacts that DSM options have on a utility's system emissions in the same  
23      way they are quantified when analyzing Supply options. This helps ensure that

1 all resource options are analyzed on a level playing field in FPL's IRP  
2 process.

3 **Q. Therefore, is it correct to assume that the RIM and TRC test**  
4 **methodologies that FPL now utilizes are not the same as FPL has utilized**  
5 **in the past?**

6 A. Yes. FPL's inclusion of environmental compliance costs in both the RIM and  
7 TRC cost-effectiveness methodologies results in both cost-effectiveness  
8 calculation approaches being significantly different from those used by FPL in  
9 the past. Taking the RIM test methodology for example, one could correctly  
10 view the new RIM calculation methodology as an Environmental RIM (E-  
11 RIM) methodology. The new E-RIM methodology allows DSM options to  
12 continue to be analyzed on a level playing field with Supply options for which  
13 environmental compliance costs are included.

14  
15 Therefore, the two cost-effectiveness tests will generally be referred to as the  
16 E-RIM and E-TRC tests in the remainder of my testimony.

17 **Q. Because this same improvement was made to the previously used version**  
18 **of the TRC test, does this change overcome the previously discussed**  
19 **problems with the TRC test?**

20 A. No. The correct way to interpret FPL's changes to the TRC test to now  
21 *include environmental compliance costs, thus resulting in an E-TRC test*, is  
22 that these changes prevent the still fundamentally flawed E-TRC test from  
23 falling even further behind the E-RIM test in its ability to allow comparison of

1 DSM and Supply options on a level playing field. The fundamental flaws in  
2 the TRC test, its failure to account for the significant DSM costs and  
3 economic impacts of incentive payments to participants and unrecovered  
4 revenue requirements, and its “double counting” of participant costs already  
5 accounted for by the Participant test, still remain in the E-TRC test. These  
6 flaws are as detrimental as ever when trying to analyze competing resource  
7 options on a level playing field.

8 **Q. In practical terms, what is the impact of incorporating environmental**  
9 **compliance costs in the cost-effectiveness screening of DSM options?**

10 A. The basic outcome of incorporating environmental compliance costs in DSM  
11 cost-effectiveness screening is two-fold when compared to DSM screening  
12 results in which these environmental compliance costs are not included. First,  
13 DSM programs with higher kWh reduction to kW reduction ratios (such as  
14 certain energy efficiency programs) will generally have higher total benefit  
15 values than they otherwise would have. Second, DSM programs with lower  
16 kWh reduction to kW reduction ratios (such as load management programs)  
17 will generally have lower total benefit values than they would have had  
18 otherwise.

19  
20 This does not mean that all energy efficiency programs will now pass both the  
21 E-RIM and E-TRC tests, nor does it mean that all load management programs  
22 will now fail both the E-RIM and E-TRC tests. What it means is that the  
23 benefit-to-cost ratios under both tests will move in the directions described

1 above: assuming all else remains the same, the benefit-to-cost ratios for  
2 energy efficiency programs will be higher and the benefit-to-cost ratios for  
3 load management programs will be lower.

4 **Q. In your opinion, does the enhanced E-RIM test fully account for the costs**  
5 **and benefits of DSM programs with higher kWh reduction to kW**  
6 **reduction ratios?**

7 A. Yes. Historically, the TRC test – despite its obvious fundamental flaws – has  
8 been favored by some in large part because it tended to favor DSM programs  
9 with larger kWh reductions which might fail the RIM test. These proponents  
10 of the TRC test willingly overlooked the obvious flaws in the TRC test  
11 because this flawed test generally “passed” more DSM measures and/or DSM  
12 MW or GWh. Passing more DSM, particularly DSM measures with high  
13 kWh-to-kW reduction ratios, was seen as inherently “good”, because it was  
14 believed these measures would reduce a utility system’s emissions, even  
15 though these emission “benefits” were often not quantified.

16  
17 However, the enhanced E-RIM test not only incorporates the emission  
18 impacts of these (and all other) DSM measures, but also places a monetary  
19 value on the emission impacts in the same way monetary values are calculated  
20 for the emission impacts of Supply options.

21  
22 Therefore, the E-RIM test is a significant advancement in regard to continuing  
23 to analyze DSM programs and Supply options on a level playing field. The E-

1 RIM test retains the fundamental concept found in the previously used version  
2 of the RIM test - the incorporation of all DSM-related costs that allow a  
3 comparison of options on a level playing field. In addition, the E-RIM test  
4 now incorporates environmental compliance costs, using the same bases for  
5 these costs as are used when analyzing Supply options, thus accurately  
6 quantifying the monetary impact of system emission impacts from all DSM  
7 programs.

8  
9 Now one no longer needs to settle for -- and there is no logical rationale for  
10 using - a fundamentally flawed test such as TRC based on the notion that it  
11 favors higher kWh reduction DSM programs. The E-RIM test gives full  
12 economic value to emission reductions for all DSM programs and does so  
13 while retaining the IRP objective of a level playing field for both DSM and  
14 Supply options which is necessary to arrive at an optimal resource plan for a  
15 utility's customers.

16 **Q. Do the DSM cost-effectiveness tests used by FPL in the analyses**  
17 **presented in this docket meet all of the items listed in HB 7135 that the**  
18 **Commission, according to HB 7135, "shall take into consideration"?**

19 **A.** The answer is "yes" for the E-RIM and Participant tests and "no" for the E-  
20 TRC test.

21  
22 HB 7135 lists the following four items that the "commission shall take into  
23 consideration" in regard to cost-effectiveness tests used in DSM evaluation:

- 1 a) "The costs and benefits to customers participating in the measure."  
2 b) "The costs and benefits to the general body of ratepayers as a  
3 whole, including utility incentive and participant contributions."  
4 c) "The need for incentives to promote both customer-owned and  
5 utility-owned energy efficiency and demand-side renewable energy  
6 systems."  
7 d) "The costs imposed by state and federal regulations on the emission  
8 of greenhouse gases."

9  
10 In regard to item (a), "The costs and benefits to customers participating in the  
11 measure," FPL's analyses use two pairs of cost-effectiveness tests: the E-RIM  
12 and Participant tests, and the E-TRC and Participant tests. The Participant test  
13 is specifically designed to account for all DSM-related costs incurred by, and  
14 all DSM-related benefits provided to, DSM program participants. Therefore,  
15 the pairing of either the E-RIM or E-TRC test with the Participant test ensures  
16 that all of the costs and benefits to customers participating in a DSM measure  
17 are accounted for.

18  
19 Regarding item (b), "The costs and benefits to the general body of ratepayers  
20 as a whole including utility incentives and participant contributions", the use  
21 of the E-RIM and Participant tests allow this requirement to be met. As  
22 previously explained, although both the E-RIM and E-TRC tests account for  
23 all DSM-related benefits that are realized by all ratepayers, only the E-RIM

1 test accounts for all DSM-related costs, including utility incentive payments  
2 made to program participants, that are passed on to all of FPL's ratepayers,  
3 and the negative impacts of unrecovered revenue requirements on customers'  
4 electric rates. Furthermore, the pairing of the E-RIM test with the Participant  
5 test ensures that all participant contributions are fully accounted for because  
6 of the inclusion of the Participant test.

7  
8 Conversely, the E-TRC test, even when paired with the Participant test, does  
9 not comply with item (b) because it omits the two DSM-related  
10 costs/economic impacts described above.

11  
12 Item (c), "The need for incentives to promote both customer-owned and  
13 utility-owned energy efficiency and demand-side renewable energy systems,"  
14 is a moot point in regard to the cost-effectiveness tests that FPL is utilizing in  
15 the analyses presented in this docket. At this time, FPL is neither receiving  
16 nor requesting such incentives.

17  
18 Item (d), "The costs imposed by state and federal regulations on the emission  
19 of greenhouse gases" s fully addressed in the E-RIM and E-TRC tests that  
20 FPL used for the analyses in this docket. Although there are currently no state  
21 or federal regulations regarding the emission of greenhouse gases, FPL's  
22 analyses in this docket utilized a projected set of compliance costs for carbon  
23 dioxide (CO<sub>2</sub>) in both its E-RIM and E-TRC analyses.



1 In summary, the analyses based on the use of the E-RIM and Participant tests  
2 fully address all of these four items listed in HB 7135. Conversely, the  
3 analyses based on the use of the E-TRC and Participant tests fail to address  
4 item (b) of HB 7135 because the E-TRC test does not account for all DSM-  
5 related costs that are incurred by all of FPL's ratepayers.

6  
7 **V. AN OVERVIEW OF FPL'S DSM GOALS ANALYTICAL**  
8 **PROCESS**

9  
10 **Q. Please provide a brief description of FPL's DSM Goals analytical**  
11 **process?**

12 **A.** The analytical process that FPL utilizes in its DSM Goals work consists of  
13 seven main steps. These analytical steps are typically performed sequentially  
14 over a number of months by two FPL departments - the Resource Assessment  
15 & Planning (RAP) department and the Demand Side Management (DSM)  
16 department. For the 2009 DSM Goals analyses, an outside consultant, Itron,  
17 was utilized for some of the steps.

18 **Q. Please provide a brief summary of these seven steps in the analytical**  
19 **process.**

20 **A.** These seven analytical steps can be summarized as follows:

1           **Step 1: Determine DSM Technical Potential:**

2           In this first step, a wide variety of DSM measures is examined to determine  
3           which measures are technically feasible for application in FPL's service  
4           territory. This step results in a large number of DSM measures being  
5           identified as technically feasible. In 2009, these efforts utilized a collaborative  
6           approach and an outside consultant, Itron. FPL witness Haney discusses the  
7           Step 1 activities in more detail in his testimony. All of the DSM measures  
8           identified in this step as technically feasible for FPL are carried forward to the  
9           second step in the process.

10

11           **Step 2: Initial Cost-Effectiveness Screening of DSM Measures:**

12           In this step, the DSM measures identified as being technically feasible for  
13           application in FPL's service territory undergo initial economic screening to  
14           judge the potential cost-effectiveness of the measures if implemented on  
15           FPL's system. Both the E-RIM and E-TRC cost-effectiveness tests are used in  
16           a pairing with the Participant test in this step. In addition, a two-year payback  
17           criterion is used to minimize the potential for free riders.

18

19           For those measures that pass this cost-effectiveness screening step, a  
20           maximum incentive amount for each measure that results in at least a  
21           "breakeven" result (benefits equal costs; i.e., a 1.00 benefits-to-cost ratio) for  
22           each of the cost-effectiveness test pairs is identified. These measures and their  
23           associated maximum possible incentive levels are carried forward to Step 3 to

1 finalize the cost-effectiveness screening analyses and determine the final  
2 incentive amount. Those measures that do not pass this initial cost-  
3 effectiveness screening in Step 2 are not evaluated further.

4  
5 **Step 3: Determine Maximum Incentive Levels for DSM Measures and**  
6 **Finalize Cost-Effectiveness Screening:**

7  
8 In Step 3, this maximum possible incentive amount identified in Step 2 for  
9 each remaining DSM measure is further evaluated and may be adjusted. Using  
10 this value as a starting point, FPL may adjust the incentive amount for a  
11 particular DSM measure downward for one or two reasons.

12  
13 First, in regard to the analyses conducted with the E-RIM and Participant  
14 tests, FPL wants each DSM measure to result in positive net benefits under the  
15 E-RIM test. It may not be able to do this if the previously calculated  
16 maximum possible incentive value is used without an adjustment.

17  
18 For example, suppose that the maximum possible incentive level results in  
19 total costs equaling total benefits in the E-RIM test results; i.e., a net benefits  
20 value of zero. In such a case, FPL may lower the incentive by an amount  
21 which will result in positive net benefits for the measure and which allows  
22 some cushion for the measure to remain cost-effective if other costs and/or  
23 benefits change over time as they frequently do.

1 Second, an adjustment in the incentive payment level may occur when FPL  
2 determines the years-to-payback period for a potential participant in the DSM  
3 measure. If this projected period is less than two years, FPL would typically  
4 lower the incentive amount to a point where the projected payback period is at  
5 least two years. This “two-year payback” criterion is designed to minimize the  
6 occurrence of free riders. The two-year payback criterion is applied to DSM  
7 measures when using either the E-RIM and Participant tests approach or the  
8 E-TRC and Participant tests approach. FPL witness Haney discusses the  
9 concept of free riders and the two-year payback criterion in his testimony.

10  
11 If, after the previously identified maximum possible incentive value has been  
12 appropriately lowered as described above, and a non-zero incentive amount  
13 remains, the DSM measure is judged to have survived Step 3 of the analysis  
14 process.

15  
16 At the end of Step 3, an incentive amount for each surviving DSM measure  
17 under both pairs of cost-effectiveness tests has been identified. These  
18 surviving or remaining DSM measures under both pairs of cost-effectiveness  
19 tests, and their associated incentive amounts, are carried forward to Step 4.

20  
21 **Step 4: Determine DSM Achievable Potential:**

22 In this step, the remaining DSM measures and their associated incentive  
23 amounts under each of the cost-effectiveness tests are used to develop

1 projections of the maximum number of participants that can reasonably be  
2 signed up for each DSM measure annually over the 10-year period of 2010  
3 through 2019.

4  
5 The resulting projection of the maximum number of participants that can be  
6 reasonably signed up annually for each DSM measure over the 10-year period  
7 without any adjustments, and the corresponding projected MW reductions, are  
8 referred to in my testimony as the achievable potential of DSM. Three sets of  
9 achievable potential values for both pairs of cost-effectiveness tests were  
10 developed. I will return to these three sets of achievable potential values later  
11 in my testimony. FPL witness Haney and Itron witness Rufo also discuss this  
12 concept and related work in their testimonies.

13  
14 **Step 5: Develop DSM Portfolios:**

15 Four DSM portfolios are developed in this step, two associated with each of  
16 the pairs of cost-effectiveness tests. (Note: in my remaining testimony, I will  
17 refer solely to the E-RIM and E-TRC portfolios with the understanding that  
18 the results of the Participant test have been accounted for in all portfolios.)

19  
20 For each specific cost-effectiveness test, a list of all DSM measures that  
21 survived the economic screening, the associated incentive amount for each  
22 DSM measure and the corresponding achievable potential projections (annual  
23 participants and MW reductions) serve as inputs to the work. This information

1 is used to develop specific DSM portfolios that at least meet FPL's projected  
2 resource needs with the lowest total DSM-related costs that are applicable to  
3 the specific cost-effectiveness test being used. Each portfolio must also meet  
4 certain practical program implementation constraints.

5  
6 The four DSM-based portfolios can be described as follows:

- 7 1) E-RIM 664 MW portfolio;
- 8 2) E-TRC 664/1,093 MW portfolio;
- 9 3) E-RIM 949 MW portfolio; and,
- 10 4) E-TRC 1,153 MW portfolio.

11  
12 The first two portfolios are designed to meet at least all of FPL's resource  
13 needs through the 2019 time period. The third and fourth portfolios are based  
14 on the maximum achievable potential MW projections. These projections, 949  
15 MW for E-RIM and 1,153 MW for E-TRC, are for DSM amounts that are  
16 clearly greater than what is called for (664 MW) to meet FPL's projected  
17 resource needs by 2019.

18  
19 Each DSM portfolio will have specific characteristics that include its annual  
20 MW reduction capability, annual GWh reduction capability, and associated  
21 costs. Once the four DSM portfolios are completed, these portfolios are  
22 carried forward to Step 6.

1           **Step 6: Develop Resource Plans:**

2           The four DSM portfolios are then used to create four DSM-based resource  
3           plans that will be referred to by the same names as the portfolios. These four  
4           resource plans are created by examining FPL's projected remaining resource  
5           needs once the DSM portfolio has been accounted for, then adding Supply  
6           options "after" the DSM portfolio to address years beyond 2019 in the  
7           analyses. This ensures that each resource plan meets FPL's reliability criteria  
8           and that the resource plans are comparable. These four DSM-based resource  
9           plans, plus a Supply Only resource plan that includes no additional DSM  
10          signups beyond 2009, are then analyzed in Step 7.

11

12           **Step 7: Analysis of Resource Plans:**

13          As previously discussed, these five resource plans are then evaluated in a  
14          system analyses that determine the levelized system average electric rates, the  
15          ability to avoid or minimize cross-subsidization of one customer group by  
16          another, system emission levels for SO<sub>2</sub>, NO<sub>x</sub>, and CO<sub>2</sub>, and system usage  
17          levels of oil and natural gas for each resource plan. These results for each  
18          resource plan are then compared to each other.

1 **VII. DETAILS OF THE DSM COST-EFFECTIVENESS SCREENINGS**  
2 **AND THE RESULTS OF VARIOUS SENSITIVITY CASE**  
3 **SCREENING ANALYSES**  
4

5 **Q. Which of the seven steps listed in the previous section will your testimony**  
6 **address in more detail?**

7 **A. My testimony will address the work that was performed for the following four**  
8 **analytical steps:**

- 9 - Step 2: Initial Cost-Effectiveness Screening of DSM Measures;
- 10 - Step 3: Determine Maximum Incentive Levels for DSM Measures
- 11 and Finalize Cost-Effectiveness Screening;
- 12 - Step 5: Develop DSM Portfolios;
- 13 - Step 6: Develop Resource Plans; and,
- 14 - Step 7: Analysis of Resource Plans.

15 FPL witness Haney's testimony will address the work that was performed for  
16 Steps 1 and 4.

17 **Q. What are the objectives of the initial screening calculations of DSM**  
18 **measures performed in Step 2?**

19 **A. The objectives of the initial cost-effectiveness screening performed in Step 2**  
20 **are to: (i) compare the present value of the DSM-related benefits and costs, to**  
21 **all customers, that are applicable to the cost-effectiveness test being utilized,**  
22 **and (ii) compare the present value of the DSM-related benefits and costs that**  
23 **apply to DSM participants. Those DSM measures that emerge with positive**



1 net benefits (i.e., the present value of benefits is greater than the present value  
2 of DSM costs accounted for by each cost-effectiveness test) are said to have  
3 “survived” the initial screening. These surviving DSM measures are  
4 potentially cost-effective DSM resource options for the FPL system. As  
5 previously discussed, these DSM measures are evaluated further in Step 3 to  
6 finalize the cost-effectiveness analysis for each measure and to finalize the  
7 incentive payment amount for each measure.

8 **Q. How are these initial screening calculations carried out?**

9 A. FPL’s cost-effectiveness screening of each DSM measure that emerged from  
10 Step 1 followed two cost-effectiveness screening “paths.” One path examined  
11 the cost-effectiveness of each DSM measure from the perspective of the E-  
12 RIM test, the Participant test, and the two-year payback criterion that  
13 addresses the issue of free riders. The other path examined the cost-  
14 effectiveness of each DSM measure from the perspective of the E-TRC test,  
15 the Participant test, and the two-year payback criterion.

16  
17 Prior to proceeding down each of these two cost-effectiveness screening  
18 paths, FPL first took the 2,321 DSM measures that were identified for FPL in  
19 the technical potential analyses and reduced those measures to a more  
20 workable number of measures. This reduction was accomplished by grouping  
21 certain commercial and industrial measures that are identical except for the  
22 fact that the measure would be applied to a different building type. Each of  
23 these identical commercial and industrial measures was reduced to a single

1 “collapsed” DSM measure for purposes of cost-effectiveness screening.  
2 (Residential and new construction measures were not collapsed.) Then, at the  
3 conclusion of the cost-effectiveness screening work, those “collapsed”  
4 measures that passed all of the screening steps are “expanded” so that all of  
5 the applicable building types for those measures are individually accounted  
6 for in the achievable potential work that follows.

7  
8 Therefore, FPL’s cost-effectiveness screening work evaluated 844 DSM  
9 measures, some of which had been collapsed as mentioned above. These 844  
10 measures then started down the two screening paths described above. Each  
11 path utilized up to five screening steps as applicable to the cost categories that  
12 are included in the specific cost-effectiveness test, E-RIM or E-TRC, being  
13 utilized, the Participant test, and the two-year payback criterion.

14  
15 These five cost-effectiveness screening steps each utilize a full accounting of  
16 projected benefits from DSM and a step-by-step accounting of DSM-related  
17 costs. These screening steps can be summarized as follows:

18  
19 Screening Step (1): In the initial screening step, each of the 844 DSM  
20 measures is evaluated using only the costs of unrecovered revenue  
21 requirements for the E-RIM test, and the participant’s out-of-pocket costs  
22 for the E-TRC test. For purposes of this docket, the results of this  
23 screening step are referred to the “economic potential” for DSM (despite

1 the fact that these results represent only the beginning step of a multi-step  
2 economic analysis). Those measures passing this screening step are carried  
3 forward to Screening Step (2), while measures failing at this step are  
4 dropped from further analyses.

5  
6 Screening Step (2): In the second screening step, administrative costs are  
7 now added to those costs considered in the initial screening step for both  
8 the E-RIM and E-TRC paths. As before, only those measures passing this  
9 step are carried forward.

10  
11 Screening Step (3): This screening step applies only to the E-RIM  
12 screening path and only to certain DSM measures. In this step, for those  
13 remaining measures that do not pass the Participant test without an  
14 incentive payment, the amount of incentive payment needed to be added to  
15 result in a Participant test benefit-to-cost ratio of 1.00 is first calculated.  
16 Then that incentive payment is also applied for the E-RIM test, and it is  
17 determined if the measure still passes the E-RIM test. Those measures  
18 passing this step are carried forward. (Note that this screening step does  
19 not apply to the E-TRC path because the TRC test does not account for  
20 incentive payments made by a utility to participating customers.)

21  
22 Screening Step (4): The two-year payback criterion is applied in this step  
23 to both of the paths. For each remaining measure, a calculation is made to

1 see if a participant's incremental out-of-pocket costs will be fully  
2 recovered from bill savings in two years or less without any incentive  
3 payment from the utility. Only those measures for which the participant's  
4 costs are not fully recovered in two years are carried forward to the last  
5 screening step.

6  
7 Screening Step (5): The two-year payback criterion is again applied in this  
8 step to both of the paths, but this time the utility's incentive payment is  
9 included. The incentive payment needed, for certain measures, to make the  
10 Participant test equal 1.00 is now included in the two-year payback  
11 calculation. Those measures passing this final screen are deemed to have  
12 passed FPL's cost-effectiveness screening.

13 **Q. How did FPL determine what the type and cost of the competing**  
14 **generating unit would be that the DSM measures would be compared to**  
15 **in these cost-effectiveness screening steps?**

16 A. Using the projection of resource needs presented in Exhibit SRS-1, it is clear  
17 that FPL's next significant resource need is projected to be in the year 2019.  
18 FPL projects that if the 2019 resource need were to be met with a Supply  
19 option, FPL's construction option would be a combined cycle (CC) unit  
20 similar to the 3x1 G CC units now being constructed at FPL's West County  
21 Energy Center (WCEC). Because no site for a potential generating unit to be  
22 added in 2019 has been selected, it was assumed that, for cost-effectiveness

1 screening purposes, the generating unit that DSM would be compared to  
2 would be a greenfield CC unit.

3  
4 FPL developed a "Supply Only" resource plan for purposes of the analyses in  
5 this docket which meets the capacity needs outlined in Exhibit SRS-1. This  
6 resource plan assumes no incremental DSM signups after 2009, includes a  
7 short-term purchase in 2017 to address the small one-year resource need in  
8 that year, and includes a new greenfield CC unit in 2019. The Supply Only  
9 resource plan is similar to the resource plan presented in FPL's 2009-2018  
10 Ten Year Site Plan with three exceptions: incremental DSM signups after  
11 2009 have been removed, the return-to-service dates of some of FPL's  
12 generating units that will be temporarily placed on Inactive Reserve status  
13 have been changed, and a five-month firm power purchase in 2017 for 160  
14 MW has been added.

15  
16 The cost and performance inputs assumed for this 2019 CC unit are similar to  
17 those for the CC unit used in FPL's determination of need filings for WCEC  
18 Unit 3 and for the conversions/modernizations of FPL's existing units at the  
19 Cape Canaveral and Riviera sites. The capital and operating costs were  
20 updated to account for current projections of cost escalation to an in-service  
21 year of 2019, while the size of the unit (1,219 MW summer rating) and the  
22 heat rate (6,582 BTU/kWh) were unchanged.

1       **Q.     What were the results of the cost-effectiveness screenings performed in**  
2       **Step 2?**

3       **A.     The results of the cost-effectiveness screenings are presented in Exhibit SRS-**  
4       **4. As shown in this document, FPL started with 844 DSM measures in both its**  
5       **E-RIM and E-TRC cost-effectiveness screening paths after first collapsing the**  
6       **original list of 2,321 total DSM measures as explained above.**

7  
8       In screening Step (1), the E-RIM test screening, 665 DSM measures remained  
9       in the E-RIM path after accounting for unrecovered revenue requirements, and  
10      641 DSM measures remained in the E-TRC path after accounting for  
11      participants' out-of-pocket costs.

12  
13      The inclusion of administrative costs in screening Step (2) resulted in the  
14      remaining number of measures further lowering to 602 in the E-RIM path and  
15      585 in the E-TRC path.

16  
17      Screening Step (3), which accounts for incentive payments and applies only to  
18      the E-RIM path as explained above, resulted in the number of remaining  
19      measures in the E-RIM path being reduced to 476 measures. The number of  
20      remaining measures in the E-TRC path remained unchanged at 585.

21  
22      Screening Step (4) applies the two-year payback criterion without incentives  
23      to the remaining DSM measures in both paths. This resulted in the number of

1 remaining measures lowering to 279 in the E-RIM path and 310 in the E-TRC  
2 path.

3  
4 Finally, the two-year payback criterion with incentives was applied in  
5 screening Step (5) to determine the final number of collapsed DSM measures  
6 that passed FPL's cost-effectiveness screening: 279 for E-RIM and 305 for E-  
7 TRC.

8  
9 These DSM measures were then expanded back to derive a total number of  
10 DSM measures passing FPL's cost-effectiveness screening for both paths.  
11 Those numbers were 885 measures for E-RIM and 928 measures for E-TRC.  
12 These measures, along with their respective incentive payment levels, were  
13 then transmitted to Itron in order to calculate the achievable potential for each  
14 of these measures. FPL witness Haney's and Itron witness Rufo's testimonies  
15 discuss the achievable potential work.

16 **Q. Did FPL perform any sensitivity case analyses in regard to DSM cost-  
17 effectiveness screening?**

18 **A.** Yes. The FPSC Staff requested that the utilities involved in this docket  
19 perform sensitivity cases in regard to DSM cost-effectiveness screening in  
20 order to better understand what impact various assumptions might have on the  
21 cost-effectiveness of DSM measures. To that end, FPL performed five  
22 sensitivity DSM cost-effectiveness screening analyses in which only one or  
23 two assumptions were changed from the assumptions used in the "base case"

1 analyses previously described. All other assumptions from the base case were  
2 unchanged in these sensitivity cases.

3  
4 The five sensitivity cases FPL analyzed are the following:

- 5 - Sensitivity Case 1: increase the capital cost of the avoided  
6 generation unit by 10%;
- 7 - Sensitivity Case 2: decrease the capital cost of the avoided  
8 generation unit by 10%;
- 9 - Sensitivity Case 3: use a high band fuel cost forecast and a high  
10 band CO<sub>2</sub> compliance cost forecast;
- 11 - Sensitivity Case 4: use a low band fuel cost forecast and a low  
12 band CO<sub>2</sub> compliance cost forecast; and,
- 13 - Sensitivity Case 5: assume there are no compliance costs for CO<sub>2</sub>.

14 **Q. Please discuss the basis for these changed assumptions.**

15 A. For Sensitivity Cases 1 and 2, the amount of change, a 10% increase or  
16 decrease from the base case assumption, in the projected capital cost of a  
17 future generation unit was selected because it was deemed to be within the  
18 range of change in the projected capital cost for new generation that FPL  
19 might see over the course of a typical year or so; i.e., if this screening analysis  
20 had been done a year earlier or later than now.

21  
22 For Sensitivity Cases 3 and 4, FPL used its November 2008 fuel cost forecast  
23 base case assumption as the starting point for the high and low fuel cost



1 forecasts. These base case forecasted costs for all fuel types were then  
2 increased in the high fuel cost forecast (and decreased in the low fuel cost  
3 forecast) by certain fixed percentage values. These percentage values typically  
4 vary from one fuel type to the next and from one forecast to another.

5  
6 Regarding the CO<sub>2</sub> compliance cost forecasts, FPL used forecasts that were  
7 prepared at the same time its base case CO<sub>2</sub> compliance cost forecast was  
8 prepared. (All of these compliance cost forecasts were used in FPL's most  
9 recent determination of need filings and are being used in FPL's current  
10 nuclear cost recovery filing.) The highest forecasted CO<sub>2</sub> compliance cost was  
11 used in Sensitivity Case 3, and the lowest non-zero forecasted CO<sub>2</sub>  
12 compliance cost was used in Sensitivity Case 4. In both of these sensitivity  
13 cases, the base case assumptions for SO<sub>2</sub> and NO<sub>x</sub> compliance costs were  
14 unchanged.

15  
16 Finally, FPL assumed that there were no CO<sub>2</sub> compliance costs in Sensitivity  
17 Case 5. Just as in the previous two sensitivity cases, the base case assumptions  
18 for SO<sub>2</sub> and NO<sub>x</sub> compliance costs were unchanged.

19 **Q. What was the nature of the sensitivity case screening analyses that were**  
20 **carried out?**

21 **A.** These sensitivity case analyses were "economic potential" analyses as  
22 previously described. This means that only a subset of DSM-related costs are  
23 included in the sensitivity case analyses. The subset of DSM-related costs that

1 are included are unrecovered revenue requirements for the E-RIM test and  
2 participant costs for the E-TRC test. This is analogous to Step 1 shown  
3 previously in Exhibit SRS-4.

4  
5 Using the changed assumptions for each sensitivity case, FPL performed a  
6 DSM cost-effectiveness screening on the same 844 collapsed DSM measures  
7 as in the base case analyses. The measures that passed this one-step screening  
8 were then expanded back to capture the full number of DSM measures that  
9 passed the sensitivity screening. Next, FPL matched those measures to the  
10 corresponding technical potential projections of MW and GWh reduction for  
11 each measure.

12  
13 The number of passing measures, the MW reduction potential, and the GWh  
14 reduction potential were then totaled to provide an “economic potential” set of  
15 values for each sensitivity case. Finally, the number of measures, MW  
16 reduction potential, and GWh reduction potential values for the sensitivity  
17 cases were compared to the corresponding “economic potential” values from  
18 the screening Step 1 analysis in the base case. This comparison allows one to  
19 roughly gauge the impact that the assumption change has for a one-step-only  
20 screening of DSM cost-effectiveness.

21  
22 It is important to note that the results of these one-step-only screening  
23 analyses of the sensitivity cases played no role in the full base case analyses

1 that are presented in the subsequent sections of my testimony. As previously  
2 mentioned, the sole intent of these sensitivity cases was to respond to Staff's  
3 inquiry regarding what impact various assumptions may have on DSM cost-  
4 effectiveness.

5 **Q. What were the results of these sensitivity case analyses?**

6 A. The results of these sensitivity case analyses are presented in Exhibit SRS-5  
7 with the E-RIM test results presented first, followed by the E-TRC test results.  
8 Both sets of results begin by listing the number of expanded DSM measures  
9 that passed a comparable analysis using all base case assumptions, plus the  
10 projected total MW and GWh reduction potential values for these passing  
11 measures. Then the resulting number of measures, MW reduction potential,  
12 and GWh reduction potential for each of the five sensitivity cases are shown.

13  
14 *These results are presented in Columns (1), (2), and (3), respectively, of*  
15 *Exhibit SRS-5. Then the changes in the number of passing measures, MW*  
16 *reduction potential, and GWh reduction potential for each sensitivity case*  
17 *compared to the base case are presented in terms of the percentage increases*  
18 *or decreases. These results are presented in Columns (4), (5), and (6).*

19  
20 Based on the results of these sensitivity analyses (that include only a subset of  
21 the total DSM-related costs), I offer the following observations:

- 22 - The overall results of the sensitivity cases show that changing to  
23 these assumptions would decrease the "economic potential" DSM

1 value for FPL much more than it would increase that value.  
2 Consequently, one could contend that the assumptions used in  
3 FPL's base case analyses are, if anything, biased towards more  
4 DSM rather than less. However, FPL believes that it is simply  
5 using the best assumptions available for its DSM Goals work.

6 - The E-RIM results are more impacted by the sensitivity case  
7 assumptions than are the E-TRC results. This is due to the fact that  
8 the E-RIM test, because it includes all DSM-related costs while the  
9 E-TRC test does not, generally has a lower benefit-to-cost ratio for  
10 a given DSM measure than does the E-TRC test. Therefore, any  
11 change in assumption is more likely to "move" a DSM measure  
12 that passes the E-RIM test from cost-effective to non-cost-  
13 effective, and vice versa, than is the case with a DSM measure that  
14 only "passes" the E-TRC test.

15 - The projected capital costs of the avoided generating unit in  
16 Sensitivity Cases 1 and 2 have a minimal impact on these results.

17 - The high fuel plus high CO<sub>2</sub> assumptions in Sensitivity Case 3  
18 have a moderate impact on the results and affect potential GWh  
19 savings more than MW savings.

20 - The low fuel plus low CO<sub>2</sub> assumptions in Sensitivity Case 4 have  
21 a more pronounced impact on the results –and in the negative  
22 direction – they lower the DSM potential, than did Sensitivity Case  
23 3.

1 - Finally, the assumption of no CO<sub>2</sub> costs in Sensitivity Case 5 had a  
2 very large negative impact on the E-RIM results, but a much  
3 smaller negative impact on the E-TRC results. (This helps point  
4 out what a significant change the incorporation of environmental  
5 compliance costs into the previous version of the RIM and TRC  
6 tests to produce the E-RIM and E-TRC tests were. In addition,  
7 these results again point out that the E-TRC test, because it does  
8 not account for all DSM-related costs, typically results –  
9 erroneously –in much larger benefit-to-cost ratios than does the E-  
10 RIM test. Therefore, even the loss of the CO<sub>2</sub> compliance costs  
11 does not appreciably affect the results from this sensitivity case.)  
12

13 **VII. THE DEVELOPMENT OF THE DSM PORTFOLIOS AND THE DSM-  
14 BASED RESOURCE PLANS**

15  
16 **Q. Once FPL had received the projected achievable potential values for each  
17 measure, how were these projections then utilized to develop the four  
18 DSM portfolios?**

19 **A.** After the achievable potential work was completed, FPL had two lists (one for  
20 E-RIM and one for E-TRC) of DSM measures that included three achievable  
21 potential projections of DSM measures, MW reductions, and GWh reductions.

1 The development of three achievable potential projections was agreed to in  
2 the collaborative effort. These three achievable potential projections were  
3 based on three different levels of incentives for each measure: (i) the  
4 maximum incentive level for each measure that did not violate the two-year  
5 payback criterion; (ii) the lower of this two-year payback maximum incentive  
6 level or 33% of the participant's cost for the measure; and (iii) the lower of  
7 the two-year payback maximum incentive level or 50% of the participant's  
8 cost for the measure. FPL witness Haney's testimony discusses how these  
9 three incentive levels were selected as part of the collaborative effort.

10  
11 For purposes of its economic and non-economic analyses, FPL chose to focus  
12 on the first achievable potential projection; i.e., the projection based on the  
13 maximum incentive level that did not violate the two-year payback criterion.  
14 The use of this projection is consistent with FPL's prior DSM analyses and  
15 results in the largest achievable potential of the three projections.

16  
17 The E-RIM and E-TRC lists of DSM measures and their corresponding  
18 achievable potential values were then applied to solve the same question: how  
19 much DSM should be included in a DSM portfolio that addressed at least  
20 FPL's projected annual resource needs to meet those needs at the lowest  
21 present value DSM costs associated with the cost-effectiveness test in  
22 question.

1 Four DSM portfolios were then developed: two portfolios were based on the  
2 E-RIM list of DSM measures, and two were based on the E-TRC list of DSM  
3 measures. Two portfolios, one for E-RIM and one-for E-TRC, were designed  
4 to utilize at least 664 MW of incremental DSM by 2019 (which will allow  
5 FPL to fully meet all of its projected resource needs through 2019), and to do  
6 so with the lowest present value costs that are applicable to each of the cost-  
7 effectiveness tests.

8  
9 The resulting E-RIM portfolio utilized 664 MW and the E-TRC portfolio  
10 utilized 1,093 MW. More MW were utilized in the E-TRC portfolio because  
11 the costs applicable to the E-TRC test were lowered to the maximum extent  
12 possible by utilizing more than the 664 MW required to meet FPL's resource  
13 needs. These two portfolios are labeled the E-RIM 664 MW portfolio and the  
14 E-TRC 664/1,093 portfolio.

15  
16 The other two portfolios simply utilized all of the projected achievable  
17 potential DSM. This resulted in 949 MW of incremental DSM by 2019 for the  
18 E-RIM based portfolio and 1,153 MW of incremental DSM by 2019 for the E-  
19 TRC based portfolio. These two portfolios are labeled the E-RIM 949 MW  
20 portfolio and the E-TRC 1,153 MW portfolio. The rationale for the latter two  
21 portfolios was that although the first two portfolios described above would  
22 allow FPL to fully meet all of its resource needs through at least 2019, FPL  
23 wanted to analyze whether the highest projected level of potentially cost-

1 effective DSM might be even more cost-effective by deferring generation  
2 additions after 2019 and/or further delaying the return to active service of the  
3 units that will be placed temporarily on Inactive Reserve status.

4 **Q. How did FPL perform the analyses with which these four DSM portfolios**  
5 **were developed?**

6 A. These analyses were performed using linear programming (LP) analysis  
7 techniques. In LP analyses, many potential solutions – in this case, different  
8 potential DSM portfolios - are examined by the LP model until one solution is  
9 selected that alone accomplishes the “objective function” after meeting all  
10 necessary constraints for a solution.

11  
12 In these LP analyses, the objective function was to minimize the present value  
13 of the net DSM-related costs of a DSM portfolio that are applicable to the  
14 specific cost-effectiveness test in question, E-RIM or E-TRC. The DSM-  
15 related net costs are derived by first calculating all of the DSM costs that are  
16 applicable to the specific cost-effectiveness test in question, then subtracting  
17 out certain system costs that will be avoided by DSM but which may vary  
18 from the analysis of one DSM measure to another. These system avoided  
19 costs represent a subset of the benefits projected for a DSM measure and  
20 include: emission and fuel costs avoided by the kWh reduction aspect of a  
21 DSM measure, and transmission capital and O&M fixed costs that are avoided  
22 by the kW reduction aspect of a DSM measure. The LP’s solution is the DSM  
23 portfolio that results in the lowest present value of these net costs.



1 There were three types of constraints utilized in the LP analyses. First, the  
2 DSM portfolio must at least meet FPL's projected annual resource needs: 664  
3 MW by the end of 2019. Second, the different DSM measures must meet a set  
4 of DSM practical constraints relating to DSM implementation. Third, the total  
5 amount of additional load control must be limited to the amount of load  
6 control that is usable by the utility from a load shape perspective.

7 **Q. Why are the first two types of constraints needed?**

8 A. The first type of constraint, at least meeting projected annual resource needs,  
9 ensures that the DSM portfolio will enable the FPL system to meet its reserve  
10 margin reliability criterion and provide reliable electric service for its  
11 customers. The second type of constraint ensures that the DSM portfolio is  
12 practical to implement. FPL witness Haney's testimony addresses this second  
13 type of constraint.

14 **Q. Why is the third type of constraint needed?**

15 A. The third type of constraint is needed to ensure that the amount of incremental  
16 load control that is signed up is actually usable on the FPL system on Summer  
17 peak days. FPL has utilized this constraint in its DSM analyses, and in its  
18 DSM Goals filings, for many years.

19  
20 FPL's analyses of the amount of incremental load control from 2010 through  
21 2019 that would be usable on its system showed that value was approximately  
22 350 MW. However, the projection of the achievable potential for load control  
23 was 304 MW. Therefore, the projection of the achievable potential amount of

1 incremental load control became the limiting factor in regard to incremental  
2 load control by 2019.

3 **Q. FPL then utilized the four DSM portfolios discussed earlier to develop**  
4 **four DSM-based resource plans. Why is it appropriate to develop multi-**  
5 **year resource plans for the analysis of DSM options?**

6 A. It is not only appropriate to do this, but also necessary if one is to capture and  
7 fairly compare all of the impacts that competing resource options with  
8 different capacity amounts, terms-of-service, heat rates, types of fuel, MW  
9 and GWh reduction impacts, and costs will have on FPL's system.

10  
11 For example, assume we are comparing two Supply options, Option A and  
12 Option B, that both offer the same amount of capacity. Option A has a heat  
13 rate of 7,000 BTU/kWh and is offered to FPL for 15 years. Option B has an  
14 8,000 BTU/kWh heat rate and is offered for 20 years. Evaluating these  
15 options from a resource plan perspective allows one to capture the economic  
16 impacts of both the heat rate and term-of-service differences. The lower heat  
17 rate of Option A will allow it to be dispatched more than Option B, thus  
18 reducing the run time of FPL's existing units more than will Option B. This  
19 results in greater production cost savings for Option A. However, Option B's  
20 longer term-of-service means that it defers the need for future generation for a  
21 longer period. Therefore, Option B will provide capacity avoidance benefits  
22 for more years.

1 Only by taking a multi-year resource plan approach to the evaluation can  
2 factors such as these for competing Supply options be captured and effectively  
3 compared. In the case of DSM options, there are similar somewhat  
4 contradicting impacts upon the utility system. For example, the GWh  
5 reduction effect of DSM lowers the amount of energy that must be served, but  
6 the MW reduction effect of DSM is designed to defer/avoid the addition of  
7 new generating units that, if added, may significantly improve the fuel  
8 efficiency of the utility system. Consequently, one aspect of DSM (GWh  
9 reduction) can decrease system fuel usage, but the other aspect of DSM (MW  
10 reduction) will avoid the addition of fuel-efficient new units that would have  
11 also lowered system fuel usage if the DSM options had not been implemented,  
12 thus increasing system fuel usage.

13  
14 Once again, only by taking a multi-year resource plan approach to the  
15 evaluation can these contradicting impacts of DSM upon the utility system be  
16 properly captured and compared.

17 **Q. Why are “filler” units needed in a multi-year resource plan evaluation?**

18 **A.** The “filler” units are needed in a multi-year resource plan analysis to ensure  
19 that FPL’s capacity needs are met for 2021–2043 (i.e., after the new nuclear  
20 Turkey Point Units 6 & 7 are added, respectively, in 2018 and 2020, and the  
21 2010 through 2019 DSM portfolios have been added.) In this way the  
22 resource plans being compared all meet FPL’s reliability criteria for each year

1 in the analysis period, ensuring both that the resource plans are comparable  
2 and that the comparative results of the evaluation are meaningful.

3 **Q. Please discuss how these resource plans were developed and describe the**  
4 **resulting resource plans.**

5 A. Using the projection of FPL's resource needs that were presented in Exhibit  
6 SRS-1, and the four DSM portfolios previously discussed, four DSM-based  
7 resource plans were created. Using each of the four DSM portfolios, the MW  
8 reductions for that DSM portfolio were first applied to Exhibit SRS-1,  
9 resulting in a new projection of remaining resource needs. FPL then added  
10 new generating units (each a 553 MW CC unit) as needed to meet these  
11 remaining resource needs in all years. In addition, the return-to-active service  
12 date of the FPL units about to be temporarily placed on Inactive Reserve  
13 status also varied according to reserve margin levels.

14  
15 The resulting four DSM-based resource plans are similar to the Supply Only  
16 plan except that the incremental DSM altered three aspects of the Supply Only  
17 plan: the 160 MW five-month purchase has been removed, the return-to-  
18 service dates for FPL's units that will be temporarily placed on Inactive  
19 Reserve status change, and the timing and number of filler units added after  
20 2020 change. These four DSM-based resource plans, and the previously  
21 developed Supply Only resource plan were then evaluated from both an  
22 economic perspective and a non-economic perspective.

**VIII. THE RESULTS OF THE ECONOMIC ANALYSES**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

**Q. What fuel cost and environmental compliance cost forecasts were used in the economic analysis?**

A. In the economic analysis, FPL used the same fuel cost and environmental compliance cost forecasts used in developing FPL's January 2009 load forecast and which are being used in FPL's current nuclear cost recovery filing. These fuel cost and environmental compliance cost forecasts represent medium-level natural gas costs and medium-level CO<sub>2</sub> compliance costs. Selected fuel cost forecast values are presented in Exhibit SRS-6 and the environmental compliance cost projections are presented in Exhibit SRS-7.

**Q. Were these fuel cost and environmental compliance cost projections used in all of the economic analyses conducted for this filing?**

A. Yes. With the sole exception of the five sensitivity cases requested by Staff, these fuel cost and environmental compliance cost projections were used in the cost-effectiveness screening analyses of individual DSM measures, the development of the DSM portfolios, and in the economic analyses of the resource plans.

**Q. What were the results of the economic analysis of the resource plans?**

A. The results of the economic analyses of the resource plans are presented in Exhibit SRS-8. As previously discussed, the projected levelized system average electric rate for each resource plan is developed and compared.

1 In addition to these levelized electric rate results of the economic analyses,  
2 Exhibit SRS-8 also states whether each resource plan will result in one group  
3 of customers subsidizing other groups of customers in regard to the resource  
4 plan's effect on electric rates – a very important consideration. This impact is  
5 referred to as cross-subsidization of different groups of customers.

6 **Q. Would you please discuss the results presented in Exhibit SRS-8?**

7 A. Yes. The five resource plans are first presented in order of their projected  
8 levelized system average electric rate. The resource plan with the lowest  
9 projected levelized system average rate is the E-RIM 664 MW plan. The  
10 Supply Only plan is projected to have the next lowest levelized rate. The  
11 remaining three DSM-based plans have higher projected levelized system  
12 average electric rates than the Supply Only plan. The two E-TRC-based plans  
13 are projected to have the highest levelized rates by a substantial margin.

14  
15 The exhibit also indicates whether each resource plan will avoid or minimize  
16 the cross-subsidization of one customer group by another. In the absence of a  
17 DSM-based resource plan, the Supply Only plan would do so. However, the  
18 E-RIM 664 MW plan has an even lower levelized rate and will also avoid or  
19 minimize cross-subsidization of customers. The other three DSM-based plans  
20 are projected to result in higher levelized rates than either the E-RIM 664 MW  
21 or Supply Only plan. Therefore, these plans will not avoid or minimize cross-  
22 subsidization of customers. I will return to the issue of cross-subsidization  
23 later in my testimony.

1       **Q.    Were the five resource plans evaluated on the basis of the total costs of**  
2       **the plans?**

3       **A.    No, because an evaluation of system costs alone would be meaningless when**  
4       **analyzing DSM options versus Supply options.**

5  
6       As discussed previously in Section I of my testimony, it is appropriate to  
7       conduct analyses of competing Supply options on a total cost basis (such as  
8       cumulative present value of revenue requirements) because in such a case a  
9       total cost analysis equates to a rate analysis. This is because the number of  
10      kWh over which the system costs are recovered does not change. Therefore,  
11      the lowest cost plan will also be the lowest plan in terms of levelized system  
12      average electric rates.

13  
14      However, when evaluating DSM options versus Supply options, the number  
15      of kWh over which the system costs are recovered does change with the DSM  
16      options. Therefore, an evaluation of only total system costs in such a  
17      comparison of Supply versus DSM options cannot tell one which option  
18      results in the lowest rates. One needs to account for the number of kWh that  
19      the system costs will be recovered over in order to determine the option that  
20      results in the lowest electric rates. FPL has used exactly this approach in its  
21      calculation of levelized system average electric rates.

1       **Q.    How is the levelized system average electric rate for a resource plan**  
2       **calculated?**

3       A.    Exhibit SRS-9 presents the calculation of the levelized system average electric  
4       rate for one of the resource plans, the E-RIM 664 MW resource plan. The  
5       calculation consists of three basic steps. First, the projected annual revenue  
6       requirements and annual kWh served are used to calculate a projected system  
7       average electric rate for each year. Second, each of these projected annual  
8       electric rates is present valued and these present values are summed. Third, an  
9       annual electric rate value is developed that, when held constant in each year,  
10      with these values present valued and summed, has an identical present value  
11      sum to that of the present value sum in the second step. This constant electric  
12      rate value is the levelized system average electric rate for this resource plan. A  
13      levelized system average electric rate for each of the other four resource plans  
14      is calculated in the same manner.

15      **Q.    Are the differences in the levelized system average electric rates between**  
16      **the five resource plans presented in Exhibit SRS-8 meaningful?**

17      A.    Yes. Because a levelized system average electric rate perspective is not  
18      typically used in analyses of Supply options (because a comparison of system  
19      costs in Supply Option-only evaluation equates to a rate comparison as  
20      previously discussed), the significance of the differentials in these levelized  
21      rates may not be readily apparent.



1 A cursory glance at these levelized system average electric rates appears to  
2 show relatively little differences between the values. However, after one  
3 considers that these rates will be applicable to energy usage of more than  
4 100,000 GWh per year over a 34-year period, the differences shown in Exhibit  
5 SRS-8 take on more significance.

6  
7 The significance of these differences is perhaps most readily seen by  
8 determining the amount of additional cost that would need to be incurred to  
9 raise the levelized system average electric rate of 14.7183 cents/kWh for the  
10 E-RIM 664 MW plan to the levelized rate for another plan. For example, let's  
11 take the E-TRC-based plan with the lowest levelized system average rate of  
12 the two E-TRC-based plans, the E-TRC 664/1,093 plan's rate of 14.7779  
13 cents/kWh.

14  
15 In terms of a one-time additional cost, the E-RIM 664 MW plan would have  
16 to incur an additional cost of approximately \$830,000,000 in 2010, or of  
17 approximately \$2,180,000,000 in 2019, in order to raise its levelized system  
18 average rate to match that of the E-TRC 664/1,093 plan.

19  
20 As evidenced by this example, the levelized system average electric rate  
21 differences are meaningful, and the E-RIM 664 MW plan's advantage is  
22 significant.

1       **Q. For this docket, the FPSC Staff requested that a projection of customer**  
2       **bills be made assuming a usage of 1,200 kWh. What were the results of**  
3       **this projection?**

4       **A. Exhibit SRS-10 presents the projected annual electric rates and the projected**  
5       **bills corresponding to a usage of 1,200 kWh for the time period of 2010**  
6       **through 2019. Also included in this exhibit is the projection of the**  
7       **differentials in the customer bills between each DSM-based resource plan and**  
8       **the Supply Only plan. The results of these projections can be summarized as**  
9       **follows:**

- 10  
11               - Higher customer bills are projected for each year from 2010  
12               through 2018 for each of the four DSM-based resource plans  
13               compared to the Supply Only plan which is projected to have the  
14               lowest customer bills for this time period.
- 15               - During 2010-2018, the E-RIM 664 MW plan results in the lowest  
16               bills of the four DSM-based plans. The E-RIM 949 MW plan  
17               provides the next lowest bills. The two E-TRC-based plans result  
18               in the highest bills.
- 19               - In 2019, when the new CC unit being added in the Supply Only  
20               plan comes in-service, the bill differentials for all of the DSM-  
21               based plans compared to the Supply Only plan are substantially  
22               lowered. However, only the two E-RIM plans are projected to have  
23               lower bills than the Supply Only plan with the E-RIM 664 MW

1 plan projected to provide the lowest bill. The E-TRC-based plans  
2 are projected to continue to result in higher bills than with the  
3 Supply Only plan.

4  
5 These results are expected. DSM typically puts upward pressure on rates, and  
6 bills, in the years prior to avoiding the generating unit the DSM is “aimed at”.  
7 This is typically seen in cost-effectiveness analyses of individual DSM  
8 measures. Also expected is that this near-term impact of placing upward  
9 pressure on rates and bills is minimized by the E-RIM test. Conversely, the E-  
10 TRC test does not allow the consideration of impacts on electric rates and,  
11 because this test does not include all relevant DSM-related costs for a DSM  
12 measure, the use of this test typically results in higher electric rates.

13 **Q. Returning to Exhibit SRS-8, this exhibit presents information regarding**  
14 **which of the five resource plans will avoid/minimize the potential for**  
15 **cross-subsidization of one customer group by another. Would you please**  
16 **explain what is meant by this?**

17 A. Yes. When a resource option, Supply or DSM, is selected, it will have an  
18 impact on FPL’s electric rates that apply to all customers and on the bills all  
19 customers will pay. The basic concept is whether the impact of the resource  
20 selection on electric rates and bills will result in one group of customers  
21 subsidizing other customers. Stated another way, does the resource selection  
22 create two groups of customers: one group of “winners” and one group of  
23 “losers” from the resource selection.

1 For example, consider the case when FPL evaluates only Supply options.  
2 Because all customers on FPL's system are served by the Supply option if that  
3 option is chosen, all customers are "participants" in the selected Supply  
4 option. All customers' rates and bills move in the same "direction"; either up  
5 or down from year to year compared to another Supply option that could be  
6 selected. Therefore, there is no subsidization of one group of customers by  
7 another group.

8  
9 However, the same is not true for DSM options. With DSM options,  
10 customers have a choice to participate or not participate in DSM options for  
11 which they are eligible. Furthermore, customers cannot participate in DSM  
12 options they are ineligible for or in measures which they may have already  
13 installed. This leads to an additional, and important, consideration of how  
14 different groups of customers, participants and non-participants, are impacted  
15 when DSM options are selected. If the utility selects to offer a DSM option  
16 that places upward pressure on electric rates, the result will be the formation  
17 of two groups of customers: one group of "losers" who do not, or cannot,  
18 participate in the DSM option and face higher rates and bills, and one group of  
19 "winners" who can and do, participate in the DSM option and, through  
20 reduced usage, reduce their bills.

21  
22 This outcome is undesirable because one group of customers (the non-  
23 participants) subsidizes the other group of customers (the participants)

1 through higher electric rates caused by the imposition of the DSM option; i.e.,  
2 cross-subsidization of one customer group by another. Avoiding this  
3 undesirable outcome is accomplished by accounting for the effect on electric  
4 rates when selecting DSM options. Therefore, the choice of which DSM cost-  
5 effectiveness test is used to select DSM programs is crucial.

6  
7 When using an E-RIM cost-effectiveness test, only those DSM options that  
8 are not projected to increase system electric rates over the life of the analysis  
9 period above what the electric rates would be if the competing Supply option  
10 had been chosen are selected. This means that all customers, participants and  
11 non-participants alike, are at least as well off in regard to electric rates and  
12 bills over this period than if the Supply option had been chosen. Non-  
13 participants will be no worse off because their rates, and therefore their bills,  
14 will be no higher than if the competing Supply option had been chosen.  
15 Participants will be better off due to reduced usage lowering their bills.

16  
17 Therefore, when selecting DSM options using the E-RIM test, cross-  
18 subsidization of customers is avoided or minimized. This is shown in Exhibit  
19 SRS-8 by the fact that the projected levelized system average rate for the E-  
20 RIM 664 MW plan is the lowest of any of the five plans. Furthermore, the E-  
21 RIM 949 MW plan has lower projected levelized rates than does either of the  
22 E-TRC-based plans.

1 Thus, the use of the E-RIM test is clearly the best cost-effectiveness test to use  
2 in regard to the objective of avoiding or minimizing cross-subsidization of  
3 customer groups, and the E-RIM 664 MW plan is the best plan in regard to  
4 avoiding or minimizing cross-subsidization of customer groups.

5 **Q. Is it possible for a utility to avoid having any “losers” and avoiding the**  
6 **cross-subsidization problem by simply offering enough DSM options so**  
7 **that all customers will participate in a DSM program?**

8 A. No. Although this sounds nice in theory, it is simply not possible for at least  
9 two reasons. First, DSM options are voluntary and customers cannot (and  
10 should not) be forced to participate in these options.

11  
12 Second, a large electric utility like FPL serves a wide diversity of customers  
13 and customer groups. FPL serves large numbers of residential, small business,  
14 and large commercial and industrial customers. An even greater diversity of  
15 individual customers exists, including low-income, fixed income, middle  
16 class, and wealthy customers. In addition, these customers live in many types  
17 of homes, including single-family detached homes, single-family attached  
18 homes, multi-unit homes, and manufactured homes. Some of these customers  
19 live in the area year-round, while others live in FPL’s service territory only  
20 part-time.

21  
22 These, and other, diverse aspects of FPL’s customers result in FPL offering  
23 many different DSM options in order to reach as many customers as possible.

1 As a consequence, not all DSM programs are attractive and/or appropriate for  
2 all customers. A few examples of this include:

- 3
- 4 - A business customer will not be eligible for any residential DSM  
5 program (and vice versa);
  - 6 - A low-income or fixed income residential customer may not be  
7 eligible for, or interested in, a DSM program that focuses on  
8 expensive equipment such as very high efficiency air conditioners,  
9 renewable energy equipment, or swimming pool pump controls,  
10 etc.;
  - 11 - Conversely, a more affluent customer may not be eligible for a  
12 program designed to address the energy use of low-income or fixed  
13 income customers;
  - 14 - Customers with special medical needs may not be interested in  
15 DSM programs in which the utility has direct control of customer  
16 appliances or equipment; and,
  - 17 - Customers who have already installed a number of energy efficient  
18 devices in their home or business may simply not be interested in,  
19 or helped by, additional DSM options.
- 20

21 These examples serve to point out that no matter how many DSM options a  
22 utility offers, there will always be customers who either cannot, or who  
23 choose not to, participate in a number of specific DSM options. Each such

1 DSM option that is offered that does not pass the E-RIM test automatically  
2 creates new classes of winner and losers with one class subsidizing the other.

3  
4 Therefore, although it may at first appear to some that one could address a  
5 cross-subsidization problem caused by the introduction of a DSM program  
6 that failed the E-RIM test by introducing other DSM programs that also failed  
7 the E-RIM test, such an approach is not feasible. As was pointed out in the  
8 discussion above, participation in DSM programs is voluntary and DSM  
9 programs typically have eligibility requirements (such as programs addressing  
10 specific rate classes). Therefore, attempting to remedy a cross-subsidization  
11 problem by adding even more of these DSM programs that result in cross-  
12 subsidization cannot succeed. Instead of solving the original cross-  
13 subsidization problem, the result will be a cascading series of cross-  
14 subsidizations that aggravates the original problem.

15  
16 I believe that this outcome will occur in any electric utility that would try to  
17 take this approach. However, the possibility of such an approach is of  
18 particular concern in Florida. This state has a large number of residents living  
19 on fixed- or low-incomes that will not be able to participate in a variety of  
20 DSM options. This ineligibility, coupled with their limited income, makes it  
21 even more important to avoid having these more vulnerable customers  
22 subsidizing other customers who could participate in DSM options that would



1 raise electric rates higher than the rates would be if the Supply option had  
2 been chosen.

3  
4 In summary, an approach of trying to address a problem of cross-subsidization  
5 resulting from one program by offering even more such DSM options only  
6 complicates the problem and makes it bigger. Furthermore, due to Florida's  
7 large numbers of low- and fixed-income residents; this incorrect approach is  
8 especially troubling because of the increased financial strain this would place  
9 on these more vulnerable residents. This issue may become even more  
10 important in years in which the economy is "down".

11 **Q. How would you summarize the economic analyses results?**

12 A. There are two results from the economic analyses that stand out. First, the E-  
13 RIM 664 MW plan meets FPL's resource needs through 2021 while providing  
14 the lowest levelized system average electric rates over the analysis period and  
15 the lowest rates of any of the four DSM-based resource plans for 2010- 2019.  
16 Second, the E-RIM 664 MW plan meets FPL's resource needs while best  
17 avoiding or minimizing cross-subsidization of one customer group by another.  
18 These two factors combine to make the E-RIM 664 MW plan the best  
19 resource plan from an economic perspective.

1           **IX. THE RESULTS OF THE NON-ECONOMIC ANALYSIS**

2  
3           **Q. What different perspectives of the FPL system were considered in the**  
4           **non-economic analysis?**

5           A. The non-economic analysis focused on two perspectives in regard to the five  
6           resource plans. The first perspective is a direct comparison of projected  
7           system SO<sub>2</sub>, NO<sub>x</sub>, and CO<sub>2</sub> emissions for the FPL system for each of the  
8           resource plans. The second perspective is a direct comparison of projected  
9           system oil and natural gas usage for the resource plans.

10          **Q. What were the results of the Non-Economic Analysis from the first**  
11          **perspective, a comparison of system emissions for the resource plans?**

12          A. A comparison of projected system SO<sub>2</sub>, NO<sub>x</sub>, and CO<sub>2</sub> emissions for each  
13          resource plan is presented in Exhibit SRS-11.

14  
15                In regard to projected annual SO<sub>2</sub> and NO<sub>x</sub> usage, the results can be  
16                summarized as follows:

- 17                       - For the years 2010 through 2018, all of the DSM-based plans are  
18                       projected to have lower system emissions than the Supply Only  
19                       plan. The E-TRC-based plans, due to their greater energy  
20                       reduction, result in lower projected system emissions usage than  
21                       the E-RIM-based plans.
- 22                       - However, in 2019, the introduction of the 2019 CC unit in the  
23                       Supply Only plan flips these results as this new CC unit enables

1 the Supply Only plan to have the lowest projected system  
2 emissions of any plan. The reason for this is that the highly  
3 efficient CC unit, which has very low SO<sub>2</sub> and NO<sub>x</sub> emission rates  
4 compared to most units on FPL's system and which will operate at  
5 a high capacity factor, lowers system emissions more than the  
6 combined effect of ten years of incremental DSM that "operates"  
7 on FPL's system for many fewer hours per year than does the CC  
8 unit. The relative positions of the four DSM-based plans remain  
9 unchanged.

- 10 - Then, in 2021, the results flip again as the E-RIM 664 MW plan  
11 emerges as having the lowest projected system emissions of the  
12 four DSM-based plans. The reason for this is that in 2021, two 2x1  
13 CC filler units are added in the E-RIM 664 MW plan while only  
14 one 2x1 CC filler unit is added in each of the other three DSM-  
15 based plans. This is due to the lower MW reduction (664 MW)  
16 associated with this plan compared to the other three DSM-based  
17 plans.

18  
19 These results for projected system SO<sub>2</sub> and NO<sub>x</sub> emissions demonstrate two  
20 things. First, they show that in regard to these system emissions for FPL's  
21 system, the answer as to which of the five resource plans is the best in  
22 emission reduction may vary greatly from one year to the next. Second, it  
23 points out that both MW and GWh reduction values due to DSM play a

1 significant role in determining the answer to the question of “which resource  
2 plan results in lowering these system emissions the most on FPL’s system?”  
3 Furthermore, the roles that DSMs MW and GWh reduction play are  
4 contradictory. The GWh reductions reduce these system emissions while the  
5 MW reductions will increase these system emissions by avoiding a highly  
6 efficient new generating unit with low emission rates that would have  
7 operated at high capacity factors.

8 **Q. Are the results for projected system CO<sub>2</sub> emissions similar?**

9 A. No. In regard to projected CO<sub>2</sub> emissions, the four DSM-based resource plans  
10 will result in lower system emissions than the Supply Only plan for all years  
11 addressed in the exhibit. The E-TRC-based plans result in lower projected  
12 system emissions than the E-RIM-based plans.

13 **Q. What were the results of the Non-Economic Analysis from the second  
14 perspective, a comparison of projected FPL system usage of oil and  
15 natural gas for the resource plans?**

16 A. Exhibit SRS-12 presents the results of this comparison in terms of projected  
17 annual system use of oil and natural gas for each of the five resource plans in  
18 terms of millions of mMBTU of oil and natural gas.

19  
20 In regard to projected annual oil usage, the results are similar to the results for  
21 system SO<sub>2</sub> and NO<sub>x</sub> emissions. The oil usage results can be summarized as  
22 follows:

- 1 - For the years 2010 through 2018, all of the DSM-based plans are  
2 projected to have lower system oil usage than the Supply Only  
3 plan. The E-TRC-based plans, due to their greater energy  
4 reduction, result in lower projected system oil usage than the E-  
5 RIM-based plans.
- 6 - However, in 2019, the introduction of the 2019 CC unit in the  
7 Supply Only plan flips these results as this new CC unit enables  
8 the Supply Only plan to have the lowest projected system oil usage  
9 of any plan. The reason for this is that the highly efficient CC unit,  
10 operating at a high capacity factor, lowers oil usage more than the  
11 combined effect of ten years of incremental DSM that “operates”  
12 on FPL’s system for many fewer hours per year than does the CC  
13 unit. The relative positions of the four DSM-based plans remain  
14 unchanged.
- 15 - Then, in 2021, the results flip again as the E-RIM 664 MW plan  
16 emerges as the lowest of the four DSM-based plans. The reason for  
17 this is that in 2021, two 2x1 CC filler units are added in the E-RIM  
18 664 MW plan while only one 2x1 CC filler unit is added in each of  
19 the other three DSM-based plans. This is due to the lower MW  
20 reduction (664 MW) associated with this plan compared to the  
21 other three DSM-based plans.

1 These results demonstrate two things. First, they show that in regard to system  
2 oil usage on FPL's system, the answer as to which of the five resource plans is  
3 the best in reducing oil usage may vary greatly from one year to the next.  
4 Second, it points out that both MW and GWh reduction values due to DSM  
5 play a role in determining the answer to the question of "which resource plan  
6 results in lower system oil usage on FPL's system?" Furthermore, the roles  
7 that DSM's MW and GWh reduction play are contradictory. The GWh  
8 reductions reduce system oil usage while the MW reductions will increase  
9 system oil usage once a highly efficient non-oil burning new unit is avoided.

10 **Q. Are the results for system natural gas usage similar?**

11 A. No. The natural gas results are different primarily because the 2019 CC unit  
12 added in the Supply Only plan, and the 2x1 CC units being added in all five  
13 plans, are gas-burning units. In regard to projected natural gas usage, the four  
14 DSM-based resource plans will result in lower system gas usage than the  
15 Supply Only plan for all years addressed in the exhibit. The E-TRC-based  
16 plans result in lower projected natural gas usage than the E-RIM-based plans.  
17 (However, even after accounting for this fact in the economic analyses, the E-  
18 TRC-based plans are projected to result in the highest levelized system  
19 average rates.)

20 **Q. How would you summarize the results of the non-economic analyses?**

21 A. I'd summarize these results in two points. First, the results are truly a mixed  
22 bag. The E-TRC plans are projected to result in lower natural gas usage and  
23 CO<sub>2</sub> emissions for FPL's system. However, at least four of the plans – E-RIM

1 664 MW, Supply Only, E-TRC 1,153 MW, and E-TRC 664/1,093 MW – are  
2 projected to result in the lowest system oil usage, SO<sub>2</sub>, and NO<sub>x</sub> emissions for  
3 at least one year. In my opinion, no one plan emerges as the clear winner in  
4 the non-economic analyses.

5  
6 Second, and perhaps most important, the economic impacts of the projected  
7 fuel usage and emissions for each of the five resource plans have already been  
8 accounted for in the economic analyses discussed previously. FPL has long  
9 accounted for system fuel usage costs in its DSM analyses. With FPL's  
10 enhancement of the previous RIM and TRC tests to now account for the  
11 environmental compliance costs for system emissions with the E-RIM and E-  
12 TRC tests, the economic impacts of environmental compliance are accounted  
13 for in the same way as they are when Supply options are evaluated.

14  
15 Therefore, the fact that the results of the non-economic analyses are  
16 inconclusive is of little consequence, because the economic impacts of system  
17 fuel usage and emissions have been fully accounted for in the economic  
18 analysis.

**X. SUMMARY OF ANALYSIS RESULTS AND CONCLUSIONS**

**Q. Would you please summarize the results of the economic and non-economic analyses?**

A. Yes. In regard to the economic analyses, the E-RIM 664 MW plan emerged as the clear winner. It yielded the lowest levelized system average electric rates, and it best avoided or minimized cross-subsidization of one group of customers by another. Regarding the non-economic analyses, although no one plan emerged as the clear winner, all of the economic impacts of system fuel usage and emission have been fully accounted for in the economic analyses that identified the E-RIM 664 plan as the clear economic winner.

**Q. Based on these results, which DSM portfolio should be the basis for FPL's DSM Goals?**

A. For the reasons discussed above, FPL believes that the E-RIM 664 MW portfolio should be the basis for FPL's DSM Goals for the 2010 – 2019 time period. This DSM portfolio fully meets FPL's projected resource needs through 2019, results in the lowest average electric rates over the term of the analyses for all five plans, results in the lowest average rates and bills among the four DSM-based resource plans for the 2010 – 2019 time period, best avoids or minimizes cross-subsidization of one customer group by another, results in lower SO<sub>2</sub> and NO<sub>x</sub> system emissions and system oil usage than the Supply Only plan for most years, and results in the lowest system SO<sub>2</sub> and NO<sub>x</sub> emissions and system oil usage of any plan for at least one year.



1       **Q.     Returning to a topic previously discussed, when one combines FPL's**  
2       **proposed DSM Goals amount with the 895 MW of energy efficiency**  
3       **projected to result from the updated federal appliance efficiency and**  
4       **lighting standards, what total amount of energy efficiency/DSM are**  
5       **FPL's customers projected to receive in the 2010 – 2019 time frame?**

6       **A.     The resulting total demand and energy reduction from these federal standards**  
7       **and FPL's proposed DSM Goals is projected to be 1,559 MW at the generator**  
8       **(= 895 MW + 664 MW) over the next 10 years.**

9  
10       When you consider that the 895 MW projected to be delivered from the  
11       updated federal standards is in addition to the amount of demand reduction  
12       from federal standards that was captured in previous FPL load forecasts, it is  
13       evident that FPL's customers are projected to receive significantly more  
14       energy efficiency/DSM in the next ten years than they were projected to  
15       receive through FPL's current DSM Goals. That comparison would be the  
16       projected 1,559 MW at the generator for the next ten years versus FPL's  
17       current DSM Goals of 880 MW at the generator.

18       **Q.     Do you consider 664 MW to be an appropriate amount of DSM for FPL**  
19       **to propose as its DSM Goals for the next 10 years?**

20       **A.     Yes, for several reasons. First, the impacts of any updates in federal standards**  
21       **for appliance efficiency and lighting are two-fold. These federal standards will**  
22       **both lower the potential contribution from utility DSM programs and lower**  
23       **FPL's projected resource needs for any new resource including DSM.**

1           When one considers that the projected impact of the updated federal standards  
2           - 895 MW over the ten year period - is virtually identical to FPL's current  
3           DSM Goals amount of 880 MW, it is clear how large an impact the federal  
4           standards will have on FPL's resource needs and the potential for utility DSM  
5           efforts. Truly significant reductions in FPL projected resource needs and in  
6           the potential contribution from utility programs occur from these updated  
7           federal standards.

8  
9           Second, conditions and circumstances have changed regarding the outlook for  
10          future growth on FPL's system compared to conditions that existed when  
11          FPL's previous goals were set five years ago. In addition to the significant  
12          impact of the updated federal standards, the Florida economy is in a "down"  
13          period and the rate of customer growth on FPL's system has reduced  
14          considerably. These factors also serve to lower FPL's projected load growth  
15          and its need for additional resources, whether DSM or Supply. When setting  
16          new goals for DSM in such a time as this, one would logically expect lower  
17          goals to be set compared to goals that would have been set in times of much  
18          more robust load growth.

19  
20          Finally, FPL has long considered the fact that DSM programs can be ramped  
21          up or ramped down fairly quickly to be one of DSM strongest attributes. In  
22          fact, FPL has utilized this DSM attribute very recently. In the late Summer of  
23          2005, FPL experienced an unexpected peak load that resulted in FPL seeking

1 new resources that could be deployed quickly. FPL significantly ramped up a  
2 number of its existing DSM programs and successfully petitioned the  
3 Commission for approval to implement new programs. As a result, FPL was  
4 able to increase its DSM capability significantly as early as 2007.

5  
6 What FPL is facing now in regard to its projected lower load growth could be  
7 considered to be the “flip side” of what it experienced in the Summer of 2005.  
8 And, just as FPL ramped up its DSM efforts to meet a higher-than-projected  
9 resource need, it now proposes to ramp down its DSM efforts to a modest  
10 degree in response to a lower-than-previously-projected resource need. This  
11 adjustment to changing conditions is not only logical, but also an economical  
12 move for FPL’s customers. And, as it did in response to changed conditions in  
13 2005, FPL is both willing and able to ramp its DSM efforts up to meet  
14 increased resource needs in the future if this ramping up of DSM proves to be  
15 the most economical option for FPL’s customers.

16  
17 Therefore, a total of 664 MW of incremental DSM, as presented in the E-RIM  
18 664 MW portfolio, is an appropriate amount of DSM for FPL to propose as its  
19 DSM Goals for 2010 through 2019. This amount of DSM is based on FPL’s  
20 resource planning work and it is cost-effective for FPL’s customers. For these  
21 reasons, FPL requests FPSC approval for the E-RIM 664 MW portfolio as its  
22 DSM Goals.

1 Q. Does this conclude your testimony?

2 A. Yes.

**BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

In re: Commission review of numeric conservation goals (Florida Power & Light Company).	DOCKET NO. 080407-EG
In re: Commission review of numeric conservation goals (Progress Energy Florida, Inc.).	DOCKET NO. 080408-EG
In re: Commission review of numeric conservation goals (Tampa Electric Company).	DOCKET NO. 080409-EG
In re: Commission review of numeric conservation goals (Gulf Power Company).	DOCKET NO. 080410-EG
In re: Commission review of numeric conservation goals (Florida Public Utilities Company).	DOCKET NO. 080411-EG
In re: Commission review of numeric conservation goals (Orlando Utilities Commission).	DOCKET NO. 080412-EG
In re: Commission review of numeric conservation goals (JEA).	DOCKET NO. 080413-EG

Filed: August 10, 2009

**ERRATA SHEET**

**DIRECT TESTIMONY OF STEVEN R. SIM**

<u>PAGE #</u>	<u>LINE #</u>	<u>CORRECTION</u>
34	19	Change "s" to "is"
42	7	Change "four" to "five"
49	6	Change "305" to "309"
49	11	Change "928" to "941"
67	3	Delete the word "will"
75	13	Change "2021" to "2020"
78	3	Change "DSMs" to "DSM's"

DOCUMENT NUMBER-DATE

08202 AUG 10 8

FPSC-COMMISSION CLERK

<u>EXHIBIT #</u>	<u>LINE #</u>	<u>CORRECTION</u>
Exhibit SRS-4	Step 5	In E-TRC Test Screening column, Change: "5" to "1", change "305" to "309" (twice) and change "928" to "941"

### REBUTTAL TESTIMONY OF STEVEN R. SIM

<u>PAGE #</u>	<u>LINE #</u>	<u>CORRECTION</u>
29	17	Change "928" to "941"
29	20	Change "95%" to "94%"
33	23	Change "294" to "296"
34	1	Change "305" to "309"
69	1	Change "928" to "941"
69	3	Change "95.4%" to "94%"
78	3	Change "5 measures" to "1 measure"
78	5	Change "99%" to "99.8%" and "477" to "473"
78	14	Add "not" after "does"
88	4	Delete the word "saved"
89	12	Change "Is" to "Does"
98	6	Add "are" after "that"

Respectfully submitted this 10th day of August, 2009.

Charles A. Guyton  
 Squire, Sanders & Dempsey, LLP  
 215 South Monroe Street, Suite 601  
 Tallahassee, FL 32301  
 (850) 222-2300

Jessica A. Cano, Attorney  
 Florida Power & Light Company  
 700 Universe Boulevard  
 Juno Beach, FL 33408  
 (561) 304-5226

By: Jessica Cano  
 Jessica A. Cano  
 Fla. Bar No. 0037372

1 **BY MS. CANO:**

2 Q. Dr. Sim, have you prepared a summary of your  
3 prefiled direct testimony?

4 A. Yes.

5 Q. Would you please provide that to the  
6 Commission at this time?

7 A. I will.

8 Good morning, Chairman Carter and  
9 Commissioners. FPL's proposed DSM goals are based upon  
10 FPL's resource planning process as required by your DSM  
11 goals rule.

12 A projection of FPL's resource needs is the  
13 first step of the planning process, and FPL's projected  
14 resource needs for the years 2010 through 2019 will be  
15 fully met by 607 megawatts at the meter or 664 megawatts  
16 at the generator of incremental DSM. This projection of  
17 resource needs is in addition to 895 megawatts of  
18 incremental energy efficiency that FPL's customers are  
19 projected to receive through 2019 from updated federal  
20 appliance efficiency and lighting standards. These  
21 895 megawatts of energy efficiency have already been  
22 accounted for in FPL's load forecast.

23 The planning process had to address House Bill  
24 7135. House Bill 7135 lists four items for the  
25 Commission to consider regarding DSM cost-effectiveness

1 analysis. The most meaningful of these is a  
2 consideration of the cost of state and federal  
3 regulation of greenhouse gas emissions. Consequently,  
4 in this docket FPL did not use the original RIM and TRC  
5 Tests that had been used in prior DSM goals dockets.  
6 Instead, FPL used enhanced versions of these original  
7 tests to now account for system environmental compliance  
8 costs for SO<sub>2</sub>, NO<sub>x</sub>, and CO<sub>2</sub>. The enhanced tests are  
9 referred to as the E-RIM and E-TRC Tests.

10 The addition of environmental compliance costs  
11 generally results in higher projected DSM benefits, and  
12 therefore more DSM measures are now cost-effective than  
13 with the original RIM and TRC Tests.

14 A review of these enhanced tests and of the  
15 full language of House Bill 7135 shows that a  
16 combination of the E-RIM and Participant Tests  
17 incorporate all DSM-related costs and benefits that will  
18 be incurred by or received by all of FPL's customers.  
19 Therefore, the combination of the E-RIM and Participant  
20 Tests fully meet the language of House Bill 7135.

21 However, the E-TRC Test omits two significant  
22 DSM-related costs that will be borne by all of FPL's  
23 customers. One of those are incentive payments made to  
24 DSM participants, and the second is unrecovered revenue  
25 requirements. For these reasons, a combination of the



1 E-TRC and Participant Test does not comply with House  
2 Bill 7135. However, the E-TRC Test was used in FPL's  
3 analysis at the request of Commission staff.

4 FPL's resource planning process for this  
5 docket involved multiple steps, including the following:  
6 Preliminary cost-effectiveness screening of over  
7 2,300 DSM measures, using the E-RIM, E-TRC, and  
8 Participant Tests, plus two-year payback criteria to  
9 address free riders was conducted.

10 These screening results then fed into the  
11 Collaborative's achievable potential work. The  
12 achievable potential results were then used to create  
13 four DSM portfolios: Two based on the E-RIM Test, two  
14 based on the E-TRC. These four DSM portfolios were then  
15 used to create four DSM-based resource plans, and a  
16 fifth plan, a supply-only resource plan with no  
17 incremental DSM after 2009, was also created for  
18 comparison purposes.

19 Economic and noneconomic analyses of the five  
20 resource plans were conducted, and in addition a number  
21 of sensitivity cases involving preliminary screening  
22 steps were conducted at the request of staff to gain  
23 insight into how different assumptions impact DSM  
24 cost-effectiveness.

25 The results of the analysis, in regard to the

1 economic analysis, the E-RIM 664-megawatt plan is the  
2 clear winner for FPL's customers. It results in the  
3 lowest levelized system average electric rates and best  
4 minimizes cross-subsidization of customer groups.

5 Regarding the noneconomic analyses, no one  
6 plan emerged as the clear winner in all years; however,  
7 all of the economic impacts of system fuel usage and  
8 system emissions are fully accounted for in the economic  
9 analysis.

10 In conclusion, Commissioners, the E-RIM  
11 664-megawatt plan emerged from FPL's resource planning  
12 process as clearly the best plan for three reasons.  
13 Number one, it completely satisfies all of FPL's  
14 remaining resource needs through 2019. Number two, it  
15 results in the lowest electric rates for all of FPL's  
16 customers. And number three, it best minimizes  
17 cross-subsidization of customer groups.

18 For these reasons, FPL's proposed DSM goals  
19 for 2010 through 2019, which are based on the E-RIM  
20 664-megawatt plan, should be adopted. Thank you.

21 **CHAIRMAN CARTER:** Thank you, Dr. Sim.

22 **MS. CANO:** Thank you. FPL now tenders the  
23 witness for cross-examination.

24 **CHAIRMAN CARTER:** Okay. Let's see. Hang on a  
25 second.

1 Ms. Kaufman, I'm trying to go in order here.  
2 I'm trying to go in order here. I'm starting from my  
3 left to, my left to my right, so I think I'll start with  
4 Ms. Kaufman.

5 **MS. KAUFMAN:** Thank you, Mr. Chairman.

6 **CROSS EXAMINATION**

7 **BY MS. KAUFMAN:**

8 **Q.** Good morning, Mr. Sim. You're lucky to be the  
9 first witness up.

10 **A.** Thank you.

11 **Q.** He doesn't think he's that lucky.

12 Mr. Sim, I want to talk to you for a minute  
13 about the E-RIM Test, which I understand is what Florida  
14 Power & Light has proposed as the appropriate  
15 cost-effectiveness test; is that right?

16 **A.** It is one of the cost-effectiveness tests upon  
17 which our proposed goals are based, along with the  
18 Participant Test and the two-year payback criterion.

19 **Q.** Right. Just so I understand, the E-RIM Test,  
20 that is what we think of as the RIM Test with the  
21 addition of the carbon costs; is that correct?

22 **A.** Not quite. It incorporates the environmental  
23 compliance cost for a variety of emissions, including in  
24 this docket SO<sub>2</sub>, NO<sub>x</sub>, and CO<sub>2</sub>. It's a significant  
25 enhancement to the original RIM Test.

1           **Q.**    Okay.  So in addition to carbon, it's SOx and  
2 NOx as well?

3           **A.**    That's correct.

4           **Q.**    Okay.  When you calculated, or when FPL  
5 calculated the E-RIM Test, did it utilize the formula in  
6 the Commission's cost-effectiveness manual with the  
7 addition of the environmental costs you discussed?

8           **A.**    Which formula are you referring to, please?

9           **Q.**    The one, I believe it's on Page 12, that tells  
10 us how to calculate the RIM Test.  I have some copies.

11                    Are you familiar with the Commission's  
12 cost-effectiveness manual?

13           **A.**    Yes.  There have been several versions of  
14 them.

15                    **MS. KAUFMAN:**  Okay.  Well, I will distribute  
16 an exhibit, if that would be all right.

17                    **CHAIRMAN CARTER:**  You may proceed.  Do you  
18 need a hand, Ms. Kaufman?

19                    **MS. KAUFMAN:**  Excuse me?

20                    **CHAIRMAN CARTER:**  Staff?

21                            Thank you, Ms. Brownless.

22                    **MS. BROWNLESS:**  Sure.

23                    **MS. KAUFMAN:**  And, Mr. Chairman, I guess we  
24 will need a number for this.

25                    **CHAIRMAN CARTER:**  Okay.  That will be 136,

1 Commissioners, for your records.

2 Please leave one for Commissioner Argenziano  
3 and Commissioner Skop, please.

4 Commissioners, for your record, that will be  
5 Exhibit Number 136.

6 And while they're being distributed, Ms.  
7 Kaufman, a title, please.

8 **MS. KAUFMAN:** Excerpt from Cost-Effectiveness  
9 Manual.

10 (Exhibit 136 marked for identification.)

11 **CHAIRMAN CARTER:** Okay. Great. Does everyone  
12 have a copy?

13 **BY MS. KAUFMAN:**

14 **Q.** Mr. Sim, what I've handed you is not the  
15 entire manual, which is quite long, but the excerpt for  
16 the RIM Test. Are you familiar with this?

17 **A.** I have seen it before.

18 **Q.** All right. And when FPL calculated its RIM  
19 values with the addition of the environmental costs, did  
20 you follow the test as set out in this excerpt from the  
21 cost-effectiveness manual?

22 **A.** I would say yes. My recollection of the  
23 cost-effectiveness or the Commission's approved  
24 cost-effectiveness methodology, if this is indeed from  
25 the 1991 document, essentially prescribed columns of

1 benefits and costs which the utilities were then more or  
2 less free to figure out how these costs and benefits  
3 should be calculated. And with that freedom, the -- FPL  
4 has sat down over the years and discussed with staff on  
5 a number of occasions calculations that we were making  
6 or proposed changes that we had in mind to gain  
7 concurrence that what we were doing was compatible with  
8 the, with the Commission's regulations.

9 Q. Let me see if I understand what you just said.  
10 I think you've agreed that this is the RIM  
11 cost-effectiveness test that is part of the Commission's  
12 1991 cost-effectiveness manual, and over the years you  
13 have discussed and modified how the test has worked and  
14 what your inputs have been?

15 A. Yes.

16 Q. Okay.

17 A. And we have sat down with staff on one  
18 occasion and spent a number of hours showing them how  
19 our calculations actually worked.

20 Q. Do you recall that FIPUG asked you in an  
21 interrogatory in this case regarding your use of the RIM  
22 Test, and I think that's already been entered into the  
23 record as part of Exhibit Number 2. Do you recall that?

24 A. Can you be more specific as to which  
25 interrogatory, please?

1           Q.   Well, hard as it might be to believe, FIPUG  
2 only sent one interrogatory in this case, so it's  
3 interrogatory number -- and I have a copy for you, if  
4 you need to refresh your recollection.

5           But, Chairman, this is already in the record.

6           **CHAIRMAN CARTER:** Okay. Let's give one to the  
7 witness so he can know what he's responding to.

8 **BY MS. KAUFMAN:**

9           Q.   Does that look familiar to you, Mr. Sim?

10          A.   Yes, it does.

11          Q.   Okay. And is that answer true and correct as  
12 you sit here today?

13          A.   I believe so.

14          Q.   Okay. Now that interrogatory asked you to  
15 list the calculation -- what you included in your  
16 calculation of costs. And the very first sentence of  
17 your answer, you said, "The list of DSM-related cost  
18 categories that are typically included." Do you see  
19 that?

20          A.   Yes, I do.

21          Q.   So I guess, would I be correct based on your  
22 prior answer that there are instances in which the cost  
23 categories vary or are different from what you typically  
24 include?

25          A.   The sentence reads, "The list of DSM-related

1 cost categories that are typically included in the RIM  
2 Test and which FPL concluded in its E-RIM Test  
3 cost-effectiveness screening are indicated in a  
4 particular column of one of my exhibits." So we did  
5 include all of those general cost categories.

6 Q. So the word "typically" should be disregarded?  
7 I just took that to mean that that's usually what you do  
8 but sometimes you may do something else.

9 A. I think a more correct reading would be this  
10 is what FPL does. I'm not aware of what other states  
11 might include in the RIM Test, but typically my  
12 understanding is these cost categories are included.

13 Q. We also asked you specifically about lost  
14 revenues; correct?

15 A. Yes.

16 Q. And lost revenues are an input to the RIM  
17 Test; right?

18 A. Actually more correctly stated they would be  
19 an output of the test. But they are included in the  
20 calculations. That's correct.

21 Q. That's a better way to say it. Lost revenues  
22 are included in the calculation of the RIM Test.

23 A. That's correct.

24 Q. Okay. Now I've given you an excerpt of the  
25 cost-effectiveness manual. Would you agree with me that



1 that manual doesn't define or describe what should be  
2 included in the lost revenue component of the test?

3 **A.** Let me refresh my memory as to what this page  
4 says, please.

5 **Q.** Sure. Absolutely.

6 **A.** I think under general description of costs,  
7 the applicable sentence is, "The costs also include any  
8 decrease in revenues caused by the program."

9 **Q.** I agree with you. It doesn't define it any  
10 further than that, does it?

11 **A.** I don't believe so.

12 **Q.** A couple of questions ago I think you said  
13 that you weren't aware of how other -- I thought you  
14 said states performed the RIM Test. Have you reviewed  
15 how the other FEECA utilities have performed the RIM  
16 Test in this case?

17 **A.** No, I have not.

18 **Q.** So you don't know if they're performing it in  
19 the same way that FPL is, do you?

20 **A.** I do know how we're doing -- we are doing  
21 exactly as FPL does.

22 **Q.** No. My question was since you haven't  
23 reviewed the calculations of the other utilities, you do  
24 not know if they are doing it in the same way that FPL  
25 is.

1           **A.**    That's correct.

2           **Q.**    Mr. Sim, have you reviewed Mr. Pollock's  
3 testimony?

4           **A.**    I read it when it first came out, which was  
5 some time ago.

6           **Q.**    I know. There's been a lot of paper in this  
7 case.

8                    Do you recall his description of a program  
9 that he called multiple load management?

10          **A.**    I remember the term but not the specifics of  
11 that program.

12          **Q.**    Well, would you accept my summary, subject to  
13 check, that it would allow a single company that has  
14 facilities in more than one location to centrally manage  
15 its power needs?

16          **A.**    Again, I would have to go back and refresh my  
17 memory as to what the specifics were in his testimony.

18          **Q.**    Well, I can provide you with a copy of his  
19 testimony, if the Commission would like. I would  
20 represent to you that it is how I have described it.

21          **A.**    All right. If you would repeat, please.

22          **Q.**    Generally it is a program that will allow a  
23 single company that has multiple sites who cogenerates  
24 to use its power in more than one location so that it  
25 could centrally manage its energy needs.

1           **A.** Subject to check, I'll accept that definition.

2           **Q.** Okay. Well, you can go back and read his  
3 testimony maybe during the break.

4           Do you think that a program like that would  
5 allow a customer to be more efficient in their power  
6 consumption?

7           **MS. CANO:** Chairman Carter?

8           **CHAIRMAN CARTER:** Yes, ma'am.

9           **MS. CANO:** I'm going to need to interject with  
10 an objection here. Dr. Sim's thoughts on Mr. Pollock's  
11 testimony are outside the scope of his direct.

12           **CHAIRMAN CARTER:** Ms. Kaufman, let's move on.

13           **MS. KAUFMAN:** Thank you, Mr. Chairman.

14 **BY MS. KAUFMAN:**

15           **Q.** Mr. Sim, have -- was cogeneration one of the  
16 programs that was considered in your DSM analysis?

17           **A.** I don't know. I --

18           **Q.** Would that be better for Mr. Haney?

19           **CHAIRMAN CARTER:** Wait, wait, wait. Let him  
20 finish his answer.

21           **MS. KAUFMAN:** Oh, I'm sorry.

22           **CHAIRMAN CARTER:** Hold it. Let's -- just  
23 because we've got the lights doesn't mean that we're not  
24 going to respect our manners.

25           Okay. Dr. Sim, you may respond.

1                   **THE WITNESS:** Yes. I believe I said I don't  
2 know. We were handed a list of measures that were by  
3 code numbers, and I did not have a Rosetta stone to move  
4 from the code number to whether this was a load control  
5 program or an HVAC program, et cetera. So Mr. Haney  
6 would probably be the more appropriate person to ask  
7 that question of.

8 **BY MS. KAUFMAN:**

9                   **Q.** Okay. Then I will do that.

10                   Mr. Sim, have you -- I assume that you have  
11 looked at the goals proposed by GDS. Is that a correct  
12 assumption?

13                   **A.** Yes. I have reviewed their testimony.

14                   **Q.** Okay. Do you know on what magnitude of order  
15 they are greater than FPL's goals?

16                   **A.** By FPL's goals, are you referring to our  
17 proposed goals in this docket?

18                   **Q.** Yes, sir.

19                   **A.** Yes. They are approximately seven times  
20 higher on a summer megawatt basis.

21                   **Q.** Okay. And if the Commission were to implement  
22 those goals, in your view would that have a significant  
23 impact on the ECCR clause?

24                   **A.** It would have a significant impact on a number  
25 of items. ECCR costs would obviously rise tremendously.

1 Our reserve margin would be approximately -- in 2019,  
2 instead of 20 percent it would be approximately  
3 44 percent. We would see an incredible increase in what  
4 we would view as increased rates. It was hard to get a,  
5 an extremely precise look at what those rates would be,  
6 but I've attempted to make an estimate. And over and  
7 above what our proposed goals would be, GDS's proposal  
8 would result in approximately an \$11.50 per month for  
9 each of our customers' increase. So there are  
10 significant and almost overwhelmingly negative impacts  
11 from the proposed goals of GDS.

12 **MS. KAUFMAN:** Thank you, Mr. Sim.

13 **CHAIRMAN CARTER:** That would be Dr. Sim.

14 **MS. KAUFMAN:** Excuse me. Thank you, Dr. Sim.

15 **CHAIRMAN CARTER:** Okay.

16 **THE WITNESS:** Thank you.

17 **CHAIRMAN CARTER:** And for the record, please  
18 identify yourself and the party you're with.

19 **MR. LONGSTRETH:** Benjamin Longstreth with the  
20 Natural Resources Defense Council and Southern Alliance  
21 for Clean Energy.

22 **CHAIRMAN CARTER:** You may proceed.

23 **MR. LONGSTRETH:** Thank you.

24 **CHAIRMAN CARTER:** Welcome.

25 **CROSS EXAMINATION**

1 **BY MR. LONGSTRETH:**

2 **Q.** Good morning, Dr. Sim. I want to address  
3 several questions to the, to the amended statute. Are  
4 you familiar with the amendments that are made, that  
5 were made in 2008 to Section 366.82 of the FEECA  
6 statute?

7 **A.** Are you referring to House Bill 7135?

8 **Q.** Correct.

9 **A.** Yes. In general I'm aware of the four items  
10 that the Commission was instructed to take into  
11 consideration in setting DSM goals.

12 **Q.** And I just will read you Section (3)(a), which  
13 indicates that the Commission should take into  
14 consideration the costs and benefits to customers  
15 participating in the measure.

16 Dr. Sim, it's correct, is it not, that this  
17 refers to the Participant Test?

18 **A.** I would disagree because the House Bill 7135  
19 did not specify that for any of the four parts of the --  
20 or four items that the Commission was instructed to  
21 consider that there was one specific test that applied  
22 to Section (a) or a second specific test that applied to  
23 Subsection (b). However, the costs and benefits to  
24 customers participating in the measure is generally  
25 covered by the, what we call the Participant Test.

1           **Q.** Thank you. I will now read Section (3)(b),  
2 which states, "The costs and benefits to the general  
3 body of ratepayers as a whole, including utility  
4 incentives and participant contributions."

5           Dr. Sim, is it correct that you believe the  
6 only way to satisfy the terms of Section (3)(b) is by  
7 applying both the E-RIM Test or the RIM Test and the  
8 Participant Test?

9           **A.** Yes. The application of the combination of  
10 E-RIM and Participant Tests fully covers Section (b),  
11 because those are the only tests that cover the most  
12 important part of Subsection (b), the costs and benefits  
13 to the general body of ratepayers as a whole.

14           The E-TRC Test, as indicated in the summary,  
15 does not specifically include utility incentives and  
16 definitely does not include in any shape or form the  
17 unrecovered revenue requirements that will impact  
18 customers putting upward pressure on rates.

19           The E-RIM Test does address both of those, and  
20 therefore the combination of the E-RIM and Participant  
21 Tests fully covers Sections (a) and (b).

22           **Q.** And just to summarize, this means it's also  
23 correct that the E-RIM Test alone cannot satisfy (3)(b)  
24 without combination with another test; is that correct?

25           **A.** That's correct, but only because of the

1 inclusion of the language "participant contributions."  
2 But, again, my reading, and I think any fair reading of  
3 House Bill 7135, you will find no specific instruction  
4 saying that Test X has to be applied to Subsection (a)  
5 and Test Y has to be applied to Subsection (b). There  
6 are four items to consider. We have a variety of tests  
7 that can be used to address this, and the combination of  
8 E-RIM and Participant Test fully covers Subsections (a)  
9 and (b).

10 Q. Dr. Sim, is it also correct that the E-RIM  
11 Test does not consider participant benefits, meaning  
12 savings to customers who participate in a measure?

13 A. I would agree in part and disagree in part.  
14 The Participant Test is designed exclusively to look at  
15 the participants and see whether it makes sense for a  
16 potential participant to partake of a DSM program.  
17 However, the E-RIM Test does address the rate impacts  
18 for all customers, whether they be participants or  
19 nonparticipants. And, therefore, that aspect of  
20 participants' economic impact is fully addressed by the  
21 E-RIM Test.

22 Q. Dr. Sim, my question was whether the E-RIM  
23 Test considers as a benefit the benefits to  
24 participants, meaning the savings to the customers who  
25 have participated in a measure. Does E-RIM consider



1 that as a benefit?

2 **A.** I would say a test that addresses -- my answer  
3 is yes in the sense that the E-RIM Test looks at the  
4 impact on electric rates, and customers will be better  
5 off, all else equal, with a lower electric rate than  
6 with a higher electric rate.

7 **Q.** Dr. Sim, the only changes that FPL made to its  
8 prior practices concerning cost-effectiveness tests  
9 employed to set its goals is the addition of projected  
10 greenhouse gas costs and the additional SOx and NOx you  
11 discussed earlier; is that correct?

12 **A.** I'm sorry. Could you repeat the question,  
13 please?

14 **Q.** Certainly. The only changes that FPL made to  
15 its prior practices regarding the cost-effectiveness  
16 tests employed to set its goals is the addition of  
17 projected greenhouse gas costs and the SOx and NOx that  
18 were added into the E-RIM; is that correct?

19 **A.** I would say no. In regard to the one  
20 particular cost-effectiveness test, or more broadly the  
21 original RIM and the original TRC Tests, which we are  
22 not using, we did make the change to include the  
23 projected environmental compliance costs for SOx, NOx  
24 and CO2. But there were a number of other changes in  
25 other steps of the analyses that FPL made along the way

1 in this docket, enhancements to various analytical  
2 steps, for example, that were taken. So it wasn't just  
3 simply let's take the RIM and TRC Tests and make one  
4 change to it and that's it.

5 Q. So, Dr. Sim, could you explain exactly what  
6 other changes were made?

7 A. Certainly. We did take a look at our --  
8 probably the best way to set this up is to take you  
9 through a, about midway through the entire process.  
10 Once we had the achievable potential numbers back from  
11 Itron and achievable potential set of numbers from,  
12 that -- for measures that had passed the E-RIM pathway,  
13 meaning E-RIM, Participant Test and the two-year payback  
14 criteria, and a second set of achievable potential that  
15 had passed the E-TRC, Participant Test and two-year  
16 payback, the question at that point is do we use all of  
17 these measures or do we use some of these measures? And  
18 if we use some of these measures, how do we choose --  
19 which subset of that total do we use?

20 Well, as it turned out, we had for the first  
21 time in a DSM goals docket an achievable potential  
22 number that was larger than our projected resource  
23 needs. We had about 949 megawatts of achievable  
24 potential under E-RIM, we had about 1,153, I believe,  
25 megawatts under E-TRC, and our projected resource needs

1       were 664.

2               So we proceeded to do something we have not  
3 done before, and that is we were creating resource  
4 portfolios that attempted on the one hand to meet our  
5 resource, our projected resource needs of 664 megawatts,  
6 and we had other portfolios where we said let's use it  
7 all, let's see what the impact of that is. That's one  
8 enhancement or different step than what we had taken  
9 before.

10              The second thing is how did we create the  
11 smaller subset of DSM measures to address the resource  
12 need of 664 megawatts?

13              In essence, Commissioners, what we did is we  
14 had DSM measures compete against themselves. We do that  
15 through a linear programming model, and in doing so we  
16 changed the linear programming model approach so it  
17 would also address the environmental compliance costs  
18 for SOx, NOx, and CO2.

19              In doing so, we came up with four portfolios,  
20 which was a portfolio of E-RIM-based measures for  
21 664 megawatts. We came up with a second portfolio of  
22 E-TRC that was designed to get at least 664 megawatts.  
23 But because of the net cost, our linear programming  
24 model shot past that and said from a TRC perspective,  
25 looking at only those costs and not the ones that are

1 covered under the E-RIM, you could further drive down  
2 that perspective of cost by going past 664 megawatts and  
3 signing up, I think it was 1,093 megawatts.

4 Then we had the remaining two portfolios,  
5 which was the full suite of achievable potential  
6 measures under E-RIM, 949 megawatts, and the full suite  
7 under E-TRC, which was 1,153.

8 So those were additional analytic steps that  
9 we had not done before.

10 Q. And, Dr. Sim, did these additional analytic  
11 steps, did you feel that they were required by the  
12 amendments that were made to FEECA?

13 A. Yes, I did. Subsection (d) of House Bill 7135  
14 states that one of the items that the Commission is  
15 asked to consider is, and I quote, the costs imposed by  
16 state and federal regulations on the emission of  
17 greenhouse gases. Therefore, we decided that to simply  
18 include those in an initial step of screening measures  
19 would not suffice; that we had to carry the inclusion of  
20 greenhouse gas projected costs all the way through our  
21 analysis, into creating DSM portfolios, into creating  
22 resource plans, and then analyzing the resource plans.

23 Q. And with respect to Sections (3)(a) and  
24 (3)(b), did those changes reflect the direction provided  
25 by the Legislature in (3)(a) and (3)(b)?

1           **A.**    I'm sorry. Which changes are you referring  
2 to?

3           **Q.**    The additional analytical changes you just  
4 have been describing regarding the -- including  
5 greenhouse gasses in all elements of the analysis. Do  
6 those reflect Section (3)(a) and (3)(b), the amended  
7 statute?

8           **A.**    No. (A) and (b) refer to the screening steps  
9 of DSM measures. So the Participant Test and the E-RIM  
10 Test in the one path we took of E-RIM, Participant and  
11 two-year payback, and the E-TRC, Participant cost and --  
12 or Participant Test and two-year payback criteria, those  
13 steps were in the economic screening of DSM analyses.  
14 And once we had moved past that, there was no more need  
15 to go back. We were now looking at a more meaningful  
16 resource plan analysis. And as I mentioned before, as  
17 we went through the setting up of those portfolios, we  
18 did include the cost of, projected cost of CO2  
19 compliance.

20           **Q.**    Dr. Sim, isn't it correct that an energy  
21 efficiency measure could fail the RIM Test simply  
22 because it saved too much electricity?

23           **A.**    That's true. It could.

24           **Q.**    Dr. Sim, I have a few questions for you on  
25 avoided cost.

1                   In the 2005 FEECA proceeding, FPL did not  
2 include any new nuclear plants in calculating the  
3 avoided cost; correct?

4           **A.**    Which docket, please?

5           **Q.**    The 2005 goal setting proceeding.  Excuse me.

6           **A.**    That is correct.

7           **Q.**    And, Dr. Sim, is it correct that in 2007 FPL  
8 proposed two new nuclear plants?

9           **A.**    I believe that's a correct date.  Yes.

10          **Q.**    And, Dr. Sim, is it correct that FPL has not  
11 yet received all the required authorizations that it  
12 would permit it to commence construction of those  
13 plants?

14          **A.**    That is correct.

15          **Q.**    Dr. Sim, do you know how much the two new  
16 nuclear plants will cost?

17          **A.**    No.  There is no precise determination yet of  
18 what those units will cost.

19          **Q.**    And in this 2009 goal setting proceeding, is  
20 it correct that FPL did not include the two proposed  
21 nuclear plants as potentially avoided units?

22          **A.**    That is correct.  We viewed those units,  
23 Commissioners, as certified or approved units and looked  
24 to see what was the projected next need for the utility,  
25 assuming that those units would be built.

1           And if I may add, Commissioners, if we had  
2 assumed that the new nuclear units were avoidable and  
3 had run DSM against it, it's my view that in all  
4 likelihood we would have come up with less DSM that was  
5 cost-effective than what we found running DSM against a  
6 2019 combined cycle.

7           My reasoning behind that is as follows. The  
8 2019 combined cycle is the same combined cycle  
9 technology that we have been analyzing nuclear against  
10 in 2007, in the cost recovery docket in 2008 and which  
11 we are currently running in the 2009 docket.

12           The nuclear unit consistently is being found  
13 to be more economic than the same combined cycle  
14 technology that we ran DSM at. Therefore, if I have a  
15 certain amount of DSM that is being screened to be  
16 cost-effective against this combined cycle technology  
17 and I now substitute a more economical unit, which would  
18 be the nuclear unit, I would expect fewer DSM measures  
19 to pass.

20           Therefore, I think that if FPL can be faulted  
21 at all, we were slightly biased towards more DSM in this  
22 by using a 2019 combined cycle, which I view as the  
23 appropriate unit to view or to analyze DSM against. And  
24 I'll end there.

25           Q. Dr. Sim, is it correct that FPL believes that

1 DSM can avoid the combined cycle unit?

2 A. The 2019 combined cycle unit?

3 Q. Correct.

4 A. Yes. We believe DSM can cost-effectively  
5 avoid the need for the 2019 combined cycle, thereby  
6 meeting all of FPL's projected resource needs through at  
7 least the year 2019. And as a matter of fact, it's  
8 actually through 2020 with the 664 megawatts of our  
9 proposed goals.

10 Q. And, Dr. Sim, have you analyzed whether, if  
11 that were a proposed nuclear unit, DSM would be able to,  
12 to meet that need and defer that unit as well?

13 A. Have we performed a DSM analysis against  
14 nuclear? No, we have not, for the reasons just stated.

15 If the nuclear unit were, would have been the  
16 avoided unit, we would have had a different projected  
17 need. It would have moved up a year from 2019 to 2018  
18 and it would have been a larger projected need.

19 Q. Dr. Sim, FPL earns a rate of return on capital  
20 equipment and load control equipment; correct?

21 A. That's correct.

22 Q. And, Dr. Sim, FPL does not earn a rate of  
23 return on nonload DSM programs; is that correct?

24 A. Nonload management DSM?

25 Q. Correct.



1           **A.**    Yes, that's correct.  We recover money  
2 essentially dollar for dollar.

3           **MR. LONGSTRETH:**  Okay.  No further questions  
4 at this point.

5           **CHAIRMAN CARTER:**  Thank you.

6           Ms. Brownless.

7           **MS. BROWNLESS:**  May I have a five-minute  
8 break, please?

9           **CHAIRMAN CARTER:**  Ms. Brownless, for you the  
10 sky is the limit.

11          **MS. BROWNLESS:**  Thank you, sir.

12          **CHAIRMAN CARTER:**  Commissioners, let's do  
13 this.  Let's take a five-minute break, and we'll come  
14 back on the half hour.

15                   (Recess taken.)

16           We are back on the record.  And when we last  
17 left, we had completed the last strands of the human  
18 genome project and I think we've unraveled -- oh, that  
19 was the wrong case, wasn't it?

20                   (Laughter.)

21           Ms. Brownless, you're recognized.

22          **MS. BROWNLESS:**  Thank you.  And, Your Honor, I  
23 have passed out what we will be discussing by way of  
24 exhibits.  I ran out of copies for the parties.  I  
25 promise that for those who did not get copies, at the

1 end of the table I will make them available.

2 **CHAIRMAN CARTER:** Is most of what you're using  
3 for cross-examination in the record already?

4 **MS. BROWNLESS:** No, sir.

5 **CHAIRMAN CARTER:** If not, when you get there,  
6 just make that announcement and then we can give the  
7 parties an opportunity.

8 And also to the parties, just note this, is  
9 that before we do the exhibits, we'll do all of the  
10 testimony, direct, redirect examination from the staff  
11 and Commissioners, if any, and we'll deal with it that  
12 way. And that way that will give the parties an  
13 opportunity to look at that information. Okay?

14 **MS. BROWNLESS:** Thank you.

15 **CHAIRMAN CARTER:** All right, Ms. Brownless,  
16 you may proceed.

17 **CROSS EXAMINATION**

18 **BY MS. BROWNLESS:**

19 **Q.** Good morning, Dr. Sim.

20 **A.** Good morning.

21 **Q.** Lovely to see you again.

22 **A.** Yes.

23 **Q.** I have handed out Florida Solar Coalition's  
24 second set of interrogatories Numbers 8 to 15 and second  
25 request for production of documents Number 4. Do you

1 have that before you?

2 **A.** Yes, I do.

3 **Q.** Can you look that over and verify that it's a  
4 true and correct copy of the answers that you provided  
5 in response to our interrogatories Numbers 8 through 15?

6 **A.** Subject to check, yes, it looks correct.

7 **Q.** Thank you. And would your answers be today  
8 the same as those given when you completed these  
9 interrogatories?

10 **A.** Yes, they would.

11 **Q.** Okay. Thank you.

12 **MS. BROWNLESS:** We'd like this marked, I  
13 believe, as Exhibit Number 137, sir.

14 **CHAIRMAN CARTER:** Okay. Let's go.  
15 Commissioners, that would be Exhibit Number 137. A  
16 short title, Ms. Brownless.

17 **MS. BROWNLESS:** These are Florida Solar  
18 Coalition's Interrogatories Numbers 8 through 15 and  
19 Second Request for Production of Documents.

20 **CHAIRMAN CARTER:** You know, you had done so  
21 well on that first one. You really had done a -- you  
22 said "Excerpt from Cost-Effectiveness Manual." And I  
23 said, "Yeah, go on." And now this one you're taking me  
24 with the *Encyclopedia Britannica*. Come on. I know you  
25 can do it.

1           **MS. BROWNLESS:** Okay. Well, how about we just  
2 call it Florida Solar Coalition Second Set of  
3 Interrogatories Numbers 8 through 15.

4           **CHAIRMAN CARTER:** Okay. Let me help you. Why  
5 don't we call it the FSC Second Set of Interrogatories.  
6 Does that work for you?

7           **MS. BROWNLESS:** Lovely.

8           **CHAIRMAN CARTER:** Okay. Good. You may  
9 proceed.

10           (Exhibit 137 marked for identification.)

11           **MS. BROWNLESS:** Thank you. At this time we'd  
12 like to move this in the record, if anybody has any  
13 objections.

14           **CHAIRMAN CARTER:** Let's go, let's finish it  
15 first before we deal with that. Let's just hold that  
16 off until the end. And when we come back with this  
17 witness in terms of any exhibits that we will be  
18 entering, we'll deal with it at that point in time.  
19 Okay?

20           **MS. BROWNLESS:** Thank you.

21           **BY MS. BROWNLESS:**

22           **Q.** Looking at your testimony on Pages 36 through  
23 37, I just want to make sure I understand the basic  
24 process that was engaged in here, Dr. Sim.

25           The first step would have been the technical

1 potential study, which was conducted by Itron with input  
2 from the Collaborative; is that correct?

3 **A.** That's correct.

4 **Q.** Okay. Then the second step would have been  
5 the economic potential study, and that was done  
6 separately by each investor-owned utility. And you were  
7 responsible for that part on behalf of FP&L; correct?

8 **A.** I would agree. But I would expand it to be --  
9 to name it something other than the economic potential  
10 test. What I refer to as the economic potential  
11 screening is only the first step of, in FPL's case, five  
12 steps of screening. So the second step was the full  
13 initial cost-effectiveness screening of the measures.

14 **Q.** Okay. And then step three would be the  
15 achievable potential study where you said you sent your  
16 screened measures to Itron and they placed it in the DSM  
17 ASSYST model.

18 **A.** That actually was our, according to my  
19 testimony, would have been called step four. There was  
20 a, there was a step three where we determined for all  
21 measures what the maximum incentive levels were for  
22 those that had passed the full DSM screening. But, yes.

23 **Q.** And I guess what I've done basically in my  
24 economic potential study is combined your two steps  
25 there, and then you get a series of measures which you

1 send to Itron.

2 **A.** Okay.

3 **Q.** And they place in their DSM ASSYST model.

4 **A.** Okay.

5 **Q.** Okay? And then you get measures back from the  
6 DSM ASSYST model; correct?

7 **A.** Yes. We essentially got a list of measures, a  
8 list of projected megawatts for the ten-year period, and  
9 a projection of associated gigawatt hours for those, for  
10 each measure back from Itron.

11 **Q.** Okay. And the results that you got back from  
12 the DSM ASSYST model, what did you do with those?

13 **A.** We then created four DSM-based portfolios.

14 **Q.** Okay. And that's what you discussed with  
15 Mr. Longstreth.

16 **A.** That's correct.

17 **Q.** Okay. In the simplest terms, because frankly  
18 that's how my mind works, the RIM Test, the TRC Test,  
19 and the Participant Test are all ratios of benefits to  
20 costs; is that correct?

21 **A.** That's generally how they're referred to, yes,  
22 the results.

23 **Q.** Okay. And they're -- you put the benefits in  
24 the numerator and you put the costs in the denominator;  
25 is that right?

1           **A.**    Yes.  Benefits divided by cost.

2           **Q.**    Okay.  And a measure passes in each instance  
3 if it scores one or more on the test; is that right?

4           **A.**    Generally breakeven would be a benefit to cost  
5 ratio of 1.00.  Something -- anything higher than that  
6 you would say it would have passed that particular test.

7           **Q.**    Okay.  And your Exhibit 2 describes the  
8 benefits and costs as used by FP&L; is that right?

9           **A.**    Actually my Exhibit SRS-2 and SRS-3.  SRS-3  
10 would probably give a complete listing of the categories  
11 of benefits and costs.

12          **Q.**    Okay.  Two is a subset of three, is that  
13 right, just the benefits part?

14          **A.**    Just the benefits side.  That's correct.

15          **Q.**    And I've handed out a little schematic.  And  
16 do you recognize this as the Figure 1 from the Public  
17 Service Commission's cost-effectiveness manual for  
18 demand-side management programs and self-service  
19 wheeling programs?

20          **A.**    I know I have seen this before.  It is  
21 familiar, and I'll, subject to check, accept that it  
22 comes from that document.

23          **Q.**    Thank you.  And does the chart that's in the  
24 PSC manual match the chart that is in your Exhibit 3?

25          **A.**    It doesn't precisely match.  I think the SRS,

1 Exhibit SRS-3 in my direct testimony provides a little  
2 bit more detail, but it generally covers the same  
3 ground.

4 Q. Okay. For the large categories in the Figure  
5 1, do they match the more detailed explanations in your  
6 chart?

7 A. I think those that apply to energy efficiency  
8 and load management programs, yes, they do.

9 Q. Okay. And when I look at your chart on  
10 Page 3, there's generation capital O&M, transmission  
11 capital O&M, distribution capital O&M, net system fuel  
12 impacts. Those would all be associated with your  
13 avoided unit; is that correct?

14 A. It would be the avoided unit, yes, as well as  
15 transmission and distribution benefits, as well as  
16 system fuel impacts.

17 Q. Okay. So that would be the fuel impact of the  
18 avoided unit as well as fuel impacts on the system as a  
19 whole?

20 A. Yes. There are -- for a DSM program there are  
21 three separate types of fuel impacts, and I've combined  
22 those into the net system fuel impacts row on SRS-3.

23 Q. And can you tell me what those three fuel  
24 impacts are?

25 A. Yes. Two of them are driven by the kW aspect



1 of a DSM program and one is driven by the kWh aspect of  
2 a DSM program or measure. The first one would be when  
3 you avoid the unit, the unit obviously does not burn  
4 fuel, so that works as a benefit to DSM programs, the  
5 fuel that is not burned in the avoided unit.

6 The second impact is a negative benefit or a  
7 cost of DSM programs, so to speak, because when you  
8 don't build the avoided unit, particularly the highly  
9 fuel-efficient baseload units that FPL assumed in this  
10 case, a very large combined cycle unit with a very low  
11 heat rate, the rest of the units on the FPL system now  
12 have to make up the energy that would have been produced  
13 by that highly efficient unit. And I term that  
14 generally the replacement fuel cost. And it is a higher  
15 number than the first item, the avoided units fuel. The  
16 third -- and both of those two are driven solely by the  
17 kW. impact of the DSM program.

18 The third impact is driven solely by the kWh  
19 impact of the DSM program, and it is a reduction in the  
20 amount of kilowatt hours that need to be served, and  
21 therefore a savings of fuel on the system at various  
22 hours. So the net of those three work out to be what  
23 I've listed on my fourth row as net system fuel impacts.

24 Q. Okay. And on the little chart that we have,  
25 Figure 1, that would kind of fall in the rubric of

1 avoided supply costs?

2 **A.** Yes. Everything on the benefits side on SRS-3  
3 would fall into the avoided supply cost box in your  
4 Figure 1.

5 **Q.** Okay. Thank you. On my Figure 1 there's an  
6 avoided appliance cost. First of all, what is that?

7 **A.** I'd have to refresh my memory. I don't recall  
8 what that was applied to.

9 **Q.** Okay. And so therefore you wouldn't know how  
10 it was taken into account on your Chart 3?

11 **A.** No. I'm looking at your rate impact column on  
12 Figure 1, revenue gain. That was for potential actions  
13 by the utility to increase sales, which clearly we're  
14 not aiming at any of our DSM programs, and therefore  
15 it's not applicable. The same may be true for the  
16 avoided appliance costs under the total resource test  
17 column. I'd have to go back and read the rest of the  
18 cost-effectiveness manual to refresh my memory as to  
19 what that was.

20 **Q.** Thank you. Did each investor-owned utility  
21 and muni participating in the Collaborative agree with  
22 the definition and benefits of costs as you've outlined  
23 in your Exhibit 3?

24 **A.** I can't say. I don't believe the utilities  
25 ever got together and said, let's make sure that we are

1 all calculating the exact same cost categories.  
2 However, it's my impression from a number of  
3 conversations we had along the way that generally the  
4 cost categories that each utility has presented to the  
5 Commission for individual DSM programs were, were used  
6 in the cost-effectiveness work for this docket, with the  
7 inclusion of the environmental compliance costs for SO<sub>2</sub>,  
8 NO<sub>x</sub> and CO<sub>2</sub>.

9 Q. With regard to the inclusion of greenhouse gas  
10 considerations, did everybody include SO<sub>2</sub> and NO<sub>2</sub>?

11 A. I don't know. I know -- I distinctly recall  
12 discussing CO<sub>2</sub>. I don't recall whether SO<sub>x</sub> and NO<sub>x</sub> were  
13 also included.

14 Q. Okay. With regard to CO<sub>2</sub>, is your testimony  
15 that you believe everybody accounted for that in some  
16 way?

17 A. At least among the four IOUs. I know at one  
18 point the four utilities, four IOUs exchanged  
19 projections of CO<sub>2</sub> costs just so we could kind of check  
20 to see how close all of the projections were. So my  
21 understanding from that is, yes, they all included CO<sub>2</sub>  
22 compliance costs.

23 Q. Okay. Are there different ways in which one  
24 could account for CO<sub>2</sub> costs and, for example, one might  
25 account for those by adding dollars associated with

1 burning certain types of fuels into the projections,  
2 that would be one way to do it?

3       **A.** I'm sure there are a number of ways to do it.  
4 The approach FPL took was to essentially mirror the way  
5 that we worked through the three fuel impacts. We did a  
6 very similar calculation for the emission impact for  
7 each of those three items. The unit not being built  
8 would not run and therefore would not produce emissions.  
9 The fact that the unit wasn't built and the existing  
10 units on the system would have to increase their output  
11 to make up for the energy not served by the avoided unit  
12 would increase emissions from all of the existing units.  
13 And finally the kilowatt hour savings of the DSM measure  
14 would reduce overall kilowatt hours served by the  
15 utility and therefore would reduce emissions again from  
16 the kWh aspect of the DSM program. So that's the  
17 approach FPL took.

18       **Q.** Okay. So you just figured out what the kWhs  
19 were associated with each of that, netted them out, and  
20 then multiplied it times what you believe the cost of  
21 the CO2 emissions would be? I mean, that's how you  
22 factored the --

23       **A.** Essentially, yes.

24       **Q.** I mean, in the most simplistic terms.

25       **A.** Yes. In simplistic terms, that would be

1 correct.

2 Q. Which as I said, Dr. Sim, is where my mind  
3 operates.

4 Are you aware of how the other investor-owned  
5 utilities took account of the CO2, whether they used a  
6 similar method?

7 A. No. The only discussions I had with them  
8 regarding CO2 was in regard to the dollars per ton  
9 assumptions that we were, we were all using. But how  
10 they applied them, I'm not aware.

11 Q. Okay. The basic formulas set out in your  
12 Exhibit 3 and in the DSM manual's Figure 1 would have  
13 been applied by everybody. In other words, everybody  
14 would have put avoided costs in the numerator, everybody  
15 would have put incentives in the denominator for the RIM  
16 Test, for example?

17 A. Again, I can't speak for the other utilities.  
18 They would probably have done so, but, again, I can't  
19 speak for the other utilities.

20 Q. Okay. So that's not something that the  
21 Collaborative sat down and worked out, we're all going  
22 to do it this way?

23 A. If they did, I was not in on that discussion.

24 Q. For each investor-owned utility all the  
25 avoided unit data would be different, correct, because

1 everybody has a different avoided unit?

2 **A.** Yes, and appropriately so. Different timing  
3 of units, different types of units, et cetera.

4 **Q.** Sure. And the utility equipment and  
5 administrative costs that are identified on your chart,  
6 would those be different for each utility?

7 **A.** I would expect they would be.

8 **Q.** Okay. In terms of administrative costs as  
9 well as actual equipment used?

10 **A.** Yes. And appropriately so, because they're  
11 different companies and they have different  
12 administrative costs. That's what I would expect.

13 **Q.** Okay. And the calculation of revenues,  
14 revenue losses would also be unique to each IOU?

15 **A.** Again, I don't know the analytical approach  
16 that the other IOUs took. I know that -- or I would  
17 certainly expect that we each started with a different  
18 projection of energy and demand charges that was  
19 appropriate for each company and used those different  
20 inputs.

21 **Q.** Okay. When you were calculating revenue  
22 losses, how did you go about that calculation?

23 **A.** It would -- let's take for simplicity's sake a  
24 residential program where you don't have any demand  
25 charges.

1           **Q.**    Sure.

2           **A.**    It would have essentially been the number of  
3 kilowatt hours that were reduced in total on the system  
4 times a projection for that year of the residential  
5 energy charge rate.

6           **Q.**    And the number of hours that were saved for  
7 each measure, where did you get that number from?

8           **A.**    The number of kilowatt hour savings?

9           **Q.**    Yes.

10          **A.**    I believe that was an output from the  
11 technical potential work that the Collaborative did.

12          **Q.**    Okay.  So you would assume that everyone, you  
13 started out with that same basic savings?

14          **A.**    I'm not so sure that's correct.  There may  
15 have been regional or geographic differences for a  
16 particular measure that might have differed, say, for  
17 Gulf than for Florida Power & Light.  I was not involved  
18 in the Collaborative at that point, so I don't know if  
19 there were differences in fact or not.  But I certainly  
20 could conceive that there might have been.

21          **Q.**    Okay.  And would those have been reflected,  
22 the megawatt savings associated with each measure have  
23 been reflected in each IOU's technical potential study?

24          **A.**    I believe you're referring to kilowatt hour  
25 savings?  I would expect so, but I think we're running

1 pretty far afield of what my involvement was in the  
2 Collaborative at the technical potential stage. I  
3 believe Mr. Rufo or each of the witnesses from the other  
4 IOUs and Mr. Haney from FPL might be a better witness to  
5 answer that question.

6 Q. And I assume the incentive levels were --  
7 would be different for each investor-owned utility.

8 A. I would expect so, and appropriately so.

9 Q. And just so I have the record clear for this,  
10 you've told us what CO2 costs you've used in your  
11 testimony. And each individual IOU used a different CO2  
12 cost; is that correct?

13 A. Yes. My recollection, at least at that point  
14 in the collaborative process where we exchanged our  
15 projections, was that at least three of the four were  
16 reasonably close to each other.

17 Q. Okay. Who was the outlier?

18 A. I can't recall. I just recall remembering  
19 that the utilities were generally pretty much in  
20 agreement, and then over the course of the study or the  
21 course of the years that one of the utilities differed  
22 somewhat.

23 Q. Thank you.

24 A. And let me just add to that question. I think  
25 each utility was using a different source for CO2



1 emission costs. Since there is no legislation that has  
2 passed, there is no one readily identifiable source for  
3 projections of CO2 costs. They vary all over the place  
4 and have for a number of years. Therefore, it's not  
5 surprising to me that each utility would have taken a  
6 look at projected CO2 costs, taken their view as to  
7 which one they thought was most likely or most  
8 reasonable and used that.

9 Q. Thank you. Can you turn to my  
10 interrogatories, please?

11 A. Yes. All right. I have those.

12 Q. Thank you. And looking at interrogatories 8  
13 through 12, I asked you a series of interrogatories  
14 about measures that were identified in the Itron  
15 technical potential study. Do you see those?

16 A. Yes, I do.

17 Q. Okay. And those would be residential solar  
18 water heating, residential PV, photovoltaic powered pool  
19 pumps, residential rooftop PV, and commercial solar  
20 water heaters, and commercial rooftop PV, commercial  
21 parking lot PV; is that correct?

22 A. That's correct.

23 Q. Okay. And all of these measures that you  
24 analyzed were less than 10kW; is that correct?

25 A. Subject to check, yes.

1           **Q.**    Okay.  And I'm deriving that from  
2 Interrogatory Number 14, sir.  Is that --

3           **A.**    Yes.  I believe this interrogatory was  
4 referring to erroneously my testimony when it should  
5 have been referring to Mr. Haney's testimony, as  
6 indicated in the answer.  But I'll accept their less  
7 than 10kW for the, for the PV.

8           **Q.**    Thank you.  Now if I go back to the  
9 interrogatories and I look at the results, every  
10 screening shows the Participant Test is at one; is that  
11 correct?

12          **A.**    That's correct.  When we applied the  
13 Participant Test, we were applying it to try to  
14 determine if an incentive which would cause the  
15 Participant Test to be 1.00 would cause, for example,  
16 the E-RIM Test to then fail when we rolled that same  
17 level of incentive payment into the E-RIM Test.

18          **Q.**    Okay.  And so does -- then you took the  
19 incentive level that you developed in the Participant  
20 Test and used it in the E-RIM Test; is that right?

21          **A.**    At that step of the economic screening, that's  
22 correct.

23          **Q.**    Okay.  When you were calculating the, for the  
24 Participant Test the equipment costs and O&M costs, did  
25 you include the figures developed by Itron for each

1 measure?

2 **A.** Yes.

3 **Q.** Okay. So the numbers used were not numbers  
4 specific to Florida Power & Light's service territory,  
5 were they?

6 **A.** That is correct. We used numbers developed  
7 through the Collaborative from Itron.

8 **Q.** Okay. And the O&M costs were also developed  
9 by Itron for the equipment?

10 **A.** This one I'm not as sure of. I believe the  
11 answer is yes, but I believe -- or I would suggest that  
12 Mr. Haney or Mr. Rufo would be the one to double-check  
13 that with, please.

14 **Q.** Thank you. Were the bill savings that would  
15 be in the numerator of the Participant Test calculated  
16 over the same time period as the life of the DSM measure  
17 evaluated?

18 **A.** I'm sorry. Can you repeat the question,  
19 please?

20 **Q.** Yeah. Were the bill savings, which would be  
21 in the numerator, right, used in the Participant Test  
22 calculated over the same time period as the life of the  
23 DSM measure being evaluated?

24 **A.** Essentially, yes. By that what I mean is if  
25 we had -- our analyses ran from 2010 through 2043, I

1 believe was the analysis period. If we had a measure  
2 that lasted 20 years, we assumed at the end of the 20th  
3 year another participant would be signed up, and  
4 therefore the bill savings would continue. But there  
5 would be some -- essentially the same costs would be  
6 incurred in the 21st year as were incurred in the first  
7 year for the sign-up.

8 Q. Okay. Is the thought process here that a  
9 customer would have to break even to install a DSM  
10 measure?

11 A. From the participant's point of view, the  
12 thinking is they would at least have to break even, or  
13 the Participant Test be a ratio of 1.00 or higher.

14 Q. Okay. And so the, in the most simplistic  
15 terms, the participant, if you counted his out-of-pocket  
16 costs and subtracted his savings in his bill and  
17 subtracted what, whatever incentives were given by the  
18 utility, it would be zero or greater?

19 A. The net cost to the participant would need to  
20 be zero or greater for it to pass the Participant Test  
21 or for it to make economic sense for a customer to  
22 potentially participate in that measure. Yes.

23 Q. When you were calculating the cost to the  
24 customer, did you take into account the investment tax  
25 credits?

1           **A.** We took into account the federal and state tax  
2 credits. That I recall. And I believe the investment  
3 tax credit, say, for photovoltaic was one of those.

4           **Q.** Okay. You say a state tax credit. Is there a  
5 state tax credit?

6           **A.** I believe there is for solar water heaters, or  
7 at least an incentive. Let me put it that way.  
8 Incentive and/or tax credit. I believe that was  
9 addressed in one of the other interrogatories, which  
10 number does not come to mind.

11          **Q.** Thank you. And you took the -- so you assumed  
12 that the, whatever the existing state incentives are  
13 would continue to exist at the same level throughout the  
14 entire study period?

15          **A.** I believe that's correct. Yes.

16          **Q.** Okay. Has Florida Power & Light done any  
17 studies to verify that customers were not, will not  
18 install either solar water heaters or PV systems unless  
19 they recover the full cost of the measure over the  
20 measure's lifetime?

21          **A.** No. I don't believe FPL has done a study for  
22 any DSM measure that tried to indicate whether a  
23 particular customer would partake in a measure if it  
24 were less than a breakeven proposition under the  
25 Participant Cost test. It's certainly possible, and, in

1 fact, I would expect certain customers to do so for  
2 reasons other than economics.

3 Q. Okay. So are you aware of any studies that  
4 indicate that customers will install solar technologies  
5 if some incentive is given less than allowing full  
6 recovery of the measure?

7 A. I'm not aware of any specific studies, no.

8 Q. But you believe that's possible?

9 A. I believe just about anything is possible,  
10 yes.

11 Q. Based on the failure of the measures that we  
12 discussed in the interrogatories to pass the E-RIM Test,  
13 given the incentive level developed in the Participant  
14 Test, all solar measures were excluded from your  
15 portfolio; is that correct?

16 A. No, that's not correct. We had the solar  
17 technologies, subject to check, failing before we got to  
18 the third step -- excuse me, the -- yes, the third step  
19 in our economic screening. In other words, the solar  
20 measures that I can recall were failing at the very  
21 first step where we were including for the E-TRC path  
22 just the participant costs and under E-RIM the  
23 unrecovered revenue requirements. And they failed even  
24 further when the administrative costs were rolled into  
25 the second step under both the E-TRC path and E-RIM.

1           **Q.** Well, assuming -- they didn't get any further  
2 than your economic analysis; is that correct?

3           **A.** I'm sorry. Can you rephrase the question,  
4 please?

5           **Q.** They did not get any further than your  
6 economic analysis. They were not included in any  
7 measures that were sent to Itron for the DSM modeling.

8           **A.** That's correct. No measures, whether they  
9 were solar or nonrenewables, made it to achievable  
10 potential if they did not pass the economic screening  
11 steps.

12           **Q.** At this time does FP&L intend to include any  
13 solar measures in its DSM program portfolio to meet its  
14 DSM goals?

15           **A.** If I understand the question, after the goals  
16 are set and we go to the next docket where we submit a  
17 DSM plan, does FPL intend to submit solar measures?

18           **Q.** Uh-huh.

19           **A.** I would say we would certainly consider them.  
20 We have not ruled anything in, we have not ruled  
21 anything out. We will be reevaluating all of the  
22 measures and -- in order to develop programs. We are  
23 certainly aware that there's a high interest in  
24 renewable technologies. And if we can find a way to  
25 cost-effectively address those, we would certainly

1 consider it.

2 Q. As I know you're aware, Progress Energy  
3 combines water heating with direct load control in a  
4 residential program. Is that something that Florida  
5 Power & Light would consider doing?

6 A. Commissioners, I would say we would consider  
7 it. Up to this point we have taken the path that each  
8 measure needs to stand or fall on its own. However, we  
9 are aware of what Progress has done, and when we get to  
10 that phase, after this docket is completed, we know what  
11 our goals are, of preparing for the next docket, the DSM  
12 plan, we would certainly look at their approach and see  
13 if it had merit.

14 Q. JEA has taken a broader approach to the  
15 application of the RIM Test and applied it to its entire  
16 portfolio instead of individual measures. Is that  
17 something that Florida Power & Light would consider  
18 doing?

19 A. I would say that would be less likely.  
20 Because what we are doing is each measure that we would  
21 put into our portfolio that would fail the E-RIM Test on  
22 its own is a measure that will put upward pressure on  
23 rates, and we would be very reluctant to do that.

24 Q. Do you agree that if the entire portfolio  
25 is -- has a RIM value of 1.01 or greater, that the



1 entire portfolio would not put upward pressure on rates?

2 **A.** I think it depends -- I would say no. I think  
3 it depends on what you compare it to. If you were to  
4 combine -- if you were to compare it to a portfolio that  
5 did not have any measures in that had individually  
6 failed the E-RIM Test, you might have an E-RIM  
7 benefit-to-cost ratio, instead of 1.01, you might have  
8 it at 1.10 or 1.20.

9 Therefore, compared to the second portfolio,  
10 the one in which you are not carrying along measures  
11 that have failed the E-RIM Test, you are putting upward  
12 pressure on rates. You would only not be putting upward  
13 pressure on rates if you were to compare it to a  
14 supply-only plan. Therefore, 1.01 would lower rates  
15 below what a supply-only resource plan would give you.  
16 But it would be increasing rates over what you would do  
17 if you were comparing it to my second portfolio, which  
18 had a combined 1.20 E-RIM ratio.

19 **Q.** But it would be true it would have less rate  
20 impact than if the entire portfolio did not pass the  
21 E-RIM Test.

22 **A.** Compared to a supply-only plan, that would be  
23 true. But, again, that would not be your, your logical  
24 competitor at that point. You start with what is in the  
25 best interest of all customers: How can you achieve

1 your resource needs by going through your planning  
2 process and coming out with the lowest rates for all of  
3 your customers?

4 **Q.** Mr. Spellman has recommended that FP&L spend  
5 approximately \$15.5 million per year on solar measures;  
6 is that correct?

7 **A.** That's correct.

8 **Q.** Okay. And I want to make sure that I  
9 understand what you're telling us today. My impression  
10 was that FP&L would not be including any of these  
11 measures absent the Commission adopting Mr. Spellman's  
12 recommendation. Is that incorrect?

13 **A.** I think that's an incorrect characterization.

14 What we are trying to do in this docket is  
15 simply set goals. I believe what you're referring to is  
16 the next step, which is the DSM plan docket. And you  
17 asked earlier can we say that we would be including  
18 renewable measures, such as some of the solar water  
19 heater or photovoltaic measures. And I would say we  
20 don't know yet. Once we know what our goals are, we  
21 will go back and we will reevaluate all of the measures  
22 in order to determine which ones are potentially  
23 cost-effective as programs. So it may be that we would  
24 include some of these renewable measures, and it may  
25 also be that we do not.

1           **Q.**    Okay.  Do you have any solar or PV measures  
2 being offered by Florida Power & Light at this time?

3           **A.**    There are none that I'm aware of being offered  
4 through the DSM programs.  As you're aware of, we've  
5 made considerable steps forward in large scale  
6 photovoltaic and solar thermal in the DeSoto and Brevard  
7 plants and in our Martin County solar thermal facility.

8           **Q.**    Okay.  But those are facilities that are owned  
9 and operated by Florida Power & Light; correct?

10          **A.**    That's correct.

11          **Q.**    Would you agree that the cost of solar water  
12 heating and PV systems less than 2 kilowatts has  
13 decreased over the last five years?

14          **A.**    No, I would not.  I can't speak for  
15 photovoltaics because I've had no direct experience with  
16 that, other than to say that I have heard that by the  
17 large scale bulk purchases of photovoltaics that FPL was  
18 able to make for its facilities, it was able to drive  
19 the price down from what they would have been otherwise.

20                    But my experience through this docket with  
21 solar water heaters tends to make me think that, if  
22 anything, we are seeing increased costs being projected  
23 for solar water heaters.  Because when we started this  
24 process, we took a look at solar water heater projected  
25 costs back in December or January and were getting one

1 cost number. And as we approached the end of this  
2 docket, we checked again and we saw significantly higher  
3 cost numbers, as the push by federal government, the  
4 push for goals tended to make the market increase  
5 prices. Mr. Haney would perhaps have more direct  
6 information regarding that. But that is not my  
7 experience through this docket.

8 Q. As prices go up, would you expect more  
9 competitors to enter the solar water heating market?

10 A. I don't know. If it became more  
11 cost-effective for those vendors, that would tend to,  
12 excuse me, increase the number of vendors one would, one  
13 would be expected to see in the marketplace. But I'm  
14 not sure the premise of that is, is accurate at this  
15 point.

16 Q. If the number of vendors went up, would the  
17 installed price go down?

18 A. Not necessarily. Back in the 1980s,  
19 Commissioners, Florida Power & Light had a conservation  
20 water heater program. One of the technologies that we  
21 were sponsoring was solar water heaters. Over the  
22 course of several years we, we paid incentives to  
23 roughly 50,000 solar water heaters.

24 Again, this was back early to mid 1980s. At  
25 that time there was a federal tax credit, I believe, of

1 30 percent on solar water heaters. At the beginning of  
2 our program we were seeing average cost for solar water  
3 heaters roughly \$2,000 for a family of four. By the  
4 time the federal tax credits went away and the program  
5 or an interest in solar by customers ground to a halt,  
6 we were seeing many more vendors had gotten in, but the  
7 average price of a solar water heater had been driven up  
8 to about \$3,000 for the same size system.

9 So just the fact that more vendors came in by  
10 itself is not an indicator that one would expect to see  
11 the price of solar water heaters drive downward. In  
12 fact, the only experience that we've had in the state  
13 that I'm aware of has been showing exactly the opposite.

14 Q. If the production cost of the equipment went  
15 down, is it your testimony that that also would not  
16 necessarily decrease the price of the equipment?

17 A. For solar water heaters?

18 Q. Yes, sir.

19 A. I don't think I can accept your premise that  
20 the --

21 Q. Well, assume that it is true.

22 A. I'm sorry. I can't. Because the cost for  
23 solar water heaters -- there's nothing exotic about  
24 them. We're talking glass, copper, water heater tanks,  
25 et cetera. These materials have been around for,

1 seemingly forever. Solar water heaters have been  
2 installed in the state for almost a century. I see  
3 labor prices going up, I see prices of materials going  
4 up. This isn't a technology where I would expect to see  
5 anytime soon any technological breakthrough that would  
6 drive those costs down.

7 Q. Thank you. Based upon your last statement, I  
8 assume that you do not believe the cost of solar water  
9 heating will decrease over the next five years; is that  
10 correct?

11 A. I think the cost of the equipment itself I do  
12 not see dropping significantly, absent something  
13 completely unexpected.

14 Q. Okay. Do you have an opinion as to whether  
15 the installed cost, what the customer actually pays to  
16 get the equipment installed, will decrease over the next  
17 five years?

18 A. That could decrease with, say, federal,  
19 increased federal incentives, stimulus money, that type.  
20 The installed cost might drop, but the cost of the  
21 equipment itself I don't see dropping. In fact, going  
22 back to what happened in the 1980s, I think the  
23 introduction of government incentives or rebates tends  
24 to do the opposite. I think it tends to drive the  
25 purchase cost of the equipment up.

1           **Q.**    Okay.  Subject to check, does FP&L's FERC Form  
2   1 for the fourth quarter of 2008 reflect on line 10,  
3   which is the total resale line, revenues of  
4   \$11.295 billion?  And that's subject to check, sir.

5           **A.**    I don't have a clue.

6           **Q.**    The figure is on Line 10.

7           **A.**    Line 10?

8           **Q.**    Yes, sir.

9           **A.**    Yes.  11.3 billion.

10          **Q.**    Thank you.  And, Dr. Sim, you've testified,  
11   both in your prefiled testimony and in your summary,  
12   about the impacts of Section 366.82 and the revisions  
13   contained in House Bill 7135; is that correct?

14          **A.**    To House Bill 7135, yes.

15          **Q.**    Thank you.  And you're not an attorney, are  
16   you, sir?

17          **A.**    No, I'm not.

18          **Q.**    And happy not to be JD impaired; is that  
19   correct, sir?

20          **A.**    I plead the Fifth.

21          **Q.**    Any opinions that are stated in your testimony  
22   and were given today about the interpretation of House  
23   Bill 7135 or Section 366.82 or Commission rules would be  
24   based on your expertise as a person who has worked on  
25   the technical end in the utility business for as long as

1 I've been at the Commission, for more than 20 years; is  
2 that right?

3 A. I would say -- and for the most part, yes.  
4 Experience in performing the calculations, experience or  
5 a number of years in being before the Commission in both  
6 supply option, need determination hearings and cost  
7 recovery hearings as well as a number of DSM-related  
8 dockets, of seeing how the Commission has approached  
9 things in regard to wanting to see a full accounting of  
10 all of the costs and benefits that are attributable to  
11 any one particular resource option, I think that's what  
12 they expect and I think that's what they should expect.  
13 That's the way we perform our analyses and that's the  
14 way the Commission has traditionally tried to view  
15 resource options that we have brought before them, and I  
16 would not expect that to continue -- or, excuse me, not  
17 to change.

18 Q. To change.

19 A. To change.

20 Q. But they are not legal opinions in any way; is  
21 that right?

22 A. They are not legal opinions.

23 MS. BROWNLESS: If you'll give me a minute, I  
24 think we're done.

25 (Pause.)



1 That's all we have, sir. Thank you so much.

2 **THE WITNESS:** Thank you.

3 **CHAIRMAN CARTER:** Thank you, Ms. Brownless.

4 Commissioners, I'm going to go to staff --

5 **MS. BROWNLESS:** Oh, I need to move my  
6 exhibits, sir. I'm sorry.

7 **CHAIRMAN CARTER:** No, no, no, no, no. We're  
8 going to do that at the end. I'm with you. We've got  
9 that Jedi Knight thing going on, okay? We got you.

10 Commissioners, I'm going to go to staff first  
11 before coming to the bench. Let me just make sure that  
12 we got -- all of the parties did their  
13 cross-examination. I know that the -- okay. For  
14 Mr. Jacobs that would be NRDC. Okay. Good deal.

15 Staff, you're recognized.

16 **MS. FLEMING:** Thank you.

17 **CROSS EXAMINATION**

18 **BY MS. FLEMING:**

19 **Q.** Good afternoon, Dr. Sim.

20 **A.** Good afternoon.

21 **Q.** During the break earlier today staff handed  
22 out a green handout and it was placed to your left side.  
23 Yes. Thank you.

24 **A.** Yes.

25 **Q.** Are you familiar with the items contained in

1 this exhibit?

2 **A.** Yes, I am. They are, they appear to be three  
3 schedules from our current Ten-Year Site Plan.

4 **Q.** And those schedules would be 3.1, 3.2 and 3.3;  
5 is that correct?

6 **A.** Yes.

7 **MS. FLEMING:** Chairman, I would note that this  
8 is already contained in part of staff's stipulated  
9 Exhibit 2. This is just for ease of reference.

10 **CHAIRMAN CARTER:** Thank you. Duly noted.

11 **BY MS. FLEMING:**

12 **Q.** Let me have you turn to Schedule 3.1, please.  
13 Is it correct that the data contained in Columns 6  
14 through 10 is data concerning the DSM?

15 **A.** That's correct. These reflect projections  
16 that we had as of year-end 2008 and perhaps the early  
17 days of 2009 as to, as to assumptions we were making in  
18 our resource planning process then.

19 **Q.** And your response would be the same for  
20 Schedule 3.2; is that correct?

21 **A.** Yes. Winter peak data circa the same vintage.

22 **Q.** With respect to Schedule 3.3, the DSM data is  
23 contained in Columns 3 and 4; is that correct?

24 **A.** That's correct.

25 **Q.** And all the values listed in these schedules

1 are for conservation based on existing programs; is that  
2 correct?

3       **A.** I would disagree slightly with this  
4 explanation. As we look forward in projecting out,  
5 taking Schedule 3.1 for example, it extends through the,  
6 through the year 2018. Currently we have DSM goals in  
7 place for, through the year 2014. What we did is we  
8 extrapolated the implementation rate of DSM through 2014  
9 out the remaining four years.

10               So we didn't have specific DSM programs in  
11 mind. It's essentially just a, as I said, an  
12 extrapolation of the megawatts and gigawatt hours out  
13 through time to cover the reporting period.

14       **Q.** Thank you for that clarification.

15               Dr. Sim, let me have you turn to your Exhibit  
16 SRS-4 in your prefiled testimony, please.

17       **A.** Okay. I have it.

18       **Q.** And I'm looking specifically at step one. The  
19 total number of DSM measures at the starting point that  
20 FPL evaluated at the technical potential stage was 844;  
21 is that correct?

22       **A.** That was the total number of DSM measures that  
23 we refer to as the collapsed measures. At the -- a  
24 little bit higher on the page you'll see the first line,  
25 total number of DSM measures identified in technical

1 potential was 2,321. And then the next line shows the  
2 number of collapsed measures at 844, where we  
3 essentially took, Commissioners, the commercial  
4 industrial measures, and where it was the same measure  
5 for multiple building types, we collapsed them down to  
6 one measure to make it a little bit easier to go through  
7 the initial screening of DSM measures. So the 844 does  
8 represent the starting point of collapsed measures for  
9 the analysis.

10 Q. And under Step 4 FPL identified 197 measures  
11 that had a payback period of two years or less without  
12 incentive payments; is that correct?

13 A. That's correct under the E-RIM path.

14 Q. And just strictly speaking under the E-RIM  
15 path, those 197 measures were removed from further  
16 consideration in an effort to address free ridership; is  
17 that correct?

18 A. Yes. The Commission's DSM goals rule requires  
19 us to address or minimize free riders. The  
20 Collaborative discussed this and came to the conclusion  
21 that the two-year payback was an appropriate way to  
22 address free riders, and those measures were removed  
23 because they would have resulted in a payback time for  
24 the participant of being less than two years.

25 Q. Now at the technical potential level, what

1 amount of savings are associated with these measures?  
2 For example, the summer, winter, and annual energy  
3 savings.

4 **A.** If memory serves me correctly, there was an  
5 interrogatory along that same line. If you can point me  
6 to that number, I can try to get you that answer.

7 **Q.** Let me just have you turn to -- do you have  
8 the late-filed deposition Exhibit Number 2?

9 **A.** Not in front of me. No.

10 **Q.** Okay.

11 **CHAIRMAN CARTER:** Just take a minute.

12 **MS. FLEMING:** We'll take a minute.

13 **CHAIRMAN CARTER:** And get it to him.

14 **BY MS. FLEMING:**

15 **Q.** Dr. Sim, do you have the late-filed deposition  
16 Exhibit Number 2 in front of you?

17 **A.** Yes, I do now. Thank you.

18 **Q.** During the deposition you were asked and  
19 Witness Haney was asked as well to provide the top ten  
20 measures separated by summer, winter and annual energy.  
21 Do you recall that information?

22 **A.** Yes, I do.

23 **Q.** Could you just briefly describe the  
24 information that's compiled on your late-filed  
25 deposition Exhibit 2, please?

1           **A.**    We provided three categories of what is  
2 referred to here as the top ten measures, one by summer  
3 demand, one by winter demand and one by gigawatt hours,  
4 of those measures that had been removed due to the  
5 two-year payback criteria. The only reference for  
6 megawatt and gigawatt hours that we could apply this to  
7 are the technical potential savings, which are kind of a  
8 theoretical construct and therefore do not match up in  
9 any way, shape or form with the achievable potential  
10 numbers that were developed later by the Collaborative  
11 through Itron.

12           **MS. FLEMING:** And, Commissioners, I would note  
13 that this is already contained in staff's stipulated  
14 exhibit. This was just for purposes of questioning.

15 **BY MS. FLEMING:**

16           **Q.**    Thank you, Dr. Sim.

17                    What is FPL doing to educate its customers  
18 about DSM measures with a payback period of less than  
19 two years?

20           **A.**    I think that question is certainly more  
21 appropriate for Mr. Haney.

22           **Q.**    I'll ask him.

23                    In your testimony you address the issue of  
24 carbon costs, is that correct, or CO2 costs?

25           **A.**    That's correct.

1           Q.    And you stated in your testimony that in order  
2 to maintain a level playing field for all resource  
3 options, FPL enhances DSM analysis to include  
4 environmental compliance costs; is that correct?

5           A.    Yes.  And to comply with House Bill 7135.

6           Q.    Does the amended FEECA statute define the term  
7 "greenhouse gases"?

8           A.    I don't recall whether it does or not.  The  
9 Collaborative to my knowledge interpreted that as  
10 primarily CO2 costs.

11          Q.    How does FPL define greenhouse gases?

12          A.    I don't -- I do not know if we have a  
13 definitive definition.  In all of the analyses that FPL  
14 has done through the resource planning group, we have  
15 including projected costs for CO2 as the proxy, so to  
16 speak, for all of the costs of greenhouse gas  
17 compliance.

18          Q.    Dr. Sim, could I have you turn to your Exhibit  
19 SRS-7, please?

20          A.    Yes.

21          Q.    In this exhibit the CO2 costs that FPL  
22 included in the proposed goals are contained in this  
23 exhibit; is that correct?

24          A.    Yes.  CO2, NOx and SO2.

25               **MS. FLEMING:**  Okay.  And at this time staff is

1 handing out an exhibit, Chairman, that we would like to  
2 have marked as Exhibit 138, please.

3 **CHAIRMAN CARTER:** Okay. Commissioners, for  
4 your records this will be Exhibit Number 138.

5 Title, Ms. Fleming?

6 **MS. FLEMING:** Comparison of Carbon Costs.

7 (Exhibit 138 marked for identification.)

8 **CHAIRMAN CARTER:** Great. You may proceed.

9 **BY MS. FLEMING:**

10 **Q.** Dr. Sim, have you had a chance to review this  
11 document?

12 **A.** The one just handed me?

13 **Q.** We just handed it to you.

14 **A.** I've skimmed it, yes.

15 **Q.** Okay. Just looking specifically in the column  
16 titled Florida Power & Light Company, do the costs,  
17 carbon costs represented on this chart accurately  
18 represent the costs that FPL assumed in this proceeding?

19 **A.** Yes.

20 **MS. FLEMING:** Okay. Thank you.

21 We have no further questions, Commissioners.

22 **CHAIRMAN CARTER:** Thank you.

23 Commissioners, anything from the bench?

24 Commissioner McMurrin, you're recognized.

25 **COMMISSIONER McMURRIAN:** Thank you.



1           Dr. Sim, I have a couple of I think very  
2 simple questions. I think my mind works like Ms.  
3 Brownless's, as she said earlier.

4           When she handed out the Figure 1, do you still  
5 have that handy?

6           **THE WITNESS:** Yes, I do.

7           **COMMISSIONER McMURRIAN:** And I think she said  
8 this is from that cost-effectiveness manual of the  
9 staff's.

10          With respect to -- under the total resource  
11 column there's a box under the cost labeled participant  
12 cost, and then there's also a box under the Participant  
13 Test that's labeled equipment costs and O&M costs. Are  
14 those two boxes, at least with respect to FPL's  
15 analysis, would those be the same number?

16          **THE WITNESS:** Yes. Generally those would be  
17 the same number.

18          **COMMISSIONER McMURRIAN:** Okay. And one other.  
19 On your Exhibit SRS Number 3 or SRS-3, on those two  
20 final columns there with respect to the benefits that  
21 you've listed, and you show that there are four yeses  
22 with respect to the RIM Test as well as the TRC Test.  
23 So does that mean that with respect to FPL's analysis of  
24 the TRC and the RIM Test you would have the same  
25 numerator?

1                   **THE WITNESS:** Yes. You would, you would  
2 calculate for both of those tests an identical number  
3 for the benefits.

4                   **COMMISSIONER McMURRIAN:** Okay. Thank you.  
5 That's all.

6                   **CHAIRMAN CARTER:** Thank you, Commissioner  
7 McMurrian.

8                   Commissioners, anything further?

9                   Redirect?

10                  **MS. CANO:** No redirect. And when the time is  
11 appropriate --

12                  **CHAIRMAN CARTER:** Okay. Let's take a  
13 minute -- exhibits. Exhibits 5 through I think it's 14;  
14 is that right?

15                  **MS. CANO:** FPL would like to move Exhibits 5  
16 through 16.

17                  **CHAIRMAN CARTER:** Five through 16.

18                  **MS. CANO:** And 135.

19                  **CHAIRMAN CARTER:** Hang on. Hang on. Hold the  
20 phone. Five through 16. Are there any objections?  
21 Without objection, show it done.

22                                 (Exhibits 5 through 16 admitted into the  
23 record.)

24                                 Okay. Now hang on. Hang on one second before  
25 you go. Just hold, hold your horses there. Let me do

1 this first.

2 Before we go to -- staff, we did this 134, we  
3 marked that. Do we need to enter that in? That was the  
4 Gulf Power Company info.

5 **MS. FLEMING:** I believe it was moved in, but  
6 we may want to just in case.

7 **CHAIRMAN CARTER:** Are there any objections to  
8 134? Without objection, show it done.

9 (Exhibit 134 previously admitted into the  
10 record.)

11 You're recognized for 135.

12 **MS. CANO:** Yes. FPL would like to move  
13 Exhibit 135 into the record.

14 **CHAIRMAN CARTER:** 135, the errata sheet. Are  
15 there any objections? Without objection, show it done.

16 (Exhibit 135 admitted into the record.)

17 136, the excerpt from the cost-effectiveness  
18 manual.

19 **MS. KAUFMAN:** Chairman Carter, FIPUG would  
20 move 136.

21 **CHAIRMAN CARTER:** Are there any objections?  
22 Without objection, show it done.

23 (Exhibit 136 admitted into the record.)

24 Exhibit 137, FSC Second Set of  
25 Interrogatories. Without objection, show it done.

1 (Exhibit 137 admitted into the record.)

2 138, Staff Comparison of Carbon Costs.

3 **MS. FLEMING:** Chairman, if I may, with respect  
4 to 138, we would like to hold off on moving in this  
5 exhibit. We would like the different utilities to  
6 identify these costs, and then at the time, at the  
7 appropriate time, which I believe will be Gulf Witness  
8 Floyd, we will then move that exhibit into the record.

9 **CHAIRMAN CARTER:** Okay. Let's do this then,  
10 boys and girls. Let's just kind of hold where we are.  
11 Let me see.

12 Commissioners, we probably need to give staff  
13 and the parties an opportunity for some refreshments as  
14 well as an opportunity to look over some of the  
15 documents that they have here. I'm thinking -- let me  
16 look at this one. I'm looking at -- I try to do round  
17 numbers. We'll go -- if we did -- okay. We want to  
18 give everybody an opportunity to eat as well as give the  
19 parties an opportunity to discuss. We'll come back at  
20 1:50.

21 We're on recess.

22 (Recess taken.)

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF FLORIDA        )  
                                  :  
COUNTY OF LEON        )

CERTIFICATE OF REPORTER

I, LINDA BOLES, RPR, CRR, Official Commission Reporter, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorneys or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 13<sup>th</sup> day of August, 2009.

Linda Boles  
LINDA BOLES, RPR, CRR  
FPSC Official Commission Reporter  
(850) 413-6734