

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

PETITION FOR INCREASE IN
RATES BY PROGRESS ENERGY
FLORIDA, INC.


DOCKET NO. 090079-EI

PETITION FOR LIMITED PROCEEDING
TO INCLUDE BARTOW REPOWERING
PROJECT IN BASE RATES, BY
PROGRESS ENERGY FLORIDA, INC.

DOCKET NO. 090144-EI

PETITION FOR EXPEDITED APPROVAL
OF THE DEFERRAL OF PENSION
EXPENSES, AUTHORIZATION TO
CHARGE STORM HARDENING EXPENSES
TO THE STORM DAMAGE RESERVE, AND
VARIANCE FROM OR WAIVER OF
RULE 25-6.0143(1)(C), (D), AND
(F), F.A.C., BY PROGRESS ENERGY
FLORIDA, INC.

DOCKET NO. 090145-EU



VOLUME 10

Pages 1297 through 1464

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING.
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS: HEARING

COMMISSIONERS
PARTICIPATING: CHAIRMAN MATTHEW M. CARTER, II
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER KATRINA J. McMURRIAN
COMMISSIONER NANCY ARGENZIANO
COMMISSIONER NATHAN A. SKOP

DATE: Wednesday, September 23, 2009

TIME: Recommended at 9:39 a.m.
Recessed at 7:47 p.m.

DOCUMENT NUMBER - DATE
09976 SEP 28 08

FPSC-COMMISSION CLERK

1

2

PLACE:

Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

3

4

5

REPORTED BY:

MARY ALLEN NEEL, RPR, FPR

6

PARTICIPATING:

(As heretofore stated.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I N D E X

WITNESSES

3	NAME	PAGE
4	THOMAS R. SULLIVAN	
5	(Continued Examination by Commissioner Skop)	1301
6	JAMES H. VANDER WEIDE, PH.D.	
7	Direct Examination by Mr. Walls	1307
8	Prefiled Direct Testimony Inserted	1309
9	Cross-Examination by Mr. Rehwinkel	1366
9	Cross-Examination by Mr. Moyle	1369
10	Cross-Examination by Mr. Wright	1421
10	Cross-Examination by Ms. Fleming	1450
11	CERTIFICATE OF REPORTER	1464

12

13

14

15

16

17

18

19

20

21

22

23

24

25

EXHIBITS

NUMBER		ID.	ADMTD.
40	Staff's Composite Exhibit for Vander Weide	1450	1450
86			1306
87			1306
88			1306
89			1306
90			1306
91			1306
92			1306
93			1306
94			1306
95			1306
96			1306
97			1306
98	JVW-1	1460	1460
99	JVW-2	1460	1460
100	JVW-3	1460	1460
101	JVW-4	1460	1460
102	JVW-5	1460	1460
103	JVW-6	1460	1460
104	JVW-7	1460	1460
105	JVW-8	1460	1460
106	JVW-9	1460	1460
107	JVW-10	1460	1460
108	JVW-11	1460	1460
109	JVW-12	1460	1460
110	JVW-13	1460	1460
276			1306
277	CBOE VIX, 9/11/09	1425	1461
278	Value Line Report for Proxy Group	1457	1462

P R O C E E D I N G S

(Transcript continues in sequence from
Volume 9.)

Thereupon,

THOMAS R. SULLIVAN

a witness on behalf of Progress Energy Florida, Inc.,
continues his sworn testimony as follows:

COMMISSIONER SKOP: So I guess empirically, do
you believe that's what they're speaking to in that
clause where they talk about the increased deferred fuel
costs?

THE WITNESS: Well, again, I think it was an
order of magnitude, given the significant increase in
costs that we saw, that they knew that we were having to
pay for that, or most of it anyway, that wasn't hedged.
And again, depending upon when those payments were,
while the process may be favorable for to us recover it,
it will still take time to do that.

COMMISSIONER SKOP: Okay. And just a little
bit further down on that same paragraph, they talk about
adjusted funds from operations, or FFO, and relate
adjusted funds from operations to interest coverage of
3.2 times X. Do you see that?

THE WITNESS: Yes. Those are two of their,
probably three, primary credit metrics.

1 COMMISSIONER SKOP: Very well. Now, this
2 report was issued in February of 2009; correct?

3 THE WITNESS: I believe this was for the
4 period ended September 30, 2008, as identified in the
5 beginning of that paragraph, I believe.

6 COMMISSIONER SKOP: Okay. But this report
7 itself, though, the report that that paragraph
8 encompasses, was issued, I believe, February 4, 2009, as
9 shown at the bottom of page 2.

10 THE WITNESS: Yes, that's correct.

11 COMMISSIONER SKOP: Moving down to the bottom
12 of page 3, they speak to the need or concern with
13 respect to the adjusted FFO to interest coverage ratio,
14 and I guess they're looking for that metric to improve.
15 Would you agree with that, in that last paragraph?

16 THE WITNESS: Yes. This is a feature they've
17 started adding to the reports the last couple of years.
18 I mentioned their increased efforts for transparency and
19 getting away from the black box that they've been
20 accused of. So, yes, this is the type of thing that
21 they've tried to put out to allow people to know what
22 has to happen to maintain or change the rating.

23 COMMISSIONER SKOP: Okay. And the next --
24 right below there in the next line, they speak to some
25 of the potential revisions to ratings or outlooks that

1 might occur if that coverage ratio does not increase; is
2 that correct?

3 THE WITNESS: Yes.

4 COMMISSIONER SKOP: And they also in the last
5 sentence speak that a higher rating is not currently
6 under consideration; is that correct?

7 THE WITNESS: That is correct.

8 COMMISSIONER SKOP: Okay. Since the time this
9 report was issued, Progress has come before the
10 Commission to seek relief based on the settlement
11 agreement that the Commission has provided, amongst
12 other things. So based on that, and the time in which
13 this report has been issued, has Progress's adjusted FFO
14 to interest coverage ratio improved at all from what was
15 stated in this report?

16 THE WITNESS: They calculate their numbers on
17 an annual basis, so I have not looked at the most recent
18 quarter or 12-month trailing. But I know anecdotally
19 from the revenue decrease which caused the interim rate
20 filing that you referred to, certainly the cash flow of
21 the utility has declined over the last 12 to 15 months.

22 COMMISSIONER SKOP: Okay. Now if I can refer
23 you briefly back to your prefiled testimony, I think I
24 just have a few remaining questions. On page 17 of your
25 prefiled testimony, lines 6 through 12 --

1 THE WITNESS: Yes.

2 COMMISSIONER SKOP: Okay. It talks about
3 again the rating agencies and the imputation of debt and
4 doing the adjustment as a result of power purchase
5 agreements and other off-balance-sheet obligations; is
6 that correct?

7 THE WITNESS: Yes.

8 COMMISSIONER SKOP: And moving to page 18, on
9 line 8, it's indicated that the risk factor that
10 Standard & Poor's applies is 25 percent; correct?

11 THE WITNESS: Yes, it is. For these specific
12 contracts, yes.

13 COMMISSIONER SKOP: And then continuing on
14 lines 9 through 13, it has been previously explained
15 that applying that imputation as suggested by Standard &
16 Poor's actually results in the numbers listed there,
17 which is the adjustment that Progress is seeking;
18 correct?

19 THE WITNESS: Yes, it is.

20 COMMISSIONER SKOP: Okay. Now, if I could
21 turn your attention to page 20, lines 18 through 24, and
22 then continuing on the next page, it speaks to has the
23 Commission ever recognized the effect of
24 off-balance-sheet obligations like PPAs on the utility's
25 capital structure. Do you see that?

1 THE WITNESS: Yes, I do.

2 COMMISSIONER SKOP: Okay. And they cite
3 Commission orders and the rule. Is it your
4 understanding that the ability for Progress to have made
5 that imputed debt adjustment previously was based upon a
6 specific negotiated term in the settlement agreement
7 amongst the parties as opposed to individual action
8 taken by the Commission?

9 THE WITNESS: As I said before, I was not a
10 party to the last stipulated agreement. I don't know if
11 that was specifically addressed or not.

12 COMMISSIONER SKOP: All right. And I believe
13 that's all the questions I have. I need to go back and
14 review that agreement specifically. I have not done so,
15 but I'm just trying to flesh out your testimony and the
16 questions I had. So thank you for your time.

17 THE WITNESS: Thank you.

18 COMMISSIONER EDGAR: Mr. Walls, redirect?

19 MR. WALLS: No redirect.

20 COMMISSIONER EDGAR: Okay. Exhibits?

21 MR. WALLS: Yes. We have Exhibits TRS-1 to
22 TRS-12, which are identified as Exhibits 86 to 97, that
23 we would move in at this time.

24 COMMISSIONER EDGAR: Any objection? Hearing
25 none, Exhibits 86 through 97 are admitted into the

1 record at this time.

2 (Exhibits Number 86 through 97 were admitted
3 into the record.)

4 COMMISSIONER EDGAR: I think that brings us to
5 staff.

6 MS. FLEMING: Staff would ask that Exhibit 276
7 be moved into the record.

8 COMMISSIONER EDGAR: Any objection?

9 MR. WALLS: No objection.

10 COMMISSIONER EDGAR: Hearing none, Exhibit 276
11 is entered into the record.

12 (Exhibit Number 276 was admitted into the
13 record.)

14 COMMISSIONER EDGAR: Mr. Sullivan, you are
15 back on rebuttal, I believe.

16 THE WITNESS: Yes, I believe next week.

17 COMMISSIONER EDGAR: Okay. Well, then you are
18 excused for the time being.

19 THE WITNESS: Thank you.

20 COMMISSIONER EDGAR: Thank you very much.

21 Mr. Walls, your next witness.

22 MR. WALLS: We call Dr. Vander Weide.

23 COMMISSIONER EDGAR: One more time?

24 MR. WALLS: We call Dr. Jim Vander Weide.

25 COMMISSIONER EDGAR: Okay.

1 Thereupon,

2 JAMES H. VANDER WEIDE, Ph.D.

3 was called as a witness on behalf of Progress Energy
4 Florida, Inc. and was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. WALLS:

7 Q. Good afternoon Dr. Vander Weide. Will you
8 please introduce yourself to the Commission and provide
9 your business address?

10 A. Yes. Good day, Commissioners. I am Research
11 Professor of Finance and Economics at Duke University,
12 the Fuqua School of Business. I'm also president of
13 Financial Strategy Associates, a firm that provides
14 strategic and financial consulting services to business
15 clients. My business address is 3606 Stoneybrook Drive,
16 Durham, Nort Carolina. I graduated from Cornell
17 University with a bachelor's degree in economics and
18 from Northwestern University with a Ph.D. in finance.

19 Q. Dr. Vander Weide, have you been sworn as a
20 witness?

21 A. No, I have not.

22 COMMISSIONER EDGAR: Okay. We will do that
23 now. If you would stand with me and raise your right
24 hand.

25 (Witness sworn.)

1 BY MR. WALLS:

2 Q. Dr. Vander Weide, have you filed direct
3 testimony and exhibits in this proceeding?

4 A. Yes, I have.

5 Q. And do you have that prefiled direct testimony
6 and exhibits with you today?

7 A. Yes, I do.

8 Q. Do you have any changes to make to your
9 prefiled direct testimony?

10 A. I have one change on page 48, line 1. The
11 number 4.93 percent should be 4.87 percent. This change
12 does not affect any of my recommendations or
13 calculations in my testimony.

14 Q. And with that change, Dr. Vander Weide, if I
15 asked you the same questions in your prefiled direct
16 testimony today, would you give the same answers?

17 A. Yes, I would.

18 MR. WALLS: We request that the prefiled
19 direct testimony be entered in the record as read.

20 COMMISSIONER EDGAR: The prefiled direct
21 testimony of the witness will be entered into the record
22 as though read, with the change noted by the witness.
23
24
25

**DIRECT TESTIMONY OF
JAMES H. VANDER WEIDE, Ph.D.**

1 **I. Introduction and Summary**

2 **Q. Please state your name, title, and business address for the record.**

3 A. My name is James H. Vander Weide. I am Research Professor of Finance and
4 Economics at Duke University, the Fuqua School of Business. I am also
5 President of Financial Strategy Associates, a firm that provides strategic and
6 financial consulting services to business clients. My business address is
7 3606 Stoneybrook Drive, Durham, North Carolina 27705.

8

9 **Q. Would you please describe your educational background and prior academic
10 experience?**

11 A. I graduated from Cornell University with a Bachelor's Degree in Economics and
12 from Northwestern University with a Ph.D. in Finance. After joining the faculty
13 of the School of Business at Duke University, I was named Assistant Professor,
14 Associate Professor, and then Professor.

15 Since joining the faculty I have taught courses in corporate finance,
16 investment management, and management of financial institutions. I have taught
17 a graduate seminar on the theory of public utility pricing and lectured in executive
18 development seminars on the cost of capital, financial analysis, capital budgeting,
19 mergers and acquisitions, cash management, short-run financial planning, and
20 competitive strategy. I have also served as Academic Program Director of

1 executive education programs at the Fuqua School of Business, including the
2 Duke Advanced Management Program, the Duke Executive Program in
3 Telecommunications, the Duke Competitive Strategies in Telecommunications
4 Program, and the Duke Program for Manager Development for managers from the
5 former Soviet Union.

6 I have conducted seminars and training sessions on financial analysis,
7 financial strategy, cost of capital, cash management, depreciation policies, and
8 short-run financial planning for a wide variety of U.S. and international
9 companies. In addition to my teaching and executive education activities, I have
10 written research papers on such topics as portfolio management, the cost of
11 capital, capital budgeting, the effect of regulation on the performance of public
12 utilities, the economics of universal service requirements, and cash management.
13 My research papers have been published in *American Economic Review*, *Financial*
14 *Management*, *International Journal of Industrial Organization*, *Journal of Finance*,
15 *Journal of Financial and Quantitative Analysis*, *Journal of Bank Research*, *Journal of*
16 *Portfolio Management*, *Journal of Accounting Research*, *Journal of Cash Management*,
17 *Management Science*, *Atlantic Economic Journal*, *Journal of Economics and Business*,
18 and *Computers and Operations Research*.

19
20 **Q. Have you previously testified on financial or economic issues?**

21 **A.** Yes. As an expert on financial and economic theory, I have testified on the cost
22 of capital, competition, risk, incentive regulation, forward-looking economic cost,
23 economic pricing guidelines, depreciation, accounting, valuation, and other
24 financial and economic issues in approximately 400 cases before numerous

1 federal, state, and international regulatory and judicial bodies. My resume is
2 appended as Exhibit ___(JVW-9, Appendix 1).

3
4 **Q. What is the purpose of your testimony?**

5 A. I have been asked by Florida Power Corporation d/b/a Progress Energy Florida
6 (PEF) to prepare an independent appraisal of PEF's cost of equity, and to
7 recommend a rate of return on equity that is fair, that allows PEF to attract capital
8 on reasonable terms, and that allows PEF to maintain its financial integrity.

9
10 **Q. How do you estimate PEF's cost of equity?**

11 A. I estimate PEF's cost of equity in two steps. First, I apply several standard cost of
12 equity methods to market data for a large group of companies of comparable risk.
13 Second, I adjust the average cost of equity for my comparable companies for the
14 difference between the financial risk of those companies in the marketplace and
15 the financial risk implied by PEF's rate making capital structure.

16
17 **Q. Why do you apply your cost of equity methods to a large group of
18 comparable risk companies rather than solely to PEF?**

19 A. I apply my cost of equity methods to a large group of comparable risk companies
20 because standard cost of equity methodologies such as the discounted cash flow
21 ("DCF"), risk premium, and capital asset pricing model ("CAPM") require inputs
22 of quantities that are not easily measured.¹ Since these inputs can only be

¹The problem of difficult-to-measure inputs applies especially to PEF because, as a subsidiary of Progress Energy, its stock is not publicly traded.

1 estimated, there is naturally some degree of uncertainty surrounding the estimate
2 of the cost of equity for each company. However, the uncertainty in the estimate
3 of the cost of equity for an individual company can be greatly reduced by
4 applying cost of equity methodologies to a large sample of comparable
5 companies. Intuitively, unusually high estimates for some individual companies
6 are offset by unusually low estimates for other individual companies. Thus,
7 financial economists invariably apply cost of equity methodologies to a group of
8 comparable companies. In utility regulation, the practice of using a group of
9 comparable companies, called the comparable company approach, is further
10 supported by the United States Supreme Court standard that the utility should be
11 allowed to earn a return on its investment that is commensurate with returns being
12 earned on other investments of the same risk.²

13
14 **Q. What cost of equity do you find for your comparable companies in this**
15 **proceeding?**

16 A. On the basis of my studies, and as summarized in the table below, I find that the
17 cost of equity for my comparable companies is equal to 11.5 percent. This
18 conclusion is based on my application of three standard cost of equity estimation
19 techniques, the DCF model, the risk premium approach, and the CAPM, to a
20 broad group of companies of comparable risk. As noted below, the cost of equity
21 for these comparable companies must be adjusted to reflect the higher financial

² See *Bluefield Water Works and Improvement Co. v. Public Service Comm'n.* 262 U.S. 679, 692 (1923) and *Hope Natural Gas Co.*, 320 U.S. at 603.

1 risk associated with PEF's rate making capital structure, which produces a cost of
 2 equity equal to 12.54 percent for PEF.

3 **TABLE 1**
 4 **COST OF EQUITY MODEL RESULTS**

METHOD	COST OF EQUITY
Discounted Cash Flow	12.3%
Ex Ante Risk Premium	11.2%
Ex Post Risk Premium	11.4%
Historical CAPM	10.7%
DCF CAPM	11.8%
Average All Cost of Equity Methods	11.5%
Cost of Equity Reflecting Higher Financial Risk of PEF's Rate Making Capital Structure	12.54%

5
 6 **Q. You note that the cost of equity of your comparable companies needs to be**
 7 **adjusted for financial risk. Why is that adjustment needed?**

8 A. The cost of equity for my comparable companies depends on their financial risk,
 9 which is measured by the market values of debt and equity in their capital
 10 structures. The financial risk of my comparable companies differs from the
 11 financial risk associated with PEF's rate making capital structure. It is both
 12 logically and economically inconsistent to apply a cost of equity developed for a
 13 sample of companies with a specific degree of financial risk to a capital structure
 14 with a different financial risk. One must adjust the cost of equity for my
 15 comparable companies upward in order for investors in PEF to have an
 16 opportunity to earn a return on their investment in PEF that is commensurate with
 17 returns they could earn on other investments of comparable risk.
 18

1 **Q. How does PEF's financial risk, as reflected in its recommended rate making**
2 **capital structure, compare to the financial risk of your comparable**
3 **companies?**

4 A. PEF's recommended rate making capital structure in this proceeding contains
5 50 percent common equity. The five-year average market value capital structure
6 for my comparable group of companies contains approximately 58 percent equity.
7 Thus, the financial risk of PEF as reflected in its rate making capital structure is
8 greater than the financial risk embodied in the cost of equity estimates for my
9 comparable companies.

10
11 **Q. What is the fair rate of return on equity for PEF indicated by your cost of**
12 **equity analysis?**

13 A. My analysis indicates that PEF would require a fair rate of return on equity equal
14 to 12.54 percent in order to have the same weighted average cost of capital as my
15 comparable companies.

16
17 **Q. Do you have exhibits accompanying your testimony?**

18 A. Yes. I have prepared or supervised the preparation of the following exhibits to my
19 testimony:

- 20 • Exhibit No. ____ (JVW-1), Summary of Discounted Cash Flow Analysis for
21 Electric Energy Companies;

- 1 • Exhibit No. ____ (JVW-2), Comparison of the DCF Expected Return on an
- 2 Investment in Electric Companies to the Interest Rate on Moody's A-Rated
- 3 Utility Bonds;
- 4 • Exhibit No. ____ (JVW-3), Comparative Returns on S&P 500 Stock Index and
- 5 Moody's A-Rated Utility Bonds 1937—2008;
- 6 • Exhibit No. ____ (JVW-4), Comparative Returns on S&P Utility Stock Index and
- 7 Moody's A-Rated Utility Bonds 1937—2008;
- 8 • Exhibit No. ____ (JVW-5), Using the Arithmetic Mean to Estimate the Cost of
- 9 Equity Capital;
- 10 • Exhibit No. ____ (JVW-6), Calculation of Capital Asset Pricing Model Cost of
- 11 Equity Using the Ibbotson[®] SBBI[®] 7.1 Percent Risk Premium;
- 12 • Exhibit No. ____ (JVW-7), Calculation of Capital Asset Pricing Model Cost of
- 13 Equity Using DCF Estimate of the Expected Rate of Return on the Market
- 14 Portfolio;
- 15 • Exhibit No. ____ (JVW-8) Illustration of Calculation of Cost of Equity
- 16 Required for Company to Have the Same Weighted Average Cost of Capital as
- 17 the Comparable Group;
- 18 • Exhibit No. ____ (JVW-9); Appendix 1, Vander Weide Resume
- 19 • Exhibit No. ____ (JVW-10), Appendix 2, Derivation of the Quarterly DCF
- 20 Model;
- 21 • Exhibit No. ____ (JVW-11), Appendix 3, Adjusting for Flotation Costs in
- 22 Determining a Public Utility's Allowed Rate of Return on Equity;
- 23 • Exhibit No. ____ (JVW-12), Appendix 4, Ex Ante Risk Premium Method; and

- 1 • Exhibit No. ____ (JVW-13), Appendix 5, Ex Post Premium Method.

2 These exhibits are true and accurate.

3

4 **II. Economic and Legal Principles**

5 **Q. How do economists define the required rate of return, or cost of capital,**
6 **associated with particular investment decisions such as the decision to invest**
7 **in electric generation, transmission, and distribution facilities?**

8 A. Economists define the cost of capital as the return investors expect to receive on
9 alternative investments of comparable risk.

10

11 **Q. How does the cost of capital affect a firm's investment decisions?**

12 A. The goal of a firm is to maximize the value of the firm. This goal can be
13 accomplished by accepting all investments in plant and equipment with an
14 expected rate of return greater than the cost of capital. Thus, a firm should
15 continue to invest in plant and equipment only so long as the return on its
16 investment is greater than or equal to its cost of capital.

17

18 **Q. How does the cost of capital affect investors' willingness to invest in a**
19 **company?**

20 A. The cost of capital measures the return investors can expect on investments of
21 comparable risk. The cost of capital also measures the investor's required rate of
22 return on investment because rational investors will not invest in a particular
23 investment opportunity if the expected return on that opportunity is less than the

1 cost of capital. Thus, the cost of capital is a hurdle rate for both investors and the
2 firm.

3

4 **Q. Do all investors have the same position in the firm?**

5 A. No. Debt investors have a fixed claim on a firm's assets and income that must be
6 paid prior to any payment to the firm's equity investors. Since the firm's equity
7 investors have a residual claim on the firm's assets and income, equity
8 investments are riskier than debt investments. Thus, the cost of equity exceeds
9 the cost of debt.

10

11 **Q. What is the overall or average cost of capital?**

12 A. The overall or average cost of capital is a weighted average of the cost of debt and
13 cost of equity, where the weights are the percentages of debt and equity in a
14 firm's capital structure.

15

16 **Q. Can you illustrate the calculation of the overall or weighted average cost of
17 capital?**

18 A. Yes. Assume that the cost of debt is 7 percent, the cost of equity is 13 percent,
19 and the percentages of debt and equity in the firm's capital structure are
20 50 percent and 50 percent, respectively. Then the weighted average cost of
21 capital is expressed by $.50 \times 7 \text{ percent} + .50 \times 13 \text{ percent}$, or
22 10.0 percent.

23

1 **Q. How do economists define the cost of equity?**

2 A. Economists define the cost of equity as the return investors expect to receive on
3 alternative equity investments of comparable risk. Since the return on an equity
4 investment of comparable risk is not a contractual return, the cost of equity is
5 more difficult to measure than the cost of debt. However, as I have already noted,
6 there is agreement among economists that the cost of equity is greater than the
7 cost of debt. There is also agreement among economists that the cost of equity,
8 like the cost of debt, is both forward looking and market based.

9
10 **Q. How do economists measure the percentages of debt and equity in a firm's
11 capital structure?**

12 A. Economists measure the percentages of debt and equity in a firm's capital
13 structure by first calculating the market value of the firm's debt and the market
14 value of its equity. Economists then calculate the percentage of debt by the ratio
15 of the market value of debt to the combined market value of debt and equity, and
16 the percentage of equity by the ratio of the market value of equity to the combined
17 market values of debt and equity. For example, if a firm's debt has a market
18 value of \$25 million and its equity has a market value of \$75 million, then its total
19 market capitalization is \$100 million, and its capital structure contains 25 percent
20 debt and 75 percent equity.

21
22 **Q. Why do economists measure a firm's capital structure in terms of the market
23 values of its debt and equity?**

1 A. Economists measure a firm's capital structure in terms of the market values of its
2 debt and equity because: (1) the weighted average cost of capital is defined as the
3 return investors expect to earn on a portfolio of the company's debt and equity
4 securities; (2) investors measure the expected return and risk on their portfolios
5 using market value weights, not book value weights; and (3) market values are the
6 best measures of the amounts of debt and equity investors have invested in the
7 company on a going forward basis.

8
9 **Q. Why do investors measure the return on their investment portfolios using
10 market value weights rather than book value weights?**

11 A. Investors measure the return on their investment portfolios using market value
12 weights because market value weights are the best measure of the amounts the
13 investors currently have invested in each security in the portfolio. From the point
14 of view of investors, the historical cost or book value of their investment is
15 entirely irrelevant to the current risk and return on their portfolios because if they
16 were to sell their investments, they would receive market value, not historical
17 cost. Thus, the return can only be measured in terms of market values.

18
19 **Q. Is the economic definition of the weighted average cost of capital consistent
20 with regulators' traditional definition of the average cost of capital?**

21 A. No. The economic definition of the weighted average cost of capital is based on
22 the market costs of debt and equity, the market value percentages of debt and
23 equity in a company's capital structure, and the future expected risk of investing

1 in the company. In contrast, regulators have traditionally defined the weighted
2 average cost of capital using the embedded cost of debt and the book values of
3 debt and equity in a company's capital structure.

4
5 **Q. Does the required rate of return on an investment vary with the risk of that**
6 **investment?**

7 A. Yes. Since investors are averse to risk, they require a higher rate of return on
8 investments with greater risk.

9
10 **Q. Do economists and investors consider future industry changes when they**
11 **estimate the risk of a particular investment?**

12 A. Yes. Economists and investors consider all the risks that a firm might incur over
13 the future life of the company.

14
15 **Q. Are these economic principles regarding the fair return for capital**
16 **recognized in any Supreme Court cases?**

17 A. Yes. These economic principles, relating to the supply of and demand for
18 capital, are recognized in two United States Supreme Court cases: (1) *Bluefield*
19 *Water Works and Improvement Co. v. Public Service Comm'n.*; and (2) *Federal*
20 *Power Comm'n v. Hope Natural Gas Co.* In the *Bluefield Water Works* case,
21 the Court states:

A public utility is entitled to such rates as will permit it to earn a return upon the value of the property which it employs for the convenience of the public equal to that generally being made at the same time and in the same general part of the country on investments in other business

undertakings which are attended by corresponding risks and uncertainties; but it has no constitutional right to profits such as are realized or anticipated in highly profitable enterprises or speculative ventures. The return should be reasonably sufficient to assure confidence in the financial soundness of the utility, and should be adequate, under efficient and economical management, to maintain and support its credit, and enable it to raise the money necessary for the proper discharge of its public duties. [*Bluefield Water Works and Improvement Co. v. Public Service Comm'n.* 262 U.S. 679, 692 (1923)].

1 The Court clearly recognizes here that: (1) a regulated firm cannot remain
 2 financially sound unless the return it is allowed to earn on the value of its
 3 property is at least equal to the cost of capital (the principle relating to the
 4 demand for capital); and (2) a regulated firm will not be able to attract capital if
 5 it does not offer investors an opportunity to earn a return on their investment
 6 equal to the return they expect to earn on other investments of the same risk (the
 7 principle relating to the supply of capital).

8 In the *Hope Natural Gas* case, the Court reiterates the financial soundness
 9 and capital attraction principles of the *Bluefield* case:

From the investor or company point of view it is important that there be enough revenue not only for operating expenses but also for the capital costs of the business. These include service on the debt and dividends on the stock... By that standard the return to the equity owner should be commensurate with returns on investments in other enterprises having corresponding risks. That return, moreover, should be sufficient to assure confidence in the financial integrity of the enterprise, so as to maintain its credit and to attract capital. [*Federal Power Comm'n v. Hope Natural Gas Co.*, 320 U.S. 591, 603 (1944)].

10
 11 **Q. What practical difficulties arise when one attempts to apply the economic**
 12 **principles noted above to a regulated firm?**

1 A. The application of these principles to the debt and preferred stock components of
2 a regulated firm's capital structure is straightforward. Several problems arise,
3 however, when the principles are applied to common equity. These problems
4 stem from the fact that the cash flows to the equity investors, over any period of
5 time, are not fixed by contract, and thus are not known with certainty. To induce
6 equity investors to part with their money, a firm must offer them an expected
7 return that is commensurate with expected returns on equity investments of
8 similar risk. The need to measure expected returns makes the application of the
9 above principles difficult. These difficulties are especially pronounced today for
10 a firm like PEF, which is part of an industry that faces increased demand
11 uncertainty, increased operating cost uncertainty, and increased uncertainty
12 regarding the investments required to provide safe and reliable service.

13
14 **Q. How do you address these difficulties in your testimony?**

15 A. I address these difficulties by employing the comparable company approach to
16 estimate PEF's cost of equity.

17
18 **Q. What is the comparable company approach?**

19 A. The comparable company approach estimates PEF's cost of equity by identifying
20 a group of companies of similar risk. The cost of equity is then estimated for the
21 companies in the proxy group.

22

1 **III. Business and Financial Risks**

2 **Q. What business and financial risks did you consider in your assessment of**
3 **PEF's cost of equity?**

4 A. I considered both the general business and financial risks associated with the state
5 of the U.S. economy ("macroeconomic risks") and the specific business and
6 financial risks associated with investing in PEF's electric energy business.

7 **A. Macroeconomic Risks**

8 **Q. How do you describe the current U.S. economic environment?**

9 A. The U. S. economy is in the midst of the largest housing, employment, credit, and
10 financial crisis since World War II. During the last year, housing construction has
11 virtually halted, housing prices have collapsed, foreclosures have increased, banks
12 have either failed or announced multi-billion dollar write-offs, unemployment has
13 increased, and investor confidence in the health of the economy is at record lows.

14
15 **Q. Has the recently-passed Congressional stimulus package reduced investor**
16 **uncertainty about the U.S. economic environment?**

17 A. No. Because the problems in the U.S. economy are so widespread and the
18 stimulus package will greatly increase the Federal deficit, investors are uncertain
19 whether the stimulus package will be effective in resolving economic problems.

20
21 **Q. How have investors responded to the deteriorating U.S. economic conditions?**

22 A. Investors have responded by increasing their aversion to risk, reducing their
23 leverage, increasing their demand for liquidity, and increasing their required rates
24 of return on risky investments.


1 **Q. What effect has the increased aversion to risk, reduction in leverage,**
2 **increased demand for liquidity, and increased required rates of return on**
3 **risky stock and bond investments had on stock prices and interest rates?**

4 A. These factors have caused stock prices to decline by the highest percentage since
5 The Great Depression and caused interest rates on all but the safest bond
6 investments to increase. The S&P 500 has declined by approximately 40 percent
7 in the past year and by approximately 50 percent since mid-2007. The stock
8 market has not experienced declines of this magnitude since the early 1930s.
9 Interest rates on Baa-rated utility bonds have increased from approximately
10 6 percent in early 2007 to approximately 8 percent in January 2009, while interest
11 rates on high yield corporate bonds have been at double digit levels since
12 September 2008.

13
14 **Q. Have increased risk aversion, reduced demand for leverage, increased**
15 **demand for liquidity, and increased required rates of return on risky stock**
16 **and bond investments also increased stock market volatility?**

17 A. Yes. Economists generally use the Chicago Board of Exchange ("CBOE")
18 volatility index to measure stock market volatility. The CBOE volatility index is
19 at its highest levels since the late 1980s.

Figure 1
CBOE Volatility Index 1989 2009



B. Business and Financial Risks of Investing in Electric Energy Companies

Q. What are the primary factors that affect the business and financial risks of electric energy companies such as PEF?

A. The business and financial risks of investing in electric energy companies such as PEF include:

1. Demand Uncertainty. Demand uncertainty is one of the primary business risks of investing in electric energy companies such as PEF. Demand uncertainty is caused by: (a) the strong dependence of electric demand on the state of the economy and weather patterns; (b) sensitivity of demand to changes in rates; (c) the ability of customers to choose alternative forms of energy, such as natural gas or oil; (d) the ability of some customers to locate facilities in the service areas of competitors; (e) the ability of some customers to conserve energy or produce their own electricity under cogeneration or self-generation arrangements; and (f) the ability of

1 municipalities to go into the energy business rather than renew the
2 company's franchise. Demand uncertainty is a problem for electric
3 companies because of the need to plan for infrastructure additions many
4 years in advance of demand.

5 2. Operating Expense Uncertainty. The business risk of electric energy
6 companies is also increased by the inherent uncertainty in the typical
7 electric energy company's operating expenses. Operating expense
8 uncertainty arises as a result of: (a) the prospect of increasing employee
9 health care and pension expenses; (b) uncertainty over plant outages, the
10 cost of purchased power, and the revenues achieved from off system sales;
11 (c) variability in maintenance costs and the costs of other materials,
12 (d) uncertainty over outages of the transmission and distribution systems,
13 as well as storm-related expenses; (e) the prospect of increased expenses
14 for security; and (f) high volatility in fuel prices or interruptions in fuel
15 supply.

16 3. Investment Cost Uncertainty. The electric energy business requires very
17 large investments in the generation, transmission, and distribution
18 facilities required to deliver energy to customers. The future amounts of
19 required investments in these facilities are highly uncertain as a result of:
20 (a) demand uncertainty; (b) the changing economics of alternative
21 generation technologies; (c) uncertainty in environmental regulations and
22 clean air requirements; (d) uncertainty in the costs of construction
23 materials and labor; (e) uncertainty in the amount of additional

1 investments to insure the reliability of the company's transmission and
2 distribution networks; (f) uncertainty regarding the regulatory and
3 management structure of the electric transmission network; and
4 (g) uncertainty regarding future decommissioning and dismantlement
5 costs. Furthermore, the risk of investing in electric energy facilities is
6 increased by the irreversible nature of the company's investments in
7 generation, transmission, and distribution facilities. For example, if an
8 electric energy company decides to invest in building a new coal-fired
9 generation plant, and, as a result of new environmental regulations, energy
10 produced by the plant becomes uneconomic, the company may not be able
11 to recover its investment.

12 4. High Operating Leverage. The electric energy business requires a large
13 commitment to fixed costs in relation to the operating margin on sales, a
14 situation known as high operating leverage. The relatively high degree of
15 fixed costs in the electric energy business arises from the average electric
16 energy company's large investment in fixed generation, transmission, and
17 distribution facilities. High operating leverage causes the average electric
18 energy company's operating income to be highly sensitive to revenue
19 fluctuations.

20 5. High Degree of Financial Leverage. The large capital requirements for
21 building economically efficient electric generation, transmission, and
22 distribution facilities, along with the traditional regulatory preference for
23 the use of debt, have encouraged electric utilities to maintain highly debt-

1 leveraged capital structures as compared to non-utility companies. High
2 debt leverage is a source of additional risk to utility stock investors
3 because it increases the percentage of the company's costs that are fixed,
4 and the presence of higher fixed costs increases the sensitivity of a
5 company's earnings to variations in revenues.

- 6 6. Regulatory Uncertainty. Investors' perceptions of the business and
7 financial risks of electric energy companies are strongly influenced by
8 their views of the quality of regulation. Investors are painfully aware that
9 regulators in some jurisdictions have been unwilling at times to set rates
10 that allow companies an opportunity to recover their cost of service and
11 earn a fair and reasonable return on investment. As a result of the
12 perceived increase in regulatory risk, investors will demand a higher rate
13 of return for electric energy companies operating in those states. On the
14 other hand, if investors perceive that regulators will provide a reasonable
15 opportunity for the company to maintain its financial integrity and earn a
16 fair rate of return on its investment, investors will view regulatory risk as
17 minimal.

18
19 **Q. Have any of these risk factors changed in recent years?**

20 **A.** Yes. In recent years, the risk of investing in electric energy companies has
21 increased as a result of significantly greater macroeconomic uncertainty, projected
22 electric energy company capital expenditures; volatility in fuel prices; greater
23 uncertainty in the cost of satisfying environmental requirements; more volatile

1 purchased power and off system sales prices; greater uncertainty in employee
2 health care and pension expenses; and greater uncertainty in the expenses
3 associated with system outages, storm damage, and security. Each of these
4 factors puts pressure on customer rates and therefore increase regulatory risk.
5 The Commission should recognize these higher risks and the correspondingly
6 higher returns required by investors in setting PEF's allowed rate of return in this
7 proceeding.

8
9 **Q. How does greater macroeconomic uncertainty affect the business and
10 financial risks of investing in electric energy companies such as PEF?**

11 A. Greater macroeconomic uncertainty increases the business and financial risks of
12 investing in electric energy companies such as PEF by fundamentally increasing
13 demand uncertainty, investment uncertainty, and regulatory uncertainty.

14
15 **Q. Why does macroeconomic uncertainty increase demand uncertainty?**

16 A. Macroeconomic uncertainty increases demand uncertainty because the demand
17 for electric energy services depends on the state of the economy. The greater the
18 uncertainty regarding the state of the economy, the greater the uncertainty
19 regarding the demand for energy services.

20
21 **Q. How does increased demand uncertainty affect the uncertainty of PEF's
22 future return on investment?**

1 A. Increased demand uncertainty greatly increases the uncertainty of PEFs future
2 return on investment because most of PEF's costs are fixed, while its revenues are
3 variable. Thus, greater volatility in revenues produces greater volatility in return
4 on investment.

5

6 **Q. Why does macroeconomic uncertainty increase investment cost uncertainty?**

7 A. Increased macroeconomic uncertainty greatly increases the uncertainty of
8 investment costs for electric companies like PEF because it increases the
9 uncertainty regarding: the demand for electric energy; the economics of
10 alternative generating technologies; the cost of environmental regulations; the
11 cost of construction materials and labor; and the amount of additional investment
12 required to ensure the reliability of the company's transmission and distribution
13 networks.

14

15 **Q. Why does macroeconomic uncertainty increase regulatory uncertainty?**

16 A. Regulatory uncertainty arises because investors are not certain that regulators will
17 be willing to set rates that allow companies an opportunity to recover their costs
18 of service and earn a fair and reasonable return on investment. Regulatory
19 uncertainty increases in difficult economic times because investors recognize that
20 regulators are likely to face greater pressure to restrain rate increases in difficult
21 economic times than in good economic times.

22

1 **Q. How do greater projected capital expenditures affect the business and**
2 **financial risks of investing in electric energy companies such as PEF?**

3 A. Greater projected capital expenditures increase the business and financial risks of
4 investing in electric energy companies such as PEF by increasing investment cost
5 uncertainty, operating leverage, and regulatory uncertainty.

6
7 **Q. Why do greater projected capital expenditures increase an electric energy**
8 **company's investment cost uncertainty?**

9 A. Greater projected capital expenditures increase investment cost uncertainty
10 because investments in new generation, transmission, and distribution facilities
11 take many years to complete. As investors found during the last electric energy
12 investment boom of the 1980s, actual costs of building new generation,
13 transmission, and distribution facilities can differ from forecasted costs as a result
14 of changes in environmental regulations, materials costs, capital costs, and
15 unexpected delays.

16
17 **Q. Why do greater projected capital expenditures increase operating leverage?**

18 A. As noted above, operating leverage increases when a firm's commitment to fixed
19 costs rises in relation to its operating margin on sales. Increased capital
20 expenditures increase operating leverage because investment costs are fixed, the
21 investment period is long, and revenues do not generally increase in line with
22 investment costs until the investment is entirely included in rate base. Thus, the

1 ratio of fixed costs to operating margin increases when capital expenditures
2 increase.

3

4 **Q. Why do greater projected capital expenditures increase regulatory**
5 **uncertainty?**

6 A. As noted above, regulatory uncertainty arises because investors are aware that
7 regulators in some states have been unwilling at times to set rates that allow a
8 company an opportunity to recover its cost of service, including the cost of
9 capital. Regulatory uncertainty is most pronounced when rates are projected to
10 increase. Greater projected capital expenditures increase regulatory uncertainty
11 because they frequently cause rates to increase.

12

13 **Q. Is PEF projecting greater capital expenditures over the next ten years?**

14 A. Yes. PEF has recently received approval to build nuclear generating facilities that
15 will increase its capital expenditures by approximately \$17 billion over the next
16 ten years just for the nuclear plant and related transmission additions. These
17 capital expenditures are especially large in relation to PEF's 2008 year-end rate
18 base, which is approximately \$7 billion.

19

20 **Q. How does PEF's projected \$17 billion investment in nuclear generating**
21 **facilities increase its risk?**

22 A. PEF's projected \$17 billion investment in nuclear generating facilities increases
23 its risk because the required investment is large, illiquid, and largely irreversible,

1 particularly once construction begins; the investment horizon is long; and the
2 investment and financing costs are uncertain. In addition, the investment is
3 projected to more than double the value of PEF's current rate base.
4

5 **Q. Can the risks facing PEF and other electric energy companies be**
6 **distinguished from the risks of investing in companies in other industries?**

7 A. Yes. The risks of investing in electric energy companies such as PEF can be
8 distinguished from the risks of investing in companies in many other industries in
9 several ways. First, the risks of investing in electric energy companies are
10 increased because of the greater capital intensity of the electric energy business
11 and the fact that most investments in electric energy facilities are largely
12 irreversible once they are made. Second, unlike returns in competitive industries,
13 the returns from investment in the electric energy business are largely
14 asymmetric. That is, there is little opportunity for electric energy companies to
15 earn more than their required return, and a significant chance that they will earn
16 less than their required return.
17

18 **V. Cost of Equity Estimation Methods**

19 **Q. What methods do you use to estimate the cost of common equity capital for**
20 **PEF?**

21 A. I use three generally accepted methods for estimating PEF's cost of common
22 equity. These are the Discounted Cash Flow (DCF), risk premium, and CAPM
23 methods. The DCF method assumes that the current market price of a firm's

1 stock is equal to the discounted value of all expected future cash flows to be
2 received by equity investors. The risk premium method assumes that investors'
3 required return on an equity investment is equal to the interest rate on a long-term
4 bond plus an additional equity risk premium to compensate the investor for the
5 risks of investing in equities compared to bonds. The CAPM assumes that the
6 investors' required rate of return is equal to a risk-free rate of interest plus the
7 product of a company-specific risk factor, beta, and the expected risk premium on
8 the market portfolio.

9
10 **VI. Discounted Cash Flow (DCF) Method**

11 **Q. Please describe the DCF model.**

12 A. The DCF model is based on the assumption that investors value an asset on the
13 basis of the future cash flows they expect to receive from owning the asset. Thus,
14 investors value an investment in a bond because they expect to receive a sequence
15 of semi-annual coupon payments over the life of the bond and a terminal payment
16 equal to the bond's face value at the time the bond matures. Likewise, investors
17 value an investment in a firm's stock because they expect to receive a sequence of
18 dividend payments and, perhaps, expect to sell the stock at a higher price
19 sometime in the future.

20 A second fundamental principle of the DCF method is that investors value a
21 dollar received in the future less than a dollar received today. A future dollar is
22 valued less than a current dollar because investors could invest a current dollar
23 in an interest earning account and increase their wealth. This principle is called
24 the time value of money.

1 Applying the two fundamental DCF principles noted above to an
2 investment in a bond leads to the conclusion that investors value their
3 investment in the bond on the basis of the present value of the bond's future
4 cash flows. Thus, the price of the bond should be equal to:

5 **EQUATION 1**

$$P_B = \frac{C}{(1+i)} + \frac{C}{(1+i)^2} + \dots + \frac{C+F}{(1+i)^n}$$

6 where:

7 P_B = Bond price;

8 C = Cash value of the coupon payment (assumed for notational
9 convenience to occur annually rather than semi-annually);

10 F = Face value of the bond;

11 i = The rate of interest the investor could earn by investing his
12 money in an alternative bond of equal risk; and

13 n = The number of periods before the bond matures.

14 Applying these same principles to an investment in a firm's stock suggests that
15 the price of the stock should be equal to:

16 **EQUATION 2**

$$P_s = \frac{D_1}{(1+k)} + \frac{D_2}{(1+k)^2} + \dots + \frac{D_n + P_n}{(1+k)^n}$$

- 1 where:
- 2 P_s = Current price of the firm's stock;
- 3 D_1, D_2, \dots, D_n = Expected annual dividend per share on the firm's stock;
- 4 P_n = Price per share of stock at the time the investor expects to sell
- 5 the stock; and
- 6 k = Return the investor expects to earn on alternative investments
- 7 of the same risk, i.e., the investor's required rate of return.

8 Equation (2) is frequently called the annual discounted cash flow model of stock

9 valuation. Assuming that dividends grow at a constant annual rate, g , this

10 equation can be solved for k , the cost of equity. The resulting cost of equity

11 equation is $k = D_1/P_s + g$, where k is the cost of equity, D_1 is the expected next

12 period annual dividend, P_s is the current price of the stock, and g is the constant

13 annual growth rate in earnings, dividends, and book value per share. The term

14 D_1/P_s is called the dividend yield component of the annual DCF model, and the

15 term g is called the growth component of the annual DCF model.

16

17 **Q. Are you recommending that the annual DCF model be used to estimate**

18 **PEF's cost of equity?**

19 **A.** No. The DCF model assumes that a company's stock price is equal to the present

20 discounted value of all expected future dividends. The annual DCF model is only

21 a correct expression for the present value of future dividends if dividends are paid

22 annually at the end of each year. Since the companies in my proxy group all pay

23 dividends quarterly, the current market price that investors are willing to pay

1 reflects the expected quarterly receipt of dividends. Therefore, a quarterly DCF
2 model must be used to estimate the cost of equity for these firms. The quarterly
3 DCF model differs from the annual DCF model in that it expresses a company's
4 price as the present value of a quarterly stream of dividend payments. A complete
5 analysis of the implications of the quarterly payment of dividends on the DCF
6 model is provided in Exhibit No. ___ (JVW-10), Appendix 2. For the reasons
7 cited there, I employed the quarterly DCF model throughout my calculations.
8

9 **Q. Please describe the quarterly DCF model you used.**

10 A. The quarterly DCF model I used is described on Exhibit No. ___ (JVW-1) and in
11 (Exhibit No. ___ (JVW-10), Appendix 2. The quarterly DCF equation shows that
12 the cost of equity is: the sum of the future expected dividend yield and the growth
13 rate, where the dividend in the dividend yield is the equivalent future value of the
14 four quarterly dividends at the end of the year, and the growth rate is the expected
15 growth in dividends or earnings per share.
16

17 **Q. How do you estimate the quarterly dividend payments in your quarterly**
18 **DCF model?**

19 A. The quarterly DCF model requires an estimate of the dividends, d_1 , d_2 , d_3 , and d_4 ,
20 investors expect to receive over the next four quarters. I estimate the next four
21 quarterly dividends by multiplying the previous four quarterly dividends by the
22 factor, $(1 + \text{the growth rate, } g)$.
23

1 **Q. Can you illustrate how you estimate the next four quarterly dividends with**
2 **data for a specific company?**

3 A. Yes. In the case of American Electric Power, the first company shown in Exhibit
4 No. ___ (JVW-1), the last four quarterly dividends are equal to 0.635. Thus
5 dividends, d_1 , d_2 , d_3 , and d_4 are equal to .654 [$0.635 \times (1 + .0300) = .654$]. (As
6 noted previously, the logic underlying this procedure is described in Exhibit
7 No. ___ (JVW-10), Appendix 2.)

8
9 **Q. In Exhibit No. ___ (JVW-10), Appendix 2, you demonstrate that the**
10 **quarterly DCF model provides the theoretically correct valuation of stocks**
11 **when dividends are paid quarterly. Do investors, in practice, recognize the**
12 **actual timing and magnitude of cash flows when they value stocks and other**
13 **securities?**

14 A. Yes. In valuing long-term government or corporate bonds, investors recognize
15 that interest is paid semi-annually. Thus, the price of a long-term government or
16 corporate bond is simply the present value of the semi-annual interest and
17 principal payments on these bonds. Likewise, in valuing mortgages, investors
18 recognize that interest is paid monthly. Thus, the value of a mortgage loan is
19 simply the present value of the monthly interest and principal payments on the
20 loan. In valuing stock investments, stock investors correctly recognize that
21 dividends are paid quarterly. Thus, a firm's stock price is the present value of the
22 stream of quarterly dividends expected from owning the stock.

23

1 **Q. When valuing bonds, mortgages, or stocks, would investors assume that cash**
2 **flows are received only at the end of the year, when, in fact, the cash flows**
3 **are received semi-annually, quarterly, or monthly?**

4 A. No. Assuming that cash flows are received at the end of the year when they are
5 received semi-annually, quarterly, or monthly would lead investors to make
6 serious mistakes in valuing investment opportunities. No rational investor would
7 make the mistake of assuming that dividends or other cash flows are paid
8 annually when, in fact, they are paid more frequently.

9
10 **Q. How do you estimate the growth component of the quarterly DCF model?**

11 A. I use the analysts' estimates of future earnings per share (EPS) growth reported by
12 I/B/E/S Thomson Reuters.

13
14 **Q. What are the analysts' estimates of future EPS growth?**

15 A. As part of their research, financial analysts working at Wall Street firms
16 periodically estimate EPS growth for each firm they follow. The EPS forecasts
17 for each firm are then published. Investors who are contemplating purchasing or
18 selling shares in individual companies review the forecasts. These estimates
19 represent five-year forecasts of EPS growth.

20
21 **Q. What is I/B/E/S?**

22 A. I/B/E/S is a firm that reports analysts' EPS growth forecasts for a broad group of
23 companies. The forecasts are expressed in terms of a mean forecast and a

1 standard deviation of forecast for each firm. Investors use the mean forecast as a
2 consensus estimate of future firm performance.

3
4 **Q. Why do you use the I/B/E/S growth estimates?**

5 A. The I/B/E/S growth rates: (1) are widely circulated in the financial community,
6 (2) include the projections of reputable financial analysts who develop estimates
7 of future EPS growth, (3) are reported on a timely basis to investors, and (4) are
8 widely used by institutional and other investors.

9
10 **Q. Why do you rely on analysts' projections of future EPS growth in estimating**
11 **the investors' expected growth rate rather than looking at past historical**
12 **growth rates?**

13 A. I rely on analysts' projections of future EPS growth because there is considerable
14 empirical evidence that investors use analysts' forecasts to estimate future
15 earnings growth.

16
17 **Q. Have you performed any studies concerning the use of analysts' forecasts as**
18 **an estimate of investors' expected growth rate, g?**

19 A. Yes, I prepared a study in conjunction with Willard T. Carleton, Professor of
20 Finance Emeritus at the University of Arizona, on why analysts' forecasts are the
21 best estimate of investors' expectation of future long-term growth. This study is
22 described in a paper entitled "Investor Growth Expectations and Stock Prices:

1 Analysts vs. History," published in the Spring 1988 edition of *The Journal of*
2 *Portfolio Management*.

3
4 **Q. Please summarize the results of your study.**

5 A. First, we performed a correlation analysis to identify the historically oriented
6 growth rates which best described a firm's stock price. Then we did a regression
7 study comparing the historical growth rates with the consensus analysts'
8 forecasts. In every case, the regression equations containing the average of
9 analysts' forecasts statistically outperformed the regression equations containing
10 the historical growth estimates. These results are consistent with those found by
11 Cragg and Malkiel, the early major research in this area (John G. Cragg and
12 Burton G. Malkiel, *Expectations and the Structure of Share Prices*, University of
13 Chicago Press, 1982). These results are also consistent with the hypothesis that
14 investors use analysts' forecasts, rather than historically oriented growth
15 calculations, in making stock buy and sell decisions. They provide overwhelming
16 evidence that the analysts' forecasts of future growth are superior to historically-
17 oriented growth measures in predicting a firm's stock price.

18
19 **Q. Has your study been updated to include more recent data?**

20 A. Yes. Researchers at State Street Financial Advisors updated my study using data
21 through year-end 2003. Their results continue to confirm that analysts' growth
22 forecasts are superior to historically-oriented growth measures in predicting a
23 firm's stock price.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

Q. What price do you use in your DCF model?

A. I use a simple average of the monthly high and low stock prices for each firm for the three-month period ending November 2008. These high and low stock prices were obtained from Thomson Reuters.

Q. Why do you use the three-month average stock price in applying the DCF method?

A. I use the three-month average stock price in applying the DCF method because stock prices fluctuate daily, while financial analysts' forecasts for a given company are generally changed less frequently, often on a quarterly basis. Thus, to match the stock price with an earnings forecast, it is appropriate to average stock prices over a three-month period.

Q. Do you include an allowance for flotation costs in your DCF analysis?

A. Yes. I include a five percent allowance for flotation costs in my DCF calculations.

Q. Please explain your inclusion of flotation costs.

A. All firms that have sold securities in the capital markets have incurred some level of flotation costs, including underwriters' commissions, legal fees, printing expense, etc. These costs are withheld from the proceeds of the stock sale or are paid separately, and must be recovered over the life of the equity issue. Costs vary depending upon the size of the issue, the type of registration method used

1 and other factors, but in general these costs range between three and five percent
2 of the proceeds from the issue [see Lee, Inmoo, Scott Lochhead, Jay Ritter, and
3 Quanshui Zhao, "The Costs of Raising Capital," *The Journal of Financial*
4 *Research*, Vol. XIX No 1 (Spring 1996), 59-74, and Clifford W. Smith,
5 "Alternative Methods for Raising Capital," *Journal of Financial Economics* 5
6 (1977) 273-307]. In addition to these costs, for large equity issues (in relation to
7 outstanding equity shares), there is likely to be a decline in price associated with
8 the sale of shares to the public. On average, the decline due to market pressure
9 has been estimated at two to three percent [see Richard H. Pettway, "The Effects
10 of New Equity Sales upon Utility Share Prices," *Public Utilities Fortnightly*,
11 May 10, 1984, 35—39]. Thus, the total flotation cost, including both issuance
12 expense and market pressure, could range anywhere from five to eight percent of
13 the proceeds of an equity issue. I believe a combined five percent allowance for
14 flotation costs is a conservative estimate that should be used in applying the DCF
15 model in this proceeding.

16
17 **Q. Is a flotation cost adjustment only appropriate if a company issues stock**
18 **during the last year?**

19 A. As described in Exhibit No. ____ (JVW-11), Appendix 3, a flotation cost
20 adjustment is required whether or not a company issued new stock during the last
21 year. Previously incurred flotation costs have not been recovered in previous rate
22 cases; rather, they are a permanent cost associated with past issues of common
23 stock. Just as an adjustment is made to the embedded cost of debt to reflect

1 previously incurred debt issuance costs (regardless of whether additional bond
2 issuances were made in the test year), so should an adjustment be made to the cost
3 of equity regardless of whether additional stock was issued during the last year.
4

5 **Q. Does an allowance for recovery of flotation costs associated with stock sales**
6 **in prior years constitute retroactive rate-making?**

7 A. No. An adjustment for flotation costs on equity is not meant to recover any cost
8 that is properly assigned to prior years. In fact, the adjustment allows PEF to
9 recover only the current carrying costs associated with flotation expenses incurred
10 at the time stock sales were made. The original flotation costs themselves will
11 never be recovered, because the stock is assumed to have an infinite life.
12

13 **Q. How do you apply the DCF approach to obtain the cost of equity capital for**
14 **PEF?**

15 A. I apply the DCF approach to the Value Line electric companies shown in Exhibit
16 No. ___ (JVW-1).
17

18 **Q. How do you select your proxy group of electric companies?**

19 A. I select all the companies in Value Line's groups of electric companies that:
20 (1) paid dividends during every quarter of the last two years; (2) did not decrease
21 dividends during any quarter of the past two years; (3) had at least three analysts
22 included in the I/B/E/S mean growth forecast; (4) have an investment grade bond

1 rating and a Value Line Safety Rank of 1, 2, or 3; and (5) are not the subject of a
2 merger offer that has not been completed.

3
4 **Q. Why do you eliminate companies that have either decreased or eliminated**
5 **their dividend in the past two years?**

6 A. The DCF model requires the assumption that dividends will grow at a constant
7 rate into the indefinite future. If a company has either decreased or eliminated its
8 dividend in recent years, an assumption that the company's dividend will grow at
9 the same rate into the indefinite future is questionable.

10
11 **Q. Why do you eliminate companies that have fewer than three analysts**
12 **included in the I/B/E/S mean forecasts?**

13 A. The DCF model also requires a reliable estimate of a company's expected future
14 growth. For most companies, the I/B/E/S mean growth forecast is the best
15 available estimate of the growth term in the DCF model. However, the I/B/E/S
16 estimate may be less reliable if the mean estimate is based on the inputs of very
17 few analysts. On the basis of my professional judgment, I believe that at least
18 three analysts' estimates are a reasonable minimum number.

19
20 **Q. Why do you eliminate companies that have announced mergers that are not**
21 **yet completed?**

22 A. A merger announcement can sometimes have a significant impact on a company's
23 stock price because of anticipated merger-related cost savings and new market

1 opportunities. Analysts' growth forecasts, on the other hand, are necessarily
2 related to companies as they currently exist, and do not reflect investors' views of
3 the potential cost savings and new market opportunities associated with mergers.

4 The use of a stock price that includes the value of potential mergers in
5 conjunction with growth forecasts that do not include the growth enhancing
6 prospects of potential mergers produces DCF results that tend to distort a
7 company's cost of equity.

8
9 **Q. Please summarize the results of your application of the DCF model to the**
10 **Value Line electric company proxy group.**

11 **A. As shown on Exhibit No. ____ (JWV-1), I obtain a DCF result of 12.3 percent.**
12

13 **VII. Risk Premium Method**

14 **Q. Please describe the risk premium method of estimating PEF's cost of equity.**

15 **A. The risk premium method is based on the principle that investors expect to earn a**
16 **return on an equity investment in PEF that reflects a "premium" over and above**
17 **the return they expect to earn on an investment in a portfolio of bonds. This**
18 **equity risk premium compensates equity investors for the additional risk they bear**
19 **in making equity investments versus bond investments.**

20
21 **Q. Does the risk premium approach specify what debt instrument should be**
22 **used to estimate the interest rate component in the methodology?**

1 A. No. The risk premium approach can be implemented using virtually any debt
2 instrument. However, the risk premium approach does require that the debt
3 instrument used to estimate the risk premium be the same as the debt instrument
4 used to calculate the interest rate component of the risk premium approach. For
5 example, if the risk premium on equity is calculated by comparing the returns on
6 stocks and the returns on A-rated utility bonds, then the interest rate on A-rated
7 utility bonds must be used to estimate the interest rate component of the risk
8 premium approach.

9
10 **Q. Does the risk premium approach require that the same companies be used to**
11 **estimate the stock return as are used to estimate the bond return?**

12 A. No. For example, many analysts apply the risk premium approach by comparing
13 the return on a portfolio of stocks to the return on Treasury securities such as
14 long-term Treasury bonds. Clearly, in this widely-accepted application of the risk
15 premium approach, the same companies are not used to estimate the stock return
16 as are used to estimate the bond return, since the U.S. government is not a
17 company.

18
19 **Q. How do you measure the required risk premium on an equity investment in**
20 **PEF?**

21 A. I use two methods to estimate the required risk premium on an equity investment
22 in PEF. The first is called the ex ante risk premium method and the second is
23 called the ex post risk premium method.

1 **1. Ex Ante Risk Premium Method**

2 **Q. Please describe your ex ante risk premium approach for measuring the**
 3 **required risk premium on an equity investment in PEF.**

4 **A.** My ex ante risk premium method is based on my study of the DCF expected
 5 return on a proxy group of electric companies compared to the interest rate on
 6 Moody's A-rated utility bonds. Specifically, for each month in my study period, I
 7 calculated the risk premium using the equation,

$$8 \quad RP_{\text{PROXY}} = \text{DCF}_{\text{PROXY}} - I_A$$

9 where:

10 RP_{PROXY} = the required risk premium on an equity investment in the
 11 proxy group of companies,

12 $\text{DCF}_{\text{PROXY}}$ = average DCF estimated cost of equity on a portfolio of
 13 proxy companies; and

14 I_A = the yield to maturity on an investment in A-rated utility
 15 bonds.

16 I then perform a regression analysis to determine if there is a relationship
 17 between the calculated risk premium and interest rates. Finally, I used the
 18 results of the regression analysis to estimate the investors' required risk
 19 premium. To estimate the cost of equity, I then added the required risk
 20 premium to the forecasted interest rate on A-rated utility bonds. A detailed
 21 description of my ex ante risk premium studies is contained in
 22 Exhibit No. ___ (JVW-12), Appendix 4, and the underlying DCF results and
 23 interest rates are displayed in Exhibit No. ___ (JVW-2).

24

1 **Q. What cost of equity do you obtain from your ex ante risk premium method**
2 **using the proxy group of electric companies?**

3 A. To estimate the cost of equity using the ex ante risk premium method, one may
4 add the estimated risk premium over the yield on A-rated utility bonds to the
5 forecasted yield to maturity on A-rated utility bonds. At December 1, 2008, the
6 forecasted yield to maturity on A-rated utility bonds is 6.33 percent.³ My
7 analyses produce an estimated risk premium over the yield on A-rated utility
8 bonds equal to 4.9 percent. Adding an estimated risk premium of 4.9 percent to
9 the forecasted 6.3 percent yield to maturity on A-rated utility bonds produces a
10 cost of equity estimate of 11.2 percent using the ex ante risk premium method.
11

12 **2. Ex Post Risk Premium Method**

13 **Q. Please describe your ex post risk premium method for measuring the**
14 **required risk premium on an equity investment in PEF.**

15 A. I first perform a study of the comparable returns received by bond and stock
16 investors over the last 71 years. I estimate the returns on stock and bond
17 portfolios, using stock price and dividend yield data on the S&P 500 and bond
18 yield data on Moody's A-rated Utility Bonds. My study consists of making an
19 investment of one dollar in the S&P 500 and Moody's A-rated utility bonds at the

³Forecasted A-rated utility bond yield from Blue Chip December 1, 2008, using Blue Chip forecast for Baa-rated corporate bond plus current difference between A-rated utility and Baa-rated corporate bonds. The average A-rated utility bond yield November 2008 is 7.65 percent; the average Baa-rated corporate bond yield November 2008 is 9.22 percent. The difference between the two yields is 157 basis points. The forecast Baa-rated corporate bond yield Q1 2010 is 7.9 percent; subtracting 157 basis points from 7.9 percent equals 6.33 percent.

1 beginning of 1937 and reinvesting the principal plus return each year to 2008.

2 The return associated with each stock portfolio is the sum of the annual dividend
3 yield and capital gain (or loss) which accrues to this portfolio during the year(s) in
4 which it is held. The return associated with the bond portfolio, on the other hand,
5 is the sum of the annual coupon yield and capital gain (or loss) which accrued to
6 the bond portfolio during the year(s) in which it is held. The resulting annual
7 returns on the stock and bond portfolios purchased in each year between 1937 and
8 2008 are shown on Exhibit No. ____ (JVW-3). The average annual return on an
9 investment in the S&P 500 stock portfolio is 11.4 percent, while the average
10 annual return on an investment in the Moody's A-rated utility bond portfolio was
11 6.4 percent. The risk premium on the S&P 500 stock portfolio is, therefore,
12 5.0 percent.

13 I also conduct a second study using stock data on the S&P Utilities rather
14 than the S&P 500. As shown on Exhibit No. ____ (JVW-4), the S&P Utility
15 stock portfolio shows an average annual return of 11.0 percent per year. Thus,
16 the return on the S&P Utility stock portfolio exceeds the return on the Moody's
17 A-rated utility bond portfolio by 4.6 percent.

18
19 **Q. Why is it appropriate to perform your ex post risk premium analysis using**
20 **both the S&P 500 and the S&P Utility Stock indices?**

21 A. I perform my ex post risk premium analysis on both the S&P 500 and the S&P
22 Utilities as upper and lower bounds for the required risk premium on an equity
23 investment in PEF because I believe electric energy companies today face risks

1 that are somewhere in between the average risk of the S&P Utilities and the
2 S&P 500 over the years 1937 to 2008. Specifically, the risk premium on the S&P
3 Utilities, 4.6 percent, represents a lower bound for the required risk premium on
4 an equity investment in PEF because PEF is currently more risky than an
5 investment in the average utility in the S&P Utilities index over the entire period
6 1937 to the present. On the other hand, the risk premium on the S&P 500,
7 5.0 percent, represents an upper bound because an investment in PEF is less risky
8 than an investment in the S&P 500 over the period 1937 to the present. I use the
9 average of the two risk premiums as my estimate of the required risk premium for
10 PEF in my ex post risk premium method.

11
12 **Q. Why do you analyze investors' experiences over such a long time frame?**

13 **A.** Because day-to-day stock price movements can be somewhat random, it is
14 inappropriate to rely on short-run movements in stock prices in order to derive a
15 reliable risk premium. Rather than buying and selling frequently in anticipation
16 of highly volatile price movements, most investors employ a strategy of buying
17 and holding a diversified portfolio of stocks. This buy-and-hold strategy will
18 allow an investor to achieve a much more predictable long-run return on stock
19 investments and at the same time will minimize transaction costs. The situation is
20 very similar to the problem of predicting the results of coin tosses. I cannot
21 predict with any reasonable degree of accuracy the result of a single, or even a
22 few, flips of a balanced coin; but I can predict with a good deal of confidence that
23 approximately 50 heads will appear in 100 tosses of this coin. Under these

1 circumstances, it is most appropriate to estimate future experience from long-run
2 evidence of investment performance.

3
4 **Q. Would your study provide a different risk premium if you started with a**
5 **different time period?**

6 A. Yes. The risk premium results do vary somewhat depending on the historical
7 time period chosen. My policy was to go back as far in history as I could get
8 reliable data. I thought it would be most meaningful to begin after the passage
9 and implementation of the Public Utility Holding Company Act of 1935. This
10 Act significantly changed the structure of the public utility industry. Since the
11 Public Utility Holding Company Act of 1935 was not implemented until the
12 beginning of 1937, I feel that numbers taken from before this date would not be
13 comparable to those taken after. (The repeal of the 1935 Act has not materially
14 impacted the structure of the public utility industry; thus, the Act's repeal does not
15 have any impact on my choice of time period.)

16
17 **Q. Why is it necessary to examine the yield from debt investments in order to**
18 **determine the investors' required rate of return on equity capital?**

19 A. As previously explained, investors expect to earn a return on their equity
20 investment that exceeds currently available bond yields because the return on
21 equity, as a residual return, is less certain than the yield on bonds; and investors
22 must be compensated for this uncertainty. Second, investors' current expectations
23 concerning the amount by which the return on equity will exceed the bond yield

1 will be influenced by historical differences in returns to bond and stock investors.
 2 For these reasons, we can estimate investors' current expected returns from an
 3 equity investment from knowledge of current bond yields and past differences
 4 between returns on stocks and bonds.

5
 6 **Q. Is there any significant trend in the equity risk premium over the 1937 to**
 7 **2008 time period of your risk premium study?**

8 **A.** Statisticians test for trends in data series by regressing the data observations
 9 against time. I have performed such a time series regression on my two data sets
 10 of historical risk premiums. As shown below, there is no statistically significant
 11 trend in my risk premium data. Indeed, the coefficient on the time variable is
 12 insignificantly different from zero (if there were a trend, the coefficient on the
 13 time variable should be significantly different from zero).

TABLE 2
REGRESSION OUTPUT FOR RISK PREMIUM ON S&P 500

Line No.		Intercept	Time	Adjusted R Square	F
1	Coefficient	2.28	-0.001	0.006	1.43
2	T Statistic	1.22	-1.196		

TABLE 3
REGRESSION OUTPUT FOR RISK PREMIUM ON S&P UTILITIES

Line No.		Intercept	Time	Adjusted R Square	F
1	Coefficient	1.004	-0.000	-0.010	0.321
2	T Statistic	0.594	-0.566		

14
 15 **Q. Do you have any other evidence that there has been no significant trend in**
 16 **risk premium results over time?**

1 A. Yes. The 2008 Ibbotson[®] SBBI[®] Stocks, Bonds, Bills, and Inflation[®] Valuation
2 Yearbook (“Ibbotson SBBI”) contains an analysis of “trends” in risk premium
3 data. Ibbotson SBBI uses correlation analysis to determine if there is any pattern
4 or “trend” in risk premiums over time. Their analysis demonstrates that there are
5 no trends in risk premiums over time.

6

7 **Q. What is the significance of the evidence that historical risk premiums have no**
8 **trend or other statistical pattern over time?**

9 A. The significance of this evidence is that the average historical risk premium is a
10 good estimate of the future expected risk premium:

11 The significance of this evidence is that the realized equity risk
12 premium next year will not be dependent on the realized equity risk
13 premium from this year. That is, there is no discernable pattern in the
14 realized equity risk premium—it is virtually impossible to forecast next
15 year’s realized risk premium based on the premium of the previous
16 year. For example, if this year’s difference between the riskless rate
17 and the return on the stock market is higher than last year’s, that does
18 not imply that next year’s will be higher than this year’s. It is as likely
19 to be higher as it is lower. The best estimate of the expected value of a
20 variable that has behaved randomly in the past is the average (or
21 arithmetic mean) of its past values. [Ibbotson SBBI, p. 81.]

22

23 **Q. What conclusions do you draw from your ex post risk premium analyses**
24 **about the required return on an equity investment in PEF?**

25 A. My own studies, combined with my analysis of other studies, provide strong
26 evidence that investors today require an equity return of approximately
27 4.6 percent to 5.0 percent above the expected yield on A-rated utility bonds. The
28 forecasted interest rate on Moody’s A - rated utility bonds for Q1 2010 is
29 6.3 percent. Adding a 4.6 to 5.0 percentage point risk premium to an expected

1 yield of 6.3 percent on A-rated utility bonds, I obtain an expected return on equity
2 in the range 10.9 percent to 11.3 percent, with a midpoint of 11.1 percent. Adding
3 a 25 basis-point allowance for flotation costs,⁴ I obtain an estimate of 11.4 percent
4 as the cost of equity for PEF using the ex post risk premium method.

6 **3. Capital Asset Pricing Model (CAPM)**

7 **Q. What is the CAPM?**

8 A. The CAPM is an equilibrium model of the security markets in which the expected
9 or required return on a given security is equal to the risk-free rate of interest, plus
10 the company equity "beta," times the market risk premium:

$$11 \quad \textit{Cost of equity} = \textit{Risk-free rate} + \textit{Equity beta} \times \textit{Market risk premium}$$

12 The risk-free rate in this equation is the expected rate of return on a risk-free
13 government security, the equity beta is a measure of the company's risk relative to
14 the market as a whole, and the market risk premium is the premium investors
15 require to invest in the market basket of all securities compared to the risk-free
16 security.

18 **Q. How do you use the CAPM to estimate the cost of equity for your proxy 19 companies?**

20 A. The CAPM requires an estimate of the risk-free rate, the company-specific risk
21 factor or beta, and the expected return on the market portfolio. For my estimate of
22 the risk-free rate, I use the Blue Chip forecasted yield to maturity on 20-year

⁴ I determine the flotation cost allowance by calculating the difference in my DCF results with and without a flotation cost allowance.

1 Treasury bonds for Q1 2010, ^{4.87}~~4.93~~ percent. For my estimate of the company-
2 specific risk, or beta, I use the average Value Line beta for my proxy companies.
3 For my estimate of the expected risk premium on the market portfolio, I use two
4 approaches. First, I estimate the risk premium on the market portfolio from the
5 difference between the arithmetic mean return on the S&P 500 and the income
6 return on 20-year Treasury bonds as reported by the Ibbotson SBBI 2008
7 *Valuation Yearbook*. Second, I estimate the risk premium on the market portfolio
8 from the difference between the DCF cost of equity for the S&P 500 and the yield
9 to maturity on 20-year Treasury bonds.

10
11 **Q. Why do you recommend that the risk premium on the market portfolio be**
12 **estimated using the difference between the arithmetic mean return on the**
13 **S&P 500 and the income return on 20-year Treasury bonds?**

14 **A.** I recommend that the long-run historic arithmetic mean risk premium be used to
15 estimate the cost of equity because the arithmetic mean is the best estimate of the
16 expected risk premium on a forward-looking basis. As explained in Ibbotson
17 SBBI, the arithmetic mean return is the best approach for calculating the return
18 investors expect to receive in the future:

The equity risk premium data presented in this book are arithmetic average risk premia as opposed to geometric average risk premia. The arithmetic average equity risk premium can be demonstrated to be most appropriate when discounting future cash flows. For use as the expected equity risk premium in either the CAPM or the building block approach, the arithmetic mean or the simple difference of the arithmetic means of stock market returns and riskless rates is the relevant number. This is because both the CAPM and the building block approach are additive models, in which the cost of capital is the sum of its parts. The geometric

average is more appropriate for reporting past performance, since it represents the compound average return. [Ibbotson SBBI, p. 77.]

1 A discussion of the importance of using arithmetic mean returns in the context of
2 CAPM or risk premium studies is contained in Exhibit No. ____ (JVW-5).

3
4 **Q. What CAPM result do you obtain when you estimate the expected return on
5 the market portfolio from the arithmetic mean difference between the return
6 on the market and the yield on 20-year Treasury bonds?**

7 A. I obtain a CAPM estimate of 10.7 percent, as shown on Exhibit No. ____ (JVW-6).

8
9 **Q. What CAPM result do you obtain when you estimate the market risk
10 premium on the market portfolio by applying the DCF model to the S&P
11 500?**

12 A. I obtain a CAPM result of 11.8 percent when I estimate the market risk premium
13 on the market portfolio by applying the DCF model to the S&P 500 [see Exhibit
14 No. ____ (JVW-7)].

15
16 **Q. Is there any evidence that a reasonable application of the CAPM may
17 produce higher cost of equity results than you have just reported?**

18 A. Yes. There are several reasons why a reasonable application of the CAPM may
19 produce higher results than I have just reported. First, there is substantial
20 evidence that the CAPM tends to underestimate the cost of equity for companies
21 whose equity beta is less than 1.0 and to overestimate the cost of equity for
22 companies whose equity beta is greater than 1.0. Second, there is strong evidence

1 that a size premium should be added to the CAPM result for some of my electric
2 companies.

3
4 **Q. What evidence do you have that the CAPM tends to underestimate the cost
5 of equity for companies with betas less than 1.0?**

6 A. The original evidence that the unadjusted CAPM tends to underestimate the cost
7 of equity for companies whose equity beta is less than 1.0 and to overestimate the
8 cost of equity for companies whose equity beta is greater than 1.0 was presented
9 in a paper by Black, Jensen, and Scholes, "The Capital Asset Pricing Model:
10 Some Empirical Tests." Numerous subsequent papers have validated the Black,
11 Jensen, and Scholes findings, including those by Litzenberger and Ramaswamy,
12 Banz, Fama and French, and Fama and MacBeth.⁵

13
14 **Q. Does the finance literature support an adjustment to the CAPM equation to
15 account for a company's size as measured by market capitalization?**

16 A. Yes. For example, Ibbotson SBBI supports such an adjustment. Their estimates
17 of the size premium required to be added to the basic CAPM cost of equity are
18 shown below.

⁵Fischer Black, Michael C. Jensen, and Myron Scholes, "The Capital Asset Pricing Model: Some Empirical Tests," in *Studies in the Theory of Capital Markets*, M. Jensen, ed. New York: Praeger, 1972; Eugene Fama and James MacBeth, "Risk, Return, and Equilibrium: Empirical Tests," *Journal of Political Economy* 81 (1973), pp. 607-36; Robert Litzenberger and Krishna Ramaswamy, "The Effect of Personal Taxes and Dividends on Capital Asset Prices: Theory and Empirical Evidence," *Journal of Financial Economics* 7 (1979), pp. 163-95.; Rolf Banz, "The Relationship between Return and Market Value of Common Stocks," *Journal of Financial Economics* (March 1981), pp. 3-18; and Eugene Fama and Kenneth French, "The Cross-Section of Expected Returns," *Journal of Finance* (June 1992), pp. 427-465.

TABLE 4
IBBOTSON ESTIMATES OF PREMIUMS FOR COMPANY SIZE⁶

Size	Smallest Mkt. Cap. (\$Millions)	Premium
Large-Cap (No Adjustment)	9,274.049	
Mid-Cap	2,413.583	0.92%
Low-Cap	725.267	1.65%
Micro-Cap	1.922	3.65%

C. Fair Rate of Return on Equity

Q. Based on your application of several cost of equity methods to your proxy companies, what is your conclusion regarding your proxy companies' cost of equity?

A. Based on my application of several cost of equity methods to my proxy companies, I conservatively conclude that my proxy companies' cost of equity is 11.5 percent. As shown below, 11.5 percent is the simple average of the cost of equity results I obtain from my cost of equity models.

TABLE 5
COST OF EQUITY MODEL RESULTS

METHOD	COST OF EQUITY
DCF	12.3%
Ex Ante Risk Premium	11.2%
Ex Post Risk Premium	11.4%
Historical CAPM	10.7%
DCF CAPM	11.8%
Average All Cost of Equity Methods	11.5%

⁶See 2008 Ibbotson® SBBI® Valuation Yearbook published by Morningstar.

1 **Q. Does your 11.5 percent cost of equity conclusion for your proxy groups**
2 **depend on the percentages of debt and equity in your proxy companies'**
3 **average capital structure?**

4 A. Yes. The 11.5 percent cost of equity for my proxy groups reflects the financial
5 risk associated with my proxy companies' average capital structures, where the
6 capital structure weights are measured in terms of market values. However, the
7 financial risk associated with my proxy companies' average capital structure is
8 significantly less than the financial risk associated with PEF's ratemaking capital
9 structure. One cannot reasonably apply a cost of equity developed for a sample of
10 companies with a specific degree of financial risk to a capital structure with a
11 different financial risk. Thus, one must adjust the cost of equity for my proxy
12 companies for the difference in financial risk in order to allow PEF's investors an
13 opportunity to earn a return on their investment in PEF that is commensurate with
14 returns they could earn on other investments of comparable risk.

15
16 **Q. How does PEF's recommended rate making capital structure compare to the**
17 **average capital structure of your comparable companies?**

18 A. As noted above, PEF's recommended rate making capital structure contains
19 50 percent common equity, while the average market capital structure for my
20 comparable company group contains approximately 58 percent equity. Although
21 PEF's rate making capital structure contains an appropriate mix of debt and equity
22 and is a reasonable capital structure for ratemaking purposes, from an investors'

1 viewpoint, PEF's rate making capital structure embodies greater financial risk
2 than the average market value capital structure of my proxy company group.

3
4 **Q. You note earlier that the cost of equity depends on a company's capital**
5 **structure. Is there any way to adjust the 11.5 percent cost of equity for your**
6 **proxy companies to reflect the higher financial risk embodied in PEF's**
7 **recommended capital structure in this proceeding?**

8 A. Yes. Since the companies in my proxy group and PEF face comparable business
9 risks, PEF should have the same weighted average cost of capital as my proxy
10 companies. It is a simple matter to determine what cost of equity PEF should
11 have in order to have the same weighted average cost of capital as my proxy
12 companies.

13
14 **Q. Do you perform such a calculation?**

15 A. Yes. I adjust the 11.5 percent average cost of equity for my comparable groups
16 by recognizing that to attract capital, PEF must have the same weighted average
17 cost of capital as my comparable group. As shown in Exhibit ___(JWV-8), my
18 analysis indicates that PEF would require a fair rate of return on equity equal to
19 12.54 percent in order to have the same weighted average cost of capital as my
20 comparable companies. In arriving at this result, I include the purchase power
21 obligation amounts in the capital structure of my comparable companies and the
22 capital structure of PEF.

23

1 **Q. What is your recommendation as to a fair rate of return on common equity**
2 **for PEF?**

3 **A. I recommend that PEF be allowed a fair rate of return on common equity equal to**
4 **12.54 percent.**

5
6 **Q. Does this conclude your testimony?**

7 **A. Yes, it does.**

1 BY MR. WALLS:

2 Q. Dr. Vander Weide, do you have a summary with
3 you?

4 A. Yes, I do.

5 Q. Would you please provide that to the
6 Commission?

7 A. Yes. As I started a bit earlier, I'm Research
8 Professor of Finance and Economics at Duke University,
9 the Fuqua School of Business, and president of Financial
10 Strategy Associates, a firm that provides strategic and
11 financial consulting services to business clients.

12 I graduated from Cornell University with a
13 bachelor's degree in economics and from Northwestern
14 University with a Ph.D. in finance.

15 Since joining the faculty at the School of
16 Business, I have taught courses in corporate finance,
17 investment management, and management of financial
18 institutions. I have taught a graduate seminar on
19 public utility pricing and electric -- and executive
20 development seminars. After teaching for 37 years, I
21 have retired from my teaching duties at Duke.

22 In addition to my teaching and executive
23 education activities, I've written research papers on
24 such topics as portfolio management, the cost of
25 capital, capital budgeting, and the effect of regulation

1 on the performance of utilities, and numerous other
2 papers that have been published in respected journals.
3 I have previously testified in approximately 400 cases
4 on financial or economic issues.

5 I have been retained by Progress Energy
6 Florida to prepare an independent appraisal of PEF's
7 cost of equity and to recommend a rate of return on
8 equity that is fair, that allows PEF to attract capital
9 on reasonable terms, and that allows the company to
10 maintain its financial integrity.

11 Economists define the cost of equity as the
12 return investors expect to receive on alternative equity
13 investments of comparable risk. My assessment of PEF's
14 cost of equity considers both general and financial
15 risks associated with the state of the U.S. economy and
16 the specific business and financial risks associated
17 with investing in PEF's electric energy business.

18 I've estimated PEF's cost of equity by first
19 applying several standard cost of equity methods to
20 market data for a large group of companies of comparable
21 risk. Then I adjust the average cost of equity for my
22 comparable companies for the difference between the
23 financial risk of those companies in the marketplace and
24 the financial risk implied by PEF's ratemaking capital
25 structure.

1 I used three generally accepted methods for
2 estimating PEF's cost of equity, the discounted cash
3 flow, the risk premium, and the CAPM methods. The DCF
4 method assumes that the current price of a firm's stock
5 is equal to the discounted value of all expected future
6 cash flows to be received by equity investors. The risk
7 premium method assumes that investors' required return
8 on an equity investment is equal to the interest rate on
9 a long-term bond plus an additional risk premium to
10 compensate the investors for the additional risk of
11 investing in equities compared to bonds. The CAPM
12 assumes that the investors' required rate of return is
13 equal to the risk-free rate plus the product of a
14 company-specific risk factor or beta and the expected
15 risk premium on the market portfolio.

16 On the basis of my studies, I find that the
17 cost of equity for my comparable companies is
18 11.5 percent. The cost of equity for these comparable
19 companies must be adjusted to reflect the higher
20 financial risk associated with PEF's ratemaking capital
21 structure, which produces a cost of equity equal to
22 12.54 percent for PEF. Therefore, my analysis indicates
23 that PEF would require a fair rate of return on equity
24 equal to 12.54 percent in order to have the same
25 weighted average cost of capital as my comparable

1 companies. In arriving at this result, I include the
2 purchased power obligation amounts in the capital
3 structure of my comparable companies and the capital
4 structure of PEF.

5 This concludes my summary, and I'm happy to
6 answer any questions that you may have.

7 COMMISSIONER EDGAR: Thank you.

8 MR. WALLS: We tender Dr. Vander Weide for
9 cross.

10 COMMISSIONER EDGAR: Thank you.
11 Mr. Rehwinkel.

12 MR. REHWINKEL: Thank you.

13 CROSS-EXAMINATION

14 BY MR. REHWINKEL:

15 Q. Good afternoon, Dr. Vander Weide.

16 A. Good afternoon.

17 Q. My name is Charles Rehwinkel with the Office
18 of Public Counsel. I just have a few questions for you.

19 And I think in your summary you just stated to
20 the Commission that your recommendation for cost of
21 equity is 12.54 percent; correct?

22 A. Yes.

23 Q. And isn't it also correct -- and I think you
24 just stated this, but I want to make sure I understand
25 it -- that you derive an equity cost rate of

1 11.5 percent from your proxy group and then make a 104
2 basis point adjustment to reflect the difference between
3 the market value and book value capital structures of
4 your proxy group? Is that correct?

5 A. No, not precisely. I do reach a cost of
6 equity of 11.5 percent, but my financial risk adjustment
7 is not the difference between the market and book value
8 capital structures of my proxy companies. It is the --
9 it is designed to reflect the difference in the
10 financial risk as reflected in the cost of equity for my
11 proxy companies and the financial risk implied by the
12 capital structure of the company used for ratemaking
13 purposes.

14 Q. Okay. Dr. Vander Weide, would you accept,
15 subject to check, or maybe you know, what the revenue
16 requirement -- whether the revenue requirement
17 associated with a 104 basis point difference between
18 12.54 and 11.5 is about \$51 million?

19 A. I would accept that, subject to check.

20 Q. You've indicated in your testimony, have you
21 not, that you have -- isn't it true that you have
22 offered this adjustment in many rate cases before?

23 A. Yes.

24 Q. Now, do you recall giving an answer to or
25 providing an answer to Public Counsel's Interrogatory

1 163?

2 A. I do recall, and I have that response with me
3 here today.

4 Q. Okay. And I think you also mentioned in your
5 summary that you've testified in over 400 cases before
6 regulatory commissions; is that correct?

7 A. Yes, it is.

8 Q. And in many of those cases, have you
9 recommended this adjustment?

10 A. Well, as I've suggested in my response, I
11 began recommending the use of a weighted average cost of
12 capital based on market value weights in telephone
13 company cases since approximately the 1990s and in
14 electric, gas, and water utilities cases since
15 approximately 2003.

16 Q. Okay. Were you also asked in that
17 interrogatory response to identify all proceedings in
18 which you testified and in which the regulatory
19 commission adopted this adjustment?

20 A. Yes, I was.

21 Q. And how many decisions have you identified
22 where that adjustment was adopted?

23 A. I didn't identify any, because my answer was
24 that I don't maintain records of regulatory decisions or
25 a list of all cases in which commissions have adopted

1 any of my recommendations.

2 MR. REHWINKEL: Okay. Thank you,
3 Dr. Vander Weide. That's all I have.

4 COMMISSIONER EDGAR: Ms. Bradley.

5 MS. BRADLEY: No questions.

6 COMMISSIONER EDGAR: No questions. Mr. Moyle.

7 MR. MOYLE: Thank you, Madam Chair.

8 CROSS-EXAMINATION

9 BY MR. MOYLE:

10 Q. I'm Jon Moyle. I represent FIPUG, the Florida
11 Industrial Power Users Group. Good afternoon. I have
12 some questions for you.

13 A. Good afternoon, Mr. Oyle.

14 Q. It's Moyle.

15 A. Oh, Moyle. Okay. Sorry.

16 Q. It's an Irish name. That's all right.

17 A. Sorry.

18 Q. That's all right. And I'm not going to take a
19 stab at yours. I'll call you Doctor. How's that?

20 A. It's very different, very difficult. It's
21 pronounced "Vander Wida."

22 Q. Okay. And you have a Ph.D., so I can call you
23 Doctor; right?

24 A. Yes.

25 Q. And would you agree that the process that is

1 undertaken by you to come up with a return on equity is
2 complex, complicated; correct?

3 A. Yes.

4 Q. And you take three models and run three
5 different models; correct?

6 A. That's correct.

7 Q. And isn't part of the reason you do that is
8 because there's variability or a lack of certainty in
9 each specific model, so you run three to try to get
10 better results? Is that essentially fair?

11 A. Yes. The cost of equity is a forward-looking
12 concept, so it necessarily involves estimates of things
13 that are going to happen in the future, including growth
14 rates and risk premiums. And so there is some
15 uncertainty associated with each estimate, and I've
16 attempted to obtain the best available estimate from the
17 information available at the time of my testimony.

18 Q. And essentially, what this Commission is being
19 asked to do is to try to figure out at a point in time,
20 I guess today and next week, what the current market is
21 for equity investors in terms of what they would require
22 for a return in order to invest their capital; is that
23 fair?

24 A. Not entirely. Although the testimony is at a
25 point in time, one cannot update it every day, and so

1 it's not as of today. It's as of the time of my
2 testimony.

3 Q. But the concept with respect to what the
4 Commission is charged with doing is correct; right?

5 A. The concept is that they, as I understand it
6 -- I guess to answer your question, I wouldn't view it
7 in that same way. The concept is that they have to
8 determine the company's revenue requirement, and one of
9 the inputs in that -- and that revenue requirement is
10 estimated at the time the company files its case. One
11 of the inputs to that revenue requirement is the cost of
12 capital. And I use the latest available or the
13 information available to me at the time the company was
14 preparing its case, and that is the information that you
15 have before you today.

16 Q. And just so I'm clear on this, because I'm
17 trying to understand it better and learn, let's say
18 hypothetically that this company had invested
19 \$100 million in a plant, Bartow. And let's just use
20 100 million because it's an easy number to work with.
21 They would be in here asking this Commission to award
22 them \$100 million that they invested plus a fair return
23 on the equity invested; correct? Would that be similar
24 to the concept that you're talking about with respect to
25 return on equity, what the fair return is?

1 A. It's not quite correct. They wouldn't ask for
2 a cash payment of \$100 million today. They would ask
3 for \$100 million to be included in their rate base, and
4 they would then expect to earn a return on that
5 investment and to depreciate the investment over time.

6 Q. Yes, sir. And the revenue requirements
7 associated with that 100 million, they wouldn't be
8 looking for 100 million, but they would be looking for
9 revenue requirements to compensate them for the
10 100 million, hypothetically, they invested in Bartow;
11 correct?

12 A. Yes.

13 Q. And included in that would be a fair return on
14 equity?

15 A. That's correct.

16 Q. And the focus of you is that -- your testimony
17 is, what is the fair return on equity?

18 A. That's right.

19 Q. And you're at a number, 12.54; correct?

20 A. That's correct.

21 Q. Are you aware of any other utility in the
22 United States in this year, 2009, that has come before a
23 commission and asked for a return on equity of 12.54 or
24 higher?

25 A. I believe there are several that have come

1 with recommendations for 12 1/2 percent, which is
2 essentially what my recommendation is, yes.

3 Q. Right. And yours is a little higher than
4 12 1/2; right?

5 A. Not materially.

6 Q. People have accused me of trying to, you know,
7 pick up every penny. I don't know if it's fair or not.
8 But could we say a 12.5 return is what you're, in
9 essence, recommending then, given your answer?

10 A. I'm not sure I understand your question. If
11 you're asking -- for the purpose of responding to your
12 question, I guess my answer would be that 12.54 is not
13 materially different from 12.5. However, if you're
14 asking am I changing my recommendation, the answer would
15 be no.

16 Q. Okay. So back to my original question then.
17 My original question was, if there's a difference, and
18 you're not willing to change your testimony, between
19 12.5 and 12.54, you would agree that as we sit here
20 today, you're not aware of any other utility that has
21 filed and sought a return on equity higher than 12.54;
22 correct?

23 A. Well, if you're making the distinction of four
24 basis points --

25 Q. Which I am.

1 A. Then technically, you're correct, but it's not
2 a material difference, as I've suggested earlier.

3 Q. I think we might be back to the point about
4 picking up pennies, but I appreciate that.

5 Would it be -- equity investors, they're
6 people with -- they're pension funds, they're insurance
7 companies? Aren't those who the equity investors are in
8 today's market, and others?

9 A. Those are certainly among the equity
10 investors.

11 Q. There are probably other ways to ascertain
12 what a reasonable return on equity would be. I mean,
13 the constraints on the return on equity are really
14 limited by the courts, are they not, in the Hope and
15 Bluefield decisions?

16 A. I'm not sure I understand the question. The
17 Hope and Bluefield decisions set forth the principle
18 that utilities should be allowed to earn a fair rate of
19 return on their capital, including their equity, and
20 that principle is consistent with the economic
21 definition of the cost of equity. And so in attempting
22 to implement the court's fair rate of return standard, I
23 am estimating the cost of equity. I don't know of any
24 other restraints on the cost of equity other than the
25 principle that it provide a fair rate of return.

1 Q. Okay. And that's the principle I wanted to
2 focus on for a minute, the fair rate of return. That's
3 the standard that the courts have set; correct?

4 A. Yes.

5 Q. Okay. And that was set in order to protect
6 utilities. If a commission erred and got too low and
7 didn't allow them a fair rate of return, the courts have
8 said, look, you can't take somebody's property, and that
9 was a judicial decision that said you have to award a
10 fair rate of return; correct?

11 A. I would agree that that characterizes --
12 that's one characterization of those cases.

13 Q. And you would agree that it's a fair
14 characterization, by and large?

15 A. It's -- I'm not sure. It's somewhat
16 incomplete, but it's a characterization.

17 Q. Are you familiar -- you've read those cases,
18 have you not?

19 A. Yes, I have.

20 Q. And really, what I want to explore is, because
21 we've heard a lot of testimony about these models, but
22 wouldn't you agree so long as a fair rate of return was
23 awarded, that there could be other ways in which to
24 determine a fair rate of return?

25 A. Yes.

1 Q. Okay. And let me just throw a hypothetical at
2 you. We don't have this. The witnesses are the ones
3 that we have. But let's say hypothetically that we had
4 equity investors, a panel of equity investors, pension
5 fund managers, insurance companies, money managers from
6 Wall Street, and we had them here and we asked them, in
7 today's market conditions, assuming a level of risk, and
8 we walked them through a whole process, we could ask
9 them for their opinion as to what a fair return on
10 equity might be, and whatever their answer might be,
11 that arguably is another way to determine a return on
12 equity; correct? I mean, it may not be the way you're
13 familiar with, but as long as it was fair, it would
14 presumably be okay?

15 A. I would agree that would be one way. I don't
16 agree that it would be a good way to estimate the cost
17 of equity.

18 Q. And why would you think that might not be a
19 good way if those people are right there -- I assume
20 they're right there with their pulse on the market as to
21 what equity investors are looking for in terms of return
22 versus risk with their dollars?

23 A. There would be several reasons. One is, they
24 don't represent all investors. Two is that they might
25 have varying interests, and they might have different

1 hurdle rates for investment in the company. And three
2 is, they're not necessarily making an investment
3 decision at that time.

4 The cost of equity is a return that is -- that
5 ought to be a -- and it provides an incentive for
6 investors to invest in the company, and only if
7 investors are actually putting their money down do they
8 have an incentive to come up with a reasonable answer of
9 what their required return is.

10 Q. So if you assume in my hypothetical that the
11 people who were there were doing more than advising, but
12 they were actually fund managers and they made decisions
13 on a regular basis, a daily or weekly basis with respect
14 to investments, that might be a way in which you could
15 make a judgment about ROE, could it not?

16 A. I don't believe so. I've never seen any
17 testimony on the cost of capital of the sort that you've
18 indicated, where the only method of estimating the cost
19 of equity was to ask people what they thought the cost
20 of equity was without providing capital market evidence.

21 Q. And the people that we're talking about asking
22 wouldn't just be regular people. They would be people
23 that are engaged in the market on a regular basis.
24 You're just not familiar with that?

25 A. I have never seen that as a method for

1 estimating the cost of equity.

2 Q. And the concerns you identified with it are,
3 they have a conflict of interest, they might have
4 different internal hurdle rates, and they may not
5 actually be putting money in play; right?

6 A. Those would be three concerns, yes.

7 Q. Any others?

8 A. Well, they may not have an interest in
9 participating in a proceeding. They may not be making a
10 decision at this time. There are a whole host of
11 factors that would preclude that as being a reasonable
12 estimate for the cost of equity.

13 Q. I understand. I think we probably agree that
14 there might be -- you might have some difficulty
15 heightening the interest in participating in a
16 proceeding, but let me move on, and just one final
17 question on that. Have you -- with respect to the
18 concerns that you identified, have you recently invested
19 money in utility companies?

20 A. I don't generally invest in individual
21 securities. I invest in market indices as a principal.

22 MR. MOYLE: Madam Chair, I would like to use
23 an exhibit with this witness. It has already been
24 entered and marked. It's 264. It's the chart that has
25 all of the 2009 --

1 COMMISSIONER EDGAR: I remember it well. Does
2 the witness have a copy?

3 MR. MOYLE: I have an extra one.

4 COMMISSIONER EDGAR: Let me just ask, does
5 anybody else need a copy? Mr. Walls, I see you -- you
6 have one already? Okay.

7 BY MR. MOYLE:

8 Q. Sir, I've handed you an exhibit that has been
9 entered into the evidence. It's already evidence in
10 this case. It's 264. And I'll represent to you that it
11 has been purported to be a document which captures all
12 of the recent decisions by regulatory entities, such as
13 this Florida Commission, in 2009.

14 And I guess the first question is, would you
15 agree with me that this document contains important,
16 relevant information that might be useful in determining
17 an appropriate return on equity?

18 A. I'm not sure. I don't -- I certainly wouldn't
19 -- I normally think that it's -- I normally believe that
20 it's circular to look at returns that are authorized in
21 other proceedings, that a utility commission, because of
22 the differences in times at which evidence is provided,
23 the differences in the circumstances of utilities in
24 different proceedings in different states, and the
25 economic characteristics of the individual utility, that

1 the best evidence is to provide cost of equity estimates
2 from the models that I've used.

3 Q. Okay. And it's a little unfair. Have you
4 seen this document before?

5 A. I've seen documents like it. I'm not sure
6 I've seen this particular document.

7 Q. Do you need a minute to take a look at it and
8 become familiar with it, because I kind of jumped right
9 in and asked you if you thought it had any important
10 information on it without really giving you a chance, I
11 don't believe, to digest it fully. Do you need a little
12 more time.

13 A. Well, it depends on your question. I believe
14 I understand it. If I need more time once you ask a
15 question, I'll let you know.

16 Q. Okay. And in response to my question about it
17 containing useful or relevant information, I thought you
18 indicated you didn't really think it did because there
19 are variabilities with respect to commission decisions,
20 I guess company variabilities and timing variabilities;
21 is that correct?

22 A. Among others, yes.

23 Q. And I guess the thing that I'm struggling with
24 trying to intellectually grasp is, you would also agree
25 that there are variabilities with respect to the models

1 that you use. In the process of trying to identify
2 proxy companies, you have variabilities within the
3 companies in your proxy, do you not?

4 A. I'm not sure what you mean by variabilities of
5 the companies in my proxy.

6 Q. Well, you prepared a group of proxy companies;
7 correct?

8 A. Yes.

9 Q. And all those companies are not the same, are
10 they, in terms of how they operate, in terms of their
11 recovery clauses they use, in terms of the jurisdiction
12 that they're regulated under, in terms of their
13 regulatory treatment?

14 A. That's correct. But my cost of equity
15 estimates for those companies are forward-looking as
16 opposed to results of proceedings that are already
17 completed and were based on evidence prior to dates at
18 which the decisions were made.

19 Q. Okay. And we've had a lot of discussion about
20 forward-looking and looking at actual data, you know,
21 not necessarily in this context, but in the context of
22 things like forecasts of expenditures versus actual
23 expenditures. You would agree, would you not, that
24 historical information of actual results is useful,
25 meaningful information, would you not?

1 A. Well, as a general statement, looking at
2 historical information of some relevant actual results
3 certainly is helpful.

4 I don't believe that return -- rate of return
5 or fair return decisions should be based on decisions
6 that are reached in other states, because that is
7 inherently a circular process. If every state did that,
8 for example, the allowed rate of return would never
9 change, because every state would do the same thing.
10 Obviously, states apparently don't do that, because they
11 give different returns on equity.

12 And as far as any state I've ever been in,
13 they attempt to look at the evidence that is presented
14 in the case. And I don't know how they can look at
15 evidence -- at results of other cases without examining
16 the evidence in those cases to see what the evidence
17 said at the time of the case.

18 Q. So the evidence as to the other particular
19 cases or the other particular companies is important in
20 making a judgment on return on equity; is that correct?

21 A. Absolutely. You know, take the example of a
22 company's rate base. You wouldn't use the average rate
23 base that was allowed by companies in other states. You
24 look at the evidence that's presented in this particular
25 case for the company's rate base.

1 Q. And we could agree, could we not, that the
2 amount of rate base is materially different and distinct
3 from return on equity, in that return on equity is
4 really a measure of what an investor would expect to
5 receive, whether it's in company A, B, or C, whereas
6 rate base is more akin to steel in the ground; correct?

7 A. I would agree that that's a difference, yes.

8 Q. And with respect to your models, you know, the
9 forward-looking aspect, would you agree that it's
10 difficult -- I mean, nobody can see into the future;
11 correct?

12 A. I would agree that there is, as I did earlier,
13 that there's uncertainty associated with the estimate of
14 the cost of equity. There was uncertainty in each of
15 the proceedings in which these rates of return were
16 allowed. The difference is that the uncertainties were
17 for different companies at different points in time, and
18 I believe that the Commission has an obligation to
19 examine the evidence in the case which they're
20 considering.

21 Q. Okay. And do you know how much each 100 basis
22 points represents in terms of additional revenue
23 requirements that the ratepayers will be asked to pay in
24 this case?

25 A. No, I do not.

1 Q. You would agree, would you not, that the
2 impacts of rates on ratepayers is an important factor or
3 consideration that this Commission should take into
4 account when it's making its decision in this case;
5 correct?

6 A. In terms of the cost of equity, I'm familiar
7 with the fair rate of return standard, and that's the
8 standard that I use to -- as the basis for my studies.
9 And the fair return standard says that investors should
10 be given the opportunity to earn a return that is
11 commensurate with returns they could get on other
12 investments of the same risk.

13 Q. Yes, sir, and I'm not taking issue with that.
14 I'm trying to see and get your understanding with
15 respect to the job that these regulators are being asked
16 to do is to make a judgment. Now, you are testifying
17 with respect to a judgment that you believe should be
18 made based on the point of view of investors. And my
19 question is, would you agree, or do you have information
20 or knowledge that along with making that judgment, that
21 the impacts of the rates on ratepayers is something
22 that's also appropriate to consider in the ratemaking
23 process?

24 A. I agree that the impact on ratepayers is
25 already included in the fair rate of return standard,

1 and it's included in the sense that the company doesn't
2 have a right to anything in excess of the return that it
3 could earn on other investments of the same risk.

4 On the other hand, they do have a right,
5 according to the Supreme Court, to returns that are
6 commensurate with what they could get on other
7 investments of the same risk.

8 Q. And so as we sit here, do you know how much
9 the company is requesting for its rate case increase?

10 A. Not precisely.

11 Q. I was going to ask you what percentage the
12 return on equity piece might be, but I guess --

13 A. Oh, the return on equity is my recommended
14 rate of return on equity, 12.54.

15 Q. Right. But in terms of understanding, out of
16 X amount of a request, a certain portion of that is
17 return on equity. I don't -- were you here during the
18 opening statements?

19 A. No, I was not.

20 Q. Okay. So you didn't hear Mr. Glenn talk about
21 three big issues in the case, one of them being return
22 on equity?

23 A. No. I wasn't here.

24 Q. I want to move on, if I can, and explore a
25 little bit the notion about the decisions need to be

1 based on evidence. And I don't know that we disagree
2 with that. I guess the questions that I want to
3 understand better are, you would agree when putting
4 together your proxy group that it's important to compare
5 apples to apples; correct?

6 A. I'm not sure how you define the phrase "apples
7 to apples." It's used in many different contexts.

8 Q. Okay. Let me try to clarify. I understand a
9 proxy is an effort where you look at a whole host of
10 utility companies and then you try to narrow that list
11 and come up with a handful of utility companies that you
12 believe are similarly situated to the company for which
13 you're proposing a return on equity. Is that right?

14 A. Not exactly. I believe they should be
15 similar, on average, in risk to the company whose rates
16 are being determined.

17 Q. And how do you determine whether a company is
18 similar, on average, on risk?

19 A. Both by looking at their average Value Line
20 safety rank, by looking at their average bond ratings,
21 and understanding that they're in the same utility
22 environment and have the same procedures that are used
23 to determine their rates.

24 Q. Do you do digging in any kind of detail with
25 respect to the specific regulatory construct and the

1 jurisdiction in which one of your candidate proxy
2 companies may be located?

3 A. Well, I'm generally familiar with the
4 regulatory constructs that are used throughout the
5 country. I don't try to match them one for one with the
6 company, because every company is different in some
7 degrees. The only requirement is that they be similar
8 in risk, not exactly equal to risk in every dimension.
9 And with regard to cost constructs and cost recovery
10 mechanisms, most of my utilities have similar types of
11 cost recovery mechanisms to Progress Energy.

12 Q. And really, the focus of my question is on the
13 regulatory environments or states, if you will. And
14 given your answer, how do you know that, that -- as I
15 understand it, you said that you believe that the
16 regulatory entities and the states with your proxy
17 companies have similar regulatory policies. I may not
18 have stated it exactly right, but that was the gist, as
19 I understood your answer.

20 A. I know that because, one, I've testified for
21 companies in the electric utility industry. Two, I read
22 their reports filed with the SEC on a fairly frequent
23 basis. I also read articles on what types of regulatory
24 mechanisms are allowed for the utilities. And although
25 I can't repeat them all here, I am generally aware that

1 most utilities have a host of regulatory cost recovery
2 mechanisms.

3 Q. Do you have an understanding as we sit here
4 today how Florida views the development of new nuclear
5 plants?

6 A. Yes.

7 Q. And what is that, coming from the standpoint
8 of ability to recover costs?

9 A. My understanding is that Florida allows the
10 recovery of all prudently incurred costs.

11 Q. Is there any other state in the country that
12 similarly makes that allowance, if you know?

13 A. Well, I believe that the general principle of
14 cost of service regulation is that the company ought to
15 be allowed to recover all its prudently incurred costs
16 plus to earn a fair rate of return on its investments.

17 Q. Do you know how those costs are recovered in
18 Florida?

19 A. I believe that my general understanding -- I'm
20 not a legal expert on the details of the recovery
21 mechanism, but it's my understanding that they would be
22 allowed to have what's frequently called construction
23 work in progress in rate base.

24 Q. Do you have an understanding as to how it
25 might get into rate base?

1 A. I'm not sure. I would assume that there would
2 be a prudency proceeding, as there is with most
3 investments.

4 Q. Yes, sir. I'm trying to be fair and just test
5 your knowledge with respect to Florida and how it may or
6 may not provide for recovery of nuclear costs. As we
7 sit here today, do you know whether Florida makes
8 provision for nuclear costs to be recovered via a base
9 rate case or via a recovery clause?

10 A. I believe that it's a recovery clause, but
11 it's not automatic. It depends on the expenditures
12 being prudent.

13 Q. Do you know of any other states that allow for
14 that?

15 A. I haven't studied which states with regard to
16 nuclear have a clause like that. I am aware that most
17 states have a general principle of cost recovery that a
18 company should be allowed to recover all prudently
19 incurred costs.

20 Q. Yes, sir. I don't think we have a
21 disagreement on that.

22 Are you aware of any other state in this
23 country which has more clauses to permit recovery than
24 the State of Florida?

25 A. I have never -- no. I have never attempted to

1 count the number of clauses. I believe that it's --
2 what's important is the whole picture, not the number of
3 clauses.

4 Q. You would agree, would you not, that as a
5 general proposition, that the ability to recover moneys
6 through a clause as compared to a base rate case, say,
7 an annual clause, that that presents less risk; correct?

8 A. I agree that it is helpful in terms of
9 reducing the risk of the company in absolute terms.
10 Whether it reduces the risk relative to the comparable
11 companies depends on the clauses that the comparable
12 companies have as well.

13 Q. Okay. And as we sit here today, for the
14 purposes of your analysis, in the proxy companies, you
15 didn't make any effort to go through and try to identify
16 and match up the clauses of Progress Energy Florida to
17 the proxy companies; correct?

18 A. I did not attempt. As we sit here today, I
19 don't recall what all the clauses are that the
20 comparable companies have. However, I would note that
21 Value Line when they determine a safety rank, and the
22 rating agencies when they determine a bond rating,
23 consider those clauses in determining those ratings.
24 And I have presented evidence that my comparable
25 companies have similar bond ratings and similar Value

1 Line safety ranks to Progress Energy.

2 Q. You would agree with me, would you not, that
3 an equity ratio is a component of risk, to the extent
4 that a company is higher leveraged or has more debt,
5 that it probably has more risk to an equity investor?

6 A. Well, I discuss that concept in my -- the
7 concept of financial risk in my testimony. Financial
8 risk has do with the variability of return on an equity
9 investment. And as I discussed in my testimony, the
10 variability of return depends on the market values of
11 debt and equity in the company's capital structure.

12 Q. Yes, sir. And I guess I'm trying to keep it
13 at a high level. But with respect to the equity ratios,
14 the various equity ratios with respect to a company, you
15 would agree that the amount of equity as compared to the
16 amount of debt in a company is a risk component;
17 correct?

18 A. Yes. As I've just answered, the relationship
19 of debt and equity measured in market values is a
20 determinant of the variability of the future return on
21 investment, and hence it's a component in financial risk
22 as seen by equity investors.

23 Q. And equity investments, with respect to some
24 companies, there are parent companies in which an
25 investor has to invest that contains a regulated

1 electric utility; correct?

2 A. I'm not --

3 Q. Do you follow me on that?

4 A. I'm not sure what you mean by "has to invest."

5 Q. If an investor wanted to invest in a company
6 -- let's say if a investor wanted to invest in Progress
7 Energy Florida, they would not be able to do it
8 directly, would they? They would have to invest in the
9 parent company which is traded on Wall Street on the New
10 York Stock Exchange?

11 A. Yes, I agree that they could not make a direct
12 investment in Progress Energy Florida, and they could
13 make a direct investment in Progress Energy.

14 Q. Okay. And in considering that -- and I don't
15 know if you have any information about Florida Power &
16 Light, but do you know the same thing holds true for FPL
17 Group, which is a holding company, and then it has
18 subsidiaries, one of which is a regulated utility, FPL?

19 A. Yes, that is correct.

20 Q. But as an investor, an equity investor
21 couldn't invest directly in FPL, the regulated company.
22 They would need to invest in the parent; correct?

23 A. That's correct.

24 Q. All right. And given that, you would also
25 agree, would you not, that the relative percentage of

1 the holding company's revenues that are generated from
2 regulated utility operations is a component of risk?

3 A. It can be. I have never found that it is,
4 however. I have generally found that there is no
5 relationship between the percent regulated revenues and
6 a company's beta or its cost of equity as estimated from
7 the discounted cash flow method.

8 Q. And I'm not necessarily looking to get back
9 into those methods. I'm just asking from the standpoint
10 that if I went to a stockbroker and said, "I want to
11 invest in a good utility company," and he said there
12 were two holding companies, and one had an excellent
13 regulated utility, but it only contributed 10 percent of
14 the revenues to the overall entity, and the other was
15 above average, but it contributed 90 percent of the
16 revenues to the holding company, and I wanted a safe,
17 conservative investment, wouldn't, all things being
18 equal, I probably be better off with the 90 percent
19 regulated utility company that is above average, but not
20 at the top notch in that hypothetical?

21 A. I would disagree. I would look at a direct
22 measure of risk rather than looking at the percent
23 regulated revenues.

24 Q. And your direct measure of risk would be
25 through a model; is that right?

1 A. I indicated my measure of risk is the Value
2 Line safety rank and the bond ratings, and I've
3 indicated -- as an example -- I realize this isn't the
4 time to discuss rebuttal testimony, but the point is
5 that Dr. Woolridge used a set of proxy companies based
6 on percent regulated revenues, and the companies that
7 were eliminated because they had less than his cutoff
8 had higher bond ratings than the companies that were
9 included.

10 MR. MOYLE: Madam Chair, I have a couple of
11 interrogatories I would like to -- I'm sorry,
12 Mr. Chairman.

13 CHAIRMAN CARTER: That's okay.

14 MR. MOYLE: -- talk to the witness about. And
15 I believe staff has these and is going --

16 CHAIRMAN CARTER: Okay.

17 MR. MOYLE: -- to use them, so I would like to
18 just be able to approach the witness.

19 CHAIRMAN CARTER: You may approach. Let
20 everybody know what page you're on.

21 MR. MOYLE: For the record, the first document
22 that I'm going to show the witness is a hearing exhibit.
23 It's 090079, and it's document 1492. It's Interrogatory
24 213 from staff.

25 THE WITNESS: Excuse me. While you're passing

1 that out, I would just like to inform someone that we're
2 out of water in the container here, and I'm getting dry.

3 CHAIRMAN CARTER: Okay. All right. We'll --

4 MR. POUCHER: Would a bottle work?

5 THE WITNESS: That will help.

6 CHAIRMAN CARTER: Thank you, Earl. I think
7 the water people went home on us.

8 MR. MOYLE: My colleague, I believe, has
9 handed you -- are you okay on the water?

10 THE WITNESS: Yes.

11 MR. MOYLE: Take your time.

12 CHAIRMAN CARTER: That interrogatory number
13 again, Mr. Moyle, was --

14 MR. MOYLE: 213.

15 CHAIRMAN CARTER: Thank you. You may proceed.

16 BY MR. MOYLE:

17 Q. Sir, are you at Interrogatory 213?

18 A. Let me look at it.

19 Q. Just tell me when you're ready.

20 A. Yes, I'm ready.

21 Q. And you were the sponsor of these
22 interrogatories; right?

23 A. Yes.

24 Q. And with respect to 213, I was asking you some
25 questions about the relative percentage of companies'

1 revenues generated from regulated utility operations,
2 and you were asked -- you know, asked by staff to
3 provide this information for the proxy companies. I'm
4 unclear as to whether you didn't have the information
5 or, you know, why it was not provided. Could you
6 explain that, please?

7 A. Yes. Because I don't have any summary
8 information. I would have had to look up the Form 10-K
9 information on all the proxy companies. Some of those
10 companies provide -- some of those 10-K's provide
11 information by segments if the company has reportable
12 business segments.

13 But it is not entirely -- it is not always
14 possible to determine what the percent regulated is,
15 because some of those business segments that are
16 reported have both regulated and unregulated businesses,
17 and so one would have to -- one would have go to
18 considerable effort to look up all the 10-K's for each
19 of the companies, to look up the segment reports for
20 each of those, make an assessment about whether their
21 regulated revenues are discernible from their segment
22 results or not, and if they are not, decide whether to
23 leave them in the sample or not leave them in the
24 sample. And I don't use that information as part of my
25 general procedure of estimating the cost of equity.

1 Q. The 10-K's for your proxy companies, they're
2 available online, are they not?

3 A. They are available online, except that it
4 takes some careful reading of the material online in
5 order to make the assessments, and there were, I think,
6 roughly 20-some companies in my comparable group.

7 Q. You were asked to identify the regulated
8 investor-owned utility associated with each of the
9 utilities in the proxy group, and you didn't do that,
10 did you?

11 A. No. It's not something that I would normally
12 do as part of my cost of equity estimates. I would have
13 had to go to each of the companies that are publicly
14 traded and determine what their investor-owned utilities
15 were, and that information is publicly available. And
16 as -- it's not something that I would normally do.

17 Q. Okay. You would agree that it's relevant
18 information, would you not, in terms of the underlying
19 regulated utility if we're trying to compare apples to
20 apples? Here we're focusing largely on the regulated
21 utility, Progress Energy Florida; correct?

22 A. Well, there are various parts to your
23 question.

24 Q. Okay. Let me do them one at a time. That's
25 fair. The company that you're making a recommendation

1 for in this case is Progress Energy Florida; correct?

2 A. Correct.

3 Q. And that is a regulated investor-owned
4 utility; correct?

5 A. Yes.

6 Q. And also, that is part of a holding company.
7 I think we've already talked about that; correct?

8 A. Correct.

9 Q. And so with respect to the proxy analysis and
10 the proxy groups, if you were trying to compare apples
11 to apples, would it not be important or relevant
12 information, in your judgment, to know the identity of
13 the underlying regulated investor-owned utility that was
14 part of your proxy group company?

15 A. It would not be important or relevant, because
16 the underlying utility is not publicly traded if they
17 are part of a holding company, and to estimate the cost
18 of equity, you need the company to be publicly traded.
19 And so I, and almost every witness that I'm aware of,
20 uses companies that are publicly traded in order to
21 estimate the cost of equity using market prices.

22 Q. Yes, sir. But you would agree -- and we've
23 already talked about this. You would agree, would you
24 not, that the regulated entity, it would be important to
25 know who they are in order to make judgments about risk,

1 relative risk of that regulated public utility?

2 A. If one were attempting to assess the risks
3 themselves, one might want to know such details. But if
4 one is going to rely on publicly available information
5 of companies such as Value Line and the bond rating
6 agencies, who already include that information in their
7 ratings and rankings, then it's not necessary to
8 duplicate their efforts.

9 Q. And just a couple more questions. The equity
10 ratios, I think we've talked about the equity ratios.
11 You didn't provide equity ratios of the regulated
12 investor-owned utilities that are part of your proxy
13 analysis; correct?

14 A. No, I did not, for the reasons that I've
15 mentioned earlier. It would have required that I, one,
16 obtain the 10-K's of all of the companies that are
17 publicly traded, and then that I attempt to find the
18 balance sheets of all of the subsidiaries that are the
19 regulated utility subsidiaries and do all of the
20 calculations required to calculate the regulated
21 subsidiary's capital structure. And all of that is
22 unnecessary for any of the methods that I use, because
23 the risk of those companies' capital structures are
24 already reflected in the risk rankings of the companies
25 that are publicly traded.

1 Furthermore, if someone such as yourself felt
2 that it was important to have that information, it's
3 publicly available.

4 Q. Who has the burden of proof in this case? Do
5 you know?

6 A. Well, I'm not a lawyer, so I don't know who
7 has the burden of proof, but as I've just stated, it's
8 not required for me to estimate the cost of equity,
9 because one estimates the cost of equity using companies
10 that are publicly traded, and so I don't need evidence
11 on the subsidiary capital structure because those are
12 not publicly traded entities.

13 Q. On your direct testimony, page 19, you use the
14 term on line 20, "high degree of financial leverage."
15 Do you see that?

16 A. Yes.

17 Q. Okay. And am I correct in presuming that when
18 you use that term, you're talking about the concept of
19 debt and equity and ratios?

20 A. Yes.

21 Q. And with respect to a high degree of financial
22 leverage, can you indicate what you believe would be a
23 range for a high degree of financial leverage?

24 A. I believe I answered that in response to one
25 of the data requests, that my statement was a general

1 statement about utilities versus non-utilities, on
2 average, and it doesn't require a breakdown of what is
3 high or low or where the cutoff for various categories
4 is. What it does require is just that utilities as a
5 general rule use more leverage than non-utilities.

6 Q. And your response, I mean, you did -- this was
7 on 219, Interrogatory 219. And I want to be fair to
8 you. You were asked about -- to define a high degree of
9 financial leverage, and you used the term in your
10 testimony. And my reading of this doesn't really
11 indicate what you consider to be a high degree of
12 financial leverage, so as we sit here today, can you
13 tell me what you consider to be a high degree of
14 financial leverage?

15 A. I mean a higher degree of leverage than for
16 non-utilities.

17 Q. So if we just put non-utilities out of the
18 equation, we're just looking at utilities, your proxy
19 group is utilities; correct?

20 A. My proxy group is utilities.

21 Q. Okay. And based on your proxy group, do you
22 have an opinion or a view as to what you would consider
23 to be a high degree of financial leverage?

24 A. My statement doesn't relate to the comparison
25 of the degree of leverage of my proxy companies. It's a

1 statement about utilities compared to non-financial,
2 non-utility companies, industrial companies, that is.

3 Q. The last interrogatory I want to ask you a
4 couple of questions about is Interrogatory 220, and if
5 you would refer to that and let me know when you have
6 it, please.

7 A. Okay. And just going back to my last
8 response, it's clearly stated on the last line, line 23
9 of page 19 and line 1 of page 20 that I'm referring to
10 utilities versus non-utilities, because I say that --
11 "have encouraged electric utilities to maintain highly
12 debt-leveraged capital structures as compared to
13 non-utility companies."

14 Q. Yes, sir. I think the point of confusion is
15 that to the extent that there's discussion about highly
16 leveraged entities, oftentimes, you know, it's my
17 impression -- and I'll ask you the question -- that
18 highly leveraged companies are oftentimes referred to by
19 a percentage basis, about how much debt they have on
20 their books compared to how much equity. So if you had
21 a company that had 85 percent debt and 15 percent
22 equity, some might say, well, that's pretty highly
23 leveraged as compared to a company that would, say, have
24 50 percent debt and 50 percent equity. And as I
25 understand your answer, you don't have a similar type of

1 range or analysis with respect to electric companies;
2 correct?

3 A. No. There are two aspects to the answer. I
4 don't have one with respect to electric companies, because I've
5 never seen a cutoff that is absolute, that says
6 25 percent is low and 75 percent is high. I've always
7 seen relative statements about leverage, that somebody
8 has more leverage than another company.

9 And secondly, the statement wasn't meant to
10 relate to utilities. It was meant to compare -- well,
11 it was meant to relate to utilities, but it wasn't meant
12 to compare leverage within utilities as a group. It was
13 meant to compare the average utility to the average
14 non-utility, and I think that's clear from my sentence
15 that I just referred you to.

16 Q. Okay. Let's go to 220, the interrogatory,
17 please. And I would ask you to look at this. I'm not
18 going to ask you this direct question, but to be fair to
19 you, I want you to have this available.

20 A. Yes.

21 Q. As part of your duties and responsibilities as
22 an expert, you try to keep up, do you not, with
23 regulatory action taken by state regulators?

24 A. I try to generally. However, at the point in
25 time that I am preparing my testimony, I can't recall

1 every instance that certain things have happened.

2 Q. Yes, sir. And you've appeared in front of
3 this Florida Commission before today, have you not, as
4 an expert?

5 A. Yes.

6 Q. Okay. And I guess the question -- and it
7 doesn't have to necessarily tie to this answer, but as
8 we sit here today, are you aware of any instance in
9 which the Florida Public Service Commission has failed
10 to allow a company, an electric utility, an
11 investor-owned utility, an opportunity to recover their
12 costs of service and earn a fair and reasonable return
13 on their investment?

14 A. The answer is no, I'm not aware of any. The
15 follow-up, the explanation for that is I haven't studied
16 that issue, because it would have required looking at a
17 lot of previous historical cases. I'm generally aware
18 that Florida regulation is considered to be constructive
19 and supportive.

20 Q. In response to an earlier question about
21 trying to make a judgment about return on equity and
22 making sure that those with similar risk are part of
23 your proxy group, you told me that you look at bond
24 ratings; isn't that right?

25 A. Well, my specific criteria are stated in my

1 testimony. I look at whether a company has an
2 investment grade bond rating, and I look at whether they
3 have a safety rank of 1, 2, and 3, 1, 2, or 3, and I
4 then compare the average bond rating and safety rank for
5 my proxy companies to that of the company whose cost of
6 equity I'm evaluating.

7 Q. And as a matter of general economic principle,
8 an investor that was going to put equity at risk, to the
9 extent that they were going to invest in a riskier
10 venture, they would require a higher return on that
11 investment; correct?

12 A. Yes. It's generally accepted, the higher the
13 risk, the higher the required return.

14 Q. Okay. And do you know as we sit here today
15 what the bond rankings are for Progress Energy Florida?

16 A. They are -- I believe Standard & Poor's rating
17 is BBB+, and that's the same as the average bond rating
18 for my proxy companies.

19 Q. You used TECO as a proxy company, did you not?

20 A. Yes.

21 Q. And do you know what TECO was rated?

22 A. I'm not sure that I -- it certainly was -- if
23 you look at Exhibit JVW-1, page 2 of 2, I have the bond
24 ratings for my proxy companies, and I show TECO as a
25 BBB- there. I don't know if they -- I've forgotten

1 whether they've been upgraded to BBB since then. But I
2 show that the average of my proxy companies has a BBB+
3 rating, which is equal to that of Progress Energy
4 Florida.

5 Q. Okay. And I just want to spend a minute
6 talking about TECO and Progress Energy Florida. Okay?

7 A. Okay.

8 Q. All right. So if you assume that TECO, as
9 shown on your exhibit, is BBB- or BBB, either of those
10 rankings is less than BBB+; correct?

11 A. That's a correct statement.

12 Q. And when I say less, that would suggest that
13 there's greater risk in investing with a company that
14 has a BBB ranking as compared to a BBB+ ranking,
15 correct, all other things being equal?

16 A. Well, that's entirely correct. Let me be
17 clear about it. We're looking at bond ratings. Bond
18 ratings measure the risk faced by bond investors.
19 Sometimes bond ratings are indicative of equity risk,
20 but not in every case.

21 Q. Yes, sir. And you're aware that the rating
22 agencies, when they are putting together their bond
23 rankings -- which are on debt, not equity; correct?

24 A. Yes.

25 Q. That they do an analysis of business risk and

1 financial risk; correct?

2 A. They do an analysis of business and financial
3 risk from the standpoint of a bond investor, who is
4 concerned about the probability of bankruptcy.

5 Q. Yes, sir. And would you also agree, would you
6 not, that that information that is oftentimes compiled
7 in those rating analyses, that that's useful information
8 to equity investors as well; correct?

9 A. It's useful, but it's not complete. It's not
10 the only investment -- the only information that they
11 would look at. They would also look at assessments of
12 equity risk, and that would be possibly somewhat
13 different than bond investment risk.

14 Q. I mean, you have this Exhibit 2 of 2, and it's
15 entitled "Risk Ratings." So am I correct in assuming
16 that -- you're not providing expert testimony on debt
17 percentage servicing levels; correct? Yours is on
18 equity?

19 A. Yes. I'm providing an estimate of the cost of
20 equity using a group of comparable risk companies that
21 are comparable in equity risk.

22 Q. All right. And you use the bond ranking as
23 part of that analysis; correct?

24 A. Yes.

25 Q. So back to the comparison of Tampa Electric

1 versus Progress Energy Florida. And we've already
2 talked about the economic construct, that an equity
3 investor would need a higher return for a higher level
4 of risk.

5 Do you know what this Commission awarded to
6 Tampa Electric Company in its recent rate case for its
7 return on equity?

8 A. Yes. They awarded 11.25 percent.

9 Q. And do you know that that was a higher number
10 than what was recommended by staff?

11 A. I'm not aware of what staff's recommendation
12 was.

13 Q. And if you assumed that the Commission got it
14 right with an 11.25 for Tampa Electric Company, wouldn't
15 the economic theory that we just discussed and the fact
16 that Tampa Electric Company has a rating, a bond rating,
17 which in your analysis you've termed a risk rating, that
18 the award of return on equity to Progress Energy Florida
19 should be less than 11.25, given the fact that it is
20 considered to be less risky by the bond rating agencies?

21 A. No, and the reason is that this isn't a bond
22 risk ranking, that Progress potentially has a greater
23 investment in nuclear regulated -- nuclear generating
24 facilities than TECO does, to the best of my knowledge.
25 And from an equity investor's perspective, I would

1 believe that would make them generally, at the very
2 least, comparable in risk, and it would offset some of
3 the difference in bond rating.

4 Q. Do you know, as we sit here today, are the
5 bond rating agencies aware of Progress Energy Florida's
6 plans to invest in nuclear?

7 A. They are. But again, they consider things
8 from the bond investor's point of view rather than the
9 equity investor's point of view.

10 Q. And you considered the bond rankings in your
11 analysis, right, as a level of risk?

12 A. I considered them to a limited extent. That
13 is, I -- once again, I used the criteria that a company
14 must have an investment grade bond rating. And because
15 I believe that from an equity investor's standpoint,
16 equity investors don't distinguish between finer
17 gradations of bond ratings, I have not found in my
18 studies a significant relationship between the cost of
19 equity and the bond rating for investment grade ratings.
20 There's not a correlation, to the best of my knowledge
21 and from my experience. So I used the criteria that
22 they have to have an investment grade rating, and then I
23 chose a set of companies that did have investment grade
24 ratings.

25 And I would have used the same companies -- if

1 I were doing this at the same time for TECO, I would
2 have used the same companies, because I would have had
3 the same criteria for TECO that I had for PEF.

4 Q. Yes, sir. Just a couple of final questions.
5 Have you had any recent discussions with equity
6 investors, pension funds, insurance companies, people
7 who are active in the market and investing large amounts
8 of equity?

9 A. I haven't had one-on-one discussions. I've
10 read reports of such investors.

11 Q. And given your answers to my questions with
12 respect to attempting to compare TECO to Progress Energy
13 Florida, would I be correct in drawing from your remarks
14 that it's your belief that Progress Energy Florida,
15 given the fact that you're recommending a 12.54 return
16 on equity, that it really has greater risk than Tampa
17 Electric Company?

18 A. I believe my testimony was not that. I'll
19 just -- I'll reiterate what my testimony was a minute
20 ago, which is that I would have used the same proxy
21 companies for TECO if I were testifying at exactly the
22 same time that I would for PEF, and I would have
23 obtained the same cost of equity results for TECO as I
24 did for PEF.

25 Q. Yes, sir. And you're aware that in the Hope

1 and the Bluefield decisions that there's discussion
2 about trying to get companies that are similarly
3 situated, particularly geographically situated?

4 A. I believe the Bluefield case refers to
5 geographically situated. The Hope case does not, to the
6 best of my recall, use the word "geographically
7 situated."

8 For the purpose of estimating the cost of
9 equity, the capital markets are national in scope. And
10 one would also have advantages from looking at a large
11 group of proxy companies. It's not really possible to
12 distinguish the cost of equity for a single company
13 based only on the data for that company.

14 Q. Yes, sir. And with respect again to the
15 geographic proximity language used in -- I think you
16 said Bluefield; is that right?

17 A. Yes, which was earlier than the Hope case.

18 Q. Okay. You would agree that Tampa Electric
19 Company is geographically close to Progress Energy
20 Florida; correct?

21 A. That I would agree, yes.

22 Q. And you would agree that the Commissions which
23 regulate Tampa Electric Company and Progress Energy
24 Florida are the same?

25 A. Yes.

1 Q. And that there are similarities from a
2 regulatory standpoint; correct?

3 A. Yes.

4 Q. And again, not to get back into the analysis,
5 the CAPM and the DCF, but just from the standpoint of if
6 you assume that this Commission got it right with TECO
7 being 11.25 with a BBB or BBB- rating, and it's your
8 judgment that the proper return on equity is 12.54,
9 wouldn't that indicate that -- to an investor, that
10 Progress Energy Florida has greater risk than Tampa
11 Electric Company?

12 A. No.

13 MR. MOYLE: Okay. I don't need an
14 explanation. That's it. That's all I have. Thank you.

15 CHAIRMAN CARTER: Had you finished your
16 answer?

17 THE WITNESS: No, I had not.

18 CHAIRMAN CARTER: You may finish your answer.

19 THE WITNESS: I believe that Progress Energy
20 Florida has the same risk as TECO from the point of view
21 of an equity investor. I realize they have a different
22 bond rating, but I'm looking at the cost of equity, and
23 the cost of equity relates to the equity risk. And as
24 I've indicated, I would view TECO and PEF as having
25 similar risks from an equity investor's standpoint. And

1 I would recommend -- if I were to do the testimony at
2 exactly the same point in time, I would use the same set
3 of proxy companies and arrive at the same recommended
4 cost of equity for TECO as for PEF.

5 CHAIRMAN CARTER: Mr. Moyle?

6 MR. MOYLE: I just want to thank the witness
7 for his patience. I spent a lot of time with him. I
8 wasn't able to take your finance or public utilities
9 class at Duke University, but thank you for your
10 indulgence in having the conversation me. Thank you.

11 THE WITNESS: Well, I've enjoyed the
12 conversation very much. Thank you.

13 CHAIRMAN CARTER: Commissioner Skop, and then
14 I'll come back to you, Mr. Wright.

15 COMMISSIONER SKOP: Thank you, Mr. Chairman.
16 Good evening, Dr. Vander Weide.

17 THE WITNESS: Good evening.

18 COMMISSIONER SKOP: In your prefiled
19 testimony, you've identified yourself as an expert in
20 financial and economic theory; correct?

21 THE WITNESS: Yes.

22 COMMISSIONER SKOP: Okay. And you currently
23 serve as a Professor of Finance and Economics at the
24 Duke University Fuqua School of Business; correct?

25 THE WITNESS: That's correct.

1 COMMISSIONER SKOP: Okay. Now, as you stated
2 in your prefiled testimony, you're familiar with the
3 derivation of cost of capital; correct?

4 THE WITNESS: Yes.

5 COMMISSIONER SKOP: And would you also agree
6 that the cost of equity represents a portion of the
7 weighted average cost of capital?

8 THE WITNESS: Yes, I would.

9 COMMISSIONER SKOP: Now, is the cost of equity
10 dependent upon many factors, including perceived
11 investor risk?

12 THE WITNESS: Yes.

13 COMMISSIONER SKOP: Okay. And in that regard,
14 would it be appropriate to view the cost of equity in
15 isolation?

16 THE WITNESS: No.

17 COMMISSIONER SKOP: All right. Based on that,
18 I wanted to follow up on a question that I previously
19 asked to Mr. Sullivan, and I would like to get your
20 professional opinion regarding imputed debt adjustments
21 for power purchase agreements and how such an adjustment
22 might impact both the capital structure and the cost of
23 capital.

24 If an imputed debt adjustment were not
25 recognized by this Commission, how might that affect the

1 equity ratio of the company?

2 THE WITNESS: It wouldn't affect the company's
3 equity ratio as reported on the company's books using
4 Generally Accepted Accounting Principles. It would
5 affect the equity ratio as seen by the bond rating
6 agencies, because they would impute an additional level
7 of debt to the companies. And thus, they would, as
8 Mr. Sullivan correctly testifies, calculate their
9 financial ratios using a higher -- a lower level of
10 equity and a -- a lower equity ratio and a higher debt
11 ratio, and the company would not then satisfy the
12 standards for an A bond rating.

13 COMMISSIONER SKOP: Okay. And you would
14 agree, would you not, that the various bond rating firms
15 treat imputed debt adjustments for power purchase
16 agreements differently; correct?

17 THE WITNESS: Yes.

18 COMMISSIONER SKOP: Now, with respect to how a
19 bond rating agency might look at something, if the
20 imputed were not recognized and the equity ratio as they
21 would view it would be lower, how would that -- what
22 would that mean in terms of implied risk?

23 THE WITNESS: Well, I wouldn't look at the
24 equity ratio in isolation. I would look at the cash
25 flow that's generated by the company as well and relate

1 that to both the company's debt level and to its
2 interest payments. And if the adjustment is not
3 accepted, that would reduce the company's cash flows,
4 and hence its ratios of cash flow to debt and cash flow
5 to interest would be lower and wouldn't meet the
6 requirements for an A rating.

7 COMMISSIONER SKOP: Okay. Now, going back to
8 not looking at the equity ratio in isolation, but all
9 things being considered, if the bond rating agency -- if
10 the Commission did not allow that adjustment, the bond
11 rating agency would recognize it irrespectively. So if
12 there were no adjustment made that would bump up the
13 equity as a result of the PPAs, then when the bond
14 rating agency would look at it, they would just view it
15 as debt.

16 So on paper, for their analysis, all things
17 being equal, if it were not balanced out from, I guess,
18 a virtual or analytical perspective, they would appear
19 to have more debt than they would if the adjustment were
20 not offset by an equity adjustment; is that correct?

21 THE WITNESS: Yes. They would appear to have
22 more debt as a percent of the capital structure, and in
23 order to meet the financial criteria for an A rating,
24 the company would have to offset that debt with
25 additional equity.

1 COMMISSIONER SKOP: Okay. So if that is not
2 offset, then what they're seeing on paper appears to be
3 more debt by virtue of the imputation that the rating
4 agencies would make and less equity. So not in reality,
5 but in terms of what they look at, theoretically, there
6 would be an adjustment where -- I'm trying to find a way
7 to articulate this late in the evening. But
8 essentially, the practical effect would be that debt
9 would increase and equity would go down?

10 THE WITNESS: Yes.

11 COMMISSIONER SKOP: Okay. So in terms of how
12 they perceive risk, not only with the things that you
13 mentioned with the interest coverage and the cash flow
14 for operations to cover debt, if through that imputation
15 process there's an apparent change in the capital
16 structure in terms of what is, you know, the calculated
17 effect, on a cost of equity basis, how might that
18 influence the cost of equity?

19 I guess what I'm trying to rationalize this as
20 is that in water and wastewater cases, we have like a
21 linear function between equity and the cost of equity.
22 So as equity goes up, your risk is lower, generally
23 speaking, and your cost of equity or return on equity is
24 lower. But as equity comes down, then there's a
25 tradeoff between those along -- in water and wastewater,

1 what is sometimes a linear function that the Commission
2 sometimes has trouble with in itself.

3 But I'm trying to understand the interplay
4 here between, you know, doing something that seems to be
5 addressed by the Commission's favorable cost recovery
6 treatment in terms of the annual clauses, so there's not
7 a big delay, but certainly when fuel prices spike
8 tremendously, the amount at risk can grow volumetrically
9 in a very short period of time.

10 But, you know, one rating agency does one
11 thing, another one does another thing, and we on the
12 Commission are being asked to make such an imputed debt
13 adjustment so that the imputed debt portion is offset by
14 additional equity. And I'm wondering whether that, in
15 terms of the cost of equity, has any affect on how the
16 Commission should view that. For instance, you know, if
17 the equity adjustment is made, do they have less risk,
18 less perceived risk, versus if the adjustment is not
19 made, do they have more risk justifying an incremental
20 change in the cost of equity? So if you could elaborate
21 on that?

22 THE WITNESS: Yes. Equity investors care
23 about cash flow, and the stock price depends on the
24 investors' forecast of the company's future cash flows.
25 And to the extent that a disallowance of an imputed --

1 of that imputed equity would reduce the cash flows, that
2 would be seen as a negative factor by equity investors.

3 In addition, the equity investors realize that
4 one element of risk is the degree to which the company's
5 costs are fixed and the degree to which they're not
6 fixed. Purchased power agreements increase the
7 proportion of costs that are fixed because of the
8 capacity payments. And unless that proportion of fixed
9 cost is offset with equity, that would tend to increase
10 the risk from the equity investor's standpoint as well.

11 COMMISSIONER SKOP: And just two brief
12 follow-up questions to that. To the extent that those
13 future payments with respect to power purchase
14 agreements are essentially guaranteed to be allowed to
15 be recovered by virtue of the approval of such
16 agreements, long-term agreements by the Commissioners,
17 does that weigh upon reducing any perceived risk?

18 THE WITNESS: Yes. That would certainly
19 reduce the risk. But investors look to the long-run
20 future, and they realize that a current commission can't
21 guarantee what future commissions will do, and so they
22 also would have to consider their views of what would
23 happen in the future. But certainly a current
24 acceptance of such an adjustment would be a positive for
25 equity investors.

1 COMMISSIONER SKOP: Okay. And I guess the
2 reason I'm exploring this in great detail -- and I think
3 you touched on the part that's so very imporant in
4 corporate finance -- is that the rating agencies care
5 about cash flow, because cash is king, is the mantra out
6 there. But equally, in these difficult economic times,
7 consumers are also burdened with cash flow issues, and I
8 think that's the tension that the Commission is facing
9 here, is that, you know, there's a need to improve cash
10 flow from operations so that you can do X, Y, and Z and
11 improve your credit standing and do all those things
12 that are necessary to keep the lights on. But equally
13 too, there's an opportunity cost of doing that, because
14 consumers are asking to pay, and, you know, frankly,
15 from what we've heard from many of the people that
16 appeared before the Commission, they're unable to do so.
17 So I think that's why it's very important to me to try
18 and understand the ramifications of any sub-decision
19 that the Commission makes in considering the request
20 before us.

21 THE WITNESS: I appreciate that very much. I
22 understand the delimma.

23 COMMISSIONER SKOP: Okay. Thank you.

24 CHAIRMAN CARTER: Mr. Wright. No questions,
25 right, Ms. Evans?

1 MS. EVANS: No questions.

2 CHAIRMAN CARTER: Okay. Mr. Wright.

3 MR. WRIGHT: Thank you, Mr. Chairman.

4 CROSS-EXAMINATION

5 BY MR. WRIGHT:

6 Q. Good evening, Dr. Vander Weide.

7 A. Good evening.

8 Q. My name is Schef Wright, and I represent the
9 Florida Retail Federation in this proceeding, and I do
10 have some questions for you.

11 First, I just want to clarify my understanding
12 of something based on a remark you made in response to a
13 question posed to you by Commissioner Skop. I think you
14 made the statement that rating agencies would impute
15 debt based on the long-term power purchase agreements.
16 Do you recall making that statement?

17 A. Yes.

18 Q. Isn't it true that only Standard & Poor's
19 actually imputes debt?

20 A. I'm not sure entirely. I believe that the
21 other -- the Standard & Poor's tend to have more
22 quantitative guidelines for a bond rating than Moody's
23 or Fitch, and so they would make a quantitative
24 imputation. But to the best of my understanding,
25 Moody's and Fitch would recognize the existence of

1 purchased power agreements, and that would impact their
2 rating, although they wouldn't maybe do it in as
3 quantitative a manner as S&P.

4 Q. To your knowledge, do they do it in a
5 quantitative matter at all -- manner at all?

6 A. I don't know.

7 Q. I have kind of a preliminary question, but it
8 relates to a couple of exhibits included in your
9 testimony. When did you actually write your testimony?

10 A. I don't recall the date that I wrote it. I
11 know that I -- the company needed to have data in order
12 to be able to prepare its cost studies, and the company
13 felt that it needed to have information prior to the
14 writing of the testimony, as is typically the case, and
15 so I provided them with a number based on data through
16 November, I believe, and then that was the number that
17 was used in their cost studies. And then I subsequently
18 wrote the testimony, but I don't recall the exact period
19 that I wrote the testimony.

20 Q. In your testimony at page 15, you talk at some
21 length about macroeconomic risks in the current United
22 States economic environment. In particular, you talk
23 about the economy being in the midst of the largest
24 housing, employment, credit, and financial crisis since
25 World War II, and so on. Now, you filed your testimony

1 on March 20th, and -- that's all correct, is it not?

2 A. Yes.

3 Q. Now, my question for you is, have you updated
4 your views about the macroeconomic situation since you
5 filed your testimony in March?

6 A. Well, yes. I'm aware that the macroeconomic
7 environment has improved from what it was earlier in the
8 year. In my mind, we undoubtedly have come off the
9 bottom of the worst economic conditions. The issues as
10 I see them -- although the stock market has gone up
11 considerably since it reached its bottom, it's not
12 nearly at the high level it was prior to the recession.
13 But in my view, it's the uncertainty about the recovery
14 that still remains. Most economists are concerned about
15 the strength of the recovery. I frequently hear the
16 word "a tepid recovery "or "a weak recovery."

17 And what that concern I think is about is that
18 during the period 2003 to 2007, consumers generally
19 overspent their income. The savings rate in the U.S.
20 for much of the time was either zero or very slightly
21 negative. Most people agree that consumers are now
22 saving a higher percentage of their income, which is
23 very good in the long run. But in the short run, the
24 unfortunate impact of that higher savings is that they
25 consume less, and that means that corporations will see

1 less demand for their products compared to if they had
2 continued to spend at the rate they had during the 2003
3 to 2007 period. And since consumer spending represents
4 about two-thirds of the total GDP, that means that
5 recovery is forecasted to be weak. There will be a
6 recovery. There's no doubt that we've bounced off the
7 bottom, but there's considerable uncertainty about what
8 the future holds for the economy and what kind of
9 recovery it will be.

10 Q. And that's an example of what we called in
11 principles the paradox of savings; right?

12 A. That's a good word for it, yes.

13 Q. Another witness in another case recently told
14 me that the stock market bottomed around the beginning
15 of March. Is that consistent with your understanding?

16 A. Yes.

17 Q. Would you agree -- and I'm not going to hold
18 you to the exact number, but would you agree the Dow --
19 at around that time, the Dow Jones Industrial Average
20 was in the range of 6,500?

21 A. I don't recall where it was, but I agree it
22 was in that range, yes.

23 Q. And today it's more like 9,600 or so, 9,500,
24 600, 700?

25 A. Yes. It's still significantly below its peak,

1 but it's well above its trough.

2 Q. Right. I know that you're aware -- well, I
3 would bet a lot of money that you're aware that the
4 chairman of the Federal Reserve, Benjamin Bernanke, has
5 said that he believes the recession is over.

6 A. Yes, indeed. He elaborated on that to say the
7 recession was over, but he's very much concerned about
8 the tepid recovery. When I used that word "tepid," I
9 was thinking of words that were used by Chairman
10 Bernanke.

11 MR. WRIGHT: Thank you. Mr. Chairman, I'm
12 going to ask my colleague to pass out an exhibit, which
13 I would like marked for identification.

14 CHAIRMAN CARTER: 277.

15 MR. WRIGHT: Thank you.

16 CHAIRMAN CARTER: Short title?

17 MR. WRIGHT: CBOE VIX.

18 CHAIRMAN CARTER: CBOE VIX.

19 MR. WRIGHT: 9/11/09.

20 CHAIRMAN CARTER: 9/11/09.

21 MR. WRIGHT: Yes, sir.

22 (Exhibit Number 277 was marked for
23 identification.)

24 CHAIRMAN CARTER: You may proceed.

25 MR. WRIGHT: Thank you, Mr. Chairman.

1 BY MR. WRIGHT:

2 Q. Dr. Vander Weide, I've just given you and the
3 parties and the Commissioners an exhibit that I believe
4 is essentially an updated version of what appears as
5 Figure 1 of your testimony on page 17, the CBOE
6 volatility index. Do you recognize this as such?

7 A. Yes, I do.

8 Q. Okay. And this actually does go through
9 September 11th this year, which is when we pulled it off
10 the Internet. Would you agree that the VIX has not been
11 even as high as 40 since the middle of March of this
12 year?

13 A. Yes.

14 Q. And that it hasn't even been as high as 30
15 since the middle of July of this year?

16 A. Well, it came very close to 30 in September,
17 but it looks like it was just under 30.

18 Q. That's how I read it. Thank you.

19 I want to follow up on a few questions that
20 Mr. Moyle asked you. He asked you whether you were
21 aware of other utilities in the United States that have
22 asked for returns on equity as high as the 12.54 percent
23 that you recommend in this case. I believe you said
24 there were several. Is that an accurate
25 characterization?

1 A. Well, I said there were several that had asked
2 for 12.5, in that range.

3 Q. That's right.

4 A. Which I viewed mine being approximately equal
5 to 12.5 as well.

6 Q. Other than Florida Power & Light Company, can
7 you name one that has asked for even a 12.5?

8 A. As we're sitting here right now, I've made no
9 attempt in preparation to consider that information.
10 With additional time, I could certainly look at what the
11 requested returns were, but I don't have that
12 information here.

13 Q. Thank you. I was really just trying to
14 understand the nature of your testimony tonight.

15 You live in North Carolina; right?

16 A. Yes.

17 Q. Are you aware that Duke Energy has a pending
18 rate increase request before the North Carolina Public
19 Service Commission?

20 A. Yes, I am.

21 Q. Are you a witness?

22 A. Yes.

23 Q. What ROE is Duke requesting in that case?

24 A. They are requesting an 11.5, but I was -- I
25 provided the same cost of equity study to them that I --

1 except for different months, I would have arrived at
2 numbers similar to what I arrived at here.

3 Q. I thought I just heard you say except for
4 different months. Is that what you said?

5 A. My recall is that I didn't provide a number
6 for them until several months later, and so my recall is
7 that my studies go through several months more than what
8 they did in this case.

9 Q. Do you recall the month in which you completed
10 your analysis for the Duke Energy case?

11 A. Not as I sit here now, no.

12 Q. Mr. Moyle asked you a few questions about the
13 Commission's action in the Tampa Electric rate case, and
14 I want to follow up on that a little bit. Now, I think
15 that you said that you would have done the same analysis
16 for Progress as for Tampa Electric, or conversely; is
17 that accurate?

18 A. Yes.

19 Q. Did you -- I think he asked you, but I'm not
20 sure I heard the answer. Do you consider Progress
21 Energy Florida to be riskier, the same, or less than
22 Tampa Electric?

23 A. In regard to equity risk, I would consider
24 them to be of similar risk, and I would use the same
25 comparable companies as I did for Progress.

1 Q. Have you had occasion to observe what has
2 happened to TECO Energy's stock price since the
3 Commission's decision on St. Patrick's Day of this year?

4 A. No, I have not.

5 Q. Would you agree, subject to check, that it has
6 gone up significantly since that time?

7 A. You know, as I sit here, I don't even recall
8 what date St. Patrick's Day is, so I --

9 Q. Well, it's March the 17th, and that's the date
10 on which the Commission rendered its vote in that case.

11 A. Okay. Well, yes. I believe that all stock --
12 most stock prices have increased since early March, both
13 utility and non-utility.

14 Q. Would you agree, subject to whatever check you
15 might want to do, that Tampa Electric stock has traded
16 substantially and in substantial volumes since that
17 time?

18 A. I just have no basis to make a judgment.

19 Q. Well, I'll try one more. Would you agree,
20 subject to check, that Tampa Electric has not had --
21 back up. That investors have been willing to pay to buy
22 Tampa Electric stock at higher prices than before the
23 Commission's decision?

24 A. You know, I guess if you're asking me to
25 accept something subject to check, I can look it up, but

1 I have no basis to assess that at this point in time. I
2 would -- my general understanding is that most stock
3 prices have increased since early March.

4 Q. In response to Mr. Moyle's question about
5 Tampa Electric and TECO Energy, I believe you also
6 referenced the fact that Progress Energy has a nuclear
7 investment program. Do you recall making that
8 indication?

9 A. Yes, I do.

10 Q. Now, I know from scanning your deposition that
11 you have been asked about the Florida nuclear cost
12 recovery statute.

13 A. Yes.

14 Q. I think that as of the time of your
15 deposition, you had not had that chance to review it.
16 Is that accurate?

17 A. That is correct.

18 Q. Have you since?

19 A. I have reviewed it as an economist, not in
20 detail to understand what the legal requirements are,
21 but it appeared to be a supportive regulatory stance.

22 Q. Do you know what rate of return Progress is
23 allowed to earn on its qualifying cost items through the
24 nuclear cost recovery clause?

25 A. No, I don't.

1 Q. That is in evidence through another witness.

2 Would you agree that if the return on equity
3 embedded in that rate of return is 11.75 percent, that
4 that's a pretty good return?

5 A. I don't know how you define pretty good. It's
6 less than my recommended return.

7 Q. It's higher than the return authorized for
8 Tampa Electric, is it not?

9 A. Yes.

10 Q. At several places in your testimony -- this
11 also follows up on some questions Mr. Moyle asked you.
12 At several places in your testimony, you make references
13 to investors' considerations about investing in electric
14 energy companies such as PEF. And I could point, for
15 example, to page 17, line 11.

16 A. I recall that phrase.

17 Q. Also on page 21, line 10 and line 12; page 22,
18 line 8; page 23, line 4; and then again in the company's
19 response to Staff's Interrogatory Number 220. That's
20 all correct, isn't it? It actually says "such as
21 Progress Energy Florida" in the response to the
22 interrogatory.

23 A. Yes.

24 Q. Okay. My question is this: You testified in
25 response to Mr. Moyle's questions that you didn't need

1 to look at individual regulated electric companies, but
2 rather just at the parent companies that investors might
3 consider; correct?

4 A. That is correct, what I -- that I said that.
5 And in the context, it was that to estimate the cost of
6 equity, I needed to use market prices, and hence, I
7 needed to look at a comparable group of publicly traded
8 companies.

9 Q. Well, if you're going to offer testimony at
10 several different places about the risks inherent in
11 investing in electric energy companies such as PEF, why
12 wouldn't you want to look at the risks attendant to the
13 underlying regulated companies in the various
14 jurisdictions of your proxy group?

15 A. The testimony that I have beginning on page 17
16 looks at the risks facing electric utilities in a
17 general sense. That provides useful information in
18 terms of the background of my estimates. But it would
19 do me no good to look at -- when I actually come to
20 doing my cost of equity studies, to look to the risk of
21 the subsidiaries, because the utility subsidiaries don't
22 have publicly traded stock. So there's nothing I could
23 do with the information about the subsidiaries, because
24 I need the stock prices, and I need companies that have
25 stock prices in order to measure risk. So the only

1 thing I can do is to use the companies that have stock
2 prices, and those are the publicly traded entitles
3 commonly called the utility holding companies.

4 Q. Well, aren't the subsidiaries the ones that
5 actually face the regulatory and operating risks?

6 A. They are. And again, that's interesting and
7 important information, but it's not information that I
8 can use when I estimate the cost of equity, because the
9 cost of equity is determined in the marketplace, and
10 it's determined by investors in the utility companies
11 whose stock is publicly traded.

12 Q. I would like to ask you to look at page 20,
13 lines 8 through 11, of your testimony. I think you
14 covered this in in part with Mr. Moyle and -- I think
15 that's all. I particularly want to look at the sentence
16 that reads, "Investors are painfully aware that
17 regulators in some jurisdictions have been unwilling at
18 times to set rates that allow companies an opportunity
19 to recover their cost of service and earn a fair and
20 reasonable return on investment."

21 Now, the staff asked you or asked the company
22 through Interrogatory Number 220 to identify examples,
23 and in the company's response to Interrogatory Number
24 220, no examples were identified. I'm going to ask you
25 again, can you name one such instance that you referred

1 to in this testimony?

2 A. As we sit here today, I cannot name an
3 example. Are you referring to in general or with regard
4 to Progress Energy Florida?

5 Q. Well, right now I'm asking in general, because
6 your sentence is stated in the general form.

7 A. Yes. And my statement is such a general
8 statement that it doesn't require specific examples at
9 this point in time. I could -- I would have to do a
10 special study of times when items have been not allowed
11 in rate base. But I have also been testifying for
12 roughly 30 years as an expert in utility regulation and
13 finance, and I'm aware over that time from a personal
14 basis that items are not always allowed to be recovered
15 as either capital items or as expense items. I didn't
16 think it was necessary, since I had been in that many
17 cases, to come up with a list of examples.

18 Q. But you didn't do any such a study in
19 preparing your testimony for the Florida Public Service
20 Commission in this case, did you?

21 A. No, because this is only useful background
22 information, but it doesn't determine any of my -- it
23 doesn't affect any of my numbers. My numbers are
24 determined by capital market studies. So as background
25 information, I would stand by my statement that all of

1 these factors are true, but they do not affect the
2 numbers that I am providing to the Commission, because
3 those are based on my cost of equity studies based on
4 capital market evidence.

5 Q. Well, I understand that you have a lot of
6 wonderful experience, and you just told us that you've
7 been testifying for more than 30 years, and I'm going to
8 ask you, can you name one instance in which a
9 jurisdiction, where you testified or otherwise, did not
10 allow the utility to recover its cost of service and earn
11 a fair and reasonable return on investment, a regulatory
12 utility commission action?

13 A. I do not have information in front of me
14 tonight to look at specific instances that would require
15 a special study, which would require me to go through my
16 prior cases and try to recollect the times when that
17 occurred.

18 However, there is -- anytime that there is
19 risk, it's included in the Value Line safety ranks and
20 in the bond ratings that I use to determine
21 comparability. It's also reflected in the stock prices
22 that I use to estimate the cost of equity. And so it's
23 all reflected indirectly in all of my cost of equity
24 studies, and so there was no need for me to do a special
25 study to identify such items. It's not part of my

1 normal testimony.

2 Q. Would it be true that in at least some of the
3 cases in which you have testified, the regulatory
4 commission has set the ROE at a number less than that
5 which you recommended?

6 A. Yes.

7 Q. To your knowledge, has an appellate court or
8 other reviewing body ever overturned a lower ROE that
9 you recommended?

10 A. I can't recall.

11 Q. I would like to move -- sticking with the same
12 sentence, I would like to move on and talk about Florida
13 a little bit. Are you aware of the Florida Public
14 Service Commission ever having denied one of the
15 investor-owned electric companies subject to its
16 jurisdiction the opportunity to recover its cost of
17 service?

18 A. I don't recall any specific examples with
19 regard to the past. That doesn't -- and that's all
20 good, and that would certainly affect investors' views
21 of the future, but it doesn't guarantee that Florida
22 utilities will always for the life of the investment
23 going -- of equity investments going forward recover all
24 of their costs.

25 Q. And I want to ask you the same question about

1 the second half of the clause. You're not aware as you
2 sit here tonight of the Florida Public Service
3 Commission ever having set rates for one of the electric
4 companies subject to its jurisdiction that did not
5 afford the utility an opportunity to earn a fair and
6 reasonable return on investment, are you?

7 A. I haven't made such a study.

8 Q. Do you know what percentage of Progress's
9 total revenues are recovered through cost recovery
10 clauses?

11 A. No.

12 Q. And in selecting your Progress -- I'm sorry.
13 Too many words that start with P-r-o. In selecting your
14 proxy group, did you consider whether the regulatory
15 environments of the companies operating in your proxy
16 group might have had different percentages that are
17 recovered through cost recovery clauses?

18 A. I considered that indirectly through the use
19 of the Value Line safety ranks and the bond ratings,
20 because both Value Line and the bond rating agencies are
21 very much aware of all of the risks that affect these
22 utilities.

23 Q. On page 21, you talk about greater
24 macroeconomic uncertainty and its effect on the business
25 and financial risks of investing in electric energy

1 companies. My question for you is, relative to all
2 companies in the general economy, are electric energy
3 companies riskier or less risky, regulated electric
4 companies?

5 A. Relative to the average of all companies, they
6 are generally considered to be less risky. There are
7 some companies that are -- but it doesn't mean that
8 they're less risky than all companies. But compared to
9 the average non-regulated company, they are considered
10 to be less risky.

11 Q. I apologize, but I don't recall offhand. Do
12 you recall -- you did a CAPM study; correct?

13 A. Yes.

14 Q. Do you recall the beta for electric utilities
15 or for Progress that you used in your CAPM study?

16 A. Yes. I used the beta of .79, as shown in
17 Exhibit 7. But I also did state that the CAPM tends to
18 underestimate the cost of equity for companies with
19 betas less than 1, so the market apparently does not
20 consider betas less than 1 to be accurate of the true
21 risks that affect those companies.

22 Q. As a simple matter of financial analysis,
23 isn't it true that a beta less than 1 indicates that the
24 investment in question is less risky than the general
25 market?

1 A. That's theoretical interpretation of a beta
2 less than 1, but we have to estimate the beta. And the
3 studies have indicated that for companies whose betas
4 are significantly less than 1, their cost of equity is
5 higher than that indicated by the CAPM, which at least
6 indirectly indicates that maybe beta doesn't correctly
7 measure risk. It's one indicator. In theory, what it
8 means is, it's not necessarily -- as it's measured does
9 it mean that.

10 Q. I would like to ask you to look at Exhibit
11 264, which Mr. Moyle handed out. It's already in
12 evidence in the case.

13 A. And would you refresh my memory what that
14 exhibit is?

15 Q. Yes, sir. It's the kind of scratcy looking
16 graphic -- not graphic, tabular chart.

17 A. Yes.

18 Q. Now, I know you had a chance to kind of peruse
19 it earlier, if you want to take just a minute to read
20 down the list of companies there to familiarize yourself
21 with those companies.

22 A. Yes, I'm familiar with those.

23 Q. Okay. Thank you. My question for you is
24 this: Are you aware of any of these companies having
25 difficulty selling their stock in the stock market?

1 A. Well, most of these companies don't sell their
2 stock in the stock market. These are regulated
3 utilities that are generally subsidiaries of companies
4 whose stock is publicly traded.

5 Q. Great. Then I will ask you the question, are
6 you aware of the parent companies whose stocks are
7 publicly traded having any difficulty selling their
8 stocks for the operating companies listed on this
9 exhibit?

10 A. No, I'm not aware of a company having
11 difficulty selling stock, if you define difficulty as
12 not being able to sell it. Normally one can sell a
13 stock once you determine the price. It just may not be
14 the price that you anticipated at the time you planned
15 to sell it. If the price goes low enough, you can
16 always find buyers for your stock.

17 Q. Are you aware of any of these companies --
18 sorry. Are you aware of any of the parent companies of
19 the companies listed on this exhibit whose stock prices
20 have been in the tank, so to speak, this year, say,
21 since April 1st?

22 A. Well, I haven't studied the stock prices of
23 the parent companies of these companies other than when
24 I did -- to the extent that my comparable companies are
25 parents of some of these companies, I used their stock

1 prices in my DCF calculations, and their stock prices
2 were used in the beta calculations, and hence, their
3 stock prices would be included in my estimated cost of
4 equity.

5 Q. Will you agree that the parent companies of
6 these companies, or to the extent applicable, the
7 companies listed, if they do sell their stock publicly,
8 will you agree that that set of companies compete for
9 capital with Progress Energy in the general equity
10 market in the United States?

11 A. Yes.

12 Q. This publication was put out by a company
13 called SNL Financial. Are you familiar with that
14 company?

15 A. Yes, I am.

16 Q. And do you understand that it's the successor
17 to Regulatory Research Associates?

18 A. Well, to be specific, I believe they acquired
19 Regulatory Research Associates, but they do more than
20 what Regulatory Research Associates did.

21 Q. But Regulatory Research Associates has
22 published this sort of thing for a while; correct?

23 A. Yes.

24 Q. Now, you criticized -- in your responses to
25 Mr. Moyle's questioning, you criticized the use of other

1 states' decisions as being circular. A couple of
2 questions about that. What's really the difference
3 between using what other states decided and picking a
4 proxy group? Does it come down to the criteria you use
5 to pick the proxy group?

6 A. No, not at all. What's different between
7 those two is that when you pick a proxy group, you do so
8 only as an intermediate step to estimating the cost of
9 equity. You then look at market prices using a
10 discounted -- and use those prices in growth rates and
11 risk premia in the context of a discounted cash flow
12 model or a risk premium model or a capital asset pricing
13 model and estimate the cost of equity.

14 Just looking at the results of authorized
15 returns in other states, those are -- you don't know
16 what they're based on. They're for different time
17 periods than the time you estimated the cost of equity.
18 You don't know what the context was, were there
19 penalties to the company because of problems with their
20 performance or were there not penalties to the company,
21 was it part of a settlement in which many items would
22 have been traded off one against another to produce an
23 agreement between the parties. So there are many
24 reasons why these results are quite different than
25 estimating the cost of equity using market data for a

1 set of proxy companies.

2 Q. In response to a question from Mr. Moyle, I
3 believe that you stated something to the effect that
4 investors in the regulated -- well, investors in a
5 regulated electric company or its parent that sells the
6 stock are entitled to earn a return similar to the
7 return that they could earn from other investments with
8 similar or the same risk. Is that a pretty fair
9 characterization of what you said?

10 A. Yes, and I was basically just paraphrasing the
11 Hope and Bluefield decisions.

12 Q. Do you believe that statement to be true, or
13 was that merely your characterization of your
14 understanding of the Hope and Bluefield decisions?

15 A. I'm having difficulty understanding the
16 question. Do you mean that as an economist, that's
17 consistent with my notion of the cost of equity, or are
18 you asking whether I think that's true of the Hope and
19 Bluefield decisions?

20 Q. I really was trying ask you the first question
21 you posed. As an economist, based on your understanding
22 of cost of equity, do you agree with that statement, the
23 statement?

24 A. Yes. That's the fundamental definition of the
25 cost of equity, that investors require a return that's

1 commensurate with what they could earn on other
2 investments of the same risk, in the marketplace, that
3 is.

4 Q. Yes, sir. Can you tell me where I could get
5 12.54 percent return on equity for an investment of risk
6 comparable to Progress Energy Florida?

7 A. Well, you're not guaranteed any return. All
8 returns in the marketplace are forward-looking, so
9 they're expected returns.

10 Q. I would like to ask you to look briefly at
11 your Exhibit JW-7.

12 A. Yes, I'm there.

13 Q. Thanks. I just wanted to ask you a question
14 about the source. You used a forecasted 20-year
15 Treasury bond yield from Blue Chip from last December.
16 Help me out. If you could explain Footnote 8 to me,
17 that would be a help.

18 A. Sure. My goal was to obtain a forecast of the
19 20-year Treasury bond yield from Blue Chip, and I then
20 explain how I obtained that. Blue chip has a forecast
21 for a 30-year Treasury bond, but they do not have a
22 forecast for a 20-year Treasury bond. So I took the
23 forecasted yield on a 30-year Treasury bond, and I
24 either added or subtracted the current difference
25 between the yield on the 20-year and 30-year bond,

1 depending on whether that was positive or negative
2 currently. So I basically assumed that the spread
3 between the 20-year yield and the 30-year yield would be
4 the same, and I just looked at what was the forecast
5 yield.

6 As a matter of fact, if I had used the 30-year
7 -- current yield on the 30-year and compared it to the
8 forecast, it would have gone up by -- I think I said by
9 -- it went up by 27 basis points, and that's basically
10 what I raised my estimate of the 20-year by. That is, I
11 assumed it would go up by the same amount as the
12 30-year.

13 Q. I'm sorry. It's been a long day, but I just
14 want to be clear. Your view of the risk-free rate is
15 the 20-year Treasury bond yield?

16 A. Yes.

17 Q. Okay. Thank you.

18 I just have a follow-up question on a question
19 I asked you earlier when we were talking about the rate
20 of return on equity that you recommended in the Duke
21 case. My question is this: If you had included the
22 additional months in analyzing the ROE for Progress that
23 you referred to or relied on in your study for Duke,
24 would you be recommending 11 1/2 percent for Progress?

25 A. I don't believe so.

1 MR. WRIGHT: Just a moment, Mr. Chairman.

2 CHAIRMAN CARTER: Absolutely.

3 MR. WRIGHT: Thank you, Mr. Chairman, and
4 thank you, Dr. Vander Weide. That's all the questions.

5 CHAIRMAN CARTER: Thank you, Mr. Wright.
6 Staff.

7 MS. FLEMING: Thank you, Commissioners. We do
8 have some questions.

9 With respect to the staff composite exhibit, I
10 have not heard from all the parties, but in order to
11 move on, we'll just address those when Dr. Vander Weide
12 comes up in rebuttal.

13 CHAIRMAN CARTER: Okay.

14 MS. FLEMING: Good evening, Dr. Vander Weide.
15 How are you?

16 CHAIRMAN CARTER: One second. Hang on a
17 second, Ms. Fleming. Commission Skop.

18 COMMISSIONER SKOP: Thank you, Mr. Chairman.
19 Could I just get three or four additional questions in
20 real quick that I forgot last time?

21 CHAIRMAN CARTER: We're going to stop at 8:00,
22 though.

23 COMMISSIONER SKOP: All right. That's fine.

24 Dr. Vander Weide, I just wanted to go back to
25 a previous comment that you had made with respect to the

1 need to have cash flow in terms of ratings and all the
2 things that are resultant in more favorable debt ratings
3 and such.

4 THE WITNESS: Yes.

5 COMMISSIONER SKOP: I have a brief line of
6 questions on that. In your opinion, how would improved
7 cash flow from operations affect a company's debt
8 rating, or how might it?

9 THE WITNESS: I think it would undoubtedly
10 improve the company's financial ratios and improve its
11 chance of having an A rating from Standard & Poor's.

12 COMMISSIONER SKOP: Okay. And in that regard,
13 how might a higher debt rating affect perceived
14 investment risk?

15 THE WITNESS: A higher debt rating would
16 reduce the risk to the bondholders, and the cash flows,
17 the additional cash flows would also reduce the risk to
18 the equity investors.

19 COMMISSIONER SKOP: Okay. And so you would
20 agree that additional cash flows are generally a good
21 thing for corporate operations?

22 THE WITNESS: Undoubtedly.

23 COMMISSIONER SKOP: Okay. Just two final
24 points. If storm reserve accruals were increased for an
25 unfunded reserve account, would you agree that that

1 would provide an incremental source of unencumbered free
2 cash flow for operations?

3 THE WITNESS: I'm sorry. I missed the very
4 first couple of words of the question.

5 COMMISSIONER SKOP: Okay. I'll repeat the
6 question. If a storm reserve accrual were increased for
7 an unfunded reserve account, would you agree that that
8 would provide an incremental source of unencumbered cash
9 flow for operations?

10 THE WITNESS: Yes.

11 COMMISSIONER SKOP: Okay. And if, all things
12 being equal, free cash flow is a good thing for
13 operations and tends to perhaps improve debt ratings or
14 move towards that, would any resultant risk be reduced
15 from those cash flow operations?

16 THE WITNESS: Yes, it would.

17 COMMISSIONER SKOP: In that light, all things
18 being equal again, that may be a small portion, but
19 would that change any of your analysis as it might
20 pertain to cost of equity in terms of incremental
21 reduced risk?

22 THE WITNESS: Well, I would have to reassess,
23 if that occurred, how Progress Energy compared to the
24 proxy companies that I used, and so I would have to
25 reassess the risk of those proxy companies and compare

1 that to the change in the risk of Progress Energy.

2 COMMISSIONER SKOP: Okay. Without doing that,
3 though, all things being equal, if there were an
4 incremental increase in free cash flow that would be a
5 much smaller revenue requirement, just generally
6 speaking, would that factor adversely impact the general
7 range of your analysis if it were --

8 THE WITNESS: Well, other things equal, it
9 would reduce the risk, and hence would reduce the
10 required return, assuming that other things are held
11 equal.

12 COMMISSIONER SKOP: But if the -- I guess what
13 I'm trying to get at, if there weren't a substantial
14 increase in the unfunded reserve account, then your
15 analysis would generally be intact?

16 THE WITNESS: It would generally remain the
17 same, yes.

18 COMMISSIONER EDGAR: All right. Thank you.

19 CHAIRMAN CARTER: Ms. Fleming.

20 MS. FLEMING: Thank you. And during that
21 short intermission, we did find out that the parties
22 have stipulated to Exhibit 40, so if we could just go
23 ahead and address that briefly. Is that correct? There
24 are no objections to Exhibit 40, which is staff's
25 composite exhibit related to this witness?

1 CHAIRMAN CARTER: Let me ask the parties. Are
2 there any objections to Exhibit 40?

3 MR. WRIGHT: No objections, Mr. Chairman.
4 Thank you.

5 CHAIRMAN CARTER: Okay. Thank you so kindly.
6 Exhibit 40 entered.

7 (Exhibit Number 40 was identified and admitted
8 into the record.)

9 CHAIRMAN CARTER: Okay. Ms. Fleming.

10 MS. FLEMING: Okay. I'm watching the clock.

11 CHAIRMAN CARTER: That's good.

12 CROSS-EXAMINATION

13 BY MS. FLEMING:

14 Q. Good afternoon, Dr. Vander Weide.

15 A. I appreciate that, by the way.

16 Q. I have 30 minutes to get through my questions,
17 so if you can, keep your answers short and succinct, if
18 possible.

19 A. You've just given me an incentive to shorten
20 my answers.

21 Q. We want to finish with you tonight.

22 The required return on equity is the minimum
23 return required to attract capital to an investment;
24 correct?

25 A. Yes.

1 Q. And it is your testimony that the cost of
2 capital as determined by the Commission in this
3 proceeding only reflects the risk of providing regulated
4 electric service in Florida; is that correct?

5 A. Yes.

6 Q. And in your opinion, are capital markets
7 generally efficient?

8 A. Yes.

9 Q. In general, do market prices for investment
10 reflect the investors' perceptions of risk for those
11 investments?

12 A. Yes.

13 Q. To the extent that a cost of capital witness
14 such as yourself relied on market-based cost of equity
15 models to estimate the required return on equity for
16 PEF, in theory, are investors' expectations represented
17 in the average results of those models?

18 A. Yes.

19 Q. Now, it is your testimony that within the
20 context of the discounted cash flow model, the stock
21 price reflects investors' view of risk; is that correct?

22 A. Yes.

23 Q. And are investors aware of the business and
24 financial risks of investing in electric energy
25 companies?

1 A. Yes.

2 Q. And you believe that investors take these
3 risks, these business and financial risk factors into
4 account in making investment decisions regarding
5 electric utility stocks; correct?

6 A. Yes.

7 Q. Now, earlier Mr. Wright was asking you some
8 questions, and you stated that the risk outlines
9 starting on page 18 of your direct testimony relate to
10 electric energy companies in general; is that correct?

11 A. Yes, it is.

12 Q. So the risk factors that you spoke of or
13 addressed in your direct testimony starting on page 18
14 are not unique to PEF; is that correct?

15 A. That is correct.

16 Q. And you would agree that these risk factors
17 are reflected in the stock price for electric energy
18 companies; correct?

19 A. Yes.

20 Q. And in theory, these risk factors are
21 reflected in the estimates of cost of equity for
22 electric energy companies; correct?

23 A. Yes, they are.

24 Q. Now, in your testimony, you applied the
25 discounted cash flow model approach to a group of

1 electric energy companies shown in your Exhibit JVW-1;
2 is that correct?

3 A. Yes, it is.

4 Q. And you applied the DCF model approach to the
5 Value Line electric companies that are shown in your
6 Exhibit JVW-1; correct?

7 A. Yes.

8 Q. And the electric companies in your proxy group
9 are the parent companies of regulated electric
10 companies; is that correct?

11 A. Yes, it is.

12 Q. And the electric companies in your proxy group
13 are, on average, comparable in risk to Progress Energy;
14 is that correct?

15 A. Yes, they are.

16 Q. And in the electric -- you have not conducted
17 a numerical comparison of PEF's capital expenditure
18 program to the capital expenditure program of the other
19 electric companies, including those in your proxy group;
20 is that correct?

21 A. I have not done a thorough comparison. I
22 recognize that PEF's capital -- prospective capital
23 expenditures are unusually large, I state in my
24 testimony, with respect to their rate base. And so it's
25 my belief that their capital expenditures are large in

1 comparison to the rate base, but I haven't compared them
2 in quantity to these companies.

3 Q. Okay. In your deposition, page 25, lines 20
4 to 24, you were asked, "Have you conducted a comparison
5 of PEF's capital expenditure program to the capital
6 expenditure program of other electric energy companies,
7 including those in your proxy group?" Your answer, "I
8 haven't explicitly conducted a numerical study of PEF's
9 capital expenditures compared to all of the other
10 electric utilities." Is that correct?

11 A. Yes. And I believe that's the same answer I
12 just gave.

13 Q. Okay. Now, in your testimony, you state that
14 you believe PEF is currently more risky than an
15 investment in an average utility in the S&P Utilities
16 Index; is that correct?

17 A. Do you have a specific page where I state
18 that?

19 Q. It will be on page 43 of your testimony, line
20 4. And you state, "PEF is currently more risky than an
21 investment in the average utility in the S&P Utilities
22 Index over the entire period 1937 to the present"; is
23 that correct?

24 A. Yes, it is.

25 Q. And you have not performed an analysis that

1 demonstrates that PEF is currently more risky than an
2 investment in the average utility in the S&P index; is
3 that correct?

4 A. It is correct, but this statement -- I believe
5 we discussed this in the deposition, and it's based on
6 my judgment from 30 years of experience in the electric
7 utility industry, considering that many of the risks
8 that PEF faces today were not faced by the utilities in
9 the S&P Utilities Index, on average, from 1937 to the
10 present.

11 A. Thank you. Now, it is your testimony that the
12 financial risk associated with your proxy companies'
13 average capital structure is significantly less than the
14 risk associated with PEF's ratemaking capital structure;
15 is that correct?

16 A. Yes.

17 Q. And it's also your testimony that PEF's
18 recommended ratemaking capital structure contains
19 50 percent common equity; is that correct?

20 A. Yes.

21 Q. And it's also your testimony that your
22 comparable company group or proxy group contains
23 approximately 58 percent equity; is that correct?

24 A. Yes. And let me interpret that, in that I
25 also adjusted the capital structure, the market value

1 capital structure for those companies by including an
2 estimate of their purchased power obligations. And I
3 compared it to a capital -- I consistently did the same
4 thing for both PEF and the comparable companies.

5 Q. Thank you. Could I have you turn to your
6 Exhibit JVW-8, please.

7 A. Yes.

8 Q. In this exhibit, you show the derivation you
9 used to determine the return on equity that PEF would
10 need in order to have the same cost of capital as your
11 comparable proxy group; is that correct?

12 A. Yes.

13 Q. And in your derivation -- I think we discussed
14 this in your deposition. The capital structure ratio
15 for your comparable proxy group is based on a five-year
16 average market value capitalization ratio; is that
17 correct?

18 A. Yes.

19 Q. And the capital structure ratio for PEF is
20 based on the approximate book value capitalization ratio
21 for the 2010 projected test year; is that correct?

22 A. Yes.

23 Q. And you did not calculate the average book
24 value capitalization ratio for your comparable company
25 group; is that correct?

1 A. It's correct that I did not.

2 Q. Now, during your deposition, we asked you a
3 little bit about the Value Line reports. Do you recall
4 that?

5 A. It's kind of late in the day, and I don't
6 recall it, but I'll accept it.

7 Q. Okay. Well, do you consider Value Line to be
8 a reliable and accurate source of information, of
9 financial information?

10 A. Yes.

11 Q. And you relied on this information from Value
12 Line to perform portions of your cost of capital
13 analysis; correct?

14 A. Correct.

15 MS. FLEMING: At this time, we're handing out
16 an exhibit that we'll need marked for identification,
17 please.

18 COMMISSIONER EDGAR: Yes, ma'am. That will be
19 278. Short title, please.

20 MS. FLEMING: Value Line Report for Proxy
21 Group.

22 COMMISSIONER EDGAR: Thank you.

23 (Exhibit Number 278 was marked for
24 identification.)

25 BY MS. FLEMING:

1 Q. Dr. Vander Weide, do you recall this exhibit
2 from your deposition?

3 A. Again, I don't recall it, but I'll --

4 Q. Well, would you agree, subject to check, that
5 this was identified as Deposition Exhibit Number 1 to
6 your deposition?

7 A. Yes.

8 Q. And if I could have you turn to the first
9 page.

10 A. The one titled "Vander Weide Book Value, PEF
11 Proxy Electric Company Group"?

12 Q. Yes, sir.

13 A. Yes.

14 Q. The first column on the left lists all the
15 companies contained in your proxy group that are listed
16 in JVW-1; is that correct?

17 A. Yes.

18 Q. And the next column on the right titled "2007
19 Equity Ratio," that lists the historical 2007 equity
20 ratios for your proxy group, is that correct, reported
21 by Value Line?

22 A. Let me just quickly look at my proxy group. I
23 said yes kind of rapidly. I could accept that, subject
24 to check, or I could compare them. I believe they're
25 the same.

1 Q. Well, in your deposition, page 98, lines 13
2 through 15, you were asked with the same exhibit, "The
3 first column on the left lists all the companies
4 contained in your proxy group listed in Exhibit JVW-1;
5 is that correct?"

6 Your response, "Yes."

7 A. I must have compared them, then, and I'll
8 accept that.

9 Q. Thank you. So the column to the right, the
10 2007 equity ratio, it lists the historical 2007 equity
11 ratios for your proxy companies as reported by Value
12 Line; is that correct?

13 A. Yes.

14 Q. And the next column that's labeled "2008
15 Equity Ratio" lists the historical 2008 equity ratio for
16 your proxy companies as reported by Value Line; is that
17 correct?

18 A. I'm not sure what you mean by historical. It
19 would be year-end capital structure for 2008.

20 Q. Okay. And then the last column, the 2010
21 estimated equity ratio, that lists the 2010 estimated
22 equity ratios for your companies, proxy companies as
23 reported by Value Line; is that correct?

24 A. Yes.

25 Q. And looking at the last row, the simple

1 average of the equity ratios for each of the columns is
2 listed in the last row; is that correct?

3 A. That's what it is titled.

4 Q. Okay. So the simple average historical book
5 value equity ratio for the proxy group for 2008, or
6 year-end 2008, as you referred to, is 45.7 percent; is
7 that correct?

8 A. Yes.

9 MS. FLEMING: We have no further questions.

10 COMMISSIONER EDGAR: Are there any further
11 questions from the bench? No.

12 Mr. Walls, redirect.

13 MR. WALLS: No.

14 COMMISSIONER EDGAR: No rediect. Okay. I
15 believe that brings us to exhibits. Mr. Walls, we'll
16 start with you.

17 MR. WALLS: Yes. We have Exhibits JVW-1
18 through JVW-13, which are identified as Exhibits 98
19 through 110 that we would move in evidence.

20 COMMISSIONER EDGAR: Any objection? Hearing
21 none, at this time, we will enter Exhibits 98 through
22 110 -- yes, 110, into the record.

23 (Exhibits Number 98 through 110 were
24 identified and admitted into the record.)

25 COMMISSIONER EDGAR: Mr. Wright.

1 MR. WRIGHT: Thank you, Madam Chairman. I
2 would move 277, please.

3 COMMISSIONER EDGAR: Any objection?

4 MR. WALLS: No objection.

5 MR. WRIGHT: And if I might inquire, is 40 in
6 the record already? Was that admitted earlier?

7 COMMISSIONER EDGAR: I think the answer is
8 yes, but let me look at my record, and we will all
9 confirm together. I am showing that 40 has been
10 entered. I'll seeing a nod from staff that --

11 MS. FLEMING: Yes.

12 COMMISSIONER EDGAR: -- they feel the same, so
13 we're going to call that yes.

14 MR. WRIGHT: That's great. Thank you very
15 much.

16 COMMISSIONER EDGAR: All right. So 277 is
17 entered in the record at this time.

18 (Exhibit Number 277 was admitted into the
19 record.)

20 COMMISSIONER EDGAR: And that brings us,
21 Ms. Fleming, to you.

22 MS. FLEMING: We would ask that 278 be moved
23 into the record.

24 COMMISSIONER EDGAR: Any objection?

25 MR. WALLS: No objection.

1 COMMISSIONER EDGAR: 278 is entered into the
2 record at this time.

3 (Exhibit Number 278 was admitted into the
4 record.)

5 COMMISSIONER EDGAR: Doctor, thank you very
6 much. You are excused. And I understand that we will
7 be seeing you back on rebuttal. You're excused for the
8 time being. Thank you.

9 THE WITNESS: Thank you.

10 COMMISSIONER EDGAR: Okay. This looks like an
11 excellent stopping point to me. Is there anything that
12 we can address or deal with yet this evening while we
13 are still gathered together, anything procedural, any
14 order of witnesses, anything like that so that we are as
15 clear as we can all be in the morning?

16 MS. FLEMING: I'm getting nods from the
17 parties that we should meet to discuss the order of
18 witnesses.

19 COMMISSIONER EDGAR: Okay. Let me then ask
20 when we are adjourned here in just a moment if the
21 parties will get with Ms. Fleming briefly before you
22 leave the building.

23 Mr. Wright.

24 MR. WRIGHT: Madam Chairman, the reason I was
25 looking somewhat quizzically at Ms. Fleming is that I

1 think there was some confusion as between who all knew
2 exactly what the witness order was going to be today.
3 I'm fine meeting, but I thought one or more
4 Commissioners weren't completely sure what the order of
5 witnesses was to be, because --

6 COMMISSIONER EDGAR: That was probably me.

7 MR. WRIGHT: Because it got decided after you
8 all had blessedly, for your sake, left. And so I just
9 wanted to say if you all wanted to hang -- if somebody
10 wanted to know what it's going to be, maybe staff can
11 tell you later or something. I was just concerned for
12 that.

13 COMMISSIONER EDGAR: I have full confidence
14 that staff will share with us in the morning whatever it
15 is individually that we need to know.

16 MS. FLEMING: I intend to provide Marshall
17 Willis with an e-mail this evening after we adjourn.

18 COMMISSIONER EDGAR: All right. Mr. Willis
19 has received a new assignment.

20 So thank you all, and with that, we are
21 adjourned for the evening.

22 (Proceedings recessed at 7:47 p.m.)
23
24
25

CERTIFICATE OF REPORTER


STATE OF FLORIDA:

COUNTY OF LEON:

I, MARY ALLEN NEEL, Registered Professional Reporter, do hereby certify that the foregoing proceedings were taken before me at the time and place therein designated; that my shorthand notes were translated under my supervision; and the foregoing pages numbered 1297 through 1463 are a true and correct record of the aforesaid proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor relative or employee of such attorney or counsel, or financially interested in the foregoing action.

DATED THIS 28th day of September, 2009.


MARY ALLEN NEEL, RPR, FPR
2894-A Remington Green Lane
Tallahassee, Florida 32308
(850) 878-2221