


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

In the Matter of:

DOCKET NO. 090505-EI

REVIEW OF REPLACEMENT FUEL COSTS
ASSOCIATED WITH THE FEBRUARY 26,
2008 OUTAGE ON FLORIDA POWER &
LIGHT'S ELECTRICAL SYSTEM.



PROCEEDINGS:

AGENDA CONFERENCE
ITEM NO. 4

COMMISSIONERS
PARTICIPATING:

CHAIRMAN NANCY ARGENZIANO
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER NATHAN A. SKOP

DATE:

Tuesday, June 1, 2010

TIME:

Commenced at 1:37 p.m.
Concluded at 2:20 p.m.

PLACE:

Betty Easley Conference
Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY:

LORI DEZELL, RPR

P R O C E E D I N G S

1
2 **CHAIRMAN ARGENZIANO:** Okay. Now we're going
3 to move to Item 4.

4 **MR. GRAVES:** Good afternoon, Commissioners.
5 Robert Graves from Commission staff.

6 At the January 26, 2010 agenda conference, the
7 Commission approved a stipulation which stated that
8 FPL would bear the replacement power costs
9 attributable to an outage which occurred on
10 February 26, 2008.

11 Item 4 of today's agenda conference addresses
12 the amount of the replacement cost and the manner
13 in which FPL should refund those costs.

14 For Issue 1, staff recommends that FPL refund
15 \$13.8 million of replacement power cost to its
16 customers. Staff's recommended refund is based on
17 the incremental cost of replacing the generation
18 loss over the full duration of the outage less
19 mitigating actions taken with regard to central
20 repairs required by the Nuclear Regulatory
21 Commission.

22 For Issue 2, staff recommends that the refund
23 of these costs be issued through the 2010 net
24 true-up in Docket No. 100001-EI. Staff believes
25 that this is the most efficient method for the

1 refund.

2 And Commissioners, staff has requested an oral
3 modification. The modification is on page 16 in
4 the first sentence of the first full paragraph.
5 And I can read that if you'd like.

6 **CHAIRMAN ARGENZIANO:** Please do.

7 **MR. GRAVES:** Currently the sentence reads,
8 "Based on staff's recommended refund amount of
9 \$13,853,392," and that value should be replaced
10 with \$13,854,054.

11 **CHAIRMAN ARGENZIANO:** All right.

12 **MR. GRAVES:** Yes, ma'am. Staff is prepared
13 for any questions at this time.

14 **CHAIRPERSON ARGENZIANO:** Any questions?
15 Discussion? Hang on one minute. That's okay.
16 Take your time.

17 **COMMISSIONER EDGAR:** I knew I had one. I just
18 couldn't remember what it was for a moment. Thank
19 you for giving me a moment to collect my thoughts.

20 This is nonsubstantive. But I noticed that in
21 the case background, it does not at all mention
22 that we had a hearing on this. And if indeed the
23 case background will be incorporated in the order,
24 I would ask that that be added.

25 **CHAIRMAN ARGENZIANO:** Good point,

1 commissioner. Commissioner Skop?

2 **COMMISSIONER SKOP:** Thank you, Madam Chair. I
3 think in this instance I do have a few questions
4 for staff that I'd like to try and get addressed
5 with respect to some of the staff recommendation.

6 And I guess just some -- some background to
7 better refresh my memory from hearing, and some of
8 this I think is incorporated in the staff
9 recommendation.

10 But Public Counsel's witness Dr. Dismukes in
11 his analysis for the refund amount did not include
12 the -- having to take down the unit for -- or take
13 down the Turkey Point 3 unit to address the rod
14 indicator position problem that was pursuant to the
15 NRC settlement agreement and the operating license
16 requirements; is that correct?

17 **MR. GRAVES:** No, sir. Witness Dismukes did
18 include that time that the unit was offline for
19 those repairs. That was included in his
20 replacement power cost.

21 **COMMISSIONER SKOP:** It was or was not?

22 **MR. GRAVES:** It was.

23 **COMMISSIONER SKOP:** The entire time it was
24 off. But he did not consider the repair to be an
25 intervening event, he just said bill them for

1 everything until the intervening --

2 **MR. GRAVES:** Yes.

3 **COMMISSIONER SKOP:** That's what I was trying
4 to flush out there.

5 I've looked at the various arguments. I guess
6 FPL's argument, staff discusses Public Counsel's,
7 FIPUG's as one of causation as staff has
8 recognized. Is it also correct to understand that
9 staff had made an adjustment to address or at least
10 that Public Counsel's calculations had overstated
11 the net replacement cost based on the capacity, the
12 actual capacity of the Turkey Point 3 and 4 units
13 as opposed to the calculations that Dr. Dismukes
14 performed?

15 **MR. GRAVES:** Yes, sir. We made an adjustment
16 for that.

17 **COMMISSIONER SKOP:** Okay. and approximately
18 how much was that adjustment?

19 **MR. GRAVES:** I believe it was in the
20 neighborhood of \$500,000.

21 **COMMISSIONER SKOP:** Okay. And the
22 calculations -- I guess subsequent to that FPL
23 performed a simulation at the respect -- at the
24 request of staff and recommended a refund amount as
25 a result of that simulation; is that correct?

1 **MR. GRAVES:** Yes, sir. And that's on page 8
2 of the recommendation.

3 **COMMISSIONER SKOP:** Okay. And those
4 calculations from FPL and the ones from Public
5 Counsel did not consider the power section of the
6 two nuclear units to restore them to 100 percent
7 rated power; is that correct?

8 **MR. GRAVES:** FPL's production cost in
9 simulation did consider the ascension. OPC's
10 calculation did not. Staff went back and included
11 an adjustment for that power ascension.

12 **COMMISSIONER SKOP:** Okay. And on page 9 of
13 the staff recommendation, staff notes that FPL
14 contends that the company's operation of its
15 generating resources in response to the Flagami
16 substation was prudent and proper. Staff does not
17 believe there's any evidence in the record to
18 suggest otherwise.

19 Can staff briefly explain that to the extent
20 that the staff believes that all operations to
21 restore FPL's generating units to service were not
22 imprudent.

23 **MR. GRAVES:** Yes, sir. And this was not a
24 prudence review. FPL accepted responsibility for
25 the outage, and from that, staff considered the

1 full duration of the outage. And the basic
2 philosophy behind that was if not for the actions
3 taken at the substation, the plants would have
4 never been off to begin with. So staff considered
5 the full duration as the starting point.

6 **COMMISSIONER SKOP:** Okay. At the top of
7 page 9, it discusses witness Stall's testimony
8 about the time that would be necessary to restore a
9 single nuclear unit online after unexpected plant
10 shut down. I believe he indicated or testified it
11 would be approximately 48 hours to recover the
12 unit; is that correct?

13 **MR. GRAVES:** Yes, sir.

14 **COMMISSIONER SKOP:** And then for a dual unit
15 trip which was the one experienced on Turkey Point
16 3 and 4, that for that type of outage it would
17 typically take three to five days, 72 to 120 hours
18 to restore it but when you consider additional time
19 for power accession -- or ascension, the time to
20 restore the units would be approximately 84 to 134
21 hours; is that correct?

22 **MR. GRAVES:** Yes, sir.

23 **COMMISSIONER SKOP:** Okay. I did have some
24 additional questions with respect to staff's
25 analysis on Turkey Point 3 and 4. Again, just

1 looking at it from the testimony and the record
2 evidence.

3 The calculation of the cost I think that staff
4 used a -- hold on real quick. Let me find it.
5 Okay. Staff rejected the average system cost basis
6 that FPL suggested and used a methodology that was
7 consistent with the approach that the Commission
8 previously used in the whole drilling docket; is
9 that correct?

10 **MR. GRAVES:** Yes, sir.

11 **COMMISSIONER SKOP:** Okay. All right. In
12 terms of the amount for the replacement of power, I
13 really don't have concerns. I think the staff
14 methodology was reasonable.

15 With respect to Turkey Point 3, I just want to
16 ask staff some questions regarding that. In
17 staff's analysis, it took the total hours that the
18 unit was offline, which was approximately 158 hours
19 for Turkey Point 3, and essentially subtracted 27
20 hours attributable to the repair of the rod
21 position indicators; is that correct.

22 **MR. GRAVES:** Yes, sir, that's correct.

23 **COMMISSIONER SKOP:** Okay. And on page 10 of
24 the staff recommendation it speaks to that a little
25 bit. The top of page 10 states seven hours after

1 the initiating event FPL began repair of the rod
2 position indicator system.

3 I guess I'm trying to gain a better
4 understanding of -- of how staff arrived at the 27
5 hours. It seems as if after the event there was a
6 delay, and obviously staff looked at a document
7 provided by FPL that showed that the actual time
8 for the repair itself was 27 hours. But can staff
9 elaborate a little bit more on that?

10 **MR. GRAVES:** Yes, sir. When calculating the
11 cost, there's basically three different, I guess,
12 zones. One was the first eight hours in which the
13 replacement of power cost were around \$170 per
14 megawatt hour. Then you have the rest of February
15 which I believe was \$77 per megawatt hour, and then
16 March which was \$79 per megawatt hour.

17 We went back and just included the hours that
18 we took out for the repairs. We took them out
19 subject to the month or the time that they were in.
20 So one hour was taken out from that first
21 eight-hour time frame. And I forget exactly how
22 the rest of it broke down, but we went back and
23 subtracted it from the time specific that it came
24 out.

25 **COMMISSIONER SKOP:** Okay. Again with the --

1 just to facilitate I guess my question. If -- if
2 the unit were coming out of service for a scheduled
3 outage, and obviously for Turkey Point 3 the
4 control rod indicator would have to be repaired
5 consistent with the operating license revision that
6 FPL and NRC entered into, who would pay for
7 replacement power in a scheduled outage?

8 **MR. GRAVES:** I believe the customers would.

9 **COMMISSIONER SKOP:** And if during the
10 scheduled outage there were additional delays
11 either with the repair or during the power
12 ascension process and a scheduled shutdown,
13 assuming that the actions of the utility were not
14 imprudent, who would pay for those additional
15 delayed hours?

16 **MR. GRAVES:** I believe the customers would.

17 **COMMISSIONER SKOP:** Okay. In this instance,
18 staff noted the testimony of witness Stall that
19 looked at an individual unit and then a dual unit
20 trip and then the power ascension and factored in
21 the expected time frame that it would reasonably
22 take the utility to restore units to service. But
23 then in the analysis staff discussed those units
24 individually. Obviously the initiating event
25 tripped the units with the dual unit trip, but then

1 staff analyzed the outage time separately and
2 distinctly within the recommendation. Can staff
3 elaborate a little bit on that?

4 **MR. GRAVES:** I believe we did that because
5 there were two unique situations going on at each,
6 at each unit. At Turkey Point Unit 3 they had the
7 repairs which they knew they had to do as soon as
8 the unit came down. At Turkey Point 4 they didn't
9 have those repairs so they can focus on bringing
10 the unit back online immediately.

11 **COMMISSIONER SKOP:** Okay. With respect to
12 Turkey Point 3, the revision to the NRC operating
13 agreement however mandated that FPL effect repairs
14 to the rod position indicators on unit 3 at the
15 next outage, irrespective of whether it was
16 scheduled or unscheduled; is that correct?

17 **MR. GRAVES:** Yes, sir.

18 **COMMISSIONER SKOP:** Okay. And in doing those
19 repairs, does State -- I guess from the document
20 that FPL provided with the record evidence, do you
21 just walk in to containment, do the repairs, walk
22 out and does the reactor come back up automatically
23 or is there additional time within that 27 hours
24 that would be required that's not included?

25 **MR. GRAVES:** I'm not sure I understand your

1 question.

2 **COMMISSIONER SKOP:** All right. I guess
3 there's many different ways to view the outage and
4 the effect, and I think what's important is to be
5 fair and stay within the bounds consistent with the
6 record evidence.

7 In the instant case, staff has made some
8 assumptions, and at least on Turkey Point 3 they've
9 assigned a reduction of 27 hours to fully cover the
10 repair of the rod position indicator that was
11 governed by the revision to the operating license
12 for the units.

13 And I'm wondering on that 27 hours whether
14 that's an appropriate assumption to the extent that
15 you had to deal with a unit trip which I don't
16 think anyone denies, and Mr. Stall has commented on
17 the time frame that it would be necessary to
18 restore those units. But because of the problem
19 with the rod position indicator, there was a
20 proceeding agreement with the NRC and it's but for
21 that agreement, you know, FPL would obviously have
22 to address the matter as it's accepted
23 responsibility for. I'm not so sure whether the
24 agreement for the NRC to repair the rod position
25 indicator is not like an interceding event there.

1 And again with respect to the 27 hours, you
2 know, the time that was utilized for staff as a
3 simplifying assumption to come up with the refund
4 amount which again I don't agree or disagree with
5 I'm just trying to talk this through, this looks at
6 the total lapsed time to do that repair. I'm not
7 so sure that the 27 hours embodies the startup of
8 the unit or the testing and maybe the rod position
9 indicator. But on Turkey Point 4, obviously there
10 was some additional delays at startup that staff
11 speaks to.

12 But is that 27 hours indicative of power
13 ascension? I mean, the way staff is viewing it is
14 it's carving out 27 hours of the total outage time
15 and saying this is an appropriate adjustment to
16 make. And I'm trying to gain a better appreciation
17 and understanding because effectively if the NRC
18 says you can't operate this unit until repairs are
19 made, then, you know, yes, the event in question
20 was FPL's fault and I think they've admitted
21 liability to that. But is that not an intervening
22 or interceding event or a -- I'm trying to think of
23 the word I was trying to use.

24 **MR. GRAVES:** Mitigating.

25 **COMMISSIONER SKOP:** Mitigating event, if you

1 will, to look at unit 3 separately as staff has
2 done. Because staff broke them out. I mean, you
3 know, you can look at a dual trip and say, okay,
4 they're both out and, you know, the customer is not
5 going to pay until they both come in service. But
6 with respect to Turkey Point 3 in particular, there
7 was a proceeding agreement between the NRC
8 regarding the operating license that said you have
9 to fix this at the next shutdown.

10 And so at the point of the fault, was it then,
11 you know, out of FPL's control to some degree to
12 the extent that this repair needed to be made to be
13 in accordance with operating license until such
14 time as the unit could be brought back online. I
15 mean, there may be other things in there that
16 warrant, you know, consideration, but I just wanted
17 to look to staff.

18 **MR. GRAVES:** Yes, sir. And the basis of our
19 recommendation was on the prior order, Commission
20 order No. 23232 which we reference on page 10. In
21 that one, the unit was down due to imprudence of
22 the company because the operators weren't licensed
23 or they needed to re-qualify.

24 However, I believe it was five days into the
25 outage they began essential repairs that they had

1 planned. And from that point, the Commission said
2 you -- you can be credited back this time. You
3 won't be required to refund that amount of money.

4 **COMMISSIONER SKOP:** Okay. So let's assume for
5 the sake of discussion that the units tripped and
6 it was a single unit trip on Turkey Point 3 for
7 whatever reason. It could be the substation
8 outage.

9 So these rod position indicators I guess based
10 on my reading of the record obviously located on
11 the reactor head. So is it as simple as just
12 walking into containment, fixing the rod position
13 indicators, walking out, flipping the switch and
14 the reactor is back on line or do you have to go
15 through additional steps, wait before entering
16 containment?

17 **MR. GRAVES:** I believe they did have to wait
18 for it to cool down.

19 **COMMISSIONER SKOP:** Okay. So is any of that
20 identified within the 27 hours?

21 **MR. GRAVES:** No, sir.

22 **COMMISSIONER SKOP:** Okay. And Commissioners,
23 just -- I'm going about this in a roundabout way.
24 I guess what I'm trying to discern is, you know,
25 certainly when you make assumptions to calculate

1 the refund, you know, obviously you have to put
2 some thought into that. But in this case I'm a
3 little concerned that there may be
4 oversimplification to the extent that just by
5 looking at a document and saying from point A to
6 point B we had to fix the rod indicator whereas the
7 operating license revision basically said you have
8 to -- at the next shutdown you have to fix this.
9 I'm not trying to excuse FPL's performance, but I
10 do see this as a -- as a -- somewhat of a
11 mitigating event on Turkey Point 3 because they had
12 agreement with the NRC that says you have to do
13 this, it's a safety issue, and as soon as the unit
14 tripped, and it was a dual unit trip, but then in
15 some instances one could argue it became a singular
16 event to the extent that there was a specific
17 requirement to do repairs on Turkey Point 3 at the
18 next shutdown. It didn't say at the next scheduled
19 or unscheduled. It was -- you know, they couldn't
20 go operate this unit until it was fixed.

21 So I'm trying to discern what additionally
22 took -- you know, I could see witness Stall said 84
23 hours for a dual unit trip. You know, I'm trying
24 to do some math to back in. I'm looking at, you
25 know, 158, I believe, for Turkey Point 3 minus 27

1 but I'm not so sure that 27 embodies the entire
2 corpus of what would be required in a different
3 sense to go in and make the repairs if the unit
4 were shut down. If you were coming for a scheduled
5 shutdown just to repair the rod position
6 indicators, you know, coming out with 100 percent
7 full power, I'm not so sure that you can go in and
8 do that and at the end of 27 hours be back at full
9 power. That's -- that's my concern.

10 **MR. GRAVES:** That's correct. But there is
11 another variable in this particular case that we
12 had to take into account, and that was the events
13 that were happening at Turkey Point Unit 4 had some
14 impact on Turkey Point Unit 3, and that's why I
15 think it was appropriate that we took these
16 specific hours as opposed to a start time and an
17 end time. Because we don't know how the events at
18 Turkey Point Unit 3 -- or Turkey Point Unit 4
19 affected those repairs on Turkey Point Unit 3.

20 **COMMISSIONER SKOP:** But I think witness Stall
21 provided a general view of what would be required
22 to restore both units to full power in a dual unit
23 trip. And I think he indicated there would be
24 approximately 84 to 134 hours; is that correct?

25 **MR. GRAVES:** Yes, sir. And our recommendation.

1 falls within that time frame.

2 **COMMISSIONER SKOP:** Okay.

3 **MR. BALLINGER:** Commissioner Skop, if I may,
4 the hard thing, I understand what you're saying, is
5 did this really encompass everything. The fact is
6 we asked -- we tried to identify the hours with the
7 specific events that were brought up through the
8 case: The rod position indicator, the steam water
9 level on unit 4 and the broken relay in unit 4. We
10 tried to isolate those hours in case there was
11 going to be an adjustment.

12 So we asked FPL to identify the hours
13 associated with the control rod positioning
14 indicators. That's where we came up with the 27
15 hours.

16 Did that capture everything? I can't say for
17 sure. We were responding to the interrogatory
18 responses to try to isolate that. As Robert said,
19 this does fall within the three to five-day window
20 that we had as far as for a dual unit trip so we
21 thought it was reasonable.

22 **COMMISSIONER SKOP:** Again I was going to try
23 and address this separately. On 4 I know there
24 were two events. There was the relay for the
25 protective circuit which caused the automatic

1 shutdown and they had to repair that and that seems
2 to be equipment failure so probably not anyone's
3 fault, assuming they're operating the unit
4 prudently.

5 And then they had the manual reactor trip due
6 to the water level of one of the steam generators.
7 And again we discussed that extensively at hearing
8 as to, you know, some coordination concerns. But
9 and staff in the recommendation has indicated that
10 there was nothing -- although I may be -- may
11 disagree, there was nothing in staff's view to
12 indicate that the units were operated imprudent not
13 only in the recovery but in the startup of the
14 units. Is that generally correct?

15 **MR. BALLINGER:** I think that's correct. And
16 the hours for unit 4 was 107 hours which is well
17 within the three to five days. Again as Robert
18 stated earlier, the initiating event was the
19 transmission event. So basically the units then
20 went through a normal start-up procedure when you
21 trip a nuclear unit, three to five days.

22 And so I think what we're finding here is
23 nothing punitive. It's reflecting what a normal
24 trip would be for a transmission event. We didn't
25 see anything nor was the purpose of the hearing to

1 look at the prudence of the generating operation.
2 Came out either to the negative.

3 **COMMISSIONER SKOP:** Certainly on unit 4 it was
4 delayed longer than probably it should have been,
5 probably by about 30 hours because of -- my
6 contacts are sticking -- the reactor trip for the
7 water levels obviously. I think they testified
8 that it -- FPL testified it would be 30 additional
9 hours to resolve that and get the unit back online.

10 But I guess what -- what concerns me -- you
11 know, and that's debatable one way or another
12 whether that was excused performance because it's
13 in the normal startup mode. But I think what gives
14 me pause, Commissioners, and again I'm in favor of
15 a substantial refund to the customers as they
16 should be entitled to in this case.

17 I do have a little consternation over the 27
18 hours on Turkey Point 3 because again I think FPL
19 was required by the NRC, it was a mitigating event,
20 that they really had to go make these repairs. And
21 I'm not so sure that 27 hours effectively
22 encompasses the scope of the repair from the time
23 you can enter containment to effect the repair to
24 the time you can close containment and restart the
25 unit through power ascension. I don't know what

1 the right number would be, but again if it's the
2 will of the Commission to approve the refund per
3 the staff recommendation, I'm fine with that. But
4 I just thought --

5 **CHAIRMAN ARGENZIANO:** Well let me ask you
6 this, Commissioner Skop. Did the company have a
7 different number or have a different take on that?
8 Because I didn't see that.

9 **COMMISSIONER SKOP:** I think the company's
10 take, which I did not agree with, is that the scope
11 of the event should be limited to eight hours until
12 transmission was stable. And that to me is an
13 idealistic assumption.

14 I think witness Stall's testimony was far more
15 credible to the extent in a dual unit trip he
16 testified and was very candid that the time to
17 restore a dual unit would be 84 to 134 hours. And
18 I think that, you know, if you have a dual unit
19 trip, obviously that was resulting from the fault
20 at the substation. But once that trip occurred and
21 once you're past the eight hours, then I think you
22 need to start looking at are there mitigating
23 events.

24 And in this instance there was a mitigating
25 event as it pertained to Turkey Point 3 which I

1 feel the 27 hours is somewhat idealistic to the
2 extent that it ignores I think some reality of the
3 fact that you just -- you know, I don't think
4 that -- I don't think it's as simple as the unit
5 trips, 27 hours later after you've made the repair
6 you just walk out and flip the switch. That's
7 what's giving me some pause here.

8 **MR. BALLINGER:** And maybe this will help. The
9 repair of the control rod indicators were done in
10 parallel with other activities going on with normal
11 startup. So you're right. You can't just go in,
12 do it in 27 hours, flip the switch back on. Once
13 the unit tripped because of the transmission event,
14 it was going to take three to five days to get it
15 back up per the testimony at the hearing.

16 **COMMISSIONER SKOP:** Right.

17 **MR. BALLINGER:** That 27 hours was within that
18 window. We felt it was appropriate to make that
19 adjustment.

20 **COMMISSIONER SKOP:** Okay. But in terms of the
21 27 hours, is staff aware in the record evidence
22 were there any additional reasons -- I know that
23 staff explains on Turkey Point 4 there are some
24 very specific reasons that cause the delay. But on
25 Turkey Point 3, it seems that the -- pursuant to

1 the NRC, operating license amendment, they had to
2 go fix this. And I don't know whether it was
3 trying to bring both up together or separately.
4 But there's nothing there at least to me to explain
5 the remainder of the 158 hours other than the unit
6 didn't come in service.

7 I know there may be some things that have to
8 be done. But if the unit were going to schedule
9 outage solely for the rod position indicator, I
10 don't think you're back on line in 27 hours at full
11 power.

12 **CHAIRMAN ARGENZIANO:** Okay. Let's --

13 **MR. BALLINGER:** No, you're not. And I agree
14 with that. I don't think there was any other
15 mitigating circumstances but I'll double-check with
16 Robert.

17 **MR. GRAVES:** No, sir, there wasn't.

18 **COMMISSIONER EDGAR:** Okay. Where are we at?
19 Do you want to make a motion?

20 **COMMISSIONER SKOP:** Well, I guess I'd look to
21 the bench to see if -- I mean, if there's any merit
22 in the 27 hours in terms of making additional
23 adjustment on Turkey Point 3. I do think there is
24 a mitigating event there. I'm trying to be fair to
25 FPL but recognizing that there will be a

1 substantial refund to the customers.

2 If the will of the bench is to vote the staff
3 recommendation, I'm prepared to make a motion for
4 that. But if we want to discuss this further and
5 get a revised number from staff, you know, I can
6 ask staff to run a revised calculation based on a
7 slightly smaller number.

8 **CHAIRMAN ARGENZIANO:** Any other questions?
9 Commissioner Edgar, do you have any? I have no
10 other questions at this point.

11 **COMMISSIONER SKOP:** Okay.

12 **CHAIRPERSON ARGENZIANO:** Do you want to --
13 Commissioner Edgar, are you --

14 **COMMISSIONER EDGAR:** I guess,
15 Commissioner Skop, if you could, you're saying
16 you're potentially considering asking staff to do a
17 revised calculation based on a somewhat different
18 time period. I'm not clear on what time period it
19 is that you're putting out there as an alternative.

20 **COMMISSIONER SKOP:** I think with respect to
21 Turkey Point 3, what staff did was take the total
22 outage time, the 158 hours, and subtracted 27,
23 which I think if my math is correct, I think it
24 leaves you with 131.

25 I guess looking at witness Stall's testimony

1 with respect to a dual trip, he said 84 to 134
2 hours. You know, I think perhaps somewhere in the
3 midpoint between that number may be a more
4 appropriate number, 100 hours versus 131. I think
5 that would probably be consistent with looking at
6 the time to bring a single unit back on line by
7 witness Stall was 48 hours, and that's with, you
8 know, trouble shooting or what have you. But I
9 think that there's something to be said for looking
10 at the intervening event on Turkey Point 3 in the
11 interest of fairness.

12 **COMMISSIONER EDGAR:** And again I'm just trying
13 to be clear. Looking at a slightly different time
14 period as far as the intervening event, I think you
15 gave me a range but all I heard was 100. Is that
16 the number? I'm just not clear what number you're
17 proposing.

18 **COMMISSIONER SKOP:** I thought 100, somewhere
19 between the midpoint, whatever the midpoint is
20 between 84 and 134 I feel would probably be a more
21 appropriate number. And I think that in terms of
22 total impact of the refund, it would not be very
23 great. I think the refund would be the majority of
24 what staff is recommending, although it would
25 reduce it slightly.

1 **CHAIRMAN ARGENZIANO:** I'm just not comfortable
2 with doing that so quickly at this time because I
3 don't know all of the ramifications of that or the
4 justifications of that. So if somebody could --

5 **MR. BALLINGER:** We can quickly calculate the
6 number. That's not the hard part. The hard part
7 to me is picking that number from the record.

8 **CHAIRMAN ARGENZIANO:** That's what I'm
9 having -- that's why I say justification. And
10 that -- I don't think you could do that in five
11 minutes here.

12 **COMMISSIONER EDGAR:** Or rationale. And -- I
13 mean, that's what I want to be -- and I know we've
14 discussed this for a while and I'm sure everybody
15 is hungry, but you want to say a range, midpoint
16 between 134 and 84, is that what you said, which
17 would bring us to about 114, I think?

18 **COMMISSIONER SKOP:** I believe so.

19 **COMMISSIONER EDGAR:** Okay. And so let me try
20 it this way. If 114 is the number that you are --
21 are putting out there for discussion at this point,
22 how would you explain the rationale for 114 versus
23 the other number, the larger number?

24 **COMMISSIONER SKOP:** I think if my math is
25 right, it would be 109, 109 hours is the midpoint

1 or the average between those two numbers. But
2 again, I'm pretty tired so I'll trust your math
3 over mine.

4 **COMMISSIONER EDGAR:** Don't necessarily trust
5 my math. That -- we'll look to staff for the math.
6 It's the rationale that I'm trying to --

7 **COMMISSIONER SKOP:** Right. The rationale I
8 think, Commissioner Edgar, is very simple. In
9 terms of Turkey Point 3, there was a mitigating
10 event that I think somewhat excuses FPL to the
11 extent that the NRC specifically required FPL to
12 effect repairs on the Turkey Point 3 unit at the
13 next shutdown, and those repairs had to be made.

14 I don't know if there were other events that
15 caused Turkey Point 3 not to enter service at
16 100 percent power quicker than it did. But the 27
17 hours to me is somewhat of an over-simplified
18 assumption that does -- I don't feel embodies the
19 entire scope of the time that it would take to, you
20 know, trip the unit, make the repairs, have the
21 unit come back into service. It's got to be more
22 than 27 hours. I think Mr. Ballinger --

23 **CHAIRPERSON ARGENZIANO:** Okay. Let's do this.
24 Ask staff. You came to the conclusion of 27 hours.
25 And if there were this mitigating circumstance, how

1 would you suddenly, or now how do you come to
2 the -- I can't even think of the word I'm trying to
3 say -- come to the -- the number that
4 Commissioner Skop is indicating that there could
5 have been or should have been more time because of
6 this mitigating circumstance. And could you again
7 tell me, did you take into consideration the
8 mitigating circumstance of them having to do this
9 rod --

10 **MR. BALLINGER:** The 27 hours in staff's mind
11 was the mitigating circumstance. It was a
12 pre-required outage by the NRC to do these repairs.
13 We specifically asked the company to identify the
14 hours associated with the repairs. That's where we
15 came up with the 27 hours.

16 I understand Commissioner Skop's concern about
17 that number. And maybe it didn't encompass
18 everything.

19 Another way to look at it is unit 4 was down
20 for 107 hours. One could logically perhaps think
21 that unit 3 should have been down for that long as
22 well. Absent these mitigating things, you can have
23 the same number of hours there.

24 What's a little troubling I'd like to discuss
25 with legal staff is record evidence to that effect.

1 Can the Commission make that adjustment just based
2 on the numbers in the record or are our hands tied?
3 I don't -- I don't know that answer yet.

4 **CHAIRMAN ARGENZIANO:** Commissioner Skop?

5 **COMMISSIONER SKOP:** Thank you, Madam Chair.
6 And I'll make this brief. To Mr. Ballinger, I
7 think my concern is if there were a trip on Turkey
8 Point 3 under the circumstances where pursuant to
9 the NRC amendment to the operating license FPL had
10 to make repairs, how soon could FPL enter
11 containment after the trip?

12 **MR. BALLINGER:** I think they started in hour
13 seven.

14 **MR. GRAVES:** It was 7 hours that they entered.

15 **COMMISSIONER SKOP:** Okay. And the -- is it
16 your understanding that the rod position indicator
17 is located on the reactor head?

18 **MR. BALLINGER:** Yes.

19 **COMMISSIONER SKOP:** So after they enter seven
20 hours plus seven hours into the event and make the
21 repairs 27 hours later, do they just walk out of
22 the reactor and flip the switch?

23 **MR. BALLINGER:** No. At hour 34 they had other
24 things they had to do as a result of the trip to
25 get the unit to full power. That's why I said

1 these were done in parallel with other events going
2 on.

3 **COMMISSIONER SKOP:** But again, let's look at
4 this as an unscheduled -- as a scheduled shutdown
5 solely for the purpose of the rod position
6 indicator repair.

7 So the unit trips, you wait seven hours, you
8 go into containment, you're working on the reactor
9 head, you finish your repairs, you close
10 containment. Does the reactor start right back up?

11 **MR. BALLINGER:** Not to my knowledge, no.

12 **COMMISSIONER SKOP:** So would not -- that 27
13 hours does not include the startup time for a
14 scheduled outage?

15 **MR. BALLINGER:** That's correct. And this
16 event we're trying to -- I think of it this way.
17 Had there been no NRC requirement to do these
18 repairs, these specific repairs, it's staff's
19 belief that it would have taken 131 hours from the
20 tip to get Unit 3 back on line just as a normal
21 course of restarting a nuclear unit after a trip.
22 That's -- that's our recommendation to you from
23 where we identify the 27 hours. We tried to
24 isolate the hours associated with that repair
25 knowing that there's other things going on as a

1 result of a trip to get a unit started.

2 **COMMISSIONER SKOP:** Okay. Fair enough. But
3 again I think what -- what -- what's missing here,
4 Commissioners, is that, you know, that analogy
5 works and it's a simplifying assumption. But if
6 the unit were coming down in a scheduled outage
7 solely for the rod position indicator, unit trips,
8 boom, you have to wait to enter containment, you
9 effect repairs, you know, seven hours plus 27 hours
10 you close containment, you don't just start right
11 back up. There's this incremental start up time
12 and power ascension to get back to 100 percent full
13 power that I don't think is being recognized within
14 the 27 hours because you had to wait seven hours to
15 get in there to begin with.

16 And again you don't just walk into
17 containment. You know, you have to do procedures
18 and set things up. But again I'm thinking the 27
19 hours with all due respect doesn't give full credit
20 to the time that it would take absent this event to
21 trip, repair, exit containment and restart. I
22 don't think 27 hours --

23 **CHAIRPERSON ARGENZIANO:** Okay. Let's do this
24 because we've gone over this ten times. Give me
25 your final answer on this and I'm ready to approve

1 staff's recommendation, I believe, unless you say
2 something that just doesn't jive with me.

3 **MR. BALLINGER:** I -- I understand, and there
4 are some gray areas in this so I can understand
5 where Commissioner Skop is coming from. But
6 unfortunately we dealt with the record. I've got
7 to deal with what's in there.

8 And we tried to, knowing as the case was
9 progressing, seeing these three areas that the
10 company was saying were mitigating circumstances,
11 if you will. The control rod indicators for unit
12 3, the high water level and the broken relay in
13 unit 4. So staff tried to identify those hours if
14 there was going to be an adjustment through
15 discovery. That's where we came up with the 27
16 hours and I think that would be our final one right
17 now.

18 **COMMISSIONER EDGAR:** Let me ask one more
19 question and then --

20 **CHAIRPERSON ARGENZIANO:** Commissioner Edgar.

21 **COMMISSIONER EDGAR:** -- I'm ready to see where
22 it takes us.

23 Trying to hearken back to the hearing, can you
24 advise me as to this. The -- obviously and from
25 the information in front of us and of course from

1 our recollection from hearing and the record, the
2 company proposed a much smaller amount as what they
3 should be required to refund based on a shorter
4 time period. The point that Commissioner Skop has
5 raised as to perhaps giving a greater amount of
6 time or allowance than the 27 hours, was that point
7 raised or proposed by the company or discussed by
8 one of their witnesses?

9 **MR. GRAVES:** No, ma'am, it wasn't.

10 **CHAIRPERSON ARGENZIANO:** Okay. That
11 particular -- I'm sorry, that particular concern
12 that he raised, is that the --

13 **COMMISSIONER EDGAR:** That's what I was trying
14 to ask.

15 **CHAIRPERSON ARGENZIANO:** Okay. Okay. Go
16 ahead. Continue.

17 **MR. GRAVES:** I didn't hear. Did you ask a
18 question?

19 **CHAIRMAN ARGENZIANO:** No. I was trying to
20 make sure I got the question was to the specific
21 point that Commissioner Skop had raised about if
22 the company had brought up that point.

23 **MR. GRAVES:** Oh, no, ma'am.

24 **CHAIRMAN ARGENZIANO:** Okay, Commissioners.
25 Commissioner Skop.

1 **COMMISSIONER SKOP:** Thank you, Madam Chair. I
2 have just one quick question on Issue 2.

3 To staff, Public Counsel and FIPUG supported a
4 one-time refund and I believe that on the bottom of
5 page 14 of the staff recommendation staff noted the
6 company indicated it would be \$70,000 in 60 days to
7 implement but staff further agrees on page 16 that
8 the refund amount should not be borne by the
9 ratepayers.

10 I guess why, why did staff look towards the
11 2010 fuel cost recovery net true-up which, you
12 know, pushes the refund out because it lowers the
13 fuel rates. It's an offset to fuel cost in the
14 future as opposed to, you know, what the position
15 that the attorney general and FIPUG took.

16 **MS. ROBERTS:** Good afternoon, Commissioners.
17 Arlisha Roberts with staff. The reason why staff
18 decided -- the reason why staff concluded to put it
19 within the 2010 fuel factors, I've been looking at
20 everything in the record, looking at the amount
21 that it was going to cost the company to implement
22 a one-time refund, looking at where we were within
23 the year. We decided -- I decided that it was --
24 it was the most efficient means of getting this
25 money back to the customers, trying to be as

1 neutral as possible with the information there,
2 looking out for the customers, looking out for the
3 company, and just making the best decision with the
4 information that was there, that this was the best
5 method to refund this money back to the customers.

6 **COMMISSIONER SKOP:** Madam Chair, as a
7 follow-up to that, doing under staff's option is to
8 recognize the refund amount including interest
9 during the 2010 fuel proceeding. I guess my
10 question is staff's articulated an interest amount,
11 and that interest amount for today would be
12 consistent with the one-time refund made in the
13 near future. If we wait, does interest continue to
14 accrue?

15 **MS. ROBERTS:** Yes, it continues to accrue.

16 **COMMISSIONER SKOP:** So that brings me to my
17 point on the one-time credit consistent with Public
18 Counsel and FIPUG they indicated a cost which
19 really isn't material to my consideration in
20 deciding the \$70,000. My question is if we wait,
21 the interest that accrues on the principle is
22 probably going to be higher than the \$70,000 to do
23 it now. Is that reasonable based on a couple -- a
24 \$14 million refund?

25 **MS. ROBERTS:** Well, Daniel Lee could speak

1 regarding the interest.

2 **COMMISSIONER SKOP:** Which would probably cost
3 the company more to wait than it would to refund it
4 now to the ratepayers.

5 **MR. LEE:** Commissioners, Daniel Lee with
6 staff. The interest for 2010 this year is about
7 \$2 -- the whole year is about \$2 per thousand
8 dollar refund. It's very small.

9 And with our recommendation, our current
10 practice, this will -- we will just ask -- the
11 practice is that the company will, as we address in
12 the page 12, we said these -- at the bottom of the
13 table we said consistent with Commission practice,
14 the company should make an adjustment to its
15 year-end 2009 true-up to reflect the Commission
16 decision. The practice ensured that the amount
17 will continue to have interest effect based on
18 actual interest rate until the full recovery under
19 the true-up process. So to answer your question,
20 really the interest amount is much smaller than
21 the --

22 **COMMISSIONER SKOP:** Well, I understand the
23 interest amount is much smaller, and I don't want
24 to belabor the point, Commissioners, because I know
25 it's getting late. The interest amount shown on

1 page 12 is 360 -- almost \$361,000.

2 The one-time refund obviously cost FPL some
3 money but that's, you know, not OPC's concern, it's
4 not FIPUG's concern. It should be the Commission's
5 concern.

6 My concern is is it more cost-effective for
7 the company's perspective to refund now than it
8 would be to let this interest continue to accrue
9 for 12 months. And if -- if it's a cost benefit to
10 the company, it seems that the company would credit
11 the customers now rather than accruing additional
12 interest, because the additional interest cost
13 might exceed the interest of -- of the cost of
14 doing it now with the interest that's accrued
15 today, if that makes sense. It makes sense to me.

16 **MR. LEE:** Well, everybody's situation is
17 probably differently.

18 **COMMISSIONER SKOP:** Okay. All right. I've
19 had enough. Madam Chair, at the appropriate time
20 I'd like to make a motion to approve staff
21 recommendation for Issues 1 and 2.

22 **CHAIRPERSON ARGENZIANO:** Commissioner Edgar?

23 **COMMISSIONER EDGAR:** I'll be glad to second
24 that motion.

25 **CHAIRPERSON ARGENZIANO:** All right. Did you

1 make a motion?

2 **COMMISSIONER SKOP:** I did. Let me recite it
3 for the record.

4 Madam Chair, with respect to the disposition
5 of Item 4 before the Commission, I move to approve
6 staff recommendation on Issues 1 and 2.

7 **COMMISSIONER EDGAR:** And 3.

8 **COMMISSIONER SKOP:** And 3.

9 **CHAIRPERSON ARGENZIANO:** And we have a second?

10 **COMMISSIONER EDGAR:** Second.

11 **CHAIRMAN ARGENZIANO:** All those in favor say
12 aye.

13 (Unanimous.)

14 **CHAIRMAN ARGENZIANO:** Opposed same sign.

15 Thank you very much.

16 (Discussion concluded.)

17 * * *

18

19

20

21

22


23

24

25

1 CERTIFICATE OF REPORTER
2
3
4

5 STATE OF FLORIDA)

6 COUNTY OF LEON)
78 I, LORI DEZELL, RPR, CCR, certify that I was
9 authorized to and did stenographically report the
10 proceedings herein, and that the transcript is a true
11 and complete record of my stenographic notes.12 I further certify that I am not a relative,
13 employee, attorney or counsel of any of the parties, nor
14 am I a relative or employee of any of the parties'
15 attorney or counsel connected with the action, nor am I
16 financially interested in the action.17 WITNESS my hand and official seal this 3rd day
18 of June, 2010.
1920 
2122 LORI DEZELL, RPR, CCR
23 2894-A Remington Green Lane
24 Tallahassee, Florida 32308
25 850-878-2221