

1 BEFORE THE
2 FLORIDA PUBLIC SERVICE COMMISSION

3 In the Matter of:

4 DOCKET NO. UNDOCKETED

5 ELECTRIC VEHICLE CHARGING IN
6 FLORIDA.

6 _____ /

7
8 PROCEEDINGS: ROUNDTABLE DISCUSSION

9 COMMISSIONERS
10 PARTICIPATING: CHAIRMAN JULIE I. BROWN
 COMMISSIONER ART GRAHAM
11 COMMISSIONER RONALD A. BRISÉ
 COMMISSIONER DONALD J. POLMANN
12 COMMISSIONER GARY F. CLARK

13 DATE: Tuesday, October 17, 2017

14 TIME: Commenced at 1:00 p.m.
 Concluded at 4:29 p.m.

15 PLACE: Betty Easley Conference Center
16 Room 148
 4075 Esplanade Way
 Tallahassee, Florida

17 REPORTED BY: LINDA BOLES, CRR, RPR
18 Official FPSC Reporter
19 (850) 413-6734

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NAME :	PAGE NO.
KELLEN SCHEFTER	7
PETER KING	41
REPRESENTATIVE JASON FISCHER	53
BRITTA GROSS	56
PATRICK BEAN	76
DAVID SCHATZ	90
TERRY O'DAY	102
BRIAN HANRAHAN	112
LANG REYNOLDS	124
KENNETH HERNANDEZ	132
FOSTER WARE	139
MARK CUTSHAW	144
LINDA FERRONE	148
DAVID BYRNE	154
MIKE BJORKLUND	157
CHRIS KING	159
J.R. KELLY	162
TOM ASHLEY	164
DORY LARSEN	165

P R O C E E D I N G S

1
2 **CHAIRMAN BROWN:** Good afternoon. Thank you so
3 much for being here today. This is the electric vehicle
4 charging roundtable discussion before the Florida Public
5 Service Commission. Today is October 17th. The time is
6 1:00 o'clock. We have a full house of a variety of
7 stakeholders here today.

8 I'm Julie Brown, and I want to again express
9 my gratitude for all of your participation and
10 presentations in advance. And we will begin this
11 roundtable with Wesley Taylor reading the notice.

12 **MR. TAYLOR:** Good afternoon, everyone. We're
13 here pursuant to the notice issued September 29th, 2017.
14 This time and place is set for the Commission roundtable
15 on electric vehicle charging. The purpose of the
16 roundtable is set out within the notice.

17 **CHAIRMAN BROWN:** Thank you so much.

18 Commissioners, this is a topic of intense --
19 immense interest. I've been working on this with staff
20 for about two years trying to get a roundtable
21 discussion before us to consider. Back in 2012 the
22 Commission had a staff workshop in which we heard a
23 variety of presentations. It ultimately led to a report
24 that the Commission gave to the Legislature at the end
25 of 2012 that focused on the effects of vehicles on

1 energy consumption and the impact of the electric grid.
2 It ultimately concluded that new challenges that EVs
3 would pose to the electric grid were not likely to
4 emerge until beyond the ten-year planning horizon with
5 the exception of, possible exception of local challenges
6 to the distribution system in areas of high EV.

7 So this -- again, like I said, this is an area
8 of very -- of interest to me. I'm excited to have this
9 be a Commission-led workshop, which we have not had
10 before.

11 Today nearly every state in the union has some
12 sort of incentives for electric vehicles on the books in
13 order to promote the growth of EV adoption. The most
14 common incentives are: Financial incentives for the
15 purchase of plug-in vehicles or their charging
16 equipment, access to high occupancy vehicle lanes or
17 parking, and other related incentives to licensing or
18 fleet use.

19 It won't come as a surprise to any of you in
20 the audience that California has been the leader in
21 electric vehicle incentives, and they have numerous
22 incentives on the books. Approximately half of all EVs
23 sold in the United States come from California, and
24 they're supposed -- it's supposed to grow, expected to
25 grow to about 1.5 million in 2025.

1 Other states have also aggressively targeted
2 incentives for EVs as well. Colorado offers grants and
3 rebates for purchasers of plug-ins. Massachusetts has
4 numerous programs to encourage EV adoption. And here in
5 Florida, regional offers have helped to defray the
6 purchase price of plug-in EVs. For example, JEA has a
7 rebate that ranges from 500 to 1,000 depending on the
8 size of the EV's battery.

9 They're also -- EV drivers are also eligible
10 to drive in high occupancy lanes. And just this past
11 month Rocky Mountain Power got a DOE grant to develop
12 electric highway corridors in Utah, Wyoming, and Idaho
13 by installing DC Fast Chargers every 100 miles along the
14 corridor and AC Level 2 chargers in every community in
15 the region. And that grant is expected to encourage the
16 -- grow the EV market twice the level it's at today.

17 So today we're going to take another look at
18 the status of EVs and the necessary charging
19 infrastructure in Florida, whether it's through pilot
20 programs, appropriate incentives, or through other
21 guidance. We, as regulators, I believe, should be well
22 informed of the advancements in the technology, the
23 appetite of the public, and the need for supporting
24 infrastructure as we deal with some of these issues
25 along the way.

1 We have presentations planned today from
2 Edison Electric Institute, Drive Electric Florida. We
3 also have two panels: The first representing the
4 electric vehicle and charging station industry, and then
5 a second panel representing electric utilities. And the
6 idea here is -- we have a limited time today -- it's to
7 get a perspective of each of these sectors on EV
8 charging infrastructure in Florida. Granted, we could
9 probably spend a day or two on a variety of topics, but
10 since this is our first roundtable discussion on this as
11 Commissioners, I thought this would be a nice diverse
12 group to start out with. And then following the
13 presentations, we will also have an opportunity for
14 public comment.

15 I would like to remind all speakers that are
16 here today that we are not here to discuss any matters
17 that are pending or foreseeably pending before the
18 Commission, and that is just -- in an open docket.
19 We're just prohibited by law to discuss that right now.

20 So before we begin, I want to give a huge
21 thanks and shout-out to our staff, specifically Cayce
22 Hinton, who many of you have been in contact with, Mark
23 Futrell, Braulio Baez, and Phillip Ellis. They've
24 been -- like I said, they've been working on this in
25 format for about two years. I think we have a nice

1 balance. And I appreciate my Commissioners' support on
2 this. We promise we won't be here until dark, but I
3 think we've got a nice group of information here today,
4 and so we're going to go with that. And I apologize,
5 I'm under the weather today, so -- but I'm excited to
6 hear from you all.

7 Commissioners, this is kind of a, like I said,
8 a roundtable format. I don't use the term "workshop,"
9 so if you have a question for a presenter, please feel
10 free to just jump on in. Please don't take that as
11 being rude. We want to kind of make it as informal of a
12 formal process as possible.

13 So with that, we're going to start out with
14 our -- the presentation. And we have books that have
15 been presented to Commissioners with the presentations,
16 but behind me, and I believe they'll be showing it as
17 you speak, are the actual presentations for the public.
18 And it's -- the topic is plug-in EV sales forecast
19 through 2025 and the charging infrastructure required.

20 Mr. Kellen Schefter with EEI, thank you again
21 for being here.

22 **MR. SCHEFTER:** Yes, thank you, Commissioner.

23 **CHAIRMAN BROWN:** Hit the button.

24 **MR. SCHEFTER:** Okay, great. Thank you so much
25 for having me here. It is an honor to be here, so thank

1 you, Chairman Brown and all the Commissioners, for,
2 first of all, having this roundtable. I think it is an
3 exciting topic.

4 I'm Kellen Schefter. I'm with the Edison
5 Electric Institute. Just for your knowledge, we are the
6 trade association for all the investor-owned electric
7 companies across the country.

8 For my presentation today I want to try to be
9 brief. I think I have about 15 minutes. I'll try to
10 get through it as quickly as I can, but I do encourage
11 any sort of questions.

12 I want to hit three main topics just broadly
13 around the benefits of electric transportation, why
14 we're sort of talking about this. I do want to address
15 that forecast that we put out there, so I'll go through
16 a couple of those slides. And then I'll touch a little
17 bit on the electric company role and what we sort of
18 foresee that being. But, again, thank you for having
19 this conversation. I think it's a great topic.

20 So big picture, what are we talking about? We
21 are talking about transitioning the transportation
22 sector to be powered by electricity. Right? And I do
23 want to frame it that way, as a transition. We are in
24 the very early days, I believe, of this transition.
25 Right now petroleum powers electric -- or, sorry --

1 transportation in the US to the tune of about 90, 92
2 percent of the energy. Electricity's share of that is
3 about 0.1 percent. We're not even in the full, you
4 know, 1 percent range yet for, for electric share, so we
5 are in the very early days.

6 But when we do that transition, there are a
7 number of benefits we want to talk about. There's a
8 customer benefit, those that directly benefit from it;
9 there's a societal benefit, meaning everybody kind of
10 benefits; and then there's a unique sort of grid benefit
11 aspect to it. And I'll just touch on each of those
12 really briefly to kind of kick this off.

13 On the customer benefit side, electric
14 transportation is more efficient. Electric motors are
15 inherently a more efficient way of converting energy to
16 motion than internal combustion engines. And so that
17 manifests itself in fuel cost savings.

18 So the one way I've depicted that here is
19 looking at gasoline prices for the last 40 years or so,
20 and then compared that to the equivalent electric
21 mile-per-gallon price, if you will. And there's about a
22 2X cost savings right now. Obviously when gas prices
23 are higher, there's a 3X cost savings. But this does
24 really drive the total cost of ownership benefit for
25 those users of electric transportation. This is why

1 we're seeing electric buses coming to prominence right
2 now by transit agencies. They see this payback period.

3 There's a number of applications where there
4 is a clear payback. Even though the cost of the
5 technology upfront is higher, you save money on fuel
6 over time; therefore, you save money long term. That's
7 not necessarily how individual consumers buy cars today,
8 always thinking of the total cost of ownership, but that
9 is driving a lot of the customer benefits, and that's
10 important to keep in mind.

11 From the societal benefit, there was an
12 interesting inflection point in the last year or so
13 where nationwide transportation emissions now surpass
14 electric power emissions in terms of a CO2 perspective.
15 It's a really interesting story here. There's a lot
16 obviously playing into this. From the electric power
17 side we're seeing a lot more natural gas, displaced
18 coal. We're seeing an increase of renewables.

19 On the transportation side we're seeing
20 vehicles increase in efficiency, but then what happens
21 is when gas prices get lower, people tend to drive more,
22 they make different choices about which type of car they
23 own, and so that actually has been sort of a stickier
24 problem, how to get emissions out of the transportation
25 sector.

1 I think, again, big picture what we're talking
2 about here is that if we plug the transportation system
3 into the electric power system, it benefits from all the
4 work that's going on in the power sector already in
5 terms of reducing emissions. So if we can tie those two
6 together, we think there's sort of this cross-sector
7 benefit.

8 The last high-level benefit I'll touch on is
9 sort of unique to the -- to our system, to the grid that
10 we're talking about here. So big picture, again, the
11 customer and the societal benefits are the big magnitude
12 benefits we're talking about. But on the electric
13 system, when we add this load to the system in a way
14 that doesn't add a lot of cost, what you see is that
15 actually has a net revenue that is a net benefit for
16 customers.

17 This chart here is sort of a notional chart
18 showing that the revenue can be greater than the cost to
19 serve that load. But there's a number of studies I'm
20 showing there that have gotten into the details in
21 specific markets around what that looks like. But the
22 bottom line here is that if we can add this load in a
23 cost-efficient way, it actually does benefit all the
24 consumers, the customers that pay into the grid, and
25 that's something important to keep in mind.

1 Now I want to be careful. I'm not offering
2 this as a cost benefit analysis. This doesn't get into
3 the particulars of any program. But what it does say is
4 just long term that when you add this load to the system
5 in a cost-beneficial way, everybody in the system can
6 benefit from it.

7 All right. So now transitioning here a little
8 bit to talk about where we are in that forecast paper in
9 particular. So over this -- this actually -- the slide
10 is a little bit out of date now. There's over 700,000
11 EVs have been sold in the US so far. That's, that's
12 awesome. An increase in electric vehicle models, a
13 large increase in the number of automakers offering this
14 product. So this has been showing really progress over
15 the last few years.

16 You know, to put this in context, though,
17 we're only about a little over 1 percent of new vehicle
18 sales in the US being electric today, but, again, a good
19 sign of progress.

20 So where are we headed? And this is kind of
21 where this forecast came in.

22 **CHAIRMAN BROWN:** Kellen, if I could stop you.

23 **MR. SCHEFTER:** Absolutely.

24 **CHAIRMAN BROWN:** Going back to the last slide,
25 are those all of the makers of vehicles that offer

1 electric?

2 **MR. SCHEFTER:** Yeah, right, exactly. So
3 starting here, the GM and Nissan came out in December
4 2010 with the Volt and the Leaf respectively. So that's
5 the blue and the red there.

6 But then what you see over time, those
7 increase in more colors, it shows there's more
8 automakers offering more product over time.

9 **CHAIRMAN BROWN:** Thank you.

10 **MR. SCHEFTER:** And they're taking more, more
11 share of the market.

12 So in terms of where are we headed, right?
13 That -- I mentioned we're a little over 1 percent of new
14 car sales now. EEI and our foundation partner tried to
15 look at a couple of different forecasts and just kind of
16 draw a line and say does this -- what seems reasonable
17 for a near term sort of look at where the market is
18 headed?

19 We looked at a number of different
20 forecasts -- Barclays, Navigant, the Energy Information
21 Agency -- and they all had lines kind of going up and to
22 the right, and we sort of did an average of them. We
23 said, "Okay. By 2025, these are roughly saying we'll
24 have 1.2 million vehicles, EVs sold in 2025. That'll
25 represent a cumulative, about 7 million EVs on the road,

1 and that'll represent about 7 percent of new car share."
2 So that, that's our kind of, just again, snapshot of
3 where we think this market could be headed.

4 In terms of Florida's impact there, Florida
5 currently has about 3.7 percent of all EVs sold. So if
6 that ratio stays the same, this would represent about
7 260,000 EVs on the road in Florida by 2025.

8 **CHAIRMAN BROWN:** If I could interrupt you,
9 Commissioner Brisé has a question for you.

10 **MR. SCHEFTER:** Oh, yeah.

11 **COMMISSIONER BRISÉ:** Thank you. Just a quick
12 question in terms of what is the price point? What is
13 the average price point for these vehicles? And would
14 you say that the -- that right now we're in a place
15 where the average American family can afford to purchase
16 an EV vehicle?

17 **MR. SCHEFTER:** Yeah, that's a great question.
18 I would say the average new car, not considering an
19 electric car, the average transactional price for a new
20 car I think is around \$32,000. So that's important to
21 keep in context. And that -- you've seen a number of
22 automakers target that price; right? So the Bolt is out
23 now at a \$35,000 -- a thirty-seven five price point gets
24 you down to 30 with the tax credit. The Model 3 is at
25 that point, a similar point. The Nissan Leaf is a

1 little bit lower than that.

2 So those are -- when I go back to that chart,
3 who has the most market share, it is the Bolt and the
4 Leaf and some of those mainstream ones.

5 Now the average transactional price of all EVs
6 sold, I'm not sure. I'm sure that's higher. Right?
7 The Teslas transact at a higher point. But what we're
8 seeing over time is as battery costs come down, you can
9 target this more toward that mainstream audience, that
10 32,000 or so price point for an average new car.

11 **CHAIRMAN BROWN:** Thank you.

12 **MR. SCHEFTER:** So turning back to the forecast
13 here, again, that was our -- we looked at some
14 additional forecasts that were out there. Does that
15 seem realistic? And the way I did that -- and we looked
16 at is this a reasonable target to hit? So we looked at,
17 okay, there's a number of car companies that have set
18 some sort of sales target for -- oh, yeah.

19 **CHAIRMAN BROWN:** Sorry for interrupting you
20 again --

21 **MR. SCHEFTER:** Absolutely.

22 **CHAIRMAN BROWN:** -- but a free-flowing
23 discussion.

24 **MR. SCHEFTER:** Oh, yeah, yeah.

25 **CHAIRMAN BROWN:** Commissioner Polmann has a

1 question.

2 **MR. SCHEFTER:** Sure.

3 **COMMISSIONER POLMANN:** Thank you. Can we go
4 back to Slide 7, please? Thank you.

5 What you're showing here are EV sales.

6 **MR. SCHEFTER:** Yes.

7 **COMMISSIONER POLMANN:** And annually and then
8 cumulative. How does that compare to total car sales
9 because --

10 **MR. SCHEFTER:** Yeah.

11 **COMMISSIONER POLMANN:** -- you know, what you
12 had mentioned was percentage in the market. Does this
13 suggest that EV sales will be a growing percentage of
14 sales or a growing percentage of the total vehicles in
15 place?

16 **MR. SCHEFTER:** Well, hopefully both, but this
17 is showing the sales per year. Right? So today,
18 160,000 EVs sold in 2016. That's about 1 percent.
19 There's about 16 to 17 million new cars sold in the US
20 every year. By 2025, if we sell 1.2 million EVs, that
21 would be about 7 percent of new car sales. So we see
22 that share increasing over time of new car sales.
23 Right? 7 percent by 2025.

24 If we look at the penetration of EVs into the
25 total vehicle fleet, there's about 250 million cars on

1 the roads in the US; right? 700,000 EVs on the road is
2 about 0.2 percent of all cars on the road. Right? So
3 that share of total vehicles on the road obviously will
4 be much less than the average new car sales percentage
5 over time. But we do want that to increase over time as
6 well. That's kind of what we're hoping will happen over
7 time.

8 **COMMISSIONER POLMANN:** Thank you.

9 **MR. SCHEFTER:** Does that help?

10 **CHAIRMAN BROWN:** Thank you.

11 **MR. SCHEFTER:** Okay. Excellent. These are
12 great questions.

13 So in terms of sort of -- we did a reality
14 check here and we said, "Okay. Does 1.2 million EVs in
15 2025 seem realistic, given where the automakers are?"
16 Right? So there's a number of car companies,
17 particularly the premium brands, that have said, "We'll
18 target 15 to 25 percent of our new cars will be electric
19 in 2025." Tesla, obviously, is 100 percent electric,
20 and they have goals out there.

21 So we said, "Okay. If we take all those
22 premium brands, if they meet more or less their targets,
23 we may have been a little conservative in our estimates,
24 that represents about 520,000 EVs in 2025. If all the
25 other car companies, which are the more mainstream

1 manufacturers, what would they have to sell in terms of
2 their EV share to hit our forecast?" And they would
3 only have to sell about 5 percent of their, of their
4 cars being electric in 2025. So it adds up to about
5 1.2 million.

6 Again, this was just a reality check to say,
7 "Okay, if these premium brands hit their targets and the
8 rest of the car industry increases a reasonable amount
9 as well, we think that 1.2 million number is realistic."

10 And we're given more confidence in that by the
11 number of announcements that keep coming out. This
12 slide is always out of date immediately after I put it
13 together just because there's an endless string of new
14 announcements.

15 **CHAIRMAN BROWN:** Have you heard of the Fisker
16 EMotion car that's coming out in 2019?

17 **MR. SCHEFTER:** Yeah, I'm familiar with Fisker.
18 I used to work there actually before EEI. I'm not
19 particular with that product -- or not too familiar with
20 that particular product, but --

21 **CHAIRMAN BROWN:** They have a battery -- it
22 supposedly is going to have a battery that's able to
23 charge 125 miles in nine minutes.

24 **MR. SCHEFTER:** Wow, that seems aggressive.
25 But important to consider the electric company impacts

1 for that kind of charging. So that's a, that's a great
2 point to make and one that's actually sort of -- I
3 didn't touch on directly, but we are seeing an increase
4 in sort of the power charging levels over time that car
5 companies want to utilize for the cars, that being one
6 example, and it has important impacts on the grid we
7 should consider.

8 But just to pick that point up, I mean, we
9 see -- again, I won't go through these, but there's just
10 an endless kind of stream of new announcements from car
11 companies, and at the end there's an increasing policy
12 push in this direction. China has its own sort of ZEV
13 mandate similar to what California has, but it's
14 obviously across the whole country in China. France and
15 Britain recently announced that they want to target
16 banning internal combustion engines by the 2040 time
17 frame. So long term we do see governments sort of
18 making a strong signal that this is the direction we're
19 headed.

20 All right. So now to make a transition here
21 to talk about infrastructure. So, again, when we put
22 these forecasts together, we found a lot of forecasts
23 don't really consider charging infrastructure. They
24 kind of assume it'll happen, and I think it's important
25 to consider what does that actually mean and how are

1 these vehicles going to plug in and charge? Right?

2 So the first point here is that EVs have the
3 benefit of being able to charge in lots of different
4 places. Right? They can charge at home, at work, out
5 in the public sphere. They don't have to operate like a
6 gasoline vehicle where you get all your fuel in the
7 week, you know, one visit to one location. Right?

8 So I think the first priority is charging at
9 home should be easy. That's where most of the charging
10 happens. That's where you have the longest time. The
11 car is parked.

12 The second most frequent time the car is
13 parked is at work, so we should make that easy and
14 available.

15 The public sphere, there's a lot of different
16 types of charging infrastructure that that could entail.
17 You could look at charging at retailers for short-dwell
18 locations. You could look at DC fast charging when
19 you're trying to complete inner-city or longer trips.
20 That's all in the public sphere. I think it's very
21 important to note that that is a less -- a smaller share
22 of the electricity that gets delivered to the vehicles
23 will be from that public sphere. But it serves a lot of
24 important roles. It can serve to help people top up on
25 their battery capacity or charge when they're out in --

1 at stores and things like that. It can help enable
2 longer distance travel for battery electric vehicles.
3 And it can help provide a platform for car-sharing and
4 ride-sharing and some of these other new platforms we
5 see coming that want to use electric vehicles. So the
6 public stuff is important; it's just a smaller share of
7 the energy delivered.

8 And the last point is fleet. There's a whole
9 realm of vehicles that could use these commercial fleets
10 that we're not even really touching on here, but I just
11 want to continue to point out that it's not just
12 personal owned vehicles we're talking about. We're
13 talking about the broader electric system. Sure.

14 **CHAIRMAN BROWN:** Commissioner Polmann. No?
15 Okay.

16 **MR. SCHEFTER:** No question?

17 **CHAIRMAN BROWN:** No question.

18 **MR. SCHEFTER:** Okay. Sorry. Okay. So that's
19 just a quick overshoot. A lot of different types of
20 charging infrastructure out there. All could
21 potentially be considered within a state with an
22 electric company. How do we make sure we're filling the
23 gaps to meet all these potential use cases
24 appropriately?

25 And so this chart is showing the second part

1 of our forecast that we did, and we said, "Okay. That
2 forecast for EV sales is out there." We talked about
3 that. Is there a way to potentially quantify how much
4 charging infrastructure would you need to help meet that
5 forecast? Again, we saw not a lot of these forecasts
6 really address that point, so we took a stab at it. We
7 said, "Are there some existing reports and things that
8 are out there that could help us quantify this?" And
9 there were two that we, that we used that have been used
10 in policy cases before.

11 NREL has a model that they use in California
12 to help quantify this. EPRI has a model that they use
13 as well. And so we ran our forecast through those
14 models and out came these sort of projections for how
15 much infrastructure we would need to support that
16 forecast.

17 A couple of, I think, points here to make.
18 One is that we're not really offering this as the answer
19 on how much infrastructure you need. Again, we sort of
20 ran these through these existing models. And they are
21 very different models. They come at this from very
22 different points of view, so that's important to keep in
23 mind.

24 But, nevertheless, the broad point here is
25 that we need a lot more infrastructure than we have

1 today. The blue bars there are home charging, and this
2 is just particularly a home Level 2 charging. So
3 charges that typically would have a second installation
4 in the home. That needs to scale with the market. So,
5 again, if we're looking at ten times the EVs, we should
6 probably see ten times the home chargers.

7 Workplace charging is a different one. It's
8 hard to get a good sense for how much workplace charging
9 there is out there today. Numbers have shown somewhere
10 in the 20,000 or so ports approximately. In any case,
11 that needs to scale a lot. These models were very
12 biased, I think, toward workplace charging as an
13 important way to serve the needs of EVs. That would
14 have to scale on the fact -- in an order of, like, a
15 hundred times what we have today to serve this forecast.

16 The public bit, again, is that -- I have it as
17 purple today and then green in the out years. That's a
18 little bit -- a much smaller share of the total number
19 of charging stations, but, again, that's an important
20 point to keep in mind. And that needs to scale as well,
21 depending on the model that we're looking at here.

22 So I think the bottom line here, this is what
23 we found in our forecast, there isn't an established way
24 to calculate this perfectly. These are models. They
25 will provide a gross high-level number. They don't

1 necessarily tell you spatially where the chargers should
2 be. If this -- if I told you there are X numbers of
3 charging stations in your state and that should be
4 enough, that doesn't help you actually get to where you
5 want to go. Right? So it's really important to look
6 at, at a state level, how are we meeting the needs?

7 But this was our attempt at cutting at, okay,
8 what is the high-level amount of infrastructure we need
9 to meet that forecast? And it shows that we do need a
10 lot more, and that kind of prompts the question: How
11 are we going to pay for that? Who are the -- what are
12 the roles of the different entities to help grow this?

13 Is there a question or --

14 **CHAIRMAN BROWN:** No.

15 **MR. SCHEFTER:** Okay. So setting aside the
16 forecast, we do know that charging infrastructure is
17 important, and we know that from surveys. And I'm just
18 kind of showing two here. The one on the left was one
19 that Nissan had used.

20 The top barriers when you asked drivers "Why
21 are you not buying an EV?" are related to things that
22 infrastructure could help fill. Right? The range isn't
23 long enough. There isn't enough public charging
24 stations. I'm concerned about my battery running out.
25 Right? We know that's a big one.

1 Another way of looking at that is NREL did
2 this survey and they said, "What kind of penalty do you
3 perceive in terms of value for not having
4 infrastructure?" And the high number there was if I
5 can't drive my EV across country on an interstate, I
6 don't have the charge infrastructure, that feels to me
7 like a \$9,000 penalty that I'm having to pay for.
8 Right? So that's kind of an interesting way of framing
9 it, but it kind of shows again that point that depending
10 on, you know, how many infrastructure we need is one
11 question, but we do know it's a barrier to widespread
12 adoption.

13 So the last point, I'll go through this
14 quickly, is just what is the electric company role here?
15 And I think, you know, this is an important question to
16 ask in this particular context. I sort of bucket it in
17 three ways here, but there's a lot of different ways to
18 slice this.

19 One is sort of grid integration. Right? We
20 want this load to occur on the grid in a cost-beneficial
21 way so we all benefit. Right? And there's particular
22 things electric companies can do that are important.
23 One is helping to manage charging either through rates
24 or through education or through more sophisticated
25 schemes, lots of different ways to do that, but making

1 sure that this load occurs off peak and that sort of
2 thing. Right? That kind of gets into rate design.

3 Then there's the system level planning aspect.
4 Right? All these charges popping up on our service
5 territories. Right? All these showing up kind of
6 randomly or driven by the market. Right? Are those
7 going places that the grid has capacity to survey in a
8 cost-effective way? That's something where I think
9 electric companies could play a more assertive or
10 proactive role in saying, "Let's actually plan this as a
11 system. Let's overlay transportation with our grid and
12 understand where cost-effectively it would make sense to
13 place these things."

14 On the customer benefit side, I think there's
15 an important role that we can play in terms of access
16 and equity. Right? The chargers that are going out
17 there today driven by Tesla, driven by potentially
18 Electrify America, others, they're going to go where
19 they want to -- they need to have the chargers to sell
20 cars. Right?

21 I think there's an important role we can play
22 thinking about how does everybody have access to these
23 charging stations, to the technology. There's going to
24 be gaps when you look at kind of these maps, and I think
25 electric companies can help fill those in and make sure

1 everybody has access.

2 **COMMISSIONER CLARK:** Kellen, Commissioner
3 Clark has a question.

4 **MR. SCHEFTER:** Oh, absolutely.

5 **COMMISSIONER CLARK:** Yeah. In terms of the
6 integration with the utility, looking at this from a
7 holistic perspective, has any evaluation or merit been
8 given to actually using the, the EV system to then go
9 back through an inverter to allow the utility to be able
10 to take off some peak load by use of the batteries
11 during this time period? Is that a way to integrate
12 this into the utility system and be able to more justify
13 the cost of the system?

14 **MR. SCHEFTER:** Absolutely. I think you're
15 referring to sort of the vehicle-to-grid concept --
16 right? -- that it could, the vehicle could behave as a
17 battery? I think that's absolutely on the roadmap that
18 we're talking about here. Right? Long-term when
19 there's millions of EVs, it could be a potentially huge
20 resource to the grid to electric companies.

21 In the near-term, we're not seeing that in the
22 next few years as a near-term driver for getting costs
23 out of the system. The car companies haven't
24 necessarily made that capability available. Likewise,
25 the electric companies don't necessarily have ways to

1 monetize that necessarily. But we're seeing this happen
2 in stationary storage as well. How do you pay for some
3 of these services? I think in the near term stationary
4 will kind of take the lead on that. We'll see the cars
5 potentially play that role down the line.

6 **CHAIRMAN BROWN:** Kellen, and then just a
7 different question. How does solar interplay with --
8 during off peak hours for charging? Have you done any
9 analysis on that?

10 **MR. SCHEFTER:** We haven't directly looked, but
11 it's a great question. And I think it is particularly
12 in California and Hawaii where you're seeing a lot of
13 solar generation midday and you're actually worried
14 about over-generation to the extent that we don't have
15 enough load to soak up all that solar.

16 That actually, in those instances, makes
17 workplace charging really important. You want to get
18 the cars where they're parked during the day and have
19 them charge, encourage them to charge. Right? So off
20 peak in California could look a lot like 10:00 a.m. to
21 2:00 and less like what we see, you know, after hours.
22 Right? So that is an important thing to consider when
23 we think about this infrastructure that we're trying to
24 build. We want to make sure we have that capability
25 built in.

1 **CHAIRMAN BROWN:** I guess you're calling it
2 distributed technology.

3 **MR. SCHEFTER:** Yeah. You know, there's a lot
4 of different words we've thrown around for that, but
5 it's all important to think about. And we play a big
6 role as integrators in all this.

7 I'm worried I'm going over my time a little
8 bit, so I want to wrap --

9 **CHAIRMAN BROWN:** It's okay.

10 **MR. SCHEFTER:** Okay. It's your discretion
11 obviously, but to just kind of finish up these, these
12 points here. Again, I think there's an important role
13 that we can play, electric companies, in terms of
14 customer benefits. Right? There's -- I mentioned the
15 access and equity argument, but also about reliability,
16 availability.

17 If we're thinking about really transitioning
18 our transportation sector to rely on electric power,
19 these chargers need to work. They need to actually be
20 relied on. Right? Especially for fleets and things.
21 Right? So that's an important role I think we can play
22 as well.

23 **CHAIRMAN BROWN:** Commissioner Polmann has a
24 question.

25 **MR. SCHEFTER:** Sure.

1 **COMMISSIONER POLMANN:** Thank you. I don't
2 have any feeling, and maybe we don't have the numbers, I
3 don't have any feeling for the magnitude of the demand.

4 **MR. SCHEFTER:** Uh-huh.

5 **COMMISSIONER POLMANN:** You know, we're talking
6 about grid integration and other issues here. But given
7 the number of vehicles that you're forecasting compared
8 to the capacity of the grid, what is the additional
9 scale of the load?

10 **MR. SCHEFTER:** Yeah.

11 **COMMISSIONER POLMANN:** And, you know, what,
12 what kind of impact are we talking about? I just don't
13 have a feeling if, you know, there's a 1 percent
14 increase or, you know, market of cars --

15 **MR. SCHEFTER:** Right.

16 **COMMISSIONER POLMANN:** -- what's the
17 percentage of --

18 **MR. SCHEFTER:** It's a great question.

19 **COMMISSIONER POLMANN:** -- capacity captured on
20 the electric grid.

21 **MR. SCHEFTER:** Yeah. And there's a number of
22 slides that we could -- I could show that have kind of
23 got at that, but a general rule of thumb that I've heard
24 from our members is a 5 percent share of all vehicles on
25 the road being electric would increase throughput on the

1 grid by about 1 percent. So if you scale to 100 percent
2 of all cars, again, the 250 million cars in the US we're
3 talking about, that would increase electric sales or
4 throughput on the system by roughly 20 to 25 percent.
5 We're not talking about doubling, you know, the grid
6 here or tripling. Right? We're talking about
7 increasing by a factor of 20 to 30 percent, somewhere in
8 that range, the energy delivered through the system.

9 Now it doesn't necessarily mean we have to
10 scale the capacity of the grid on that same scale.
11 Right? What we're talking about here is that this load
12 can actually help fill in the gaps where there's already
13 excess capacity on the system. So we actually think you
14 could serve a lot of those vehicles without necessarily
15 needing to do major capacity upgrades to the grid.
16 Right?

17 And in the near term, you asked the question
18 before that out of the 250 or so million vehicles on the
19 road in the US, we're about .2 percent. We are not
20 really moving the needle in a big way yet at all in
21 terms of electric sales. Right? You have to get to
22 large scale to where this really starts to have an
23 impact on, on throughput. So that hopefully helps you
24 around an order of magnitude assessment there.

25 **CHAIRMAN BROWN:** Thank you.

1 **MR. SCHEFTER:** So the last point I'll mention
2 here on the role for electric companies is we actually
3 can play a role in accelerating this. Right? We can
4 help bring these benefits forward in time, and the way
5 we've sort of explored doing that is customer education
6 and awareness and then helping to invest in charging
7 infrastructure where it's needed to help grow the
8 market.

9 **CHAIRMAN BROWN:** Commissioner Clark has a
10 question for you.

11 **MR. SCHEFTER:** Sure.

12 **COMMISSIONER CLARK:** Yeah, I wanted to follow
13 up on Commissioner Polmann's question related to the
14 demand. What is the average demand per charging
15 station? If you did a, just a typical residential
16 single unit charging system, what's the average demand?

17 **MR. SCHEFTER:** In power or amperage?

18 **COMMISSIONER CLARK:** Power, KW.

19 **MR. SCHEFTER:** So a home charger, if you plug
20 in your car in an outlet, would be about 1.1 to
21 1.4 kilowatts. Right? So it's kind of turning on a
22 hair dryer and then a little bit more. If you do a
23 Level 2 charger on sort of a 240-volt or 220, 240-volt
24 circuit, you'd be maybe 6 or 7 kilowatts. And that is
25 getting up there. Right? That's kind of almost maybe

1 what a house would draw.

2 When you look at higher power charging
3 stations out in the public space -- right? -- a lot of
4 these DC Fast Chargers are at 50 KW. We're looking at
5 moving toward 150 KW, 350 KW. Those have large power
6 impacts. But we're not looking at those in the homes.
7 At the home it's generally about 7 KW. Teslas go a
8 little bit higher, but I'll let them talk about that.

9 **COMMISSIONER CLARK:** Is there a diversified
10 demand that's been calculated with that, diversified
11 across the whole system? If you had -- if you've got
12 this to market scale, what would you be looking at if
13 you -- right now with the number of units out there is
14 there a diversified demand that you could estimate that
15 would be impacted?

16 **MR. SCHEFTER:** That's a great question. I
17 would say in the near term the more immediate concern,
18 rather than how much we have the capacity to deliver all
19 this electricity, is more the question of are local
20 circuits capable of handling some of these. If we're
21 adding 6 KW to every house -- right? -- are we worried
22 about circuit overload? That is a more near-term
23 concern.

24 What we've seen in terms of at least the
25 California experience, I try not to keep mentioning

1 California too much, but they have to report, those
2 utilities there have to report every year how many
3 upgrades to our local circuits are we doing due to EV
4 load, and every year so far the last three years they've
5 said its de minimis essentially. They're having to do a
6 few, but it's on the order of about 1 percent.

7 But you could get clusters. Right? You could
8 have neighborhoods where everybody gets a Tesla, and
9 that would have some concerns. But overall, on the
10 system overall, that's not a huge impact, I think, in
11 cost in the near term.

12 **COMMISSIONER CLARK:** So to follow up on that,
13 if you look at the utility's diversified demand and you
14 look at winter peaking versus summer peak utilities, how
15 does this play out when your charging stations are
16 primarily operative at night?

17 **MR. SCHEFTER:** You know, that's, that's a
18 great question. I don't think we've looked directly at
19 those impacts. The -- I think the benefit from looking
20 at this long-term is there are a lot of tools electric
21 companies could use to help shift some of this load
22 around. Right? So if you're worried about particular
23 peaks, you'll have rate design that could do some of
24 this. But you actually could have some more
25 sophisticated ability to help shift some of this load

1 around. And it could be a matter of price signals.
2 Right? It's cheaper to serve -- to charge during
3 certain times of day, and we can build that into the
4 system to help encourage that behavior.

5 **COMMISSIONER CLARK:** So it can be built to,
6 say, shut off at 4:00 a.m. or 3:00 a.m. and not on a
7 winter day or --

8 **MR. SCHEFTER:** Yeah. That's, that's all
9 long-term capable of what we're talking about here. The
10 chargers and the vehicles today I think are technically
11 capable of that. It's more a question of what systems
12 on the electric company's side and that these vendors
13 are then implementing in their product that we can help
14 make sure all those dots are connected. Right? That's
15 a big question we have to answer.

16 Okay. So on, just on the point about electric
17 companies can play a role in helping to invest or spur
18 the market for charging infrastructure particularly,
19 there's a few different models we've seen across the
20 country where electric companies are starting to look
21 at.

22 When we consider charging infrastructure, that
23 first kind of line there, that business as usual,
24 generally the electric company's role sort of stops at
25 the meter, and then everything beyond that, if they want

1 to put in a charging station, it's kind of on the, on
2 the customer. Right? They have to pay for all that.

3 We've seen a number of other models emerge.
4 One is a "make ready" colloquially called where the
5 electric company would invest in the infrastructure
6 beyond what their traditional kind of meter demarcation
7 is and help pay for some of the trenching conduit that
8 would get to where the charger needs to be. So it's
9 sort of thinking of the electric utility grid extending
10 a little bit beyond to serve that particular charging
11 station. We've seen a number of companies deploy this
12 model. And, again, that helps reduce some of the costs
13 to the customer.

14 Another model would be the electric company
15 could either offer a rebate or own just the charger
16 itself and then put that on a customer location and not
17 worry about so much at that sort of "make ready", you
18 know, intermediate infrastructure.

19 And then the last model would be sort of this
20 full ownership model where the electric company would
21 potentially pay for or own the full implementation of
22 the full charging station and only thinking of all that
23 as sort of an electric company asset.

24 And, again, a lot of different models here we
25 could consider. There's tradeoffs between all of these.

1 From our perspective, we like that there are lots of
2 different models to explore here. Some of these could
3 be more beneficial for certain segments than others: DC
4 fast charging versus multiunit dwelling, for example.
5 So we like that there's, there's this growing
6 proliferation of these types of models and we can help
7 see what works for best segments.

8 **CHAIRMAN BROWN:** Kellen, are you aware of that
9 Rocky Mountain Power recent announcement?

10 **MR. SCHEFTER:** Yeah, absolutely. And I wanted
11 to touch on that in my last slide here, so I'm glad you
12 mentioned that. That was an example where Rocky
13 Mountain Power did get a DOE grant. What helped them
14 actually get the grant was --

15 **CHAIRMAN BROWN:** It was only 4 million,
16 though.

17 **MR. SCHEFTER:** \$4 million, right. What helped
18 on that side, though, was Utah actually passed a bill
19 that allowed the electric company to offer \$2 million a
20 year for five years in EV incentives, for rebates for
21 infrastructure. And so they're actually leveraging that
22 authority they have to do rebates and matching that with
23 a \$4 million DOE grant, and they're helping -- that's
24 actually helping to spur what they're able to do.

25 **CHAIRMAN BROWN:** Do you know what the cost

1 impact is going to be across the state to develop that
2 type of network?

3 **MR. SCHEFTER:** You know, I don't. That's a
4 great question. We can -- I'd let others maybe answer
5 the question of how much does a DC Fast Charger cost.
6 You know, the unit itself could be something like
7 \$150,000 each. So if you want to put dots across the
8 map of Utah, like, you can kind of do some
9 back-of-the-envelope math. But it's not an
10 insignificant amount, but the \$4 million grant I think
11 will go a long way to help doing that base level
12 capability.

13 **CHAIRMAN BROWN:** But it is across the three
14 states too, the network.

15 **MR. SCHEFTER:** For Rocky Mountain Power? I'm
16 not, I'm not too familiar with their program. I don't
17 want to speak specifically about that. But I do know
18 just the point here that they are able to help leverage
19 some of their own authority and funding to help match
20 that DOE grant and that's been helpful.

21 **CHAIRMAN BROWN:** Thank you.

22 **MR. SCHEFTER:** So the last point here is that
23 we have seen this, this discussion around what the
24 electric company role has played in a number of
25 different states across the country. And I've sort of

1 bucketed them in three ways here just to kind of help
2 explain this a little bit. But there are ZEV states out
3 there -- right? -- ZEVs that have to meet a certain --
4 or states that have to meet a certain fraction of sales
5 in their state have to be electric or zero-emission
6 vehicle. California plus nine other states.

7 In those states, there's sort of a clear
8 policy driver that an electric company might say, "Okay.
9 We can help the governor meet that goal," for example.
10 Right? And so we've seen a number of states kind of
11 take that framing. California, Massachusetts, Maryland,
12 and Rhode Island are looking at this question sort of in
13 that context as well. Not the only consideration, but
14 that is a big policy driver.

15 There's been enabling legislation passed, like
16 we mentioned Utah already. Oregon, Washington, and
17 California now all have in statute that transportation
18 is one of the roles of an electric company. And then
19 Nevada as well, similar to Utah, passed a law saying the
20 electric company can help do incentives for
21 infrastructure.

22 In this last sort of group of states here,
23 there isn't necessarily a ZEV driver or a policy
24 enabler, but the electric companies are putting forward
25 proposals to do some level of infrastructure deployment.

1 I want to be careful to say this is not a slam dunk in
2 every case. Right? We've seen wins. We've seen sort
3 of losses, if I can frame it that way.

4 Kansas was pretty clear in rejecting KCP&L's
5 cost recovery request on the charging stations
6 themselves. Missouri said, "This is not the role for
7 the electric company to play." We've seen other states
8 come down in different ways on that question. Right?
9 And so it opens up a lot of interesting policy questions
10 that we obviously can get more into here at your
11 discretion.

12 But questions around how, how do we pay for
13 this? How do we make sure it's cost beneficial to
14 everybody? How do we let the electric company spur
15 investment while not kind of closing out other
16 competitive companies that are doing their thing as
17 well? Right? So there's always these balances to
18 consider.

19 But it's -- I just want to note that a lot of
20 states are taking up this question, so I'm really
21 pleased that you guys are as well. Because these are
22 some really rich, interesting questions that we can help
23 answer and learn from what's gone before us.

24 **CHAIRMAN BROWN:** Thank you.

25 **MR. SCHEFTER:** And my last slide here, just,

1 you know, electric transportation is coming. I don't
2 think it's a question of if but more about when and how
3 quickly. A lot of different things will help accelerate
4 this: Technology cost production, market awareness, and
5 infrastructure access and availability.

6 And I think electric companies can help play
7 an important role here not only in accelerating the
8 market to the extent that that's appropriate, but also
9 thinking about how we make sure this happens in a way
10 that benefits the grid cost-effectively and that leads
11 to positive outcomes to customers so everybody has
12 access and can benefit.

13 **CHAIRMAN BROWN:** Excellent, Kellen. Thank you
14 so much for your presentation. I really appreciate it.
15 Enjoyed it too.

16 Commissioners, any further questions for
17 Kellen before we move on?

18 (No response.)

19 Our next speaker is from Drive Electric
20 Florida. He is chairman of Drive Electric Florida,
21 Peter King. I want to thank you on behalf of the
22 Commission for coming down here to Florida.

23 **MR. KING:** Thank you. Thank you, Commissioner
24 or Chairman Brown, and to all the other Commissioners,
25 for the opportunity to get in front of you and to

1 introduce to you an organization that is, I think and we
2 think as members of it, quite unique here in the state
3 of Florida, and that's Drive Electric Florida.

4 I am Peter King. I'm the chair of Drive
5 Electric Florida. Formerly 13 years with the JEA in
6 Jacksonville, the municipal utility, and recently, as of
7 yesterday, accepted a position and will be filling the
8 role as electric transportation project manager for Duke
9 Energy of Florida. I'm very excited about that.

10 **CHAIRMAN BROWN:** Oh, that's good.

11 **MR. KING:** But, once again, thank you for the
12 opportunity to talk about Drive Electric Florida. And
13 we think -- we hope you'll see a -- maybe, if nothing
14 else, a resource because of the wide diversity of
15 stakeholders that are involved with the group that is
16 available to all of the citizens of the state of
17 Florida.

18 I'll start off with the group was formed about
19 five years ago. It is a 501(3)(c), and I will tell you
20 that it's all volunteer. There are no paid positions in
21 Drive Electric Florida.

22 The mission is to advance energy, economic,
23 and environmental security of the state of Florida by
24 promoting the growth of electric vehicle ownership and
25 accompanying infrastructure.

1 You can see our vision down there is engaging
2 the public, educating the public, businesses,
3 policy-makers, and I'll point out facilitate
4 collaboration. I think that's really where some of the
5 unique value of Drive Electric Florida is, is that we do
6 have a diverse, unique group of stakeholders that are
7 members.

8 And on the next slide, this will give you an
9 idea of some of the categories of the diversity of the
10 stakeholders that we have.

11 **CHAIRMAN BROWN:** Enthusiastic groups. What's
12 that?

13 **MR. KING:** Enthusiast groups. That would be
14 your -- and they are enthusiastic, believe me. So, for
15 example, in the state of Florida is the Tesla Enthusiast
16 Group that are members of Drive Electric Florida, and a
17 lot of great input to our organization.

18 And, so, across all these groups, they all
19 have their agendas and they all have their business
20 drivers, but Drive Electric Florida is the one platform,
21 the one forum where we can all come together and row
22 together in the same direction for electric
23 transportation in the state of Florida.

24 And I just -- this is just a slide to give you
25 an idea of some of the, you know, really to put more of

1 a reality behind some of those member organizations.
2 You can see the utilities, automakers, the Tesla
3 enthusiasts there in the middle. And we've got some
4 metro areas including cities and organizations that are
5 all part of Drive Electric Florida and really led to
6 some robust discussion when we have our meetings.

7 I wanted to give you a sample of some of the
8 activities that we've engaged in, once again keeping in
9 mind we are all volunteer. We have served as Florida
10 ambassador for the Department of Energy Workplace
11 Charging Challenge, which is unfortunately no longer
12 being driven by the Department of Energy. However,
13 during the time, the few years, Florida and Drive
14 Electric Florida served as a conduit to sign businesses
15 and commercial customers up across the state of Florida,
16 realizing that based on the DOE's research that if you
17 have workplace charging, an employee is six times more
18 likely to adopt an electric vehicle.

19 I can't remember how many we signed up over
20 the course of the couple of years, but -- so one of the
21 things we did. We've done a ride and drive event. And
22 for those of you who haven't participated in a ride and
23 drive event or seen a ride and drive event, they're
24 quite unique and one of the most beneficial types of
25 events you can do for electric vehicles because it gets

1 those folks out there who have never seen the car, know
2 nothing about it, to come out and look at it and take it
3 for a drive.

4 And it's interesting because you'll see
5 someone go 180 degrees from never considering an
6 electric vehicle to all the sudden understanding the
7 technology of them, the power, the -- how smooth they
8 are, all those kinds of things.

9 So, anyway, we did a ride and drive at the
10 state capitol. Had a lot -- I think a lot of the power
11 companies had a number of cars up here, and so it just
12 gave the legislators a chance to, to try those cars out.

13 The third bullet, we have recently prepared a
14 document for guidance on the VW Mitigation Trust Fund
15 for the 15 percent carve out. We are hoping and, once
16 the beneficiary is named, advocating for 15 percent
17 towards the infrastructure. Now that's a call-by-call
18 basis for every state whether they want to carve out the
19 15 percent. And we've just tried to be proactive and
20 lend some guidance as to how we think that can best be
21 done to integrate all the things that are being talked
22 about with electric vehicles and make it work well for
23 the consumer.

24 The final thing we did is this year, and we
25 hope to make this an annual event, in February we did a

1 lobby day for all of our member lobbyists where we got
2 together and explained to them what EVs were about, what
3 are some of the policies and some of the headwinds out
4 there facing EVs. So if they're faced with those in
5 legislative session, they can certainly address them.

6 All right. That's really a background, a
7 quick overview of Drive Electric Florida. And then I
8 just wanted to give you a flavor of -- some of the
9 things will be -- you've already seen Kellen talk about,
10 and this is just what's going on in the state of
11 Florida.

12 Now you'll see my slide says 560,000. So if
13 anything tells you about the growth of EVs, you can see
14 all of our slides are old because none of them are
15 updated to what the new number is, which is almost
16 700,000. But the point here is that Florida is, as
17 Kellen says, it's a top ten state. And the larger point
18 being it's not a ZEV state and we also -- there are no
19 state incentives in the state of Florida. So while it's
20 good news relative to EVs, once again to that large
21 number of vehicles out there on the road, it's really
22 still a very, very, very tiny piece.

23 Kind of the same for sales. Florida is doing
24 well in selling EVs. You can see there that they're
25 number two. This is a slide from probably 2015, 2016,

1 so it's a year old.

2 This is a Florida forecast that we used from
3 one of our stakeholders, Florida Power & Light. You can
4 see the growth. And I think this talks -- speaks to
5 what Kellen said. As you get towards those out years of
6 '23, '24, there's significant ramp up in the number of
7 EVs.

8 By the way, this forecast has been within, I
9 think, 1, 1.50 percent every year. So a fairly accurate
10 forecast. And, you know, it kind of speaks to some of
11 the challenges there in those out years of the so-called
12 power gap, for example, of what's going to be needed
13 with EV infrastructure.

14 So to -- I'll just talk about the two benefits
15 that we see, overarching benefits for electric vehicles.
16 Economic benefits, we know that it's cheaper per mile to
17 drive an electric vehicle and there's also lower
18 maintenance. And so a study was conducted or paid for
19 by Florida Power & Light to look into potential economic
20 benefits, and this study found that about -- there's
21 about a \$1,400 benefit, net benefit per vehicle.

22 What I thought was interesting about that is
23 there's a multiplier effect. So when you have those
24 kinds of savings on the vehicles, you also have that
25 money now that's discretionary and goes to other things,

1 to other goods and services within the state of Florida.
2 You pay for those services. They also support sales
3 tax. So there's this multiplier effect that ripples
4 through the state of Florida from the savings on EVs.

5 Environmental benefits certainly clear the
6 air. Lower or no tailpipe emissions. You know, one of
7 the reasons I've put this up too is I've done a lot of
8 EV outreach events. I started the program at JEA and we
9 did a number of educational events, and one question we
10 always got was, "Well, there's no -- it's not low
11 emissions. You're plugging into a coal plant." And so
12 this is to point out that really while we partially are,
13 that's not really the case as much anymore and it's
14 getting better all the time. There are more and more
15 renewables. As you can see in Florida, 81 percent is
16 generated without coal, and we know renewables are
17 generated -- are growing rapidly.

18 **CHAIRMAN BROWN:** Commissioner -- pardon me for
19 interrupting, Mr. King.

20 **MR. KING:** Sure.

21 **CHAIRMAN BROWN:** Commissioner Polmann has a
22 question.

23 **MR. KING:** Sure.

24 **COMMISSIONER POLMANN:** Thank you, Madam
25 Chairman.

1 Mr. King and also Mr. Schefter, we've heard
2 comments that in terms of the costs, operating cost,
3 fuel cost, that the EV is more economical, less costly
4 to operate than traditional internal combustion, and I'm
5 curious how that analysis is, is done. We understand
6 that gasoline is a world commodity and has some
7 volatility. So right now there's a, you know, kind of a
8 general understanding of the price of gasoline. It has
9 varied over time, I would expect to vary in the future.
10 Is this a current comparison, you know, today's price
11 comparison?

12 How do you estimate a future price comparison
13 to that cost for electric power versus gasoline power?

14 **MR. KING:** So it is based on current in that
15 economic study. They did look at low, medium, and high,
16 and they do -- I think the gas price they looked at was
17 \$2.71 a gallon is what they were -- they also blended
18 plug-in hybrids with all battery electrics and brought
19 together a -- you know, agreed upon one number for all
20 those.

21 I don't -- without looking at the study, and
22 we could get that for you, they have looked at out
23 years, though, and they've made assumptions on where the
24 gas price is. I think mainly it looked like they were
25 holding steady over the course of the next few years.

1 But there was a low, medium, and high look in that
2 study, and the 1,400 number is in the middle.

3 **COMMISSIONER POLMANN:** You know, we've, we've
4 all been aware of higher gasoline prices and, you know,
5 moderately lower, but not, not like 67 cents when I
6 first started driving or 25 cents when probably nobody
7 in this room but me, maybe we remember --

8 **MR. KING:** I remember 34 cents a gallon.

9 **COMMISSIONER POLMANN:** Well, I do. Yeah.
10 Some of us remember 25, seeing the signs. But I do
11 remember my brother paying 25 cents because we had to
12 scrounge for the change in the car. But, anyway, so be
13 it.

14 But, for example, the cost of fuel, the source
15 for electric power generation has been much higher in
16 the past, so there's that balance. And I'm a little bit
17 concerned of any analysis or conclusions that one would
18 come to. I understand that that's important to people,
19 but I just wanted to make that comment that I don't want
20 to go too far without a qualifier.

21 **MR. KING:** Yeah. And --

22 **COMMISSIONER POLMANN:** That's just my comment,
23 that there is some qualification around that. So thank
24 you for, for that comparison, but --

25 **MR. KING:** And I'll just say this: Over the

1 course of last -- you know, when we were doing
2 especially the lunch and learns and we had would throw
3 up the price of gas when it was 3-something and it
4 started to come down, we thought, "Well, this isn't
5 going to be much fun of a lunch and learn." But what
6 we've still seen are the numbers of EVs continue to hold
7 and even increase. So while gas prices are certainly a
8 large factor, we think other things are becoming, with
9 EVs, even more compelling, and that's just the
10 technology in the cars and the convenience of charging
11 them at home and those kinds of things.

12 **COMMISSIONER POLMANN:** Yeah. The EV as a
13 vehicle has many other benefits.

14 **MR. KING:** Absolutely.

15 **CHAIRMAN BROWN:** Thank you.

16 **MR. KING:** Okay.

17 **CHAIRMAN BROWN:** You're on environmental
18 benefits.

19 **MR. KING:** I'm still here. Yeah.

20 **CHAIRMAN BROWN:** Yeah. You can, you can move
21 it along, if you'd like.

22 **MR. KING:** No, that's okay.

23 So I did want to put up there, so once again
24 we get the coal plant, like I said, comment. And I'll
25 just direct you to a great study that's been done by the

1 Union of Concerned Scientists. You may have seen it.
2 They published their original report in 2012 called
3 *State of Charge*, and they looked at 26 generating areas
4 across the country and really looked at if you plug in
5 in one of those generating areas, what does that look
6 like compared to a gas engine car as far as greenhouse
7 gas emissions? And the study was just updated and it's
8 now called *Cradle to Grave*, and they've included the
9 manufacturing process as well. It still shows that over
10 the lifetime, the useful life of the car, it's about
11 51 percent, I think, better for the EV.

12 But without taking that into account, you can
13 see that the average across the country is plugging a
14 car in is equal to a car, gas car that gets six -- an
15 electric car or gas car that gets 68 miles per gallon.
16 Here in the southeast it's 51. Up in the northwest
17 where there's a lot of hydro renewables, it's about
18 91 miles per gallon.

19 So the last point once, I just -- you know,
20 once again, thanks for the opportunity to introduce you
21 to Drive Electric Florida. And I think the most
22 important thing, we just want to let you know that we're
23 a resource of a lot of different stakeholders from a lot
24 of different viewpoints and that we are certainly --
25 welcome any collaboration with the Public Service

1 Commission or any other organizations across the state
2 when it comes to advancing electric transportation in
3 Florida.

4 **CHAIRMAN BROWN:** Thank you so much, Peter.
5 And looking forward to your next legislative session. I
6 guess you're going to do that same event or drive --
7 y'all are going to do that event at --

8 **MR. KING:** We're all volunteer, so if you have
9 some volunteers and some resources, it's a lot of --

10 **CHAIRMAN BROWN:** Are you still going to be
11 involved in Drive Electric in your new capacity?

12 **MR. KING:** Absolutely.

13 **CHAIRMAN BROWN:** Okay.

14 **MR. KING:** They won't let me go.

15 **CHAIRMAN BROWN:** They won't let -- well, thank
16 you.

17 And, Britta, before we get to you, we do have
18 a special guest in the audience. Representative Fischer
19 is in the room. And I believe he has filed -- please
20 come on up. I believe he has filed legislation
21 regarding this issue, and he would like to just say a
22 few words in advance.

23 **REPRESENTATIVE FISCHER:** Thank you, Madam
24 Chair. First, I wanted to thank the Commission for
25 being forward thinking. I -- there's very few of us

1 engineers in the legislature. In fact, I think there's
2 only two of us. I happen to be an electrical engineer
3 with a utilities background, and I work in
4 transportation now.

5 So this, this year there's a couple of bills
6 that will be filed that relate to electric vehicles.
7 Today I filed the autonomous vehicle bill, which will,
8 as you know, autonomous vehicles are going to come out
9 as electric vehicles. So there will be some retrofits
10 for the gas-powered ones. But autonomous vehicles will
11 come out as electric, so that will, I think, enable and
12 encourage their adoption.

13 There's also some legislation that I'll be
14 filing for the Smart Cities Challenge. So there's a
15 federal Smart Cities Challenge here in the state. I'll
16 be working with Senator Brandes hopefully on this bill,
17 and it will be to use state resources to encourage
18 cities, counties, regional transportation agencies,
19 utility companies even to do projects that are related
20 to autonomous connected moving towards electric
21 vehicles, setting up the infrastructure for that.

22 So I think what you guys are doing here today,
23 I'm very appreciative of that as a policymaker. I
24 came -- drove over from Jacksonville to hear what, what
25 you guys said and what these presenters are going to put

1 forward because I want to make sure that the legislation
2 that I put forward is going to be in line with where I
3 think the industry is going, where our regulators are
4 looking at. And my goal is just to encourage it and get
5 us to embrace the future. Florida is the third largest
6 state in the union, and this deployment needs to happen
7 in Florida first.

8 **CHAIRMAN BROWN:** Thank you so much,
9 Representative Fischer. And I actually concur. If I
10 was a legislator, I would be doing the same thing. So I
11 appreciate you taking the time to come up here. And, of
12 course, we're in a different capacity as regulators, but
13 I appreciate your efforts on pursuing this and look
14 forward to your legislation and seeing where it ends up
15 this session. And there's a lot of different
16 stakeholders here today. This is just the first of many
17 dialogues that we're going to have on the topic.

18 Commissioners, do you have any comments or
19 questions for Representative Fisher?

20 (No response.)

21 Thank you for taking the time to come out
22 here.

23 **REPRESENTATIVE FISCHER:** Thank you, Madam
24 Chair.

25 **CHAIRMAN BROWN:** Thank you.

1 With that, Peter, thank you for your
2 presentation.

3 We're going to move on to Britta, Britta
4 Gross. She is the general manager of Advanced Vehicle
5 Commercialization Policy. Britta, welcome.

6 **MS. GROSS:** Thank you, Madam Chair and
7 Commissioners. Thank you very much for setting this up.
8 Well, first of all, it's really, it's really, really
9 important. I'm very glad to participate in the
10 conversation here, so stop me any time you want. I'm
11 going to try to breeze through this too because I know
12 you have all the slides up there.

13 The next slide -- oh, I get to do it. So the
14 next slide is just for anyone in the room who doesn't
15 really understand the bandwidth of all the products out
16 there that are "plug-inable" -- all right? -- plug-in
17 electric vehicles. They cover sort of the spectrum from
18 plug-in hybrid electric vehicles, all these things plug
19 in. Those are more blended. If you hit the gas pedal
20 pretty hard, you're probably going to get the gas engine
21 to come on in addition to the battery pushing -- moving
22 that vehicle.

23 You might have heard of the Prius Prime, the
24 Toyota Prius Prime, the Ford C-MAX for fusion energy.
25 These are examples of PHEVs. And typically maybe you

1 can get maybe 10 to 30 miles EV, electric out of that
2 if, if you're driving at sort of careful speeds and so
3 on and not doing too much load on the vehicle.

4 EREVs in the middle, extended range electric
5 vehicles, these are vehicles -- to my knowledge, there's
6 still only, like, the Chevy Volt and the Cadillac CT6.
7 These are vehicles that are all battery until you run
8 out of the battery on board and then it switches
9 automatically over to a gas engine on the vehicle. So
10 it's all battery until it's gone under all load
11 conditions and then moves over to the, to the gas
12 engine's backup, and that will take you across country,
13 if you want, just like a regular gas vehicle. And those
14 vehicles get somewhere between 40 and 60 miles all
15 electric driving. It's important to understand sort of
16 the frame here and what we're dealing with when you're
17 thinking about infrastructure needs.

18 And then finally on the right-hand side,
19 certainly a category that everyone easily understands,
20 the battery electric vehicle category, BEVs. So these
21 vehicles today, you see a lot of first generation
22 battery electric vehicles that got about 80 miles of
23 range, and now you're seeing, like, the Chevy Bolt and
24 other vehicles in the 250 EV mile range. And so
25 technology is getting really much improved in just a few

1 short years. But that's the bandwidth. That's sort of
2 the space that plug-in vehicles operate. So quite a lot
3 of options for consumers today in the marketplace.

4 The next slide I'm sure I showed five years
5 ago when I was here again the last time because I use
6 this all the time. Because it doesn't matter if you're
7 driving a vehicle with 300 miles of battery charge or
8 200 miles or, or 50, 50 miles of battery range, the
9 bottom line fact is that most Americans, 78 percent of
10 Americans still commute to and from work less than 40
11 miles a day.

12 So 40 miles becomes this really important
13 number and why it's important to offer workplace
14 charging just to make sure we're offering that as even a
15 way to top off a vehicle if you're sort of running out
16 of, of electric range even if you have, like, a plug-in
17 hybrid vehicle.

18 But -- so, so, so infrastructure, public
19 infrastructure, it's a different issue if you're talking
20 about trying to do a long trip beyond what you normally
21 do every day. That's a whole different conversation.
22 We're going to talk a little bit about that today too.
23 But certainly just sort of what's the basic use of
24 electric vehicles and any gasoline vehicle sitting in
25 your driveway today, it's this 40 miles is really

1 important to make sure that we have solutions both home,
2 workplace, and then also the public charging, public
3 charging as well.

4 So where are we on the curve of adoption? We
5 are still pretty early. The innovators are the folks
6 that run out, they buy the vehicle at any cost, at
7 any -- you know, given any inconvenience, it doesn't
8 matter, they're going to buy these vehicles. And I'd
9 still say that we sort of characterize the market today
10 in the early adopter space. We still haven't hit the
11 mainstream guys, the ones that are really trading off
12 gas versus electric and so on. We're desperately trying
13 to get the vehicles into that point in the market, which
14 is why we're bringing vehicles that should appeal to the
15 mainstream buyer today with the price points also right
16 there in the middle of the spectrum.

17 But I would still characterize the market as
18 the people that know about these vehicles are going out
19 there and seeking the information, and that, in my mind,
20 is really an early adopter and not really a mainstream
21 buyer.

22 If I just quickly show you how much progress
23 has been made from the automakers' side, the best way to
24 do it is just show you a slide to just cast your eye
25 down the two columns of numbers. The first -- the

1 left-hand side there is the first generation Volt that
2 came out in December of 2010. The second generation
3 Volt came out about a year and a half ago now. This is
4 our second generation of technology. So in a short span
5 of maybe five, six years you see what happened. And
6 there's not a, there's not a performance spec on the
7 second generation Volt, the Volt, that isn't actually
8 outperforming the first generation Volt.

9 So we had 38 miles of electric range. Now we
10 have 53 miles. 37 fuel economy on the gas side, 41 now.
11 It was a four-seat -- a four-passenger capacity vehicle.
12 Now it's a five-seat vehicle. Zero to 30. Zero to
13 60 is faster. More torque. Better charger onboard
14 capacity, which means a faster charge, and just,
15 therefore, better electric vehicle miles traveled
16 further and further. So the technology has vastly
17 improved over where it was before. We're very, very --
18 we feel very, very good about the battery technology
19 itself. The batteries are holding up superbly actually
20 out there in the marketplace. So a lot of really great
21 things have happened with the technology.

22 Here's the lineup of the battery electric
23 vehicles. Here we were with the Spark EV four years
24 ago, our first generation EV technology, and now where
25 we are with the brand new Chevy Bolt EV that just came

1 out in the last year. 82-mile range back four years
2 ago, just four years ago, an 82-mile range vehicle, now
3 238 miles; four-seat, now it's a five-seater, same thing
4 on the capacity, the passenger capacity, the volume
5 space; speeds; the charger is now double the size of
6 what it was before.

7 **CHAIRMAN BROWN:** Britta, do you have
8 predictions of what it's going to look like over the
9 next four or five years?

10 **MS. GROSS:** So I think that's a really
11 interesting comment because, you know, you almost think,
12 okay, maybe you're thinking I'm going to add another
13 column here and now the numbers are going to get, you
14 know, three times longer range and all that stuff. And
15 I'm saying -- I'm actually going to say a little bit,
16 something a little bit different.

17 If cost is the barrier for a lot of consumers
18 in the marketplace, our primary objective is to get the
19 price out of -- the cost out of these vehicles so we can
20 offer it at a lower price to consumers. So if we think
21 we've sort of reached the point where consumers say I
22 won't buy an EV unless it's a 200, it has at least a
23 200-mile range, we think we've delivered that now. So
24 now we're watching to see if that actually made the
25 difference that we thought it would make in the

1 marketplace, and our focus has to remain on the price of
2 these vehicles.

3 So will we deliver a vehicle next time that
4 has a 600-mile range? I'm going to bet that we probably
5 won't. It can be done, but why would we put that kind
6 of price point on a vehicle? We're really aiming to
7 bring this down to the point where mainstream -- all of
8 us in this room can go out and buy one of these vehicles
9 and love, love the price point that you purchased at.

10 **CHAIRMAN BROWN:** Commissioner Graham has a
11 question for you.

12 **COMMISSIONER GRAHAM:** Well, you pretty much
13 touched on it. When you were talking about where we
14 were first generation, where we were second generation,
15 the analogy that pops into my head is the flat screen
16 that came out 15 years ago. Did you buy it 15 years ago
17 when it was \$4,000?

18 **CHAIRMAN BROWN:** 10,000.

19 **COMMISSIONER GRAHAM:** 10,000. Did you buy it,
20 did you buy it five years ago when it was a thousand?
21 Do you buy it now when it's 500? I mean, it's just like
22 solar panels. I mean, it's constantly getting better
23 and cheaper, so when do you pull the trigger?

24 **MS. GROSS:** So when do you pull a trigger?
25 You mean, as a consumer?

1 **COMMISSIONER GRAHAM:** Yeah, I mean, you
2 know --

3 **MS. GROSS:** I would say where are you on the
4 spectrum of adoption? Are you an innovator? You
5 already bought. Are you an early adopter? You're,
6 like, at that point right now? If you're mainstream,
7 you're still kind of waiting to make sure your economics
8 at home make sense to you and the car you buy. And also
9 it takes four years or five years or six years for folks
10 to go out and buy a new car. They don't buy a vehicle
11 every year.

12 So our time, our period of time for waiting
13 for consumers to sort of be ready to enter the market is
14 longer than buying the new -- the newest cell phone or a
15 flat screen TV. It's a little bit different projection.

16 **COMMISSIONER GRAHAM:** I just got my flat
17 screen last year.

18 **MS. GROSS:** I wasn't much ahead of you. I
19 know where you are on the adoption curve.

20 So, so the very bottom line, though, where was
21 our confidence with EVs? Well, the Spark EV we only
22 offered in three states because of the lineup of the, of
23 the specs there and what consumers were looking for.
24 And now the Bolt EV is in 50 -- all 50 states now and
25 already rolled out to all the Chevy dealers there. So a

1 lot of progress has been made.

2 If you ask, if you ask, if you ask consumers,
3 though, and journalists how do they like these vehicles,
4 the technology is phenomenal. Drive one of the
5 vehicles. They're like spaceships on wheels. They're
6 quiet, they're seamless, they've got a lot of torque
7 instantaneously at the, at the red light when you're
8 setting out to accelerate. The vehicles are phenomenal.

9 And these are not -- the awards of the Bolt
10 EV, for example, is a very awesome mirror image of what
11 the Volt won back in the 2010 time period, too. These
12 are not green magazines. This is Motor Trend Car of the
13 Year, this is North American Car of the Year. These are
14 big awards that these vehicles meet -- get. And this is
15 an example of what the industry is experiencing.

16 Consumers and writers and journalists and car
17 fanatics love electric drive. So we know it's the
18 future, and the question is only how much more can we --
19 how much quickly can we accelerate the adoption here?

20 This is the adoption curve. Kellen showed
21 something a little bit similar. The good news is that
22 we have had year over year increases in EV sales for the
23 last 24 months. So 24 months in a row January of this
24 year beat out January of last year and so on. And so
25 we're on a good, we're on a good pace. We're improving

1 our sales. We're at about a 31 percent sales growth
2 this year so far over last year. It's good growth.
3 It's not exciting growth to some of us. It's good
4 growth, though. It's solid. It's there. What do we do
5 to really pop this thing and get to the next level?

6 The -- we've talked a little bit now about the
7 individual benefits when you look at the specs on the
8 vehicle and how far the technology has come. It's very
9 clear what the benefits are to the individual. There
10 are so many societal and utility grid benefits if we can
11 get to scale on these vehicles.

12 I think a lot of -- you guys have touched on
13 this. You've talked about V2G. We've talked about
14 bi-directional power flow from the vehicle back to the
15 grid, but there are a lot of things in between here and
16 there, things like just stopping and starting charging
17 or flowing electricity into a vehicle at 10:00 a.m. in
18 the morning because there's a lot of solar on the
19 California grid.

20 There are things that we can do that are
21 really smart that are actually possible today. And
22 Kellen was right; it's possible today. We have features
23 in the car. OnStar is all set up. We are in the
24 process now of just -- of commercializing these apps on
25 the vehicle so that signals from utilities could then

1 just go right into OnStar and command their customers'
2 vehicles to do whatever they've signed up to do probably
3 for a little bit of pocket change and their willingness
4 to cooperate with the utility and charge when they say
5 it's good and not charge when it's not so good.

6 So these things are possible today. It's just
7 we -- the industry is working on standards, the
8 utilities have to get their apps ready, and so on. All
9 of this is possible, but scale is really going to
10 matter. All these benefits that we want matter when we
11 get to scale.

12 If you ask consumers, though, why aren't they
13 buying EVs today -- this is a study that came out last
14 summer. This is Altman Vilandrie, who does a lot of
15 customer survey stuff on high tech stuff. They found
16 that, first of all, 60 percent didn't know anything or
17 very little about EVs when they surveyed them last
18 summer, 2,500 consumers across the country. So we
19 already have a consumer awareness problem. That's very
20 clear.

21 The second thing, though, is of the 27 percent
22 that knew something about EVs, 85 percent said they
23 wouldn't consider it because there's just not enough EV
24 infrastructure.

25 **CHAIRMAN BROWN:** Well, can we -- can I ask you

1 a question on that? What is GM doing to address the
2 charging -- lack of infrastructure?

3 **MS. GROSS:** So, number one, I'm here. That's
4 one thing I do. And I know almost, I know almost
5 everybody sitting at this table here because we spend a
6 lot of time talking to public service commissions, with
7 utilities. We've invested money in early
8 infrastructure. We've certainly participated and led
9 standardization efforts at SAE to develop the J1772
10 industry standard for charging. Those are the things
11 that matter the most just because we are designing for
12 10, 20, 30 years down the road. This has to work.

13 We've been -- we purchased the first, I would
14 say, a dozen DC Fast Chargers because when the standard
15 first came out, who -- you know, we already had CHAdeMO,
16 we had Tesla doing their thing. What's with this SAE
17 standard that everyone else is signing up for? And it
18 was very clear to me that we needed to sort of invest in
19 a little bit of charging just to get utilities starting
20 to grease the skids in the suppliers' factories, get the
21 hardware out there and utilities install this hardware
22 to learn and understand by doing what the impact is. So
23 --

24 **CHAIRMAN BROWN:** And I'm going to ask that
25 same question to the other manufacturers too here today.

1 **MS. GROSS:** Yeah. So, again, we, you know,
2 we, in the -- I guess I would just say by virtue of
3 history we have learned that -- our viewpoint is that on
4 the EV program, we paid for all the infrastructure. We
5 worked with about five or six utilities in California,
6 Arizona, and Southern Company in Georgia, and we paid
7 for the infrastructure. They installed it. We bought
8 the hardware. And we learned that there was no end to
9 how much you have to pump into this market, and it's not
10 our area of expertise.

11 What we did learn in that, in that experience
12 is how valuable the utilities were. They are experts.
13 They understand site selection. They know where their
14 loads are. They know where their transformers are.
15 They understand that business. And so our mission has
16 been for the last five years is to work with utilities
17 to find the way forward to invest in infrastructure so
18 that our market can grow. Because in the end at scale,
19 this makes a big difference to the utility industry.
20 This is a huge opportunity.

21 **CHAIRMAN BROWN:** Thank you.

22 Commissioner Clark has a question.

23 **COMMISSIONER CLARK:** I want a quick follow up
24 on the charging system. I think that's one of the
25 concerns that I realize there is -- there has been a

1 standard adopted. But are all of the current producers
2 playing by the rules and following the standards, or are
3 we going to end up with an Android/Apple issue here
4 again?

5 **MS. GROSS:** So I think you can ask Tesla what
6 they think about that, too. I think that -- not at all.

7 **COMMISSIONER CLARK:** I take it there might be
8 an exception here.

9 **MS. GROSS:** Well, you know, look, necessity --
10 there are things that change over time as well. Tesla
11 moved out fast with a DC infrastructure that was -- you
12 know, they wanted to be a very leading player in the
13 industry, and so they moved fast with something that
14 just wasn't standardized. Nissan did the same thing.
15 They pulled off the shelf some hardware that came out of
16 Japan called CHAdEMO, and so that's what they used here
17 because they wanted to go out before a standard was
18 ready. Not a problem at all. It's just now what
19 happens? So with the exception of Nissan and Mitsubishi
20 really, who use the CHAdEMO, the entire rest of the
21 industry is using the SAE standard and plans to use the
22 SAE standard. So the German automakers, the North
23 American automakers, and so on.

24 Tesla is a little bit different. They had
25 moved out very fast, but also they have adapters that

1 they sell that make their hardware compatible with
2 CHAdEMO systems. So, and I wonder also, it's a great
3 question, you know, if, if there comes a time when
4 there's enough SAE infrastructure out there that, in
5 fact, everyone migrates with either adapters or with
6 just converting charging systems. Those are minor
7 issues in the big scheme of things once the standard has
8 made itself available and it's prevalent across the
9 country.

10 And I would also suggest that the VW
11 settlement, and I know we don't have a lot of time to go
12 into that stuff, but this VW settlement has two
13 portions. One is the state portion that Peter alluded
14 to that's very, very important for the state of Florida.
15 I think there's about \$166 million available to Florida
16 in that thing, of which 15 percent can be used for EV
17 charging infrastructure. But there's also a national
18 plan through Electrify America. That is another \$2
19 billion program, and that will be laying a national
20 network of EV charging stations, DC compatible.

21 So, I mean, there's a lot happening, and a lot
22 of the voices here at the table have helped provide
23 voice to that conversation about national
24 infrastructure, home, workplace. This whole thing is
25 sort of building momentum of what needs to happen.

1 **CHAIRMAN BROWN:** Thank you.

2 **MS. GROSS:** All right. So it was very
3 interesting to hear Representative Fischer talk about
4 his new legislation. There you are. Thank you very
5 much.

6 **CHAIRMAN BROWN:** Still here.

7 **MS. GROSS:** So, so what's really interesting
8 now is that I know that Florida has made it very, very
9 clear, especially Senator Brandes, very, very clear that
10 Florida sees itself as a real leader in autonomous
11 vehicles. And I've always been a little perplexed that
12 we see ourselves as this leader in, in autonomous
13 vehicles and we've somehow skipped over the part that
14 says they're all going to be electric. So where's the
15 infrastructure to support this autonomous future that we
16 want?

17 We have to build infrastructure and it's got
18 to feel like it's everywhere or automakers won't bring
19 their autonomous vehicles down here. We have got to
20 have a fully workable, usable, perceived wonderful
21 infrastructure for charging vehicles.

22 This is an example -- this is a picture of our
23 Bolt EV in San Francisco. We have a fleet of 180
24 self-driving vehicles now that are being tested in San
25 Francisco; Scottsdale, Arizona; and the Detroit area,

1 and so it's very, very important.

2 Another thing that we are doing to raise
3 consumer awareness for EVs is we have a very energized
4 car-sharing and ride-sharing program at the company
5 where we are now also, where there's enough
6 infrastructure, introducing EVs like the Bolt EV into
7 the fleet. So we've got Volts in some places. We've
8 got Bolt EVs in some of the fleets as well.

9 What's really important here is what this can
10 do for consumer awareness. So look at this next slide
11 right here. And what you see is that this state -- this
12 slide is also out of date, I might point out. We've --
13 at the bottom number down there, the 140,000 Bolt EV
14 riders in just 180 vehicles since February of this year,
15 it's actually 200,000, 200,000 passengers have ridden in
16 a Bolt EV. So they're not asking about "What's the
17 weather today?" to the driver. They're saying, "What is
18 this we're driving? I haven't seen anything like this.
19 I don't -- where's the noise?" And so the conversations
20 are very different. It's a very exciting way to get
21 these vehicles out there.

22 And the data from those vehicles is really
23 phenomenal in how much infrastructure they need and how
24 much vehicle -- infrastructure they're using. In fact,
25 we count on being able to put an EV into these markets

1 only when there's about eight DC fast charging stations
2 for every one vehicle we want to put in these fleets.
3 We have to have DC charging infrastructure. These
4 drivers are driving hundreds of miles a day taking
5 people out to bars and clubs and dinners and movies, and
6 they need a lot of DC fast charging infrastructure.
7 That's very important.

8 We have a long-standing relationship with a
9 lot of the utilities in here, certainly all the
10 utilities here in Florida, because the role of the
11 utility is so key in where we're trying to all head
12 together.

13 If I look specifically at Florida, you can see
14 there's a huge opportunity. So what I've got here is a
15 map of where the SAE compatible DC Fast Chargers are.
16 You can see there are 56 in the state of Florida, but
17 you can see my problem. My problem is if I own a Bolt
18 EV and I live in Orlando and I'm trying to come to
19 Tallahassee for a meeting, I can't quite make it. And
20 so we have a problem where there's just nothing up there
21 in the whole Panhandle and coming down to Orlando, and
22 we've got to deal with that issue. And even the
23 confidence of driving from Orlando down to Miami, we
24 just -- there's just a, just a vacuum of what's needed
25 out there to support automakers and their vehicles.

1 I won't go into this. Kellen showed the same
2 slide, but sort of horizontal instead of vertical, so I
3 won't go into it. But guidelines on what kind of
4 infrastructure is important: Home, for different
5 reasons; workplace, because it helps sell vehicles; and
6 then this perception of infrastructure has got to be a
7 national and statewide network of charging, and
8 especially important for autonomous vehicles as well.

9 And then why should utilities engage is my
10 last slide. We need to see utilities engaging in all
11 aspects of infrastructure. Home, because they have the
12 relationship with all the consumers in their service
13 territory. That is something that even a dealership
14 cannot replicate. They don't have these kind of
15 connections to consumers. They can explain the benefits
16 and the opportunities of home charging.

17 Workplace charging, get active in working with
18 your key customer clients and key corporate
19 relationships there in workplace charging and because
20 the opportunity during the daytime when vehicles are
21 parked there also at least eight hours a day in a public
22 space.

23 And then DC fast charging for all the obvious
24 real and perceived issues of having a visible solution
25 for fueling your vehicle.

1 And then maybe I'll just jump to No. 3,
2 engaging actively in PEV, electric vehicle outreach and
3 education. I know a lot of the utilities here in
4 Florida, Florida Power & Light, TECO, OUC, very, very
5 active in ride and drive events, always showing up with
6 vehicles. A phenomenal job by actually the Florida
7 utilities in getting the word out in those kinds of
8 forums and adopting the vehicles themselves. So kudos
9 to the utilities for doing that.

10 But we've got to do more in this area to
11 recognize that this is a learning transition we're in.
12 This is why we require the expertise of the utilities to
13 engage. And then I believe we're in this, sort of this
14 niche place in the market. The Bolt and Volt, they sell
15 really like high-end sports cars. That's how the folks
16 shop for them. That's how they seek them out. It's
17 kind of the price points they're looking to pay. And
18 until we get utilities and infrastructure way out there,
19 I think we're a little bit stuck in niche. So we want
20 to see the utilities and the regulators really join
21 forces here and figure out how to change the landscape.

22 **CHAIRMAN BROWN:** Thank you, Britta.

23 Commissioner Brisé has a question for you.

24 **COMMISSIONER BRISÉ:** Going back to, going back
25 to your slide that you have showing the, the layout of

1 where the publicly available charging stations are, so
2 on the slide it says, "Public nonproprietary chargers."
3 So does that include if I go to Whole Foods and then
4 there's a charging station there? Is that included in
5 the public nonproprietary, or is that proprietary?

6 **MS. GROSS:** Yes, it would if I were showing
7 Level 2. I don't, to my knowledge --

8 **COMMISSIONER BRISÉ:** Got you.

9 **MS. GROSS:** -- know if Whole Foods have
10 Level -- have DC fast charging. These are just the DC
11 Fast Chargers around the state. But, yes, public and
12 nonproprietary would include Whole Foods as a compatible
13 charger.

14 **COMMISSIONER BRISÉ:** And those types. Okay.
15 Perfect. Thank you.

16 **CHAIRMAN BROWN:** Thank you, Britta, for your
17 presentation.

18 **MS. GROSS:** You're welcome. Thank you.

19 **CHAIRMAN BROWN:** It's very interesting.

20 Patrick Bean, he is associate manager, Energy
21 Policy and Business Development for Tesla. Hello.
22 Thank you for coming.

23 **MR. BEAN:** Hi. Thank you, Madam Chair, and
24 thank you, Commission, for the opportunity to speak with
25 you today at this roundtable. My primary role in

1 Tesla's policy and business development team is to work
2 with utilities and help them with their electric
3 transportation initiatives. And as you heard the
4 previous speakers, there are a lot of potential benefits
5 to ratepayers of electric vehicles, and we've approached
6 this as electric utilities can play roles in overcoming
7 kind of three key barriers.

8 One is education and awareness of customers of
9 EVs; two, infrastructure, working together to deploy
10 infrastructure; and three is that total cost of
11 ownership, which Kellen talked about, and that could be
12 through rate design or other programs.

13 So through my presentation I'm just going to
14 give you an overview of the Tesla vehicles, the charging
15 infrastructure, and a little bit into the customer
16 experience for Tesla.

17 So to begin, our company believes that at some
18 point we must achieve a sustainable energy economy. So
19 our products are designed to try to accelerate that.
20 That's what we -- that's the core mission of our
21 company.

22 So we've got three kind of main buckets of
23 products, all electric vehicles. We have storage
24 products, and this is a picture of a power wall which
25 you can put on your home. We also have power packs

1 which are --

2 **CHAIRMAN BROWN:** How much is that power wall
3 going for?

4 **MR. BEAN:** So it's about \$7,000 per power wall
5 installed.

6 **CHAIRMAN BROWN:** How many would, like, a 2,000
7 square foot home need?

8 **MR. BEAN:** It depends on -- so that, that
9 product is 13.5 kilowatt-hours. So it really depends on
10 how much you would want by how many hours and whether
11 you'd want your entire home served.

12 **CHAIRMAN BROWN:** Powered.

13 **MR. BEAN:** Yeah.

14 **CHAIRMAN BROWN:** Thank you.

15 **MR. BEAN:** You're welcome. And we also have
16 solar products. So those are the main three, and
17 obviously I'm here to talk about the vehicles but would
18 love to talk to you about the others after.

19 So basically Tesla was created -- the idea was
20 to create vehicles that show that people don't have to
21 compromise when they go to electric vehicles. So they
22 should have a similar range. They should have better
23 performance. So you shouldn't be sacrificing when you
24 get an EV.

25 So part of the design of the company about ten

1 years ago was to create this low volume, pretty
2 expensive sports car, and then take that money and
3 experience and then develop a mid-volume more affordable
4 vehicle, which is the Model S and X, and then take that
5 money and experience and apply it to the mass market.
6 So the secret master plan really isn't that complicated:
7 basically to get these products to scale. So that's
8 where we are now with Model 3.

9 **CHAIRMAN BROWN:** But like you said, Tesla is
10 getting into the battery storage, solar power panels.
11 So it seems to have gone off the --

12 **MR. BEAN:** We have two master plans. So the
13 first master plan did include solar, and I'd say it's
14 almost about a year ago that our CEO did release the
15 secret master plan part deux, which includes how this is
16 integrated as a company.

17 **CHAIRMAN BROWN:** I've got to look at that.

18 **MR. BEAN:** Yes, I can send it to you.

19 So just to give an overview of our, our
20 vehicle lineup. So the Model S is a large sedan. It's
21 the quickest four-door sedan ever built. So zero to
22 60 in as little as 2.5 seconds. It's got a pretty long
23 range, so up to 335 miles per charge. All-wheel drive,
24 so all-wheel drive in that there are two motors, one in
25 the front and one in the back. And there are two,

1 currently there are two battery options, a
2 75 kilowatt-hour and a 100 kilowatt-hour battery.

3 These come equipped with auto pilot, which is
4 an advanced driver assistance program that's designed to
5 give customers still a hands-on experience but to be
6 designed to provide more confidence when they're
7 driving, increase their safety, and reduce the workload
8 particularly with highway driving.

9 This is a large car, as I mentioned. It can
10 seat up to seven. So when you purchase a car online,
11 you can actually get jump seats in the back for
12 children.

13 **CHAIRMAN BROWN:** Commissioner Brisé has a
14 question for you.

15 **MR. BEAN:** Yes.

16 **COMMISSIONER BRISÉ:** A quick question on the
17 sort of semi-autopilot function. How smart does the
18 road have to be in order for that to be totally
19 efficient and effective?

20 **MR. BEAN:** What we've said is any -- basically
21 what would benefit regular drivers, the car -- the
22 design of the roads will be good for autonomous vehicles
23 in the future. So that means making sure that lane
24 lines are clearly drawn so that the car knows where it
25 is, and also making sure with construction zones that

1 all the requirements are met. So really it's whatever
2 is good for drivers today will be good for autopilot and
3 autonomous vehicles in the future.

4 **COMMISSIONER BRISÉ:** So, in essence, what
5 you're saying, the onus is on Tesla, as a manufacturer,
6 or any manufacturer that's trying to do the
7 semi-autonomous or complete autonomous cars to, to react
8 to the, to the infrastructure around it and not the
9 other way around.

10 **MR. BEAN:** Right. That's what -- that's
11 our -- what we're doing today.

12 And then the final point is the car has
13 achieved the highest safety rating in America. So if
14 you think about the car, you don't have a large engine
15 block in the front because the motor is more compact;
16 your battery back is on the bottom, so you have a low
17 center of gravity, which allows you to have a larger
18 crumple zone in the case of an accident.

19 **CHAIRMAN BROWN:** And how much is the Model S?

20 **MR. BEAN:** So this starts at 74,500.

21 The next one is the Model X. So this was
22 released a couple of years ago now. So this is our SUV.
23 This is the quickest and safest SUV on the market, up to
24 295 miles of range. Again, zero to 60 in as little as
25 2.9 seconds. Again, all-wheel drive, so utilizing dual

1 motors, and also with a 75 kilowatt-hour or
2 100 kilowatt-hour battery option. Also has autopilot
3 equipped and seats up to seven passengers.

4 **CHAIRMAN BROWN:** How much is it?

5 **MR. BEAN:** 79,500.

6 **CHAIRMAN BROWN:** For every working mom. Yeah.

7 **MR. BEAN:** Okay. So --

8 **CHAIRMAN BROWN:** I'm sorry. I'm sorry. The
9 commentary just popped out.

10 **COMMISSIONER POLMANN:** We test, we test drove
11 one of these at SEARUC.

12 **MR. BEAN:** Okay. Great.

13 **COMMISSIONER POLMANN:** It was not the \$79,000
14 one.

15 **MR. BEAN:** We're -- if you're going to be at
16 NARUC in Baltimore, we're going to try to do some test
17 drives there as well.

18 **COMMISSIONER POLMANN:** Are you going to bring
19 the \$79,000 version or the \$156,000 version?

20 **MR. BEAN:** I'll see what, I'll see what I can
21 do. But, yeah, you'll still get the same experience,
22 just maybe not as nauseating, not as nauseating.

23 And the next -- the Model 3, so this is our
24 kind of mass market sedan. So this began a production
25 ramp in July. Designed to be zero to 60 in less than

1 5.1 or as little as 5.1 seconds. There are currently
2 two size -- instead of battery packs, talk about range.
3 So you've got a 220-mile version and a 310-mile version,
4 a long range version. This also comes with -- or has an
5 option for autopilot and starts at \$35,000.

6 **CHAIRMAN BROWN:** Commissioner Brisé has a
7 question.

8 **COMMISSIONER BRISÉ:** Does this model also have
9 the, the option to remove the battery pack?

10 **MR. BEAN:** Not at this time.

11 **COMMISSIONER BRISÉ:** Okay. Thank you.

12 **MR. BEAN:** And this -- so our last, I think it
13 was in August, we had 455,000 net orders. So people who
14 put thousand dollar deposits on this vehicle.

15 So next I wanted to get into our charging. So
16 Tesla believes that a critical component to the adoption
17 of electric vehicles is making sure that customers have
18 a convenient and seamless way for them to charge their
19 vehicles. So to that end, we've got a supercharger and
20 destination charger network, and we've also got some
21 equipment for home charging.

22 **CHAIRMAN BROWN:** Thank you.

23 **MR. BEAN:** So first, for super charging, this
24 is our DC fast charging network, so these are designed
25 to get customers on the road, back on the road quickly.

1 So these --

2 **CHAIRMAN BROWN:** Do you own -- does Tesla own
3 these supercharger stations here?

4 **MR. BEAN:** Yes.

5 **CHAIRMAN BROWN:** Okay. And how quickly are
6 they?

7 **MR. BEAN:** So they're up to 120 kilowatts, so
8 the rate actually declines as your battery gets fuller
9 for -- to preserve the battery cells. So you can get,
10 in about 30 minutes, about 170 miles of range, up to
11 170 miles of range.

12 **CHAIRMAN BROWN:** Wow.

13 **MR. BEAN:** So we're expanding this network
14 pretty quickly. Right now we've got 1,000 stations and
15 7,000 superchargers globally, and by the end of this
16 year our goal is to have 10,000 superchargers globally.

17 So here's just a map of where we are in
18 Florida to show -- we've got about 20 stations
19 currently, so those are the red ones. The gray ones are
20 our planned expansion in 2018. So you can go on our
21 website on [Tesla.com/findus](https://www.tesla.com/findus) and you'll be able to see
22 the general location of our future expansion.

23 Currently we have about 20 stations with 150
24 or so superchargers. These are obviously located
25 predominately along interstates. So you've got I-10,

1 I-4, 95, 75. And you'll see you're starting to get more
2 clustering towards urban areas as we understand driving
3 patterns and where our customers live.

4 **CHAIRMAN BROWN:** Do you partner with retail
5 folks? Who do you partner with?

6 **MR. BEAN:** So we typically scout for locations
7 that have restroom access, restaurants, and wi-fi. The
8 idea being if you're going to be there for 10, 30
9 minutes, let's give the customer something to do. So
10 you'll see these -- I think the one here in Tallahassee
11 is at a Newk's.

12 **CHAIRMAN BROWN:** Fresh Market.

13 **MR. BEAN:** Yeah. So I haven't actually
14 visited this one yet, so just based on our website. So
15 it really depends. We try to find locations that are
16 convenient to customers.

17 **CHAIRMAN BROWN:** Do you partner with the
18 utility or do you partner with government? You said
19 rest areas.

20 **MR. BEAN:** So we typically -- we do this
21 ourselves, and obviously we have to work with the
22 utilities on interconnection. So we will start early in
23 the process, identify the site, go through design and
24 engineering with the utilities before we obviously move
25 dirt. So that's -- but typically the cost is on us.

1 **CHAIRMAN BROWN:** I think there's a lot of
2 advantage to partnering with local governments too. I
3 mean, I know that your focus seems to be on the
4 corridors, the interstate, but there are local
5 governments throughout the state that have an appetite
6 for, for placing these on government-owned properties.

7 **MR. BEAN:** Yes, absolutely. And we've got a
8 destination charger network, which I'll talk about next.
9 And on our website, and I don't have the exact URL, but
10 under charging we do have an area if people would like
11 to let us know that they are interested in potentially
12 hosting a supercharger or destination network, that they
13 can submit information there and we'll follow up.

14 **CHAIRMAN BROWN:** Thank you.

15 **MR. BEAN:** You're welcome. Just to give a
16 little bit about the customer experience and the
17 supercharger, we talk about -- we hear about range
18 anxiety. So when you're taking a road trip, say I'm
19 going from Miami to Jacksonville, I'll plug in the
20 location in Jacksonville. It'll say make a right, get
21 on the on-ramp I-95, go north, turn-by-turn direction,
22 but it'll also say you need to stop at this
23 supercharger, we recommend you stop here. And when you
24 get there, you will have, say, 25 percent battery left,
25 so you know that you're not going to be, quote, running

1 on fumes when you get there, and then it'll give you an
2 estimate of how long you'll actually have to spend. So
3 it'll say 15 minutes to get you on your way.

4 So you put that in, you plug in your car, you
5 go get a cup of coffee, you go to the restroom, and your
6 app will notify you when the car is ready. So you'll,
7 you know, you might be finishing up lunch and your car
8 is sitting there going, like, I've got enough charge to
9 get to the destination, let's go. So we tried to make
10 this as convenient and seamless for customers.

11 **CHAIRMAN BROWN:** Thank you.

12 **MR. BEAN:** So the next one is our destination
13 charger. This is a Level 2 charging network that we
14 provide the first two chargers, wall connectors to
15 hotels, resorts, and shopping centers. And this --
16 we're -- our goal is 15,000 destination chargers by the
17 end of this year.

18 **CHAIRMAN BROWN:** Wow.

19 **MR. BEAN:** And then finally home charging. So
20 every car comes with this mobile bundle on the bottom
21 left. It's a 20-foot cord. Sorry.

22 **CHAIRMAN BROWN:** Who pays for it?

23 **MR. BEAN:** So the charging equipment, the
24 first two come from us, and then the electricity is
25 usually from the site host. So we market this on the

1 cars, on the website. If you're taking a road trip, you
2 can say, "Well, I know the Four Points and Sheraton in
3 Tallahassee has these wall connectors. I'm going to
4 stay there."

5 **CHAIRMAN BROWN:** Right.

6 **MR. BEAN:** So it is a marketing benefit to the
7 companies.

8 **CHAIRMAN BROWN:** Okay.

9 **MR. BEAN:** We've got -- for home charging,
10 every vehicle comes with this mobile bundle on the
11 bottom left, and that's a 20-foot cord that has an
12 adapter so you can plug it into a standard three-prong
13 110-volt outlet. It also has a NEMA 1450 adapter, which
14 is basically the receptacle you would use for an
15 electric range or oven. And then an adapter for the
16 J1772 public charging.

17 We also have this -- in the picture you'll see
18 the wall connector. That's our hardware for wall
19 connectors. That's what we also use for the destination
20 charging network. And on the table to the right, going
21 back to some of the questions, that wall connector can
22 operate between 15 amps and 100 amps. So it's really
23 just what kind of service are you bringing to your
24 garage or parking space. And you'll see the third
25 column over what the max draw in terms of KW is based on

1 that circuit breaker amp.

2 I will say that the vehicles, to operate above
3 60 amps, do need an upgrade to get charging. So the
4 standard vehicles come with the capability of 60 amps.
5 So 60 amps converts to about 35 miles per hour of charge
6 for a Model S.

7 **CHAIRMAN BROWN:** Thank you, and thank you for
8 your presentation. And I definitely don't want to
9 shortchange any of our other presenters today. We've
10 already been going for an hour and a half. My goal was
11 to kind of do this within a 2.5-hour window. So
12 let's -- if you could highlight -- we have a lot of
13 material before us.

14 **MR. BEAN:** Yeah. And I'll just -- this is my
15 last slide. The last one is multiunit dwellings
16 providing customers a place to charge. We think that's
17 an area that we need to try to find a solution for.

18 **CHAIRMAN BROWN:** Thank you.

19 **MR. BEAN:** Thank you.

20 **CHAIRMAN BROWN:** Appreciate that.

21 Our next presenter is David Schatz?

22 **MR. SCHATZ:** Sure.

23 **CHAIRMAN BROWN:** No, that's not right.
24 Schatz?

25 **MR. SCHATZ:** It's a rough, it's a rough last

1 name. Schatz is fine.

2 **CHAIRMAN BROWN:** Schatz. He's director of
3 public policy for ChargePoint. And appreciate you
4 taking the time to be here today. Thank you.

5 **MR. SCHATZ:** Yes. Thank you, Madam Chair.
6 And good afternoon. Again, my name is Dave Schatz. I'm
7 director for public policy for ChargePoint. And, again,
8 I want to thank the Commission for bringing together
9 this roundtable. It's a really important time in our
10 industry. Tremendous growth, as you've seen from
11 previous presenters. And I want to give a kind of
12 snapshot of the charging industry, a kind of 101 of what
13 charging looks like, the benefits of smart charging, and
14 then some lessons learned from the private sector's
15 deployment here in the state, and offer some next steps,
16 if I get to it.

17 So, first, I just want to introduce
18 ChargePoint. And like a lot of presenters before me,
19 this slide is a little out of date. We have 41,000
20 charging spots nationwide. We're the largest network of
21 commercial electric vehicle charging stations in the
22 world. Every single month we add another 600 to 800
23 ports to this network, and we have hundreds of thousands
24 of drivers that have -- EV drivers that have an account
25 with us.

1 When we -- we just turned ten years old. And
2 when the company was founded in 2007, the US Department
3 of Transportation wasn't even keeping track of how many
4 EVs were on the roads. So we've been at this from the
5 beginning. We have a lot of kind of lessons learned
6 from deploying in every single state in the nation.

7 And our mission is pretty simple. We want to
8 support mass EV adoption by providing a range of
9 charging products everywhere drivers live, work, and
10 play. So that means at home, around town, and between
11 towns. And in our business model, a site host purchases
12 our smart network charging equipment. They own that
13 equipment. We don't own the equipment. And for a
14 subscription we provide access to data and analytics
15 tools that help, that help that host to optimize the
16 charging that's going on onsite and provide some
17 insights into what's going on with their charging
18 assets.

19 A site host could be a big box retailer, a
20 hotel, a car dealership, multiunit dwelling. The list
21 goes on. And we can provide ongoing maintenance
22 agreements with those site hosts and provide
23 24/7 support to drivers and site hosts alike.

24 The charging industry has experienced rapid
25 growth. That's clear from a lot of the other

1 presentations. And I want to briefly provide the
2 Commission with an overview of our technology. This is
3 another interpretation of a lot of the information we've
4 seen before, so I won't take too much time with it.

5 But I want to, I want to make sure that it's
6 clear that we see that the conversation around charging
7 starting at Level 2, you see 12 to 25 miles of range per
8 charging per hour. That's really where we need to be as
9 batteries are getting bigger, charging times are getting
10 longer. We see that as really the start of the
11 conversation moving away from Level 1. DC Fast is
12 experiencing tremendous growth as well as we build out
13 our corridors.

14 So, and I also wanted to mention the symbols,
15 the alien symbols at the top of the chart there. Those
16 are the standard plug types. We've talked about them
17 before, but, you know, CHAdeMO, J1772, Combo, SA Combo,
18 those are the ones going across the top. So there are
19 standard plugs.

20 So what does a session actually look like at
21 one of our stations? It's pretty simple. If you have a
22 ChargePoint app, you pull it up. You can see where our
23 stations are and if they're available in realtime.
24 That's pretty important. If you're a driver, you want
25 to know if it's available or not. You would pull into

1 that station; you'd pull out your ChargePoint card. It
2 looks kind of like a loyalty card that you would have on
3 your key chain for, say, PetSmart or your local grocery
4 store. We also have technology now that you could
5 charge by tapping your phone to the charger or even your
6 Apple watch. We're exploring new opportunities to start
7 a session.

8 Once you wave it in front of our stations, it
9 connects that session to your account. You would start
10 the charging session. And while you're on the go doing
11 something else, you can receive notifications on where
12 you are, where the charge is, where the session is, and
13 get notifications when the charge is complete.

14 If there is a fee associated with the
15 charging, it's taken care of on the back end, working
16 kind of like an E-ZPass where you would preload your
17 account and it would kind of tick down if there is a
18 charge associated with it. A lot of site hosts decide,
19 and in our model site hosts are empowered to decide how
20 much charging actually costs onsite. A lot of times
21 they, they allow it to be for free because you want to
22 incent drivers to actually come there and stay, and
23 while they're there, maybe take care of some shopping or
24 just stay around the site. Maybe it's a workplace; it's
25 a perk. But if there is a fee, it's taken care of on

1 the back end.

2 So what -- let me just skip ahead here. So --

3 **CHAIRMAN BROWN:** Thank you.

4 **MR. SCHATZ:** I think I, I think I skipped an
5 -- this is an important slide. I didn't want you to
6 miss it, so -- but I promise to be fast.

7 So what is smart charging? Well, it's where
8 charging stations are connected to the cloud. They're
9 data enabled. They collect data on the charging
10 sessions. And that data includes some really important
11 stuff like: How many kilowatt-hours are consumed, what
12 the demand profile looks like, things that are really
13 important for site hosts to know like how long people
14 are staying at the site, how long are they charging for,
15 what's the frequency of their visits? You can see how
16 everybody kind of benefits from this kind of
17 information.

18 So for EV drivers, for example, they can see
19 realtime availability of a smart charging station. Not
20 so if the station is not data capable. They have the
21 seamless payment that I talked about.

22 For utilities, of course, the benefits have
23 been mentioned of smart charging. You can see this
24 load, it's a flexible load, it can be controlled from a
25 distance, and you can -- you could see it on the grid

1 and it really helps you to manage your load. And this
2 is the input that we get from utilities. And then site
3 hosts --

4 **CHAIRMAN BROWN:** Sorry for interrupting.

5 Commissioner Brisé has a question, if I could just --

6 **MR. SCHATZ:** Sure.

7 **COMMISSIONER BRISÉ:** So it piqued my curiosity
8 when you said that currently most site hosts don't
9 charge.

10 **MR. SCHATZ:** Sure.

11 **COMMISSIONER BRISÉ:** And maybe this is a
12 broader question. Is there any conversation about the
13 eventual standardization of what the rate is going to be
14 and how we get there? And is it going to be connected
15 to off peak and, and all those type of things, and how
16 customers will know in advance of what the charges might
17 be and so forth?

18 **MR. SCHATZ:** Sure. So there's, there's plenty
19 of information available. When you first pull into a
20 charging station, the pricing is very clear to a driver.
21 But there is definitely a conversation around EV-only
22 rates, specifically for residential applications. And
23 shifting the load to later times in the evening and
24 points of load utilization, that's going to maximize
25 your grid benefit. So there certainly is.

1 Under, under Florida statute, charging station
2 prices are not regulated, so a site host can charge by
3 the kilowatt-hour. This means that the signals that you
4 want to send, if you're looking at rate design, are
5 going to be a site host, who would then decide what the
6 best utilization is onsite. Every site host is going to
7 have a different set of circumstances. They're going to
8 have a different reason for investing in this charging
9 technology. So keeping in mind the site host's
10 preferences is vitally important. But I agree with you,
11 that's -- the conversation surely is on rate design.

12 And then site hosts are a very -- are at the
13 kind of center of this transaction. They're, they're
14 kind of where the rubber meets the road. They have to
15 ensure up time, and we provide that, we provide that
16 capability and we support that capability. They get
17 continuous upgrades to smart charging equipment, and
18 there's limited administration from, from their
19 perspective because data capable charging stations are
20 going to provide those tools to be able to manage it
21 from a distance.

22 So now I want to provide a sense of where
23 charging, the charging market is here in Florida. Right
24 from the start I want to make clear that Florida is one
25 of the most active markets in the nation. That's clear

1 from other presentations. And it currently is extremely
2 competitive among EV charging providers and vendors, and
3 they continue to invest heavily here in the state.

4 So this is a map of all public ports in
5 ChargePoint's network here in the state, ports versus
6 stations. A station is one stand. Under, under
7 industry definitions, a station is one charging stand.
8 It could have multiple ports. It could have two ports
9 on it.

10 So this is the number of ports. We have
11 1,300 ports here in the stations that are public -- here
12 in the state that are public. All of these -- there are
13 other ports on our network that are private. They have
14 limited access. And that's another capability that site
15 hosts have, is to make sure that access might be limited
16 to -- say, if it's a workplace, they want their own
17 employees to use it, not folks who are outside of the
18 workplace.

19 Just in 2017 alone we have 200,000 ChargePoint
20 sessions. That's a lot of data that we can draw from,
21 and we should in looking at where deployments should be.
22 And like other presenters have noted, the growth rate in
23 EVs here is tremendous, one of the highest in the
24 nation.

25 So here's some trends that we see in EV

1 charging across the state. Currently the ratio of EVs
2 to public charging stations here is 12-to-1. As Kellen
3 noted earlier, EPRI has put forward some modeling to
4 suggest that a 4-to-1 ratio or 5-to-1 ratio might be
5 more important or might be, might be a desirable outcome
6 and result in the right kind -- the right deployment to
7 meet the needs of drivers. So we definitely need more.
8 I don't think there's a panelist up here who would
9 disagree with that, that we need more charging stations.

10 Private investment in this, in this market has
11 resulted in year over year growth of charging
12 infrastructure in all Florida's metro areas. Workplace
13 and retail have been bedrocks in, in this growth, and so
14 I think we're going to continue to see the growth in
15 those particular segments. But we need to target some
16 other ones like multifamily -- excuse me -- corridor and
17 government and fleets in our future deployments.

18 In our experience, rebate programs do work.
19 Customers take advantage of them. They're aware of
20 them. They're easy to implement. They're easy to take
21 advantage of if you're a customer.

22 And, finally, we need to note, as other
23 presenters have, have mentioned, that buses and trucks
24 are being electrified very quickly, and that's going to
25 introduce new applications of charging and new models,

1 new potential business models. This chart here is
2 colorful and the text is small, but I will tell you that
3 it notes our deployments here in the state. It
4 represents our deployments here in the state and what
5 segments they have served. You can see very clearly
6 workplace, municipal, and retail have been huge growth
7 areas for the state in terms of its deployments in our
8 network. And fleet and multifamily, for example, are
9 much more smaller deployments that we really need to
10 focus on going forward.

11 So as we look toward, you know, the
12 Commission's future action in this, in this area and
13 engaging electrification, forums like this are really
14 important, not only for the Commission to hear the
15 trends in the market, but also to have an open and
16 deliberative process for determining what the right way
17 forward for the state might be. It will also give a lot
18 of stakeholders regulatory assurance knowing where,
19 where certain entities might be going with their
20 deployments or with their investment. There would be
21 some market assurance there.

22 In the case of Florida, we have 2,000 public
23 charging stations here in the state. And that's --
24 that, that means that there's tremendous growth here,
25 but there's -- also that the pilot has already kind of

1 occurred. We can learn from the deployments that have
2 already taken place. As I said, we have 200,000
3 charging sessions this year alone to draw a lot of data
4 from. So let's have a conversation about the trends and
5 how to best deploy going forward.

6 And I will note, it was on one of Kellen's
7 slides, but PC44 is taking place in Maryland right now.
8 That's an open and deliberate stakeholder process with a
9 lot of utilities at the table, charging infrastructure
10 folks, enthusiasts, enthusiastic enthusiasts. So it's
11 the right people to have the conversation, and I think
12 that it's being run in a very open way.

13 So I want to leave the Commission with some
14 key considerations, and I won't spend too much time
15 here. But currently in this market customers have a
16 choice among multiple vendors in making an investment.
17 So it's really important to keep in mind that the
18 customer choice makes a competitive market and keeps a
19 competitive market in place. That's going to drive
20 innovation going forward. It's going to drive prices
21 down for consumers. And we should continue to leverage
22 available private funding and make sure that site hosts
23 continue to invest in this technology, even if they're
24 incented to do so, because that's going to lead to the
25 most effective deployment of charging stations. When

1 the site host is engaged in the process, that's when
2 you're going to get a much better management of the
3 charging assets and you're going to get higher
4 utilization.

5 And, finally, site hosts being able to control
6 access and pricing, that's something already in this
7 market. We want to continue that here. That's just a
8 consideration going forward because, again, that's going
9 to lead to the right usage for each circumstance that a
10 site host might have. And so I'm going to wrap up, and
11 I appreciate your time and your questions, and I look
12 forward to the continuing conversation.

13 **CHAIRMAN BROWN:** Thank you so much. I
14 appreciate that. Again, appreciate all the speakers
15 providing these presentations. They will be available
16 online on the Commission's website shortly hereafter.

17 We do have somebody -- our next speaker who is
18 going -- he was unable to make his flight in Tampa, and
19 he's going to -- he'd like to participate by phone. I
20 said it was okay. But I do want to just -- his name is
21 Terry O'Day. He's vice president of EVgo.

22 Our speakers sometimes act up a little bit,
23 so, Terry, if you could streamline your presentation for
24 us, and then we'll take a short five-minute, ten-minute
25 break before we get into the electricity providers. Are

1 you there?

2 **MR. O'DAY:** I am here. Thank you, Chairman
3 Brown.

4 **CHAIRMAN BROWN:** All right. The floor is
5 yours.

6 **MR. O'DAY:** Thank you, and thanks to the
7 Commissioners, too, for inviting me to speak today. I
8 made it 3,000 miles from Los Angeles, but I couldn't
9 close the deal for the last 300 from Tampa.

10 **CHAIRMAN BROWN:** You tried.

11 **MR. O'DAY:** I tried. Well, I'm particularly
12 pleased to talk with you today because our utility
13 partners and their regulators are really indispensable
14 to our access. And I hope that by describing our
15 business strengths and challenges, we can work together
16 to create a long-term financially sustainable cost
17 structure to enable the substantial private investment
18 that I think you heard other speakers identify is
19 necessary in order to make EV charging fair and
20 accessible to everyone.

21 To get there, let me begin by just giving you
22 an understanding of the services offered by EVgo. On
23 the next -- on Slide 2 you see our typical Freedom
24 Station configuration. We call these Freedom Stations.
25 They are -- they feature two 50-kilowatt chargers, those

1 other two pieces of equipment in the center of the
2 photo, and a Level 2 charger off to the side.

3 They're typically in a retail, a grocery store
4 or a shopping center, for example, and they have
5 dedicated EV parking spaces. These locations are
6 typically right off of the freeway with good
7 accessibility to the freeway and are, and are well lit.
8 In total this station you see here is about a \$200,000
9 project in capital, and we have 36 of these across
10 Florida today.

11 The next slide shows you our growth since
12 inception, and it demonstrates both the total number of
13 charges in blue, the total number of sites, which is
14 that little sliver of red that actually turns into kind
15 of the brown at the bottom because it blends somehow
16 with the blue, and the total number of charging sessions
17 that we have provided to drivers since inception, which
18 is now approaching 1 million.

19 On the next slide you can get a sense for
20 network utilization nationwide. This is not terribly
21 useful except to note that the utilization in blue is
22 sort of the lower end. And as you get more colorful,
23 that shows higher utilization. And for the most part,
24 that's happening in California today.

25 Our next slide, five, you can see the zoom in

1 on Florida in particular, and what you see is those
2 little blue dots converted into average numbers of daily
3 charging sessions that occurred in July, in the summer.
4 And you can see that on average we're looking at
5 utilization of our chargers in Florida of about one day.

6 This is really important to understand because
7 a lot of us spend time talking about the chicken and egg
8 dynamic as to whether to get chargers deployed or
9 whether you'll see cars on the road first. But the
10 utilization of the charge is the, is the other key
11 question associated with the chicken and the egg.

12 And it's particularly important in this venue
13 because, as slide -- as the next slide, Slide 6, which
14 shows you demand charges. Here is an example of the
15 Freedom Station in San Diego in the SDG&E territory.
16 San Diego has high demand charges, so they're the
17 example.

18 What you see on this graph is the hours of the
19 day, and the bars represent each day of the month. And
20 the height of the bar represents the peak electricity
21 demanded by this station. And what you can see is a
22 single peak right in the center of this graph that shows
23 you a demand event where you have two cars charging at
24 the same time at about 50 kilowatts. And that occurred
25 just once in the entire month, and it cost about

1 \$1,300 dollars to provide EV -- to provide -- it was a
2 \$1,300 impact, I should say, on our monthly utility
3 bill, resulting in a cost per kilowatt of almost \$2
4 that month per kilowatt-hour.

5 The next slide I'll show you is the very same
6 slide for that same station one year later. And if you,
7 if you look at Slide 7 now, you can see a lot greater
8 density in the amount of charging that's occurring. In
9 other words, those bars on the graph are much denser.
10 So there's a lot more utilization, and you can see
11 that's true because you have a side-by-side comparison
12 on the table between June '16 and May '17 that shows you
13 the total kilowatt-hours delivered almost doubled from
14 1,630 to 2,994. But there wasn't that single demand
15 charge event that occurred a year prior. And so the
16 demand charge for May 2017 was \$1,000 less than the
17 previous year, resulting between the utilization and
18 that lower demand charge in a cost per kilowatt-hour of
19 87 cents.

20 So by presenting this data, I'm making the
21 point that the demand charge creates essentially a fixed
22 cost of business for us in many of the settings in which
23 we operate. And it can be a significant challenge and
24 barrier to growth of the infrastructure, which I think
25 you heard all the speakers want to see.

1 **CHAIRMAN BROWN:** Yes.

2 **MR. O'DAY:** The next slide gives you a sense
3 of the competitor here, which is gasoline. And versus
4 gasoline, these costs on average, and let's be clear
5 average is July, so I do want to get in some lower
6 levels of data for you so that you can really understand
7 the underlying drivers.

8 **CHAIRMAN BROWN:** Was this average --

9 **MR. O'DAY:** But on average --

10 **CHAIRMAN BROWN:** Was this average July 2016 or
11 2017?

12 **MR. O'DAY:** Well, this average is nationwide
13 from the summer.

14 **CHAIRMAN BROWN:** Okay. Okay.

15 **MR. O'DAY:** I'm sorry. Not from the summer.
16 From all of 2016.

17 **CHAIRMAN BROWN:** Okay.

18 **MR. O'DAY:** So, so we're just about a
19 35 percent higher cost. This is a cost structure just
20 for the electricity versus gasoline.

21 And now what you heard, I think, from the
22 earlier speakers that's important is that most drivers
23 are charging at home. And so keep that in mind, that
24 while charging in public at a Fast Charger is more
25 expensive than gasoline, your residential charging is

1 lower. So this averages out to a lower total cost, a
2 lower average cost for the typical driver. But, but who
3 is the typical driver is the question that I think we'll
4 see change over time as more, more people begin to buy
5 EVs.

6 The next slide will show you a little bit more
7 depth on this question by using the San Francisco Bay
8 Area example on Slide 9. And here you see utilization
9 that, that is really quite high in the urban areas. But
10 the outer areas, and in particular the corridors which
11 are not shown on this graph, are very low utilization.
12 And those are two different types of charging stations.

13 The urban charging station that is highly
14 frequented is very obviously important to EV drivers, as
15 they're demonstrating, because they're using them
16 clearly. But the corridor station, which is probably
17 only used on Fridays and Sundays -- I don't know how
18 many folks here have stopped at a gas station on a
19 highway that wasn't on a Friday or a Saturday when
20 they're doing a weekend drive or something, but that's
21 why you see this kind of utilization difference, but
22 they're still also very important.

23 As Britta pointed out in her presentation,
24 getting to Tallahassee from Orlando in her Bolt requires
25 having a charger on the highway, even though it might be

1 less utilized. And so the underlying cost structure
2 with the, with the fixed cost of demand charges is an
3 important question.

4 In some of our urban charging stations demand
5 charges would -- they work perfectly fine. But in
6 corridor stations in particular, which are equally
7 important to the success of our EV transportation goals,
8 they are -- demand charges present a very significant
9 challenge for cost recovery of even just the electricity
10 cost.

11 And you can see this better on Slide 10, which
12 I have to point out has an error unfortunately. I'll
13 probably have to resubmit the slides. But let me begin
14 by describing the variable cost is the orange line, and
15 that is your cost per kilowatt-hours on our average
16 electric bills. And the light blue line represents the
17 demand charge cost per kilowatt-hour delivered.

18 Along the x-axis you can see utilization. And
19 as utilization grows, you can see that the fixed cost of
20 the demand charges get spread over more drivers, and so
21 the kilowatt-hour price comes down. And the blended
22 cost, the blended effect of that essentially is in the
23 white line at the top.

24 Importantly, an important question is where
25 this cost is versus gasoline parity, and that's

1 unfortunately where the mistake lies. And I have this
2 chart that you're looking at at 9 cents per
3 kilowatt-hour, but the gasoline parity cost is at 29
4 cents per kilowatt-hour. So take that magenta line and
5 shift it up to almost the 30 cents per kilowatt-hour
6 line and you can see, consistent with that previous
7 slide I showed you, our underlying electricity costs
8 today are about 35 percent higher than gasoline parity.

9 On Slide 11 I look a little bit more closely
10 at the electric bills that we are paying in Florida
11 today for the stations that I identified earlier, and
12 you can see, with Florida Power & Light, July 2017
13 prices per kilowatt-hour ranging from 45 cents up to
14 over \$2. And, again, those prices are based on the
15 utilization of the individual station. I believe all of
16 these stations are on the same tariff. And so the
17 percentage of the bill represented by demand charges is
18 in the right-hand column, and you can see that is a
19 significant impact for us.

20 **CHAIRMAN BROWN:** Okay.

21 **MR. O'DAY:** The next slide shows the other
22 Florida utilities. And notably Duke Energy here not --
23 in red does not have demand charges, and so those prices
24 per kilowatt-hour are significantly lower.

25 **CHAIRMAN BROWN:** Okay.

1 **MR. O'DAY:** I want to give you some idea of
2 where the market is headed, though, too. And on Slide
3 13 we can see that we did a study with Rocky Mountain
4 Institute that shows the different load profiles for our
5 stations. And what you see is that grocery and retail
6 tend to perform very well; whereas, gas stations and
7 hotels are typically not high-performing sites.

8 And what -- Britta described their work,
9 General Motors' work on the brand Maven, and we've
10 partnered with Maven to provide EV charging services to
11 those drivers. About 97 percent of all the
12 kilowatt-hours delivered are going through our network,
13 and we've seen some really interesting results.

14 On Slide 14 you can see impacts in blue from
15 adding Maven to a market, the charges that are serving
16 Maven. And you begin to see this increase in
17 utilization related to that, that can create sort of a
18 baseload effect, if you will, in utility parlance.

19 And on Slide 15 the important time of use
20 benefits from those professional drivers where the Maven
21 drivers in blue are beginning to fill out the troughs in
22 our utilization profile in red. So as ride-sharing
23 services begin to proliferate as the EV charging is
24 available for those drivers to use electric vehicles, we
25 can see this sort of beneficial or symbiotic

1 relationship between the two.

2 And in my -- in Slide 16 you can see that
3 electricity costs, which I've focused on so far, are
4 really just 40 percent of our total cost because as an
5 owner/operator model, we're responsible also to maintain
6 and repair our stations, which is the pink color of
7 30 percent. And then, of course, other costs associated
8 with operating the business not on the slide would be
9 capital recovery to recover that \$200,000 that we
10 invested in the station.

11 **CHAIRMAN BROWN:** Thank you.

12 **MR. O'DAY:** And that, that's a good place to
13 wrap. Thank you, Chairman.

14 **CHAIRMAN BROWN:** That's a great place to wrap
15 up. Thank you. I appreciate you following us along on
16 your journey and providing us a great source of --
17 resource of information for us to consider. Thank you
18 again.

19 We are going to move on to our electricity
20 providers, and we're going to take just a short
21 five-minute break so you guys can stretch. It's 3:05
22 now. We'll be back here at 3:10. Thank you. We are in
23 recess.

24 (Recess taken.)

25 We are back on the record. Thank you. And we

1 are -- our last group of panelists are the electricity
2 providers. So we have with us today Brian Hanrahan.

3 **MR. HANRAHAN:** Sure.

4 **CHAIRMAN BROWN:** Awesome. He is director of
5 in-home technologies with Florida Power & Light.
6 Welcome, Brian.

7 **MR. HANRAHAN:** Thank you, Madam Chair. It's a
8 pleasure to be here. A repeat from 2012, except I
9 actually have the Commissioners this time. It's great.

10 I'm going to skip my executive summary.
11 That's kind of a cultural thing. So we'll jump right
12 into the primary slides here. I'm going to move very
13 quickly on the first couple because some of that's been
14 covered. I want to focus on the two areas you asked us
15 to talk about. But I would like to, much like Britta,
16 who was also here in 2012, kind of do a comparison of
17 then and now really briefly.

18 So when -- in my dec in 2012 I listed some
19 headwinds, and they were range, price, model
20 availability, scale, lack of infrastructure. And where
21 we're still short in a lot of those areas, we've made
22 great progress. I think the vehicle areas have been
23 covered.

24 I want to point out two things in the
25 infrastructure area. You heard the number. We've had

1 about 2,000 charging stations here in Florida. That is
2 the third most in the country. I think that's pretty
3 good, given the fact that we haven't had some of the
4 incentives and such from the other areas. So, you know,
5 there's still a lot of good news there.

6 And also the Volkswagen emission settlement I
7 think is a huge opportunity for us, for the state, and
8 we'll talk a little bit more about that. And obviously
9 we've seen this big push towards higher charging rates,
10 and that's certainly a challenge for the utilities in
11 some areas. Right?

12 Moving on to the next slide, I'm not going to
13 mention much here other than, you know, home is still
14 the primary place. When a person buys their first EV,
15 they actually added a charging station to the, to the
16 network, if you will. And work is just a growing
17 opportunity for charging, and we're big proponents of
18 that.

19 Happy to say that when we launched our program
20 seven years ago, we --

21 **CHAIRMAN BROWN:** Brian, if I could interrupt
22 you.

23 **MR. HANRAHAN:** Yes, sure.

24 **CHAIRMAN BROWN:** Commissioner Polmann has a
25 question.

1 **MR. HANRAHAN:** Sure.

2 **COMMISSIONER POLMANN:** Back on your prior
3 slide, sir, you had mentioned in-home, and I think there
4 was some mention earlier about the, the draw on, on the
5 home system. There was an upper limit in terms of
6 amperage on the 240 volt. I forget what the number was,
7 50, 60 amps or something to that effect. Do you see an
8 increase in that in the future at the home charging
9 station, or is there currently an opportunity for a
10 homeowner, an EV owner at home to have a higher amperage
11 facility to increase their rate of charge?

12 **MR. HANRAHAN:** I would say it depends. So
13 Tesla does have home charging at a higher rate. What
14 you run into in a lot of cases, especially if you're
15 going to get to critical mass, is you're going to start
16 running into a lot of homes that don't have that
17 capacity in the panel. Right now, the affluency factor
18 probably allows for a bit more of larger homes being
19 able to absorb that higher rate. I really don't see it
20 becoming, let's say, just continuing to rise
21 exceptionally high. For most people, it wouldn't be
22 practical.

23 **COMMISSIONER POLMANN:** You know, I did some
24 renovations in my home, and I had the panel changed to
25 do an upgrade. I mean, that was not inexpensive, but

1 as, as a component of my other home improvements, it
2 wasn't a big deal. But I understand what you're saying.
3 That's not an insignificant cost.

4 **MR. HANRAHAN:** That's correct.

5 **COMMISSIONER POLMANN:** Thank you.

6 **MR. HANRAHAN:** You're welcome.

7 Back to the -- you know, when we launched the
8 program seven years ago, we kind of hung our hat on
9 three areas as part of our strategy. I'm happy to say
10 those are still the three areas that we hang our hat on,
11 so I think we hit the mark. Those really support the
12 expansion of this market. It's really good for
13 ratepayers and virtually everyone. So we, we do a lot
14 of work to make sure that we're removing hurdles
15 wherever we can, infrastructure installations, you know,
16 just making sure that, that things go well and we're not
17 part of an impediment. We also, you know, use EVs in
18 our fleet when it makes sense, those types of things.

19 Also meeting customer expectations. Customers
20 view us as a trusted source for this type of technology.
21 And we have quantitative research where we've asked our
22 customers, and actually the utility is the number two
23 trusted source for EV information behind Consumer
24 Reports. That's higher than DOE. That's higher than
25 the automakers. That's higher than electricians.

1 It's -- you know, so we're a trusted source.

2 The third one is ensuring reliability. And as
3 you know, that's table stakes. Right? We have to do
4 that. It's one of the most important things to us. So
5 we, we have baked in electric vehicle adoption into our
6 planning for the last seven years. Right? So it's in
7 there; it's part of our planning now.

8 Really briefly I'm happy to say that our -- we
9 do a forecast and we embed it into our Ten-Year Site
10 Plan and file that with the Commission every year. We
11 start with a national number. Then we go to a state and
12 an FPL number. Happy to say we're within 10 percent of
13 EEI's number in 2025 without comparing notes. So that's
14 good. The state number is close, 3.6 percent is what we
15 have. And then we serve about 50 percent of the
16 population in Florida, but we have about 64 percent of
17 the vehicles. So obviously we have some very good areas
18 for electric vehicles, and we've been doing a lot of
19 work in this area for a while.

20 So there's already a modest amount of public
21 charging in Florida, and this is where I'll spend a
22 little more on these next three slides is, you know, we
23 can all agree that we need more, but it's not that we
24 don't have any. We work -- have worked with, you know,
25 the Teslas, the EVgos, Electrify America over the last

1 few years to really, you know, make sure that this,
2 this installation goes well. We are now getting
3 into situations where we're installing banks of
4 1 to 3 megawatts of charging stations. Tesla is making
5 a lot of investment in our areas. I mean, they know
6 where their Model 3 reservations are, so I suspect
7 that's a lot of the reason for their investment in
8 certain areas with infrastructure.

9 We've met with Electrify America. Miami is
10 the only metro area in Florida been identified as a
11 Phase 1 implementation, along with the corridor within
12 the Florida, state of Florida. So we're working with
13 them. It's very important that we work with them early
14 on. We can help them save money by identifying feeders
15 and such that are not at capacity. And so getting, you
16 know, with them early on can help the whole process as
17 well as the economics for them.

18 We have advocated for the 15 percent cap of
19 the mitigation trust with the state of Florida. You
20 know, this is a huge opportunity. And I'm of the belief
21 as a Leaf owner who gets a 120-mile range on my vehicle
22 that with these investments that are on the horizon or
23 the ones that are currently going on are going to go a
24 long ways towards getting us to an acceptable level of
25 infrastructure. You could argue whether it'll get us

1 all the way. Probably not as you go out into the years.
2 But certainly in the near term this is a very positive
3 thing coming our way, assuming, you know, these steps
4 are taken.

5 **CHAIRMAN BROWN:** Did you contemplate driving
6 the Leaf up to Tallahassee from Juno Beach?

7 **MR. HANRAHAN:** No. But let me tell you, we
8 brought the Volt and we wanted to bring the Bolt. And
9 the problem is if you look at that map, there is a gap
10 as you get north, as we've talked about earlier, someone
11 pointed out, when you get up around the I-10 area, we're
12 a little short on some charging. This is the second
13 time we've been up where we wanted to bring the Bolt and
14 we haven't been able to. And we have personally got
15 241 miles on our Bolt with air conditioning and highway
16 speed. So those numbers you saw on the Bolt, those are
17 legitimate numbers. I think 238, we've actually beat
18 that.

19 **CHAIRMAN BROWN:** Cool.

20 **MR. HANRAHAN:** So we're getting there. I
21 mean, we're seeing a lot of positive signs. Right?
22 That's, that's good.

23 Specific to your questions, you asked the
24 utilities to, to address impacts on the grid and
25 planning. Right? So, first of all, managing load

1 growth is a core competency to us. As long as we know
2 what's coming, you know, it's something we do quite
3 well.

4 I mentioned we added in our Ten-Year Site
5 Plan. I had a really sharp analyst a couple of years
6 also that created a model for me, and -- did you want me
7 to wait?

8 **CHAIRMAN BROWN:** No.

9 **MR. HANRAHAN:** Oh, okay. Oh, I'm sorry, yes.
10 There we go.

11 So a couple of years ago I had a really sharp
12 analyst and he built a model for us. And basically what
13 he's done here is he's taken our load profile, which is
14 the purple shaded area, and he has layered on the number
15 of electric vehicles in our service territory in 2030,
16 and he's got a whole bunch of areas where we can change
17 factors. We can change the type of vehicle, miles
18 driven, the rate of charge, the time of charge during
19 the day. And basically what you see with the pink is a
20 half a million vehicles on our system. And let's be
21 honest, we have a pretty large profile. Right? Some
22 other utilities wouldn't necessarily see this. But, but
23 it shows up, but it's fairly small. This is in 2030.

24 Now if you've changed the factors in the model
25 to add more workplace charging, I could actually do a

1 lot better in the morning hours and even drive some of
2 that -- this is unmanaged, so I could easily put in some
3 rate to move that even a little later off the back of my
4 peak there. So lots of flexibility there. Not a lot of
5 concern for us in terms of long-term generation
6 planning.

7 We also completed a grid reliability study in
8 2014. Had our, all our engineers involved in evaluating
9 power quality because that's, that's something that's
10 often overlooked. Right? But it's super important,
11 especially as these large charger banks are going in in
12 downtown Miami, let's say. You put in 1, 2, 3
13 megawatts, you better understand what kind of load and
14 what kind of harmonics and such those chargers are
15 putting out or you're going to start affecting other
16 people. So, anyway, we've done a lot of work in that
17 area.

18 I can tell you that the study came back very
19 positive. We don't have a lot of concern about
20 reliability. The one area of risk, and it's the very
21 end, and it's the small transformer, the 25 kVA to 37.5
22 kVA, which we don't have many of those anymore actually.
23 As the years have gone by, we've kind of engineered to a
24 larger standard. And so if something was at risk, it
25 would be those small transformers, generally not where

1 we're seeing EVs now.

2 I can tell you we don't know of a single
3 EV-related outage in our territory since 2010 since we
4 launched the program. So nobody has come home with
5 their Tesla and their neighbor had a Tesla, plugged it
6 in, and blew the transformer.

7 What we hear from our transformer people is
8 it's not that load at the time. It's the life of the
9 transformer can be compromised because of the heating,
10 you know, that transformer being hot longer over the
11 course of years. So instead of it lasting 30 years,
12 maybe it lasts 25. The jury is still out on that. But
13 that's, that's kind of the concern.

14 We're used to large load here. And when you
15 hear stories about, you know, all the concern, a lot of
16 times it's in a place where an EV can double or triple
17 the house load right now, you know, with a 6 KW charger.
18 That's generally not the case here in Florida. So it
19 doesn't apply same story, same -- you know, every
20 location. Okay?

21 Lastly, you asked us to comment on future
22 regulatory considerations. There's two areas that
23 always come up, and one is the EV rate. I can tell you
24 I was under a lot of pressure when we first launched the
25 program about having an EV rate. And so we -- yes, sir.

1 I'm bad at that.

2 **COMMISSIONER POLMANN:** You said it.

3 **MR. HANRAHAN:** Thank you, Commissioner.

4 So we did a lot of work around EV rates, and
5 one of the concerns is we have a very low rate in
6 Florida anyway. I mean, our rate is lower than super
7 off peak EV rates in California. And so if I provide a
8 lower rate, the delta I can provide between that rate
9 and my current rate is not going to be huge. And in
10 order to bill it, I need to separate meter it. A
11 customer is going to have to put in a meter can, a
12 weatherhead to the tune of \$800 or something, and it's
13 going to take them 30 years to get that back. Right?
14 So there wasn't really, you know, a customer benefit.
15 For us there wasn't a burning business platform because
16 you saw my chart. I didn't have, like, major concerns
17 about them charging on my peak hour. And so at this
18 time, you know, we've not come forward with an EV rate.

19 Our answer -- customers ask us about it, and
20 we say, you know, enjoy our super low rate. You can
21 charge any time you want right now. Now if they do want
22 something, we have the whole house time of use rate, but
23 not many customers benefit from that.

24 **CHAIRMAN BROWN:** Right.

25 **MR. HANRAHAN:** So, so that's kind of where

1 we're at on the rate. We're always monitoring. We're
2 willing to change, you know, if the need arises. But to
3 just do it, you know, we have concerns with that.

4 **CHAIRMAN BROWN:** I'd be curious to hear from
5 the other utilities, too, and see if it makes sense or
6 not.

7 **MR. HANRAHAN:** Right. Sure. And then from an
8 infrastructure standpoint, you know, right now we
9 support it in our territory in existing construction
10 practices and policies and, you know, like we would
11 anything else. I will say that we, we work very hard to
12 make sure that we're not causing delays and things like
13 that because we want this market to succeed.

14 We're obviously monitoring the infrastructure
15 activities of others throughout the country, like Kellen
16 showed. We've done obviously our diligence in that
17 area. And, you know, honestly we've had some economic,
18 you know, hurdles there, and so we've not come forward
19 with, with anything in that area as well. As I said on
20 the rate, you know, we don't shut the door on any of
21 this stuff. Things change and we continue to monitor it
22 and will do whatever we can do to move the industry
23 forward by good principles.

24 **CHAIRMAN BROWN:** Thank you, Brian. Thanks for
25 your presentation and this overview.

1 Commissioners, any questions of Brian?

2 (No response.)

3 All right. Thanks.

4 **MR. HANRAHAN:** Thank you.

5 **CHAIRMAN BROWN:** We are going to move to our
6 next speaker, who is Lang Reynolds. He's the electric
7 transportation manager from Duke Energy Florida. Lang,
8 welcome.

9 **MR. REYNOLDS:** Thank you, Madam Chair, and
10 thank you to the Commission for bringing us together
11 today to talk about EVs. As you can see, EV people can
12 talk about this all day, so I'm going to try to skip to
13 the good stuff here and get us out of here.

14 So the -- let's see. If we look at the
15 electric transportation market, and I don't want to
16 muddy the waters too much, but we are, we are looking a
17 little bit broader than, than just EVs. So we're
18 starting to see with the battery cost declines that
19 there are a lot of different types of vehicles that are
20 becoming economic and out on the market today, so --
21 including things like transit buses.

22 We have some -- a customer in St. Pete that's
23 getting some electric transit buses next year. And
24 school buses are also coming on the market, so a lot of,
25 a lot of these types of vehicles.

1 **CHAIRMAN BROWN:** Tell us about the school
2 buses.

3 **MR. REYNOLDS:** Sure.

4 **CHAIRMAN BROWN:** You say school buses are
5 coming on the market. Electrified?

6 **MR. REYNOLDS:** Uh-huh, yeah. Fully
7 electrified, battery/electric buses over 100 miles of
8 range.

9 **CHAIRMAN BROWN:** Are you working with the
10 counties to make that happen or --

11 **MR. REYNOLDS:** We're at the very early stages
12 of looking into electric school buses. There's one
13 company out of Canada that has a commercial product
14 right now. Blue Bird out of Georgia announced some
15 prototypes and they're getting some buses on the market
16 next year. And we've heard rumors of some other
17 manufacturers also bringing to market some of the buses.
18 So we're, we're still exploring it. You know, we
19 have -- we did actually an event with our friends at FPL
20 earlier this year to, to bring some school district
21 transportation managers to ride some of these buses and
22 check them out.

23 **CHAIRMAN BROWN:** That's great.

24 **MR. REYNOLDS:** So there's other, you know,
25 other fleet applications: delivery fleets, trucks.

1 We're seeing just a real proliferation of different
2 types of vehicles, and so I think, you know, in the
3 future we can, we can think not just about the
4 light-duty market and passenger cars but about all of
5 these different types of transportation.

6 Looking over the market, and we've talked a
7 lot about this already, but the one point I would just
8 emphasize, and I think one of my colleagues touched on
9 it earlier, but as fuel prices have declined, we've
10 really seen no, no real bump in the market except for,
11 you know, kind of a flattening out in the 2015, 2014
12 time frame. And then here the last two years we've seen
13 a return to really strong growth: 40 percent last year,
14 in 2016, year over year, and this year tracking
15 nationally around that 30 to 40 percent number of
16 year-over-year growth. And that's really due to this
17 increasing number of vehicles that we're seeing on the
18 market from all of the different manufacturers.

19 Looking at Florida specifically and our
20 service territory specifically, these are the numbers
21 that we look at in terms of adoption. So if we look at
22 cumulative sales since 2011, you know, for the state at
23 the end of 2016 we were a little over 20,000. In our
24 Duke Energy Florida service territory roughly
25 3,700 sales over that time period. So these -- this is

1 registration data.

2 It's a bit of an estimate when we break that
3 down into our service territory exactly, but you can see
4 we have, you know, less than, you know, less than a
5 quarter of the total EVs in Florida, and that's just due
6 to things like the geography and kind of demographics of
7 our service territory.

8 Looking at the, the market share over time, if
9 you -- so on the right side there, that's the US average
10 if you strip out California, which is a bit of an
11 outlier at this time, and then compared to Florida
12 overall in the blue line, and then our DEF territory
13 there on the bottom in the green line. So what we're
14 seeing is, you know, still less than a half percent of
15 market share of new light-duty vehicles. Florida, on
16 average, is tracking closer to the US California --
17 ex-California average, and then our territory, we're
18 still a little bit behind there in terms of market
19 share.

20 **CHAIRMAN BROWN:** Isn't Senator Brandes in your
21 district?

22 **MR. REYNOLDS:** Indeed, yes.

23 **CHAIRMAN BROWN:** Just an observation.

24 **MR. REYNOLDS:** So in looking forward to the
25 future in our, in our current forecast, so this comes

1 from our forecasting group, and, you know, they do a lot
2 of the analysis on this, and our current forecast is
3 right around 150,000 EVs over the next 15 years, you
4 know, to 2030. So if we think about what that means in
5 terms of a peak impact, peak demand impact, we're
6 estimating about 60 megawatts right now on the summer
7 peak. So it's well within our reserve margin.

8 And I would caution that there's a lot of
9 uncertainty around this number. This is definitely a
10 moving target as we see the forecast shift and adoption
11 patterns change. So predicting out to 2030 is, is
12 pretty difficult, but this -- Commissioner Polmann, to
13 your question earlier about order of magnitude, this is
14 designed to get at that question about, you know, what
15 does, what does it mean to have 150,000 vehicles on the
16 system.

17 **CHAIRMAN BROWN:** Lang, what are you -- what is
18 Duke doing to invest in EVs?

19 **MR. REYNOLDS:** So we're doing -- I'll get to
20 that a little bit later, but I'll touch on a couple
21 of -- we have, as the Commission is aware, we proposed a
22 pilot which is in an open docket and will be discussed,
23 I understand, at a later date. So we've got the pilot.

24 **CHAIRMAN BROWN:** Good.

25 **MR. REYNOLDS:** We've also got a --

1 **CHAIRMAN BROWN:** You did good on that.

2 **MR. REYNOLDS:** We've also got the -- our
3 fleet, our own fleet cars that we purchased. So we're a
4 signatory of the EEI fleet electrification commitment.
5 And right now we're at 5 percent of total purchases. It
6 would be a lot higher if there were trucks and bucket
7 trucks and vans that were better options on the plug-in
8 side. But we do have all of our -- you know, all of our
9 new sedans that we're purchasing are all, all electric
10 now.

11 **CHAIRMAN BROWN:** Do you foresee that being an
12 option in the future?

13 **MR. REYNOLDS:** Uh-huh. On the truck side?

14 **CHAIRMAN BROWN:** Yeah.

15 **MR. REYNOLDS:** Yeah, definitely. There's a
16 company out of our Ohio service territory actually that
17 is called Workhorse, and they're making plug-in hybrid
18 trucks with 80 miles of electric range. So those are
19 coming on the market next year, and we're hoping that
20 some of the other larger OEMs follow them.

21 **CHAIRMAN BROWN:** I think that's great.

22 Commissioner Brisé? No? Okay.

23 **MR. REYNOLDS:** Just one last point on this
24 slide. So we are seeing this year just a huge increase
25 in customer inquiries around EVs. We have a group that

1 monitors these, and so we've seen, you know, over a
2 100 percent increase year over year in customer
3 inquiries around EVs.

4 As Brian mentioned, you know, the utility is
5 really one of the first places that people go when they
6 have questions about this, and so we're really trying to
7 develop, you know, a strong, you know, a strong book of
8 resources for them.

9 So looking at the question of future
10 regulatory considerations, you know, we agree with our
11 colleagues about the, the existing rates being well
12 suited to EV charging. So we have kind of a broad
13 variety of rates both on the commercial side. You know,
14 we have our, our time of use rate and as well as a
15 demand and a non-demand rate on the commercial side. So
16 we've got really a wide variety of rates that we feel
17 are currently well suited to EV charging. And we'll
18 continue to study that as we see adoption pick up and,
19 you know, really try to study if that needs to be
20 changed in the future.

21 We're doing a lot of -- load management is
22 really a big, you know, a big topic right now, thinking
23 to the future. As we've seen today, you know, this
24 question of what time the charging occurs has a big
25 impact on the cost of charging to the system. So along

1 with the fact that it's also a very flexible load, you
2 know, most people only need one or two hours of charge
3 to refill what they've driven during the day, and that
4 can occur over a 12- to 14-hour period of time when
5 they're home overnight.

6 So there's a lot of ability to manage that
7 load. And what that looks like exactly, you know, we
8 definitely need to do some work around figuring that
9 out. That's kind of a big -- one of the big topics in
10 our mind. And it's certainly conceivable that existing
11 mechanisms can accommodate those types of programs.

12 So, lastly, and to your point earlier just
13 thinking about the market and the types of work that
14 we're developing and analyzing and looking at bringing
15 forward in the future, you know, we see the barriers
16 really around awareness and infrastructure and cost. It
17 really echos a lot of what we've heard today already.
18 So this education outreach is really important, getting
19 out there and getting those resources to our customers.

20 On the infrastructure side, of course, we have
21 the pilot which I mentioned earlier. And then around
22 the cost, you know, this year we worked -- offered the
23 Nissan Leaf discount along with a lot of other utilities
24 to extend that to our customers, which was, you know,
25 really a good offer. I think FPL did it as well and a

1 name of other -- Gulf as well. So that --

2 **CHAIRMAN BROWN:** Are you going to continue
3 that?

4 **MR. REYNOLDS:** It expired for us at the end of
5 September. And we're continuing to talk with
6 manufacturers. If there's the ability to provide those
7 types of incentives or discounts in the future, it would
8 be great. Most, most of the companies with these new
9 vehicles, you know, they're not keen to discount a brand
10 new car.

11 **CHAIRMAN BROWN:** Right. The Tesla \$79,000
12 one?

13 **MR. REYNOLDS:** Yeah, yeah. Well, that would
14 be nice.

15 **CHAIRMAN BROWN:** Let's do it. Let's do it.
16 All right. Thank you, Lang, for your presentation.

17 **MR. REYNOLDS:** Thank you.

18 **CHAIRMAN BROWN:** Commissioners, any questions
19 of Mr. Reynolds?

20 (No response.)

21 All right. We're going to move to Kenneth
22 Hernandez, who's the program manager of Tampa Electric.
23 Mr. Hernandez, welcome.

24 **MR. HERNANDEZ:** Thank you, Madam Chair and
25 Commissioners. Thank you for inviting us today to, to

1 participate in the discussion. I was going to skip this
2 slide, but it dawned on me today that it's interesting
3 that this conversation for us is kind of coming back
4 full circle to us as a company.

5 Tampa Electric started almost 120 years ago,
6 and interestingly we were the service provider operating
7 the electric streetcar system in Tampa. So it's, it's
8 interesting that the conversation is coming back to us
9 as a utility revolving around electric transportation.
10 A bit of trivia.

11 **CHAIRMAN BROWN:** And the streetcar is still in
12 existence.

13 **MR. HERNANDEZ:** It is still in operation, yes.
14 It's operated by our local transit agency, so.

15 **CHAIRMAN BROWN:** Yes.

16 **MR. HERNANDEZ:** We got out of that business.
17 We just, we just provide the service.

18 So a little bit about the current EV
19 landscape. I'll talk about what we're doing as a
20 utility, and then to touch on the questions really that,
21 that I think are at the crux of this and its future
22 considerations from a regulatory perspective.

23 The current EV landscape admittedly, and we
24 can look at what the projections would have been when we
25 were, when we were here in 2012, admittedly they're,

1 they're lower than what we had expected, but we've
2 continued to see steady growth. Today we're over --
3 we're north of 2,000 vehicles in our service territory
4 and quite a bit of public infrastructure to support
5 that.

6 We think that the growth will continue to grow
7 and maybe even at a faster rate as more and more vehicle
8 manufacturers, as we've heard today, will continue to
9 offer a broader range of vehicles for consumers to
10 choose from.

11 From, from our own company perspective, you
12 know, a lot of what we do is from an education and
13 outreach standpoint. We've had to do some of that
14 internally as well as externally. But we continue to
15 work with our internal teams to, to look at ways to
16 incorporate electric vehicles into our fleet. One thing
17 that we're very excited about, and it's kind of been
18 talked about a little bit, is we've got five new plug-in
19 electric pickup trucks that are coming -- going to be
20 coming into our fleet later this year. And as a utility
21 fleet, that is more of a good fit for, for us from a
22 fleet perspective. So we're excited to see that kind
23 of, of offering into the market.

24 And then we've also installed our own internal
25 network of charging stations at our facilities to

1 support not just that fleet but also its joint use for
2 our employees that drive personal electric vehicles. It
3 gives them an opportunity to register their vehicle and
4 utilize those stations when they're not being used by
5 our fleet vehicles.

6 **CHAIRMAN BROWN:** So this Commission, I think
7 back in 2014, maybe 2015, approved a program with TECO
8 to go out in the schools and educate students on EVs.

9 **MR. HERNANDEZ:** Yes.

10 **CHAIRMAN BROWN:** Can you give us -- it's not
11 an open docket. Can you give us --

12 **MR. HERNANDEZ:** It's almost like you knew the
13 next slide that was coming.

14 **CHAIRMAN BROWN:** Oh, it is?

15 **MR. HERNANDEZ:** So, so aside from what we're
16 doing internally, externally there's a couple of things
17 that we're really excited about. The first one that
18 I'll touch on is, is an effort through our local transit
19 agency, Hillsborough Area Regional Transit. They have
20 worked with Tesla, TECO, and other business partners to
21 expand a hyperlink. It's almost like a ride share app
22 program that they have that takes their riders from
23 either their home or their, their business to one of
24 their transit centers or vice versa. So we've worked
25 with them through funding to expand that program to

1 include Tesla electric vehicles and the charging
2 infrastructure to support those vehicles. Those are
3 operating today in what they call the Innovation
4 District in Tampa. It's kind of a techy up and coming
5 area. So it's very appropriate that those vehicles are
6 there.

7 But I think it's kind of been touched on also
8 that it's interesting to see how public transportation
9 and transit agencies are looking for ways to adopt
10 electric transportation. This is a great example. And
11 then to what you were speaking about with regards to our
12 energy education program, we've expanded that program to
13 include hands-on electric vehicle driver training at
14 local high schools through the driver's education
15 program. And it includes funding that will provide one
16 vehicle for each of five schools, along with an EV
17 charger. We're preparing to launch at the first high
18 school that's just outside of Tampa, Bloomingdale Senior
19 High School, later this year, and then we'll be adding
20 four others for the next school year.

21 We worked with the University of South Florida
22 in developing the curriculum for that, for that program,
23 so that's really exciting. And really the crux of that
24 program is, you know, students, they're, they're exposed
25 to ways to conserve energy at school and at home

1 throughout their lives in school. This is just another
2 way that we can hopefully teach them that there's a way
3 to actually conserve energy behind the wheel of a
4 vehicle as well.

5 **CHAIRMAN BROWN:** Absolutely. I think it's an
6 excellent program. You know, we at the Commission teach
7 school -- students in schools about conservation and
8 efforts like that, and that's a nice component to add to
9 that discussion.

10 **MR. HERNANDEZ:** Yeah. We feel that it's a
11 very appropriate fit.

12 And then moving on to grid impacts, in a
13 nutshell what I would say is this: Is all the modeling
14 that we've done, you know, looking at a high
15 concentration of electric vehicles on our system, all of
16 that modeling showed that really there would be very
17 minimal negative impacts to our system. To date, and I
18 think to mirror what Brian had mentioned for FPL, we're
19 not aware of a single incident where an electric vehicle
20 has really caused a reliability issue on our system.

21 Even though we've, we've done that modeling
22 and feel comfortable with that, we have engaged with the
23 Center for Urban Transportation Research housed out of
24 the University of South Florida to expand on some of
25 that, to really look at what the impacts would be on our

1 system for not just wide -- more widespread adoption of
2 electric vehicles, but also DC fast charging and
3 expanded workplace charging offerings. Because we see
4 those as two areas that are going to continue to grow,
5 so we want to better understand that. And we'll, we'll
6 be interested to see what, what some of those studies
7 show as we continue to work with them.

8 And then really I think to the crux of it all
9 with regards to future regulatory considerations, I
10 mean, I think in the end we can all say, I mean, nobody
11 has a crystal ball. I mean, we don't know where it's
12 going. But we do feel that a lot of the discussion
13 about the regulatory considerations are going to revolve
14 around the evolution of this smart grid and everything
15 that it's going to entail.

16 So to just touch on a couple of things. I
17 mean, as a utility, we're going to continue to monitor
18 the expansion of, of the -- of our market to really
19 understand what kind of investments might be necessary
20 with regards to our, our grid, our system to support
21 that market specifically. But also another market
22 that's going to continue to grow in Florida is solar and
23 utility grid solar.

24 So we've heard some discussion now, and you
25 had asked about rates. Really from a rate perspective,

1 a lot of the discussion around electric vehicles will
2 often go back to on peak versus off peak charging and
3 what does that look like. We may just need to keep an
4 eye on as that percentage of our generation capacity in
5 the state continues to grow with more solar, do we need
6 to look at maybe leveraging on peak charging for those
7 electric vehicles to more so mirror the generation
8 capacity of those solar assets.

9 And then lastly, and, again, this has been
10 discussed as well, is vehicle to grid. That technology
11 exists today. From our standpoint, it's really just
12 having a better understanding of how we can leverage
13 that not just to benefit the utility, but also make sure
14 that we're, we're being mindful and benefiting the EV
15 consumer as well.

16 **CHAIRMAN BROWN:** Thank you, Kenneth.

17 Commissioners, any questions of Mr. Hernandez?

18 (No response.)

19 All right. Thank you for your presentation.

20 **MR. HERNANDEZ:** Thank you.

21 **CHAIRMAN BROWN:** Moving on to Foster Ware.

22 He's general manager of marketing and sales for Gulf
23 Power. Hi. Welcome.

24 **MR. WARE:** Thank you, Madam Chair and
25 Commissioners, for the opportunity to speak at the

1 roundtable this afternoon.

2 Gulf Power's presentation really consists
3 around three things: We're going to talk about existing
4 electric vehicle infrastructure within our footprint,
5 explore electric transportation activity at Gulf Power,
6 and then talk about long-term, short-term planning and
7 process.

8 So you've seen slides of, of where there are
9 chargers. We have approximately 68 charging points at
10 35 sites. About 20 percent of those are Tesla
11 destination charges. We've got a DC Fast Charger there
12 in DeFuniak Springs. But if you look at that
13 I-10/Highway 98 corridor, you do see some gaps, as has
14 been identified earlier. So while we do have some
15 charging, there are gaps around I-10 and that Highway
16 98 corridor that will need some additional
17 infrastructure.

18 Again, all these chargers are behind
19 customers' meters, they're customer installed, and the
20 energy is paid for on their electric service bill.

21 When we look at Gulf Power's electric fleet,
22 we've got 15 EVs across three OEMs. So mostly Chevy
23 Volts -- we took a Chevy Volt here today with some of my
24 colleagues and it performed well -- Nissan Leaf as well
25 as the BMW i3. Our EV fleet allows our employees to use

1 the EVs for business use. Our field engineers use
2 those, our lighting reps, our energy consultants. So
3 it's, it's a great opportunity for us to provide a
4 competitive alternative to gasoline vehicles which we
5 can experience from, learn from, and demonstrate to our
6 customers. You can see in the picture there they're
7 nicely wrapped, and those also provide for additional
8 conversations when we're out in the field.

9 Again, we've taken a look at electric fleet to
10 also include forklifts. So we're engaging in that, as
11 well as we have infrastructure to provide charging for
12 our fleet.

13 **CHAIRMAN BROWN:** Have you thought about the
14 educational component similar to Tampa Electric, getting
15 out in the schools and teaching folk, the students
16 through driver's education?

17 **MR. WARE:** You know, that's, that's a great
18 program, and I think we would certainly consider that.
19 You'll see in some of the -- the next slide, similar to
20 that -- you almost knew what the next slide was going to
21 be. We do have some education awareness that we've done
22 with civic groups, but certainly can include schools in
23 that moving forward.

24 **CHAIRMAN BROWN:** Thanks.

25 **MR. WARE:** So our transportation activities on

1 the EV side are really in three buckets: education and
2 awareness, project initiatives, and our pilot program.
3 And so we've had positive reactions with multiple
4 education awareness events. One in particular was our
5 "Cars and Coffee" event. So similar to what Peter
6 mentioned in the "Ride and Drive" at the state capitol,
7 we, in the Panhandle, had small groups of customers come
8 to local coffee shops and talk about EVs and got a
9 chance to ride in an electric vehicle. So a positive
10 response there around our education awareness.

11 In our projects and initiatives, I think a
12 great example of where Gulf is working with our federal
13 designation with the US Department of Energy and
14 Northwest Florida Clean Cities Coalition. So we are
15 working with our local transportation planning
16 organization, the West Florida Regional Planning
17 Council, as well as other gas and electric utilities and
18 municipalities that, that we serve to secure federal
19 grants and other opportunities to advance alternative
20 fuels in our service area.

21 And in that last bucket is our pilot program.
22 And we're excited about the opportunity to work with our
23 customers on our approved EV pilot program where we
24 believe it's a positive example of the, the flexibility
25 and engagement by both the Commissioners as well as

1 other stakeholders. It's really exciting for us to move
2 forward in that, that pilot project.

3 **CHAIRMAN BROWN:** Absolutely.

4 **MR. WARE:** From a grid reliability standpoint,
5 similar to the other electric utilities, we use industry
6 knowledge as well as EPRI data to, to evaluate our
7 adoption rates in our service area. And so we see the
8 EV charging being a gradual growth where a new load will
9 be evaluated and treated like any other major load
10 coming on to our system. We've estimated about
11 500 electric vehicles in our service area today based
12 off of EPRI forecast data. And we expect that there
13 will be around 120 to 190 electric vehicles over the
14 next decade. And so as we're looking at our short-term
15 and long-term planning process, those are the estimates
16 that we're taking a look at. And as was mentioned
17 earlier, a core competency for us is taking a look at
18 load and determining what the impact is going to be on
19 our system. And so we see minimal impacts based off of
20 the load growth for electric vehicle adoption.

21 And so, you know, finally from a regulatory
22 consideration standpoint, I mentioned in our
23 infrastructure pilot, you know, we see new pilot
24 programs that may emerge as certainly something that
25 we'll keep an eye on. And we appreciate the flexibility

1 of the Commission and other entities involved in
2 advancing the EV infrastructure in our service area,
3 particularly in the Panhandle of Florida.

4 **CHAIRMAN BROWN:** Thank you, Foster.

5 Commissioners, any questions of Mr. Ware?

6 (No response.)

7 Thank you for your presentation.

8 **MR. WARE:** Thanks.

9 **CHAIRMAN BROWN:** And last of the IOUs, but not
10 least, is Mr. Mark Cutshaw, who is director of business
11 development and generation for FPUC. Welcome, Mark.

12 **MR. CUTSHAW:** Thank you, Madam Chairman.
13 Thank you, Commissioners. I'll try to get through this
14 quickly because I could just say, "What they said," and
15 I think we're all pretty much on the, on the same
16 accord.

17 But first I want to go through this 20-minute
18 introduction to Florida Public Utilities, if I can
19 figure out how to --

20 **CHAIRMAN BROWN:** Advance it?

21 **MR. CUTSHAW:** Okay. There it is. I will
22 spare you the details on Florida Public Utilities since
23 I know --

24 **CHAIRMAN BROWN:** We know who you are.

25 **MR. CUTSHAW:** Yeah, okay. Unfortunately

1 Florida Public Utilities does not currently have any EV
2 charging programs. We're maybe late to the game. But
3 we are very interested in finding out how we can get
4 involved in this. We feel like there's a lot of
5 opportunities. We do have several customers that are
6 involved in that. We don't have any specific rates that
7 are specifically for EV charging.

8 We've also been in communication with a lot of
9 our local governments, and they're all asking for "What
10 should we do? How can we develop? Especially in our
11 resort areas, how can we make EV charging more
12 attractive to customers coming to our area?"

13 Currently our grid is minimally impacted by EV
14 charging. We're continuing to, to look at the, the
15 rates of EV charging, what's in our service territory,
16 what the state and the nation is doing, and we're
17 incorporating that into our modeling as we go forward.
18 So we're staying on top of it. But, like, as several
19 others have said, we don't see it being a significant
20 impact as, as you look at the entire grid.

21 A couple of concerns would be if customers put
22 in larger Level 3 fast-charging type installations, you
23 know, there would be some interaction with the customer
24 not only having to upgrade their facilities, but
25 depending on the location, it may be something that we

1 have to do with our system. But we don't see that being
2 a major impact.

3 One of the other things that we're lacking, I
4 think, is data in our service territory. Since we
5 really don't have any pilot projects, we've been relying
6 on others to give us that information. But we're very
7 interested in getting some pilot programs going so that
8 we can do that.

9 Another issue that we identified was what
10 about EV charging post-hurricane like we just
11 experienced? You know, I think one of the concerns and
12 issues to look at is where are these located and how do
13 we prioritize charging of EVs in comparison to other
14 critical type infrastructure? But I think FPU is, is
15 well positioned to handle this as we go forward.

16 Just to step out on a limb just a little bit,
17 one of the things that we --

18 **CHAIRMAN BROWN:** I thought you just did.

19 **MR. CUTSHAW:** I'm going to step a little
20 further out. From our perspective, we think that the
21 Commission is something -- is a group that should stay
22 very involved in EV charging, all aspects, whether it be
23 ratemaking or service to the charging stations, because
24 from FPU's perspective, we feel like as we move forward,
25 especially on the larger public type, you know, our

1 involvement in those is something that we think would be
2 very, very attractive.

3 Another issue that we want to throw out there
4 is, you know, the sale of electricity typically is done
5 by public utilities. And when you do have EV charging
6 and you have a charger selling something to a customer,
7 is that electricity or is that a charging service? So
8 it's something I think -- a debate that we as a group
9 need to make sure we, we have.

10 And I also think that in the EV charging
11 arena, since utilities are a focal point of some of
12 that, I think the utilities' involvement is important
13 because of the grid integration that we can provide. We
14 feel like we can help those markets develop
15 appropriately so that we ensure that the customer
16 benefits and that we utilize the systems as best we can.
17 Any questions?

18 **CHAIRMAN BROWN:** Thank you, Mark, and I
19 appreciate your candor.

20 Commissioners, any questions?

21 (No response.)

22 Thank you. Well, that, that wraps up our
23 IOUs, but we do have, last but not least, Linda Ferrone.
24 She's vice president of strategy sustainability and
25 emerging technologies from Orlando Utilities Commission.

1 She's sitting right next to Cayce Hinton over there and
2 David Byrne. Hi, Linda.

3 **MS. FERRONE:** Hi.

4 **CHAIRMAN BROWN:** Thank you for joining us.
5 Can you make sure, Cayce, that her button is -- there
6 you go.

7 **MS. FERRONE:** There we go. Madam Chair and
8 Commissioners, thank you for having me here today
9 representing OUC. I could also say, "And so on and so
10 on." I think a lot of the conversation is the same, so
11 I'll try and just hit the points that really differ, I
12 think, from, maybe from a municipality perspective.

13 Let's see if I can get this moving. Oh, there
14 we go. I figured out how to go backwards. That was
15 fast.

16 **CHAIRMAN BROWN:** And we're done. Thank you,
17 Linda.

18 **MS. FERRONE:** I know we can't go backwards.
19 We'll see them in reverse. You can stop there. Okay.
20 So which one am I hitting? Where you see the reliable
21 one. The next one, next one.

22 Okay. There we go. You know who OUC is, so
23 I'll skip this page. Oh, okay. That's what I wanted to
24 get to. Okay. So we've seen these maps for some of the
25 other folks. So obviously that's Central Florida, and

1 there are a lot of dots on there and we're very proud of
2 that. You know, we, we had the chance to -- we were
3 selected as one of nine utilities with the DOE grant
4 back in 2010, and, you know, we took advantage of that.
5 But I'll tell you, it was a challenge actually and we
6 didn't meet our goal of even charging -- of getting
7 installed the 300 that we had got through the grant. We
8 got installed something more like 200. And I'll come
9 back to why that was a challenge for us.

10 So we're proud of the progress that we made,
11 but we were surprised to find how difficult that was.
12 So you can see a nice map there. There is a good, there
13 is a good system in Central Florida. All the way down
14 the lower left, that's the parks and resorts area, which
15 is an important part of the picture for Central Florida,
16 and it really kind of follows I-4 all the way up to the
17 top, which is the Sanford area.

18 Our programs and incentives, we, we did that
19 big push in 2010 and it was difficult. So it wasn't
20 something that we kept on the front burner, I have to
21 say. We decided, during our strategic planning earlier
22 this year, to bring it back to the front burner, and so
23 I was thrilled when this opportunity came along. And it
24 seems like this big groundswell is coming, the public --
25 or the APR announcements keep coming, and so we think

1 the timing is really good.

2 So we're getting ready to launch our next
3 offering, which is an "Own It, Charge It" for commercial
4 EV services. So we want to leverage what we learned
5 from 2010 into this offering.

6 So you can see there's two purchasing options
7 there. One is a leasing option where OUC would own
8 everything. We'd operate, maintain all the equipment.
9 And there's a turnkey opportunity there where OUC would
10 procure and install the equipment for the customer. So
11 we've been having some roundtables with customers to get
12 their perspective on how those would work for them. So
13 we're excited about that.

14 The rebates that you see there, we're not sure
15 that rebates are a big driver in this market actually.
16 So, you know, we offer rebates. Obviously people take
17 advantage of them. We just don't know that that's the
18 best way to incent people. So I'll keep going to what
19 we see as the challenges.

20 **CHAIRMAN BROWN:** Yes.

21 **MS. FERRONE:** Yes. And I'm just going to
22 speak to it in a moment. Okay. All right. I'm going
23 to set that down. Handing it to you.

24 So a lot have said the things that are on this
25 page already: Where do you charge it? When do you

1 charge it? Who decides that?

2 You know, I think for us the role of the
3 utility in that is making sure that our electricity is
4 reliable and people can charge when they need to charge.
5 So that means the infrastructure is where it needs to be
6 when, and it's available when, and there's not long
7 lines, as people have talked about, you know, things
8 like that. So we've talked about time of use rates,
9 we've talked about all those things, but it certainly is
10 a challenge.

11 I think the challenge that we see in there is
12 we struggled -- the second bullet point there, we
13 struggled to give these things away. And, you know, I
14 know that's, that's kind of the first time -- it hasn't
15 kind of come up, but no one said it quite so clearly,
16 like, we really struggled to get those that would -- the
17 location owners to take free. There's still
18 installation costs. They're still giving up a parking
19 space. There's safety concerns, liability concerns.
20 There's a number of things that location owners put up
21 as barriers.

22 So, you know, we really cashed in a lot of
23 chips with our biggest customers to get the 200 rolled
24 out that we got rolled out. So those are with the City
25 of Orlando, they're with the airport, they're with the

1 hospitals, they're with some retails, they're with some
2 hotels.

3 **CHAIRMAN BROWN:** So, Linda, being with --
4 being a municipality and having the ability of having
5 the local government be your partner --

6 **MS. FERRONE:** Right.

7 **CHAIRMAN BROWN:** -- from a, from a different
8 arm, has OUC or the City of Orlando, have they developed
9 codes or ordinances to incentivize, you know, investment
10 in EV, whether it's through parking requirements or some
11 type of development codes? I'm just curious what the
12 City has done since OUC has been very receptive to
13 deployment of the EVs.

14 **MS. FERRONE:** Yeah, they have not. We're
15 talking about it again, though. The City of Orlando has
16 a green works program, and smart transportation is one
17 of those as is just electricity inefficiency, not to
18 mention smart city and autonomous vehicles are, are kind
19 of a burgeoning topic there as well. So I think that
20 topic is coming back around. That's something that
21 we've just started pushing for again, and they've been
22 somewhat receptive.

23 **CHAIRMAN BROWN:** Thank you.

24 **MS. FERRONE:** So stay tuned on that one.

25 Yeah. I think the only other point that I'll

1 make on here, there's so much changing in this area.
2 Someone asked, "What's the right time?" I forget which
3 of the Commissioners asked that. What's the right time
4 to buy? You know, what's the right time? It's not just
5 from a consumer standpoint, but our customers are also
6 all these commercial places where we're installing
7 these. They're also trying to figure out what's the
8 right time to install these.

9 So I think from a, just a Florida perspective,
10 if there's a story that we can get out there to help
11 them over that hurdle, because it's a chicken and an
12 egg. It's completely a chicken and an egg. But if we
13 can help more get into that early adopter bucket that
14 Britta Gross was talking about, it will help us turn the
15 tide. So as many dots as we have on that map, it still
16 is very much the early adopters.

17 **CHAIRMAN BROWN:** Thank you, Linda.

18 Commissioners, any questions for OUC?

19 (No response.)

20 **MS. FERRONE:** Thank you.

21 **CHAIRMAN BROWN:** Thank you for coming up here.

22 We have two other folks here today who -- my
23 understanding is that they do not want to give
24 presentations. It's David Byrne, who's assistant
25 general manager, electric system integrated planning for

1 the City of Tallahassee. Or maybe you want to give
2 remarks.

3 **MR. BYRNE:** Thank you, Madam Chairman and
4 Commissioners. I do have a few remarks, if you would
5 give me a couple of minutes without a presentation.

6 **CHAIRMAN BROWN:** Sure. Now is the time.

7 **MR. BYRNE:** But I did -- as, as an intro, I
8 was noting a little bit on the internet that if you go
9 searching for electric vehicle charging, and I looked
10 around in the Tallahassee area, they sure are all over
11 the place on the internet now. So that's a good thing.
12 And what I found was that pretty much all the spots that
13 I was familiar with in town come up on just about
14 everybody's, and there's about a half a dozen different
15 websites that are giving information about that right
16 now.

17 But it's kind of exciting because I think that
18 there's obviously enough interest in people wanting to
19 know where EV charging is that it's out there on the
20 internet now and folks are supporting it from that end.

21 And generally, from the City's perspective, we
22 do support EV technology, and we look forward to the
23 expansion of electric vehicle use among our citizens
24 and, and the, the benefits that EVs could bring to our
25 citizens.

1 As a system planner, which is what I do for
2 the electric utility, I just wanted to mention that
3 we're certainly looking at electric vehicle development
4 as it impacts the electric system. We don't see
5 electric vehicle charging as anything that's going to
6 create any bulk electric system issues any time in the
7 near intermediate term planning horizon, but we do
8 recognize that, and this was mentioned, I think, a
9 couple of times already, that the distribution system
10 for our individual customers that are charging,
11 particularly if there are some pockets of charging in
12 one area or another, that there may be some issues that
13 have to be addressed. And our engineering team is
14 available to work with folks on our electric system to
15 help with resolving any of those issues.

16 Also, we do include the expansion of electric
17 vehicles as part of our annual load and energy
18 forecasting process, and so to the extent that that does
19 have an effect in our system, we include those as part
20 of our plans towards expanding the electric system to
21 meet the needs.

22 Also we do have a -- we want to mention that
23 we have a rate that we support customers with. We have
24 a nights and weekends rate that gives a nice discount to
25 the regular rate for off peak charging. So folks that

1 do have an electric car could take advantage of that by
2 simply bringing their car home in the evening and
3 charging it overnight.

4 One of the things that I think is going to be
5 among the better opportunities for EVs is -- and
6 charging locations is looking for what I call long-leave
7 parking areas, things like shopping malls, movie theater
8 areas, some other -- and parking garages where people
9 are going to leave their cars for an extended period of
10 time. It seems to make sense that people might want to
11 recharge a car, if it's going to take 20 minutes up to
12 an hour to get a reasonable additional charge, you're
13 going to want to be there for a little while, and that
14 makes sense.

15 Also I think that we want to try to minimize
16 the investments in payment processing. And I don't mean
17 by doing less of this, but what I mean is by taking
18 advantage of systems that are already in place. For
19 instance, there's a parking garage operator in
20 Tallahassee that operates garages all over the country,
21 and they have in place a payment system in some of their
22 other parking garages that manages charging of EVs. If
23 those garages in Tallahassee want to incent people to
24 park in there with their EV, I think that they should
25 get on with a -- with an existing payment processor to

1 enable those, those systems and to work efficiently that
2 way.

3 And, finally, I want to mention that we talked
4 about how EVs in effect -- Kellen from the EEI at the
5 beginning was mentioning how electric utilities are
6 starting to reduce their overall carbon emission and in
7 comparison to the transportation industry seeming to be
8 able to take some of that opportunity from the
9 transportation and move it into the electric utility
10 area.

11 The City of Tallahassee is in the process of
12 installing 60 megawatts of photovoltaic solar farms on
13 our system, on our 600-megawatt system. So about
14 10 percent of our load will be served from solar in a,
15 in a couple of years. We think that brings an
16 opportunity for those who really wish that
17 transportation could be fueled with clean energy. We're
18 bringing that opportunity to our customers too.

19 **CHAIRMAN BROWN:** Thank you, David, for your
20 presentation or comments.

21 Mike, I'm not even going to try to pronounce
22 your last name.

23 **MR. BJORKLUND:** Well, I don't know why, Madam
24 Chair. It's so easy. It's Mike Bjorklund, ma'am, and
25 thank y'all for letting us be --

1 **CHAIRMAN BROWN:** Can you say that last name
2 again?

3 **MR. BJORKLUND:** Bjorklund.

4 **CHAIRMAN BROWN:** Bjorklund. The J is silent.

5 **MR. BJORKLUND:** Yes, ma'am.

6 **CHAIRMAN BROWN:** Okay. Thank you. And he is
7 general manager of FECA.

8 **MR. BJORKLUND:** Yes, ma'am. We thank y'all
9 for letting us be here today. We don't really have a
10 whole lot to report on the electric vehicle situation.
11 When we reached out to our members and asked them for
12 the information on what they were doing with it, we just
13 haven't seen a wide proliferation into our service
14 territories as of yet. However, if our member owners
15 are interested in it, so are we. So as it begins to
16 grow, we'll be looking forward to dealing with it and
17 trying to make sure it's integrated properly.

18 **CHAIRMAN BROWN:** Excellent. Thank you, Mike.
19 Commissioners, any questions of any of the
20 panelists who are here today before we wrap up the
21 presentation portion?

22 (No response.)

23 Seeing none, we are going to open up comments
24 to the public. And if there is anybody in the audience
25 who would like to speak to us, we have a lectern up here

1 that you can more than willing. But first we have
2 someone on the line who I believe has been listening in
3 and waiting to, to speak. His name is Chris King. He
4 is the global chief policy officer of Siemens Digital
5 Grid, and he has called in. And, Mr. King, are you on
6 the line?

7 **MR. KING:** I am.

8 **CHAIRMAN BROWN:** All right. Mr. King, you've
9 got three minutes. If you could wrap up your comments
10 for us, we are all listening.

11 **MR. KING:** Thank you, Chairman Brown and
12 Commissioners, for letting me participate by phone.

13 I wanted to mention that Siemens is a German
14 company, of course, that employs actually over 50,000
15 Americans, including over 4,200 in Florida. And in the
16 charging space, we've actually shipped over 100,000
17 chargers globally.

18 I'd like to hit on five points quickly. One
19 is we have focused most of the discussion today on the
20 public charging at 20 percent of the charging,
21 80 percent of our discussion. I'd just like to
22 highlight that 80 percent of the charging is at home,
23 and utilities can play a major role here in making it
24 lower cost and easier for residential customers.

25 And there's San Diego Gas & Electric who's had

1 their proposal now in California that I'd urge you to
2 take a look at that would greatly reduce the cost.

3 The second point on the market, this is a
4 nascent market. It needs help. Can we urge a broad
5 strategic comprehensive approach that is open to all
6 participants who can offer their skills and capabilities
7 to the market? It should be -- we believe it should be
8 competitive and that the utilities should be allowed to
9 participate in that market.

10 A third point on the grid, we see a modernized
11 grid as foundational for transportation electrification
12 at scale. If you -- most of what we've heard is very
13 little impact. But as we look further out, if you have
14 50 percent of penetration of EV and you don't manage
15 your charging, you would actually need double the grid
16 capacity. Now that's not going to happen because we
17 know it's going to be managed. But that's an important
18 feature.

19 The fourth point is on standards. We've
20 talked a little bit about that. One we haven't talked
21 about is payment standards. We're strong advocates for
22 open standards generally. And one of them is that
23 consumers should be able to come up to any public
24 charging station, be able to pay for charging in an open
25 standards fashion. And this applies to data access and

1 data protocols as well.

2 And then my final point is around this pricing
3 we've talked about. Tallahassee mentioned the GOU rate.
4 If you look at the average cost of electricity in the
5 US, it equates to -- it's 11 cents, which equates to 93
6 miles per gallon per car. If you go with the 6-cent off
7 peak rate that Tallahassee has, that turns it into
8 171 miles per gallon.

9 So, first of all, it's very exciting. We're
10 not advocating new rates in addition to the rates that
11 are out there, but we are suggesting that what you can
12 do is use smart chargers that have metering built in to
13 charge those rates. That way someone can put their EV
14 on that GOU rate and not have to put the rest of their
15 house on the GOU rate and get the benefit of those low
16 costs. And there are some pilot programs going on
17 around the country that are looking at doing that
18 sub-metering approach.

19 So, again, thank you for giving me the
20 opportunity to comment, and I'd be happy to answer any
21 questions.

22 **CHAIRMAN BROWN:** Thank you, Mr. King.
23 Those -- I appreciate you calling in and listening in
24 and providing those comments to us and offering those
25 points to look at.

1 Commissioners, any questions of Mr. King?

2 (No response.)

3 Okay. Thank you.

4 Now we are open to public comment.

5 Who are you?

6 (Laughter.)

7 **MR. KELLY:** Good afternoon, Madam Chair,
8 Commissioners. And since this is a roundtable -- I'm
9 sorry. J.R. Kelly with the Office of Public Counsel.

10 Since this is a roundtable, I just wanted to
11 ask, and I'll throw it out to anybody who wants to ask,
12 how did the Irma -- Hurricane Irma affect the operation
13 of, of EVs? I just thought about the customers that
14 might have been out of power for multiple days, from
15 that aspect.

16 Number two, the resiliency of the equipment.
17 I was just curious. I see them standing up a lot of
18 times, it's just one pole. And I was just curious, did
19 the wind affect any of those stations and so forth? And
20 so I'd just throw it out.

21 **CHAIRMAN BROWN:** Thank you, Mr. Kelly. And I
22 was thinking the same thing, and I was thinking that we
23 were going to ask those questions during -- in the
24 hurricane docket.

25 **MR. KELLY:** Okay. I didn't know if these

1 other people are going to be there, so --

2 **CHAIRMAN BROWN:** Okay. Mr. Hetrick, do you
3 think it's appropriate?

4 **MR. HETRICK:** I think you have all the
5 Commissioners here. It's a publicly noticed meeting.
6 You can comment on -- respond to that question.

7 **CHAIRMAN BROWN:** Okay. I'm going to go to the
8 utilities first, rather than the providers. So we'll
9 just start with FPUC. I think you alluded to it in your
10 comments. So, Mark.

11 **MR. CUTSHAW:** With our limited number of
12 chargers, we didn't experience any issues.

13 **CHAIRMAN BROWN:** Foster?

14 **MR. WARE:** We didn't have any issues as well.

15 **CHAIRMAN BROWN:** Kenneth.

16 **MR. HERNANDEZ:** We had no issues with any of
17 our company-owned charging infrastructure, nor are we
18 aware of any issues with customer-owned.

19 **CHAIRMAN BROWN:** Thank you.

20 Lang.

21 **MR. REYNOLDS:** We're also not aware of any
22 particular issues with that.

23 **CHAIRMAN BROWN:** Brian.

24 **MR. HANRAHAN:** Same, and no issues with our
25 company-owned 180 or so chargers.

1 **CHAIRMAN BROWN:** Okay. David, if you want to
2 add anything. Patrick, Britta, Peter, Kellen.

3 OUC?

4 **MS. FERRONE:** No issues.

5 **CHAIRMAN BROWN:** Tallahassee.

6 **MR. BYRNE:** No issues.

7 **CHAIRMAN BROWN:** And FECA.

8 Okay. Mr. Kelly, would you like to provide
9 anymore comments?

10 **MR. KELLY:** No.

11 **CHAIRMAN BROWN:** Okay. Any further public
12 comment?

13 **MR. ASHLEY:** Hi. Tom Ashley, VP of policy for
14 Greenlots.

15 **CHAIRMAN BROWN:** Hi.

16 **MR. ASHLEY:** Hi. I just wanted to thank you,
17 Chair Brown and Commissioners, for kicking us off with
18 this process. As Britta alluded to earlier, you know,
19 it kind of comes around every now and again, but I think
20 we all recognize that it's here to stay.

21 Greenlots is an EV charging software and
22 services firm. I would just note that in respect to
23 Kellen, we think that the adoption curve for EVs is
24 going to be significantly sharper than what was offered
25 in the presentation earlier. But we do recognize that

1 charging infrastructure, the availability, the
2 reliability of it really is the number one barrier from
3 our standpoint to that level of adoption. And so there
4 may be a handicapping of those adoption curves based on
5 projections for installation of charging infrastructure.
6 Greenlots is just excited to work with the Commission,
7 with the utilities, and other stakeholders to see how we
8 can move this market forward fast.

9 **CHAIRMAN BROWN:** Thank you. Thank you for
10 your comments.

11 Commissioners, any questions?

12 (No response.)

13 Seeing none, thank you.

14 If there's nobody else -- oh, there we go.

15 **MS. LARSEN:** Good afternoon, Commissioners.
16 Thank you for the opportunity to provide brief comments
17 today. My name is Dory Larsen. I'm the electric
18 vehicle program associate with the Southern Alliance for
19 Clean Energy, and we're pleased that the Commission is
20 evaluating this important issue.

21 We support, we strongly support utility
22 electric vehicle initiatives and policies and hope that
23 the Commission will encourage additional programs in
24 Florida.

25 The industry is rapidly growing. More and

1 more drivers are switching to electric because of the
2 convenience and money-saving benefits of these vehicles.
3 Nearly every automaker -- nearly every auto manufacturer
4 has announced plans for the manufacture and sale of an
5 EV by 2020, and with this expected growth, Florida and
6 the Florida utilities need to be prepared for these
7 vehicles and play a role in the process.

8 External funding such as that from the
9 Volkswagen settlement is available to help with charging
10 infrastructure deployment, but utilities need to
11 aggressively step up with their own charging
12 infrastructure programs.

13 Southern Alliance for Clean Energy supports
14 utility investment and installation of charging
15 infrastructure at all levels as they will serve a
16 different role and benefit for customers and the utility
17 companies. These investments can result in more off
18 peak energy sold, helping reduce rates for all
19 ratepayers, and the additional load can make more
20 efficient use of existing utility assets, which along
21 with off peak charging can put downward pressure on
22 rates.

23 EVs also offer the benefit of load control in
24 which consumers would allow the utility to turn off or
25 on charging to reduce load during peak demand. EVs can

1 also make integration of renewable energies easier as
2 their load can be moved around to match demand needs.

3 Because of these benefits, utilities should be
4 allowed to recover the costs of these assets as they
5 benefit all customers. For any utility charging
6 infrastructure deployment however, the utility should
7 ensure that it actually reflects driving behavior. As
8 we've heard today, most EV charging occurs at home,
9 followed by the workplace where vehicles often sit for
10 long periods of time.

11 Deployment should reflect these needs. Beyond
12 the home and workplace, the utilities should consider
13 faster charging options along major corridors in the
14 state. Utilities should also play a large role in
15 education and outreach to consumers. As we heard, more
16 than 60 percent of US drivers are unaware of what an
17 electric vehicle is. And utilities should welcome the
18 opportunity to educate power users regarding charging
19 during off peak times and not during peak demand and
20 evaluate effective new rate design programs. By
21 participating in the education of consumers, it will
22 expedite the adoption and allow the benefits to be
23 recognized more effectively.

24 In addition to these brief comments, SACE
25 welcomes the opportunity to discuss them with the

1 Commission and staff in more detail. And we also want
2 to invite you to join us for a regional conference that
3 we will be having next month called "EVs in the
4 Southeast Grid" on November 15th and 16th. We are
5 hosting this conference in partnership with one of the
6 Georgia Public Service Commissioners and would welcome
7 your participation. Thank you.

8 **CHAIRMAN BROWN:** Thank you so much for your
9 comments.

10 Commissioners, any questions?

11 (No response.)

12 Seeing none, thank you again.

13 Is there anybody else from the public that
14 would like to address the Commission on this topic?

15 (No response.)

16 Seeing none, that will conclude our public
17 comment portion. And I want to thank you all for your
18 participation and patience through this roundtable
19 discussion. If you would like to provide additional
20 comments in writing or if there's anyone who wasn't able
21 to join us today, we will be accepting written comments
22 on electric vehicle charging infrastructure in Florida.
23 Please submit them to Ben Crawford at
24 bcrawford@psc.state.fl.us. We ask that you submit them
25 by November 17th, please. These written comments, along

1 with copies of all the presentations that we've seen
2 today, will be on our website in the near future.

3 And, Commissioners, if you have any closing
4 comments, now is the time to give them.

5 Commissioner Polmann.

6 **COMMISSIONER POLMANN:** Thank you, Madam
7 Chairman. There's been quite a bit of discussion here
8 among all of the presenters and reference to various
9 types of data. And I'm taking from those comments that
10 there's quite a bit of outreach to the EV owners at
11 various levels, and not that we should discuss this at
12 this point because we're about to close, but I'm simply
13 suggesting continued outreach and involvement with the
14 owners. I'm not quite sure, but you know how to engage
15 with the EV owners.

16 And I'm wondering how to answer questions as
17 simple as do they keep track on a daily basis how many
18 miles they drive? There was reference here from the
19 utilities about squeezing that last mile out of, out of
20 the battery. So I have no idea if everybody keeps track
21 of, of their use of the vehicle, how well they're
22 managing their battery use, and what is the level, and
23 how much charge do they need? What is their driving
24 distance on a typical day? How are they using that
25 vehicle? What is the high range use that they have?

1 And I just think all this type of information
2 would be very helpful as you look at your charging
3 station type and distribution within your service area.
4 And getting to the different types of vehicles that
5 you're trying to support, what is the primary use among
6 the owners? Is it just daily use commuting we're
7 talking about, you know, the typical passenger vehicle
8 in an urban area versus commuting to work, these types
9 of things.

10 And then the other side of it in terms of
11 developing the market and increasing the penetration,
12 we're talking about what needs to be improved with
13 regard to the grid. So a question: As the consumer
14 base grows, how do we engage that population to ask them
15 what do they think needs to be improved in the vehicle
16 charging network so that those folks can recommend EVs
17 to other buyers?

18 So these are just questions that have come to
19 my mind as, as I've heard the discussion here today, and
20 I just want to leave you with those thoughts. And I
21 really do appreciate all of you being here today. It's
22 been a very interesting presentation, and I thank you
23 for participating.

24 **CHAIRMAN BROWN:** Thank you.

25 Commissioners, any other closing comments?

1 I would like to commend all of you here today
2 for your efforts to help facilitate the development of
3 EV throughout the state of Florida. I do believe that's
4 where the future of transportation is heading, and so I
5 commend you all for coming here. I'm excited to watch
6 the market develop over the next few years.

7 I would like to ask our staff, in response to
8 the information that we've gathered today, to create an
9 update to our 2012 report, Mr. Hinton, that explains the
10 developments in the industry since the last report and
11 the current status of the EV and EV charging
12 infrastructure in Florida. And that report should
13 summarize the information that was presented today. And
14 any written comments, of course, would also be --
15 submitted over the next 30 days will be included in
16 there, as well as observations about the impact that EVs
17 will have on the utilities' grid.

18 This report should be presented to the
19 Commissioners at an Internal Affairs in the near future.
20 Got it? Many thanks.

21 So if there are no -- any, any other questions
22 or comments, the public, no further public comment, this
23 roundtable is adjourned.

24 Thank you so much. Safe travels.

25 (Proceeding adjourned at 4:29 p.m.)


1 STATE OF FLORIDA)
 :
2 COUNTY OF LEON) CERTIFICATE OF REPORTER

3 I, LINDA BOLES, CRR, RPR, Official Commission
4 Reporter, do hereby certify that the foregoing
 proceeding was heard at the time and place herein
5 stated.

6 IT IS FURTHER CERTIFIED that I
7 stenographically reported the said proceedings; that the
8 same has been transcribed under my direct supervision;
9 and that this transcript constitutes a true
10 transcription of my notes of said proceedings.

11 I FURTHER CERTIFY that I am not a relative,
12 employee, attorney or counsel of any of the parties, nor
13 am I a relative or employee of any of the parties'
14 attorney or counsel connected with the action, nor am I
15 financially interested in the action.

16 DATED THIS 25th day of October, 2017.

17
18
19
20
21
22
23
24
25


LINDA BOLES, CRR, RPR
FPSC Official Hearings Reporter
(850) 413-6734