

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

DOCKET NO. UNDOCKETED

2022 HURRICANE SEASON
PREPARATION BRIEFING BY
FLORIDA ELECTRIC UTILITIES.
_____ /

PROCEEDINGS: COMMISSION WORKSHOP

COMMISSIONERS
PARTICIPATING: CHAIRMAN ANDREW GILES FAY
COMMISSIONER ART GRAHAM
COMMISSIONER GARY F. CLARK
COMMISSIONER MIKE LA ROSA
COMMISSIONER GABRIELLA PASSIDOMO

DATE: Tuesday, May 17, 2022

TIME: Commenced: 9:30 a.m.
Concluded: 11:30 a.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: DANA W. REEVES
Court Reporter and
Notary Public in and for
the State of Florida at Large

PREMIER REPORTING
112 W. 5TH AVENUE
TALLAHASSEE, FLORIDA
(850) 894-0828

1 APPEARANCES:

2 PSC Staff:

3 Penelope Buys

Lee Eng Tan

4 Matthew Jones

5

6 Florida Power & Light Company and Gulf Power Company:

7 Tom Gwaltney

8

9 Duke Energy Florida, LLC:

10 Todd Fountain

11

12 Tampa Electric Company:

13 Ed Mora

14

15 Florida Public Utilities Company:

16 Jorge Puentes

17

18 JEA:

19 Ricky Erixton

20

21 Talquin Electric Cooperative, Inc.:

22 Mike Grice

23

24

25

1 P R O C E E D I N G S

2 CHAIRMAN FAY: All right. Good morning,
3 everyone. I'd like to welcome you to the
4 Commission workshop on the 2022 Hurricane Season
5 Preparation.

6 Staff, will you please read the notice?

7 MR. JONES: By notice issued on May 6th, 2022,
8 this time and place has been set for a hearing.
9 The purpose of this hearing is more fully set out
10 in the notices.

11 CHAIRMAN FAY: Great, thank you Mr. Jones.

12 Commissioners, we -- this is our annual
13 workshop that we provide to essentially provide
14 information for us and staff. We will touch on
15 some of the storm preparation restoration process,
16 the customer and stakeholder outreach, vegetation
17 management, pole inspections, and some of the
18 lessons learned. To the extent possible, we'll
19 just remind the parties to stay away from any
20 docketed-related matters as it relates to their
21 presentation and their workshop today. And then
22 after each presentation, Commissioners, I'll allow
23 you to ask whatever questions of the presenter that
24 you would like.

25 And we have Commissioner Graham with us on the

1 line. So, Commissioner Graham, just inject at the
2 end of these presentations. If there's anything
3 you'd like to ask, feel free to do so.

4 So, with that, we will start with our first
5 presenter from Florida Power and Light, which is
6 Mr. Tom Gwaltney, the Senior Director of Emergency
7 Preparedness. Mr. Gwaltney, you're recognized.

8 MR. GWALTNEY: Thank you, Chairman. So I
9 appreciate, you know, being here today for the
10 workshop.

11 So, as you mentioned, my name is Tom Gwaltney.
12 I'm the Senior Director of Emergency Preparedness
13 for PL and NextEra. And this year really marks
14 some milestones, as well. Thirty years ago, this
15 storm season, Hurricane Andrew hit and devastated
16 South Florida, and even just as well as five years
17 ago with the Hurricane Irma coming through and
18 really affecting the entire state, except for the
19 Panhandle. So a couple of milestones this year.

20 So when you look at FPL, as a whole, with the
21 introduction now and total integration of Gulf into
22 our system in the Northwest region, we're now
23 serving up to 43 counties. You can see the number
24 of miles and then also, you know, over 1.4 million
25 poles. But one of the unique characteristics for

1 us is now we have over 600 miles of coastline that
2 we're responsible for in addition of our 5.7
3 million customers. Over 85 percent of them
4 actually live within 20 miles of the coast, so you
5 can understand how critically important is for us
6 doing this hurricane workshop.

7 As you mentioned, we're all going to be
8 talking on these -- you know, the storm
9 preparation, our customer communication,
10 vegetation, pole inspection, and also lessons
11 learned. So we'll jump right into it on the storm
12 preparation.

13 So, for us, it's really a year-round process.
14 We actually concluded our annual storm drill last
15 week, and it's actually a full week event. Every
16 employee at FPL actually has a storm assignment.
17 You may have your regular job, but everybody also
18 has a storm assignment as well. And this drill was
19 corporate-wide. We started on Monday with our
20 72-hour calls, et cetera, and we actually simulated
21 a hurricane affecting the Panhandle up in
22 Pensacola.

23 We actually engage many strategic partners. I
24 appreciate Commissioner Graham actually attended
25 along with the General Counsel of the Public

1 Service Commission, but we also included, you know,
2 the Florida Highway Patrol. We had many other
3 members of Homeland Security, et cetera, there, in
4 addition to EEI, trying to bring them all together.
5 You know, because whenever you have a storm
6 response, it's not just the utility, it's everybody
7 and all the strategic partners working together.

8 So in addition, you know, we've looked at a
9 lot of our technology improvements, as well. Some
10 of the things that we've done as far as our storm
11 damage model, every year we constantly upgrade and
12 tweak that to make it based on whatever the past
13 history was from the previous year. And, in
14 addition, we've introduced some new technology on
15 our -- what we have stormforce, which is kind of
16 taking a look at, you know, how we -- our resource
17 management tool, really upgrading that and bringing
18 it to a new level. We've actually taken three
19 different systems, bring them together into one to
20 make it much more efficient when we're actually on
21 the acquisition and allocation of those resources
22 during an actual event.

23 We conducted incident management training
24 workshops, and that's where we take our leadership
25 and we actually make sure that they understand

1 their roles for the storm season, because it's very
2 critical -- you want to make sure that when you
3 have an event that everybody is ready and they
4 don't have to go back and think about what do I
5 need to do. They already know and it's already
6 drilled into their memory.

7 And we look at mutual assistance. No utility
8 can handle a restoration event on their own. So we
9 really rely on each other. It really doesn't
10 matter what logo's on any of our shirts. We're all
11 in this together to get the lights back on and get
12 the people back up and running, get their lives
13 back to normal.

14 We're very active, as many of them are here in
15 the IOU's in the southeastern electric exchange,
16 EEI, and also the Florida Electric Coordinating
17 Group. A lot of these meetings -- we just recently
18 had our spring meetings, and just even within the
19 Florida Electric Coordinating Group, just a few
20 weeks ago, we had a virtual meeting, which went
21 extremely well -- you know, went extremely well.
22 And one of the events even from that was a share --
23 you know, how do we share resources? And, you
24 know, we provided all of our contract resources
25 with their names, contact numbers so that, you

1 know, in the event that they need some resources,
2 you know, they could actually even acquire some of
3 our contractors to help, as well, because they
4 already have contracts in place and it would help
5 them on the back end, you know, when they go for
6 recovery against FEMA or what have you. So really
7 working closely with all of our -- all of our
8 partners here in the utility industry.

9 Another item that's critically important right
10 now is just making sure you're ready for the storm,
11 not just from a resource perspective, because we go
12 and we get all of our contracts with our
13 contractors -- any of them that have actually even
14 been on our system done before storm season, we've
15 already got that done, but it's also even material.
16 And then also logistics, making sure all those
17 things are in place. And we have over 110
18 identified staging sites. We make sure all those
19 are good to go. We are contacting all of those
20 locations to make sure everything is still up to
21 speed. We actually have pre-planned logistics as
22 far as exactly where everything is going to be.
23 The actual layout of a staging site is already
24 pre-planned so that when we actually activate one,
25 we can get it up and running within 24 hours.

1 And then also with -- on the material side, we
2 actually had -- make sure that prior to June 1 we
3 can handle a category-four hurricane, so we make
4 sure we get the material up there. We know with
5 the supply chain issues, it's important to get
6 that, and we're continuing to make sure we have the
7 material necessary in the unfortunate event that we
8 do get, you know, have an event.

9 But moving into the customer communication and
10 stakeholder outreach, it's just as important on the
11 communications as it as a restoration event. You
12 got to make sure you're actually telling your story
13 and you're actually communicating with the
14 customers, so the customers actually understand
15 what's going on, when they can expect power, et
16 cetera. So -- and that is also another continual
17 process. We'll start before storm season and then
18 you'll see a lot more -- with the storm season
19 actually starting just a couple of weeks away here
20 at the beginning of June, you'll see a lot more
21 communication coming out for folks to be ready.
22 And then also you'll have the communications up to
23 an event and then during the event and then
24 post-event.

25 And one of the biggest things, it's the

1 estimated time of restoration. Within 24 hours
2 after a storm that leaves our property, we're going
3 to make sure that we have a estimated time of
4 restoration for the entire system. And then at 48
5 hours, we'll break it down into a county level.
6 And then within 72 hours, a sub-county level. And
7 that's as we get more assessments, we can give a
8 better idea. But we'll actually update those ETR's
9 throughout an event because you may -- even though
10 you may have an event that lasts five days,
11 somebody may be back on in two days. We want to
12 make sure that they understand, hey, you're going
13 to be back on in a couple days versus actually the
14 five days and just see a long-term. So as we know
15 and have more certainty, we make sure we update
16 that throughout the event.

17 And as -- you know, when I talk about the
18 communication, we use all forms of media, social
19 media, et cetera. We have our daily news
20 conferences, our press releases. But, you know, in
21 today's environment of the social media, that's
22 critically important and we make sure that we're
23 constantly monitoring all of those avenues and
24 pushing out that same information across all
25 channels for all, you know, customers.

1 In addition, we actually even have the
2 governmental portal website, as well, that we use
3 with our municipalities throughout the state so
4 they can understand and they actually have numbers
5 that would do. We also report to the state hourly
6 outage information, et cetera. So there's a lot of
7 reporting that goes out and we make sure that, you
8 know, that communication is continual and everybody
9 understand what the status is.

10 Continue on the communication piece. Another
11 important aspect is we meet prior to the storm
12 season with all the emergency operations centers of
13 all the counties we serve. We make sure that what
14 are the priorities of the county, and get about 20
15 percent of our main feeder backbones to understand
16 that they are our critical infrastructure that
17 feeds, like, their hospitals, 911 centers,
18 emergency operation centers, making sure all of
19 those -- what are the most important for that
20 county, for us to make sure that in the event that
21 they are affected, what do they want on first?
22 Because you can't -- everything can't be our
23 priority or nothing is. So we make sure we meet
24 with each of those counties, go over with them and
25 kind of agree to what those priorities are. And we

1 make sure that, you know, we're good to go there.

2 In addition to those emergency operation
3 centers during an actual event, we'll actually
4 house and give them crews right there. And if it's
5 safe to do so, actually have them, you know, harbor
6 with the -- at that emergency operation center. So
7 that may immediately, after a storm passes, we can
8 have those crews help with the county where they're
9 going and they're clearing roads and possibly to
10 move lines, make things safe for the public. So
11 that's another important thing that we do with the
12 counties immediately following an event.

13 We conduct over 1,000 presentations a year
14 where we go to homeowner's associations, school
15 boards, I mentioned the municipalities, businesses,
16 et cetera. So it's a constant event, you know,
17 event for us to go and communicate out to these --
18 to the different businesses and municipalities.

19 Also, in the area of solar, you know, we make
20 sure that we're communicating and get proper links
21 out there for the website to make sure that folks
22 that do have solar or battery backup systems, to
23 make sure they understand, you know, post-storm,
24 you know, the utilization of that and making sure
25 there's proper disconnection so that we don't have,

1 you know, electricity coming back on the grid, et
2 cetera, and how to safely manage their own
3 particular system.

4 Moving into vegetation management. We -- our
5 feeders maintain on a three-year cycle, and then
6 our laterals are on a six-year cycle. So last year
7 we trimmed over 13,000 miles of our feeders,
8 4,500 -- over 4,500 on a cycle, but we also
9 mid-cycled about 8,700 miles. And those are
10 actually going and taking a look at those and
11 hotspotting to see if there's any main issues right
12 before storm season, especially on our critical
13 infrastructure facilities, like your hospitals, 911
14 centers that I mentioned, to make sure those areas
15 are clear, and that we're not going to have some
16 incidental possible contact. You never can prevent
17 anything and with the windblown debris, but
18 whatever we can mitigate ahead of time, we're going
19 to make sure we take care of.

20 And then also in on the transmission side. We
21 inspect our right-of-ways more than twice a year.
22 We stay within the NERC-established requirements
23 and we make sure we're providing all those aerial
24 patrols pre-storm-season, as well, to make sure
25 we're good to go.

1 In the area of pole inspections, you know, we
2 maintain an eight-year cycle in our distribution.
3 We have over 1.4 million distribution poles out
4 there. So last year, we inspected over 178 --
5 almost 180,000 poles. You can see the majority of
6 them the wood, and then also some concrete, as
7 well.

8 And then on the transmission side, we do 100
9 percent annual inspection, and the wood are on a
10 six-year cycle and the concrete or steel are on a
11 ten-year cycle. It should be noted on our FPL side
12 legacy, we're down to less than 500 poles that are
13 still wood on our transmission. By the end of this
14 year, all of our -- on the FPL system, all of the
15 wood poles be transferred out to either concrete or
16 steel. On the former Gulf system in our northwest
17 region, there's about 5,000 transmission poles that
18 are still wood, and we're actively replacing those
19 to get back to -- you know, to get on our schedule
20 and to get them changed all out to wood and
21 concrete -- I mean from concrete and steel.

22 And then we take a look at lessons learned.
23 Whether we have an event or we go help another
24 utility, it's really important that you take a look
25 at, you know, what can you learn from these

1 different events. You know, even the events we
2 participated in last year, some of the key pieces
3 and takeaway are really the pre-staging of
4 resources, but also the materials, making sure you
5 get those materials to where they're needed. We
6 even saw this with other utilities, you know, in
7 the nation that we went to help support.

8 The use of non-traditional resources. One of
9 the things we've done is taken a look at some of
10 our underground resources. Although they can't do
11 some of the overhead work, they can do a lot of
12 these lower-level tickets when you talk about
13 transformers and service type work on the overhead
14 side. So we've really taken a look at those
15 resources and actually have moved them into doing
16 more of that type of work for us for an actual
17 event, which we think is going to really help
18 reduce the number of resources we may need
19 externally, but also get the lights on quicker, as
20 well. And we've seen some tremendous benefits, you
21 know, with our hardening, as we continue to do that
22 and work through that, as we'll have all of our
23 feeders hardened by the end of 2025.

24 And then when you look at mutual assistance
25 last year, we actually provided quite a bit of

1 mutual assistance last year, starting way back in
2 February with some winter storms. We helped Gulf
3 last year in April, Tropical Storm Henri. We sent
4 folks to the north. And then, of course, Hurricane
5 Ida, which hit into New Orleans and the whole
6 Louisiana area, which we sent quite a few folks and
7 a huge deployment there, as well.

8 And one of the big lessons learned that really
9 came out of really with COVID and the pandemic is
10 even though we traditionally have very large
11 staging sites, you'll see those, maybe 2,000-plus,
12 we've really moved to a lot more of what you want
13 to maybe call satellite sites, or micro sites,
14 where we can put fewer numbers of crews in a
15 smaller area. But the key is getting that more
16 into where the severe damage is so you don't -- you
17 don't have that travel time, so you can maximize
18 the productivity that those crews have and be able
19 to get out -- get to the locations quicker and get
20 the rest of -- you know, get the lights on even
21 faster. So that's one of the big -- one of the
22 lessons learned. We even came out of, you know,
23 COVID, inadvertently, by coming into those smaller
24 sites. You have more of them, however, they're
25 closer to the damage and getting them into the

1 pockets where maybe I can't get a big site, but
2 maybe I could get 150 people in an area, but I can
3 maybe get that neighborhood on a lot quicker by
4 having those folks right there versus having them
5 travel maybe 20 or 30 minutes to get to that site.
6 Those are the type of things that really came out,
7 were very helpful for us.

8 And that concludes the presentation. And
9 happy to answer any questions.

10 CHAIRMAN FAY: Great. Thank you, Mr.
11 Gwaltney. Commissioners, I will take any questions
12 on this presentation.

13 With that, I might have a few for you. If you
14 wouldn't mind, I'm going to reference your slides,
15 just to have kind of a basis of the question. On
16 slide seven, you mentioned the municipalities and
17 the government portal website. I'm presuming -- I
18 know you work with the state EOC, too. So are
19 there also state and federal portals that you're
20 able to submit information to, or are there other
21 methods that you provide that?

22 MR. GWALTNEY: So we do provide information to
23 the governmental portal website, which is
24 available, both the state and the local, but we
25 also have folks that are at the state EOC, because

1 a lot of times they may ask for additional or other
2 types of information, and we're providing that
3 information directly to them. We're actually on
4 site and we have a representative that sits in the
5 ESF12 room right there at the EOC that we have
6 constant contact with, and any questions that come
7 up there, we're able to answer it and get that
8 information as soon as possible.

9 CHAIRMAN FAY: Okay. Great. And then on
10 slide 14 -- well, actually, I'll go to slide 12
11 first. You had some information here about the
12 pole inspection. This might be more towards the
13 pole process than necessarily the hurricane
14 preparation, but is there -- I know you have the
15 incorporation of a lot of drones and other
16 technology to try to create efficiencies in these
17 poles. I know there's a lot of technology. For
18 example, now when I go to get my tire checked,
19 instead of putting something on the tire to measure
20 it, they just stick a digital device up against it
21 and it essentially tells me what's left on the
22 tire. Are there advancements in pole inspection
23 that create efficiencies and maybe allow us to have
24 a better idea of long-term, when these poles are
25 going bad?

1 MR. GWALTNEY: You know, we have our pole
2 inspection, and not so much maybe when the pole is
3 going bad because we're on that eight-year cycle,
4 but I guess when you're talking technology, one of
5 the things that we're actually piloting right now
6 are called pole tilt sensors where you can actually
7 put on the pole, and then it'll be able to tell us
8 that that pole is tilting more than 15 degrees. So
9 you can tell if a pole is severely leaning, or
10 maybe it's down. So it's -- just some of the
11 technology that we're looking at, we're trying out,
12 to understand -- you know, anything we can do to
13 get that assessment quicker and know kind of what
14 your damages is, you can be able to give quicker
15 ETR's and then also making sure you get the right
16 resources at the right place. So we're constantly
17 looking at those. But that's just one example of
18 some of the technology, when you talk about poles,
19 that we're looking at. It's not so much the health
20 of the pole, but actually, is there anything
21 different on that.

22 And then, you know, we're constantly looking
23 at -- you know, with the drones, and then even
24 possible satellite, you know, is there ways to go
25 and do change detection where you can actually

1 understand what your system looks like before an
2 event, be able to -- you know, whether it be drone
3 or some type of satellite or what type of coverage,
4 and then is there any way to do any type of change
5 detection? I mean, that's not something that's
6 fully implemented right now, but it's something
7 that we're going to and trying to move to, to where
8 you can get that information a lot quicker.

9 CHAIRMAN FAY: Okay. Great. Yeah, it seems
10 like that's -- that technology would be effective,
11 knowing preemptively what would be going down.

12 Just the last question for you. On your
13 mutual assistance, which is on slide 14, I know
14 that as a utility, FPL has a lot of experience in
15 restoration, and I think probably nationally
16 considered one of the best. I can't help but take
17 some concern in the reality that we want to help
18 everyone but that we sent -- I say we as the
19 state -- utilities sent folks to New York. Is
20 there a reason maybe, you know, as far as we could
21 be north and south on the east coast of the
22 country, that we would be sending people up to New
23 York for assistance?

24 MR. GWALTNEY: We will send people -- I guess
25 I'll back up a second. So we make sure that our

1 system and we're good to go. However, during an
2 actual event, if it's only affecting a certain area
3 of the country and they need -- they'll need
4 resources, we'll go help them, just like if we're
5 hit with -- like, you know, God forbid, like
6 another Andrew or even like with Irma, we have
7 resources from, you know, New England and stuff
8 coming down to kind of help support us.

9 So the beauty of the whole mutual assistance
10 agreements and piece is that we're all in it to
11 work together and we'll go wherever we can and
12 whatever makes sense. Just like for us, we're not
13 going to pull resources from that far away unless
14 we have no other closer resources and we actually
15 truly need those and it's cost effective. And,
16 likewise, I'm sure they're making that same. If
17 they could -- if they were hit significantly, could
18 not get those additional resources, you know, and
19 they said, hey, can you come help, then we would go
20 and help, you know, provide some support to those
21 utilities. So it's really a -- you know, a
22 brotherhood and sisterhood, we all work together to
23 help each other. And typically you won't go that
24 distance. Usually typically it will be in the
25 southeast, or even within the state, but it's, you

1 know, whoever needs it, just like what happened in,
2 you know, in Louisiana the last two years, kind of
3 reminds me of our '04 and '05 seasons. You know,
4 we're going to go help them, because we never know
5 when we're going to be in a barrel and we want to
6 make sure we're going to be able to get the -- be
7 reciprocated and get that support, as well.

8 CHAIRMAN FAY: And all those costs are borne
9 by the state that --

10 MR. GWALTNEY: Yes. All the costs -- the
11 mutual assistance, there's no burden to any of the
12 ratepayers. It all goes to the requesting utility.
13 So it's all costs, it includes benefits and
14 everything. So there's absolutely no hardship to
15 the actual by responding. They pay everything,
16 including the administrative benefit -- I mean, all
17 of it, vacation. All that stuff gets built into
18 that cost and then that utility requesting accepts
19 all the liability and all of the costs for that --
20 that support.

21 CHAIRMAN FAY: Great. Thank you. That
22 answers all my questions. Commissioner Clark.

23 COMMISSIONER CLARK: Would you even go so far
24 as to say that when you do have to send crews like
25 that, it actually reduces the cost to Florida

1 ratepayers because that expense for those employees
2 is now being borne during that time period by
3 another utility company.

4 MR. GWALTNEY: Yeah, if we sent FPL crews, it
5 could -- it could conceivably reduce some of the
6 costs.

7 COMMISSIONER CLARK: Just a couple of
8 observations. And last year during the report
9 there are three things that I keyed on. I want to
10 thank you guys for addressing those, in this
11 report, there are three things that are very
12 important to me, one of those being mutual aid.
13 But going a step further, we addressed last year
14 some of the concerns that had been brought up after
15 Hurricane Michael related to the ability of the
16 different types of utilities within the state to
17 offer mutual assistance, i.e., the crossover
18 between investor-owned cooperatives and municipals.
19 Has there been any progress made in terms of the
20 release of liabilities or the other issues that
21 were associated with performing work for those
22 other utilities where we had the sovereign immunity
23 issues and the liability releases?

24 MR. GWALTNEY: We're continuing to work on
25 that. We have not solved that full issue as of

1 yet. What we have done is -- I mean, like even us,
2 we have several agreements right now with, you
3 know, several municipalities. One of the big
4 things that, like I mentioned earlier, that in our
5 discussion we had as a group just a few weeks ago,
6 was on the contractor issue, and that's why I kind
7 of mentioned the fact of providing the list of
8 contractors with their contact information, because
9 that's a huge resource that's used during an actual
10 event. And it's not to say that that hasn't
11 happened, because I can tell you during many other
12 events, we've -- you know, and I'll speak for
13 FPL -- we've actually supplied contractors to
14 cooperatives and municipalities and so forth. So
15 there's not a non -- where there's not support.
16 However, that liability indemnification we're still
17 working on and looking for, you know, avenues to
18 kind of get that through. But as -- almost like I
19 said, it's almost that first step is making sure
20 that they have that information on the contractors
21 so they can have those contracts in place, and
22 it'll be very easy if I get a call from, you know,
23 municipality ABC, hey, I need and can you send me a
24 vendor X, and I can say, sure, here's 100 of vendor
25 X, and I could send that way. That way it's, you

1 know -- it'd be beneficial then.

2 COMMISSIONER CLARK: I just want to keep this
3 in the forefront of our minds, because when we do
4 have a disaster, these issues keep coming up and
5 people can't understand why we have folks that are
6 coming in from out of town when we have utilities
7 right next door that could be helping. I just want
8 to keep that kind of out there in front of
9 everyone, that it is something that we're working
10 on. It's not easily solved. I do understand that.
11 It's a very difficult issue to solve and we're
12 going to have to get around some of that sovereign
13 immunity issue, and maybe our legislature can help
14 us with that during these specific times. But I
15 want to keep that out front.

16 The second thing that I want to discuss is
17 the -- your EOC support. With the expansion of FPL
18 into the Panhandle, you've added a lot more
19 counties and a lot more coverage area. And I guess
20 my biggest concern is your ability to cover 43
21 counties, if we had a statewide disaster in terms
22 of the EOC support. I appreciate all the utilities
23 that have agreed to keep someone in the EOC during
24 times that it was activated. In my opinion, that
25 is absolutely one of the most important things and

1 one of the most important functions that we can
2 have is that liaison between the utility company
3 and the county, especially when it comes to --
4 early on during restoration periods, the ability to
5 respond to emergency situations, the ability to
6 make contact and have someone there that can get
7 and dispatch line crews to certain areas that are
8 needed in specific times is very, very critical, in
9 my opinion. And I appreciate all of you. I think
10 you all actually address this in your plans, but to
11 make sure that you have the resources on hand and
12 available, that's one of those areas where I'm
13 going to be looking for accountability, should we
14 have to activate a storm in the future.

15 And third, and finally, the other big thing
16 that was a focus of mine is the vegetation
17 management program. The aggressive cycles that you
18 guys are putting in place now, I think is some of
19 the best dollars that you can be spending. I know
20 they're hard, dead expenses, but from a
21 perspective, we have offered anything that the
22 Commission can do to assist you when it comes to
23 the battles that you face with the different
24 municipalities and the different territories
25 related to their vegetation management requirements

1 versus what is required and needed by utility
2 company during this time. I think that the
3 Commission is very, very interested in helping to
4 make sure that you guys have the resources you need
5 to handle those types of problems. So I appreciate
6 all of you addressing those, any potential issues
7 that you have in your presentations, as well.
8 Thank you, Mr. Chairman.

9 CHAIRMAN FAY: Thank you, Commissioner Clark.
10 Commissioner La Rosa, you're recognized.

11 COMMISSIONER LA ROSA: Thank you, Chairman.
12 Jumping into the EOC issue, or discussion -- not
13 necessarily issue -- on slide eight, you talked a
14 little bit about being incorporated within the
15 local counties. Does the counties, do they
16 influence the restoration process or the areas of
17 importance, you know, during a storm or after a
18 storm?

19 MR. GWALTNEY: I would not say -- they do not
20 influence the restoration process itself. Where
21 their influence, as I mentioned, is really on the
22 prioritization on what they -- what's most
23 important for that particular county. For example,
24 some counties say, hey, I need this jail, for
25 example, to be -- is one of my top priorities and

1 so forth. I mean, outside of your hospitals, 911's
2 and some of those. You know, there's usually
3 several other things that are very critical to that
4 particular county, and then those will be
5 introduced and added to the list for -- as a
6 prioritization for their, you know, their critical
7 facilities that they need up and running. So
8 that's kind of where their influence is, not so
9 much in the process itself, but more in that
10 initial group of priorities that's important for
11 the county to run.

12 COMMISSIONER LA ROSA: Excellent. Thank you.
13 I appreciate you saying it that way. I wasn't
14 intending that to be negative influence. I meant
15 to say, you know, prioritization. So, thank you.

16 A little bit related. Slide 14, you talked
17 about the -- kind of like the micro systems,
18 smaller groups and so forth. I guess, how do you
19 select those micro groups? And then is there
20 cooperation with maybe nearby territories or
21 municipalities?

22 MR. GWALTNEY: Yeah. There's a lot of
23 cooperation. We'll actually -- as I mentioned, we
24 have like 110 sites pre-identified, but in an
25 event, let's say something was to hit, let's say

1 Dade County for example, which is a pretty large
2 county, so we would actually, you know, have areas
3 where -- let's just say, Pine Crest, for example,
4 was significantly impacted. We would be looking,
5 working with that municipality. Is there some
6 place close where -- you know, we would look at our
7 substations. We have substations there and we --
8 usually has a little bit of property or something
9 we can do on some of our existing footprint, or is
10 there something we can work with the county to,
11 hey, is there a little park where we can put in
12 some mobile sleepers, life support systems, house
13 like 100 folks, let's say, and run like a small pod
14 out of that, a little team, for example. Those are
15 the type of things you'll do -- we'll do, and work
16 with the counties or municipalities rather, in an
17 event that we have that on those micro sites. I
18 mean, we have certain things that are
19 pre-identified, but you really don't know where the
20 damage is going to be until it happens, and then
21 that's when you can actually go and say, okay, I
22 need something here, do I have anything on our
23 footprint? If not, what can I work with the
24 municipalities and -- you know, it's a great
25 partnership, because you've been talking all along,

1 even before storm season. So when something
2 happens and you have somebody at the EOC said, hey,
3 we need something in this area, they said, what
4 about this, and then we'll be able to possibly
5 utilize that small piece of property and put a
6 small footprint, and whatever we could fit in
7 there, you know, to go help in that event. So
8 those micro sites have been really -- one of the
9 things we, you know, like I mentioned, as a lesson
10 learned -- a really -- a good thing for us, even
11 moving forward, that we've incorporated in our
12 overall plan.

13 COMMISSIONER LA ROSA: Thank you. And just a
14 last item, really more of a comment, but vegetation
15 management is also an important element to me. I
16 know that there's been recent changes in the law
17 over the last, you know, couple of years. And it
18 seems like, you know, there's been certainly
19 intention from all the companies as far as jumping
20 in front of that and not letting that become an
21 issue post-storm, you know taking care of that, you
22 know, pre-storm. So, again, if there's -- you
23 know, like Commissioner Clark said, if there's
24 anything that we could do from our side, I'm
25 certainly interested to hear more, to make sure

1 that there is as minimal thresholds or roadblocks
2 that are in the way to allow you guys to do what
3 you got to do when you identify problems, and
4 obviously, as well as letting homeowners know and
5 property owners know when there are problems or
6 things that they can take care of. So, you know,
7 thank you for that and I appreciate you guys
8 touching on that.

9 MR. GWALTNEY: Thank you, sir.

10 CHAIRMAN FAY: Great. Thank you, Commissioner
11 La Rosa.

12 Commissioner Passidomo, you're recognized.

13 COMMISSIONER PASSIDOMO: Thank you, Mr.
14 Chairman.

15 I just have a quick question, because it's,
16 you know, front line for all of us, really the
17 supply chain issues. And are you having any
18 concerns about buying pre-staging materials, or if
19 that's part of your mutual aid agreements with
20 those other utilities, you know, if they have
21 materials that you need or, like vice versa, that
22 you're sharing those when needed?

23 MR. GWALTNEY: Yeah. So -- and two pieces of
24 that. You know, we always have, you know,
25 worried -- I wouldn't say we're worried, but we're

1 also making sure that we have the proper amount of
2 material on place. One thing we've done for many
3 years is, as I mentioned, is building up the
4 inventory to handle a category-four hurricane. So
5 we're -- even over a week ago, just looking at our
6 inventories, we should be in really good shape by
7 June 1. Matter of fact, we were already there on
8 several things. Transformers are one of the things
9 that are a little bit harder to get, but we feel
10 we're in very good shape and don't have any
11 concerns right now.

12 And when you mentioned the mutual assistance,
13 that was a big thing. We were able, for example,
14 last year, to help provide -- actually, the last
15 two years, to actually provide some material to
16 some other utilities through mutual assistance in
17 that -- that they had run low on. So that -- that
18 is also the beauty of the whole mutual assistance
19 program, as well, is that we're all working
20 together. It's not just always resources and
21 people, but it's whatever thing you need, it could
22 be whether it's material.

23 Another example is last year, during Ida, we
24 actually have -- we put for in community, when we
25 talk about communication like kiosks, we actually

1 have these community response vehicles that were
2 there. We actually sent two community response
3 vehicles to Entergy in Louisiana last year to help
4 with their community response and get folks, you
5 know, where they could communicate within
6 municipality -- you know, small areas and so forth.
7 So the mutual assistance cuts across everything,
8 and whatever we can do to help each other, even if
9 it's foam board support, whatever, we always are
10 there, and material is right there with it, as
11 well.

12 Material, just depends -- a little different
13 because a lot of utilities have different -- most
14 of those -- you know, a lot of different voltages
15 and so forth, but we do have a nice system to where
16 we can put down exactly what the manufacturers, the
17 information, and we'll send it out to all
18 utilities, and then all utilities can respond
19 directly if they end up having any of that material
20 to help the requesting entity.

21 COMMISSIONER PASSIDOMO: Thank you. Very
22 reassuring.

23 CHAIRMAN FAY: Thank you.

24 Next up we have Todd Fountain, the General
25 Manager of Emergency Preparedness for Duke Energy.

1 Mr. Fountain, you're recognized -- Oh, you
2 know, Mr. Fountain, I apologize. I passed up staff
3 here. I don't know if we stole all your questions,
4 but you're welcome if you have any questions.

5 MS. BUYS: Thank you, Chairman. I do have a
6 question about the critical infrastructure. Would
7 the EV charging stations be a critical
8 infrastructure or --

9 MR. GWALTNEY: The EV stations as -- right now
10 it's not as, like, the top 20 percent, so to speak,
11 but they are -- they are critical from the
12 standpoint -- you know, we've installed a bunch of
13 those all along the turnpikes and some of the major
14 interstates, et cetera. So we have the locations
15 of those. And I wouldn't say they're, you know,
16 hey, they're on the top 20, but they are part of
17 our hierarchy, as far as when we look at -- when
18 you go down in the prioritization, they're just
19 not -- they're not at the level of the hospital,
20 you know, your top CIF's, but they are a priority
21 for us as far as how we -- what tier we put, you
22 know, each of those circuits on. So they do have
23 some priority, it's just -- I just don't want to
24 get confused that they're the same as our critical,
25 like a EOC or a 911.

1 MS. BUYS: So they would be more like a gas
2 station or --

3 MR. GWALTNEY: Yeah, something like that are a
4 little bit higher. We have community feeders, as
5 well, that are on our -- our what we call critical
6 infrastructure, and those have your grocery, your
7 pharmacies and your gas station, because the main
8 thing is to try and get the communities up and
9 running as soon as possible. So even within our,
10 you know, our main feeders that feed a hospital, we
11 want to make sure you also have some infrastructure
12 that's available so people can get food, medicine
13 and gas.

14 MS. BUYS: Okay. My other question, I guess,
15 it's more like a verification. You said the
16 nontraditional resources were mainly for like the
17 undergrounding equipment?

18 MR. GWALTNEY: Yeah. Yeah. It's just --
19 typically your underground folks will just work
20 underground, but these underground resources do
21 have the skill set to do some of the lower-level
22 overhead type work, like service type work, because
23 they do underground services and overhead services.
24 There's not -- there's no difference in the
25 voltage, et cetera, and it's something easy they

1 can do, either with a ladder, et cetera. So we
2 actually have made sure we train them on some of
3 the different stuff that they need to be able to do
4 so that we can actually -- that's a whole set of
5 resources that you can tap into, that if you don't
6 have a lot of underground damage, you could
7 actually use them on some of the overhead, but
8 that's kind of what we wanted.

9 MS. BUYS: Okay. Thank you. That's all.

10 CHAIRMAN FAY: Great. Great question, Ms.
11 Buys, especially on the EV chargers there. I
12 almost passed you. Probably a question I should
13 have asked. So I appreciate you bringing that up.

14 Mr. Fountain, you're recognized.

15 MR. FOUNTAIN: Thank you, Mr. Chairman. Good
16 morning, everyone. As stated, Todd Fountain
17 General Manager of Emergency Preparedness for Duke
18 Energy Florida.

19 The county has about 1.9 million customers
20 across 35 counties in Florida, maintain about 5,000
21 miles of transmission line, approximately 30,000
22 miles of distribution. Owned and operate the
23 11,000 megawatts of generated capacity across the
24 Florida footprint.

25 Much like Florida Power and Light, we do a lot

1 of storm drills and training throughout the year
2 and our inspection, so we do our transmission and
3 distribution inspection every year, plus we do a
4 vegetation inspection pre-storm season. Our
5 hurricane hardening starts in February and ends
6 June 1st. We have all the targets, they're
7 identified to our suppliers by April 1st to have
8 mitigated prior to storm season.

9 We do have storm organizations that are
10 drilled and prepared. We just completed our storm
11 drill. Ours was a three-day drill, April 5th, 6th
12 and 7th. It's a combined transmission and
13 distribution storm drill. We also participated
14 recently in the EOC cyber attack drill. It was the
15 end of May, as well as the GridEx drill that we did
16 last November.

17 Much the same on internal-external resources.
18 They're secured through the SAE. We participate in
19 the same as Florida Power and Light in acquiring
20 resources, as well as our peers in the midwest and
21 Carolinas for Duke that we can pull from, as well,
22 but the difference in the SAE, much like everyone
23 else here.

24 Response plan, continuous improvement.
25 Obviously we do the same after-action review of

1 every storm, every deployment, even our storm
2 drill, we do after-action reviews to figure out
3 things that we can learn, things we can improve on.
4 We also did the grid-x, which threw some
5 challenging items into the curve this year that we
6 hadn't seen before. It was a very -- a very good
7 drill to participate in.

8 First coordination with the county and EOC
9 leaders. That's ongoing all year. Many meetings,
10 much like our neighbors with the EOC's, meeting
11 with them prior to storm season. During the storm,
12 we do have an EOC contact due to the county EOC's,
13 as well as dedicated line clearing, road clearing
14 crews that are assigned to those resources, so
15 enough to get in line and dispatch and get the
16 resources. They have assigned buckets with them,
17 as far as road clearing after a storm passes.

18 And public communications and outreach, we
19 participate in many HOA meetings, counties
20 meetings, anything to get the word out in
21 communication.

22 Restoration. I'm sure we restore just like
23 anyone else, restore the transmission lines, get
24 our substations energized, work on our critical
25 infrastructure as mentioned, and then deal with our

1 high-sensitive neighborhoods, so our largest
2 customer outages, we start there and work our way
3 down.

4 One of the things we do differently for
5 Florida compared within Duke, and maybe within the
6 state, I'm not sure, so when we lose a breaker, a
7 feeder, circuit in our OMS, it's one particular
8 outage. What we do is strip the fuses off, branch
9 lines and everything off the backbone and create
10 embedded outages among those, that way they're
11 targeted outages and much -- if you have the
12 outage, the outage number one is at breaker level
13 and you have 2,000 customers, they're not getting
14 their targeted information, maybe pulls down maybe
15 a hard board up in the wire. So once we strip the
16 backbone, get it reenergized, our damage assessors
17 come in, assess each of those individual outages,
18 put the information on there to make sure our crews
19 are efficient when they get there. We don't want
20 five bucket trucks going down the road trying to
21 find the trouble. So it's identified in the
22 outage. They have their information. Once they
23 get there, they're going to restore the power, they
24 set their ETR in that particular ETR for that
25 outage goes to that customer. So it's a more

1 direct line for communications with the customer
2 and improves our efficiency, as well.

3 Much of the same applications for the
4 customers to get into our system through the web,
5 social media or mobile app or IVR. Have all basic
6 communications with the customers. Right now
7 through email we can reach about 1 million
8 customers. Residential -- around 19,000 business,
9 and we have about 860,000 app users. We do promote
10 our outage alert enrollment prior to each storm and
11 throughout the year. Currently, we have about
12 300,000 customers that get outage alerts through
13 email, about 850,000 prefer text and about 80,000
14 prefer the outbound call for their outage alert.

15 Continuous improvement on communications.
16 Much like I mentioned, our process over the
17 outages, we can get the direct information to the
18 customer that pertains to their particular event,
19 so they have real-time information as the event
20 goes on. Similar, we try to have an ITR set within
21 24 hours of a storm passing and then work to turn
22 that down to the county level and then down to --
23 (unintelligible).

24 We do have the Duke Energy website, DE.com
25 that has the map, and we'll have the updated

1 banners from there that drives customers to the
2 website to identify their outage and gain
3 information from there, if they're not signed up on
4 the other forms of communication through the other
5 various applications.

6 In distribution, our vegetation management.
7 Much has been mentioned. Our feeders and laterals
8 are on three-year, five-year cycle. Three years on
9 our feeders, five years on our laterals. Last
10 year, we trimmed a little over 1,000 -- I'm
11 sorry -- a little over 4,500 miles of distribution
12 and almost 400 miles of transmission. And, also,
13 as I mentioned, the hurricane hardening where we go
14 out and control the line, identify any hazard trees
15 that may have died in the previous year and get
16 those removed. So we removed over 13,000 trees
17 last year. The large majority of those are still
18 coming in from Michael up in the panhandle.

19 Transmission does do the LIDAR trimming. We
20 have not been able to iron down LIDAR for
21 distribution due to the canopies and everything and
22 not getting a look at it, but they are still
23 working. From what I understand, they're very
24 close to having that capability.

25 So that concludes my presentation.

1 CHAIRMAN FAY: Great. Thank you so much, Mr.
2 Fountain.

3 Commissioners. Commissioner Clark, you're
4 recognized.

5 COMMISSIONER CLARK: Two quick questions. You
6 have about 1.4 million people enrolled in your text
7 and outage notification system. One of the things
8 that we saw, I believe, was during Michael was the
9 massive number of calls coming in to the systems
10 actually shutting systems down. How robust is your
11 technology in that area and have you tested your
12 system? How confident are you that if we have a
13 massive statewide outage that your system is going
14 to be able to handle all the calls that are coming
15 in?

16 MR. FOUNTAIN: We have tested our system, and
17 especially after Irma, but I do not have the exact
18 number of how robust and what number it can handle.
19 I can definitely get that for you and follow up
20 with it.

21 COMMISSIONER CLARK: My next question is your
22 targeted restoration. I was, I guess, a little bit
23 confused at how that works. Is this -- this is not
24 playing off of your smart meter technology.

25 Basically, this is automated distribution where

1 you're opening and closing breakers to see what is
2 on and what's off? I'm not understanding that.

3 MR. FOUNTAIN: No. So what we have is if you
4 have a feeder breaker outage. Right. We'll send a
5 crew to it. They'll start isolating anything they
6 cannot ride out and get visualized on, and the
7 amount of time it takes to open the fuse, manual
8 opening the fuses, they'll open it up and continue
9 down the line. And they move to the next feeder,
10 damage assessors come in with those particular
11 outages and put that image information directly on
12 that outage. So when we come into restoration, our
13 restoration crews are more efficient. They have
14 all their information directly on that particular
15 outage. Instead of at a breaker-level outage, they
16 have each fuse and know exactly where it's at and
17 where they can access the damage. So wires down
18 123 Main Street, but can't access it through that
19 yard, you have to go through the other one. We
20 don't want the crews circling the neighborhood to
21 try to find out where -- the information is
22 directly on that particular route.

23 COMMISSIONER CLARK: But it's a manual
24 process. It's not an automated --

25 MR. FOUNTAIN: Yes, sir.

1 COMMISSIONER CLARK: Okay. That's what was
2 confusing me. Thank you.

3 MR. FOUNTAIN: Yes, sir.

4 CHAIRMAN FAY: Is that it?

5 Just got a quick question for you on slide
6 eight. You've got this notice out to customers
7 about the outage -- outages occurring. And I know
8 a lot of times when these outages occurs, customers
9 will want to use smart devices to report that
10 outage. Do you find that with the customers this
11 is pretty helpful, like this proactive approach of
12 almost a default the other way, we know you're out,
13 if otherwise, notify us?

14 MR. FOUNTAIN: It does limit the number of
15 calls that come into the call centers. But, yes,
16 we have found it to be beneficial to proactively
17 inform them.

18 CHAIRMAN FAY: Okay. Any customer feedback as
19 to if they prefer that?

20 MR. FOUNTAIN: Not that I'm aware of, but I
21 can follow up and see what we have on that.

22 CHAIRMAN FAY: Okay. Great. And then just
23 sort of the same question that Commissioner
24 Passidomo had asked the previous utility. The
25 supply chain, you know, commentary is constant with

1 every industry at this point, and it sounds like
2 there is some built-in backup, but there does seem
3 to be, in every industry, some threshold where it's
4 overwhelmed and the time line -- I will mention I'm
5 doing a small construction project on my house.
6 Right. And so the time line sometimes doesn't go
7 exactly as it's presented. Does the utility have
8 sort of a plan for when you exceed that threshold
9 and need to tap into the supply line?

10 MR. FOUNTAIN: So we have agreements with our
11 suppliers that what we have set aside for storm is
12 not going to be used for blue sky day. So, to
13 answer that question, no, we do not have a process
14 for tapping into the reserve. We are comfortable,
15 to the question earlier on what our material is in
16 the supply chain issues, we actually began ramping
17 up our storm supplies in February in preparation,
18 which we usually do around May, June time frame.
19 We began ramping up our storm supplies in February,
20 which is just our basic material and pole material.
21 As far as unique transformers and information, to
22 your personal situation there, I know we do have
23 long lead links, but we do not tap into our storm
24 reserve to provide the material for that.

25 CHAIRMAN FAY: Great. Thank you.

1 With that, Commissioners, next we will move on
2 to Ed Mora, Director of Energy Control Center for
3 Tampa Electric Company. You're recognized.

4 MR. MORA: Good morning, Commissioners --

5 CHAIRMAN FAY: Mr. Mora, once again, I've
6 forgotten staff and they're going to ask a really
7 good question that I didn't allow them to ask them.
8 Ms. Buys, my apologies again. You're recognized.

9 MS. BUYS: Thank you. Same question about the
10 EV charging stations.

11 CHAIRMAN FAY: Hit your button. I'm sorry.

12 MR. FOUNTAIN: Much like Power and Light, it
13 is not on the top priority with our critical
14 infrastructure, but we have recognized a need and
15 it is prioritized into our restoration.

16 MS. BUYS: Okay. Thank you.

17 MR. FOUNTAIN: Thank you.

18 CHAIRMAN FAY: Great. Thank you, Ms. Buys.

19 Mr. Mora, you're now recognized. I want to
20 keep everyone in suspense for your presentation.

21 MR. MORA: All right. Thank you.

22 Good morning, Commissioners. My name is Ed
23 Mora. I'm the Director of the Energy Control
24 Center for Tampa Electric Company. Our
25 responsibilities include the transmission control

1 room, distribution control room, the trouble
2 department, which also includes storm restoration.
3 We are excited about sharing some of the things
4 that we are doing that has us prepared for the
5 upcoming hurricanes.

6 Tampa Electric's vegetation management program
7 combines a continuation of our existing filed and
8 approved distribution and transmission plan. For
9 distribution in 2021, we completed year one of four
10 cycles for feeders and laterals. You can see that
11 we trimmed about 1,630 miles and removed 450 hazard
12 trees. In addition to those miles, we performed
13 vegetation management on 721 distribution miles as
14 part of our storm protection plan. The
15 transmission in 2021, we're on a two-year cycle,
16 and we trimmed 523 miles and mowed over 8,400 acres
17 of right-of-way.

18 In addition to vegetation management, we also
19 perform wood pole inspection. Our wood pole
20 inspection initiative is part of a comprehensive
21 program initiated by the Florida Public Service
22 Commission, the Florida Investor Owned Electric
23 Utilities, to harden the electric system against
24 severe weather. Tampa Electric has approximately
25 311,000 distribution and lighting wood poles

1 appropriate for inspection. We're on an eight-year
2 cycle for those inspections and we inspected over
3 19,800 distribution poles in 2021.

4 For transmission, we're on an eight-year
5 inspection approach, which includes above-ground
6 structure inspection, the ground line inspection,
7 the annual ground patrol, and aerial infrared
8 patrol, tree climb inspection and the annual
9 substation inspection. You can see we inspected
10 over 280 transmission structures in 2021.

11 Next we want to focus our conversation on SPP,
12 hardening and reliability projects. Our storm
13 protection plan sets out a systematic approach to
14 storm protection focused on those projects that
15 provide the highest level of reliability benefits
16 at the lowest relative cost. 2021 was the second
17 year of the company's 20 through 29 plan. Program
18 focuses on increasing the resiliency and the
19 sectionalizing capabilities of the distribution
20 electric system to better withstand extreme
21 weather, minimize outages, outage duration, and
22 effective customer counts.

23 As we ramped up our efforts in 2021, we
24 hardened over 630 transmission structures by
25 proactively replacing wood poles with non-wood

1 material and replaced and upgraded approximately
2 1,200 distribution poles. We also completed our
3 substation extreme weather hardening study, which
4 identified nine substation projects that we will be
5 focusing our work on. Those substations were
6 included in our April 2022 filing for the '22 to
7 '31 storm protection plan.

8 As part of our grid modernization strategy and
9 vision 2025 initiatives, we're striving to provide
10 a more resilient grid that provides an always-on
11 world class customer experience. To establish
12 robust communications between the distribution
13 network devices and the Energy Control Center, we
14 have begun a design of a private long-term
15 evolution known as LTE Communications Network.
16 This network will enable distribution automation,
17 in our Fault Location Isolation and Service
18 Restoration control, known as FLISR.

19 Additionally, part of the grid modernization
20 initiative is the design and construction of a new
21 state-of-the-art hardened energy control center.
22 Our current ECC has reached its end of useful life
23 as our grid control center. New control center,
24 when completed, will provide improved storm
25 resiliency with a location that is inland and on

1 higher ground, and enhance our ability to provide
2 uninterrupted service to our customers. We're
3 planning on moving in in 2025.

4 Next I'll discuss our storm plan changes and
5 our mock storm. Our automated call-out resource
6 management software system is fully functional for
7 assembling and tracking our internal and our
8 foreign resource repair crews as part of our storm
9 restoration process. Additionally, to improve
10 our -- in our ability to handle a large influx of
11 foreign crews, we have signed service level
12 agreements with three turnkey logistics providers
13 to implement base camp strategy. That will include
14 things like sleep trailers, on-site meals,
15 laundries and showers. For 2022, a series of
16 hurricane preparedness seminars were conducted
17 internally during the first week of May. The focus
18 was on familiarizing team members with the
19 playbooks to provide the tools needed to ensure
20 they have key information available for storm
21 restoration.

22 An exciting component of that exercise was
23 actually through the DCC and the storm restoration
24 team. A series of separate planning sessions were
25 conducted to fine-tune our process and the whole

1 restoration process itself, and that included teams
2 like the ETR team, or wire down team, interfaces
3 with customer experience, and our key account
4 representative, and our incident-based leadership
5 team.

6 Additionally, we have a mock storm scheduled
7 for May 26th, which the purpose is for activating
8 our incident command system, utilizing our
9 playbooks and checklists and reviewing our command
10 call agenda.

11 And, finally, this year with the COVID
12 restrictions lifted, we were successfully able to
13 test our amateur radio capabilities with all four
14 counties served by Tampa Electric. As a result, we
15 have documented contact information and station and
16 radio frequency.

17 As noted last year, other noteworthy
18 improvement for storm preparedness and restoration
19 has been the implementation of our new advanced
20 distribution management system known as ADMS. We
21 went into a live cutover in April of 2021. We now
22 have the ability through the ADMS to decentralize
23 dispatching from our incident bases and improve our
24 reporting capabilities to our emergency operation
25 centers and for the Florida Public Service

1 Commission purposes.

2 The ADMS damage assessment module is designed
3 to allow assessors to download network circuit data
4 and electronically identify damaged areas. The map
5 view of the module displays company GIS assets and
6 background maps. Through ADMS, damage assessment
7 orders can be sent to field operations and then
8 returned from the assessor. The module provides
9 detailed storm damage summaries for operator and
10 management decision-making during restoration
11 events.

12 For storm preparedness, we have seasoned
13 mutual aid agreements in place with many active
14 decades of membership in the Southeastern Electric
15 Exchange and the Edison Electric Institute. We
16 also have agreements in place with municipalities
17 within the state of Florida. Each year, during
18 this time, we ramp up our stock on commonly used
19 material for restoration. We call that 911 stock.
20 In the event of a major storm response, we can lean
21 on our Southeastern Electric Exchange mutual aid
22 partners to address any specific material needs
23 that may arise, mitigate any potential restoration
24 delays.

25 Restoration takes priority over our new

1 construction and proactive storm hardening. Each
2 year we're invited to participate in a variety of
3 customer and community outreach events to promote
4 hurricane preparedness. Thus far, we have
5 participated in events in the city of Oldsmar, the
6 Sun City Center, McDill Air Force Base,
7 Hillsborough County, an NAACP open house, and other
8 upcoming community events.

9 And, finally, we annually review our list of
10 critical customers and have updated our restoration
11 priority list for 2022. Our external communication
12 templates have been prepared and reviewed for this
13 year, which would include pre-storm, post-storm and
14 generator safety. We have our internal emergency
15 operations staffing plans updated for this year and
16 we do have enough staff to resource at each county
17 and municipality served.

18 I consider one of the most important tools for
19 hurricane preparedness is customer communications.
20 We strive to communicate proactively with accurate
21 and useful information. For unplanned outages, we
22 have three customer communication campaigns.

23 First, proactive notifications. We
24 acknowledge that we are aware of an outage and
25 provide any known information, like an estimated

1 time for restoration known as ETR. Second, an ETR
2 update. We notify our customers if and when an ETR
3 has been changed for more than two hours. And,
4 third, restoration notification. We notify our
5 customers when an outage has been restored. All
6 campaigns providing information out of the ADMS are
7 sent to our customers according to their channel
8 preference: Call, text, email or do not call, in
9 their preferred language, English or Spanish.

10 We recognize that storm and outage events are
11 stressful for our customers. And one way to assist
12 our customers is to continue to communicate during
13 these times. To enhance our customer interaction,
14 we display continuous updates on our
15 Tampaelectric.com website for additional
16 information. We have banner messaging addressing
17 the weather and restoration efforts. Any available
18 ADMS data is displayed on the maps so our customers
19 can monitor their outages. To get updates and
20 information on the map provides information on how
21 they can also text us and sign up for outbound
22 communication preferences. We also place
23 broadcasting messaging that play at the start of
24 the IVR to provide any important storm information.

25 And, lastly, we review our lessons learned.

1 We continually strive to add more resources to our
2 wire down team to address life safety issues
3 promptly. We annually train our internal and
4 external management teams to operate incident bases
5 in base camps. One of the recent lessons learned,
6 or discussed during the Southeastern Electric
7 Exchange Mutual Assistance Conference is how safety
8 orientation is provided during onboarding process
9 of the foreign crews. What we're planning on doing
10 is implementing a virtual or mobile safety
11 orientation strategy so that our crews can be
12 working immediately upon arrival to have the
13 greatest impact on storm restoration. And, as
14 mentioned earlier, we have new logistics contracts
15 with three turnkey base camp providers.

16 Thank you. And I'm available for any
17 questions.

18 CHAIRMAN FAY: Great. Thank you for the
19 presentation. Commissioners.

20 Commissioner Clark, you're recognized.

21 COMMISSIONER CLARK: I just want to key on one
22 of the things you mentioned, the number one
23 priority of every utility company during outage
24 restoration is safety. When you were talking about
25 your ADMS program, you mentioned it's a form of

1 decentralized dispatching, I guess you would say?
2 How do you keep that concept tied back to safety?
3 Centralized dispatching has a huge safety component
4 built into it and you have one control center,
5 knowing where everyone's at, how are you managing
6 that aspect of it using ADMS?

7 MR. MORA: So what we end up doing is we hand
8 over control to our incident bases for a particular
9 substation or location within the community, so
10 then we don't do anything in the control center
11 until we hear back from the local incident base
12 when they believe that everything else has been
13 restored. We get notification. We make sure that
14 no nobody is on the circuit or on the substation,
15 then we energize them.

16 COMMISSIONER CLARK: I pitched you a softball
17 there. That one was an easy one.

18 MR. MORA: Thank you.

19 CHAIRMAN FAY: Commissioners. Commissioner
20 Passidomo, you're recognized.

21 COMMISSIONER PASSIDOMO: So I have a question.
22 So I should have asked this to the other utilities.
23 I apologize. It just came to my head. So you're
24 on the spot now. So how do you vet these
25 restoration vendors, you know, for that -- you're

1 using best practices, both environmental and
2 safety, but especially now with cyber security
3 protocols, you're trying to make sure they're
4 incorporated?

5 MR. MORA: Again, we have mutual aid
6 assistance with our SEE partnership and within EEI,
7 and then also through -- we have a community group
8 within our ADMS that one particular software that
9 we end up using, we have the other utilities that
10 work together to work through those issues to make
11 sure that we have the right vendors in place and we
12 have the right practices and procedures.

13 COMMISSIONER PASSIDOMO: So these are
14 universal standards?

15 MR. MORA: Yes, they are.

16 CHAIRMAN FAY: Great. Thank you.
17 Commissioner La Rosa.

18 COMMISSIONER LA ROSA: Thank you, Mr.
19 Chairman. On slide 10, you talk about restoration
20 notifications. In there you state that ETR's
21 changes of more than two hours, the notification
22 goes out and to customers. I guess, why two hours?
23 Like, why that number? Why not if it changes by an
24 hour or an hour and a half?

25 MR. MORA: So -- yeah, that's a good question.

1 And so working through something like that, like a
2 responsive two hours, they're working with our
3 customer experience teams and our key account
4 representatives, getting feedback from our
5 customers we're -- at that point, you know, they're
6 starting to get a little uneasy as far as they
7 haven't had an update yet. So there was feedback
8 from our customers through our customer experience
9 part of that.

10 COMMISSIONER LA ROSA: Would it be through
11 notification only, or would they be able to, like,
12 on the next slide you actually have on your website
13 when there's an outage it states in there, you
14 know, restored by 6:00 p.m. on this example. Does
15 that get changed when the time changes, or is that
16 also by that two-hour scale?

17 MR. MORA: Yeah. So that -- the information
18 on the outage map comes from our ADMS. So when an
19 ETR changes within the ADMS, it will transfer over
20 to our outage so our customers can see that.

21 COMMISSIONER LA ROSA: Okay. I guess what I'm
22 trying to figure out is that they can see the
23 information, but they wouldn't get the notification
24 unless it was over the two-hour --

25 MR. MORA: That is correct.

1 COMMISSIONER LA ROSA: Okay. And then just a
2 quick question. Does that -- is that standard
3 throughout the year, or is that just during storm
4 seasons?

5 MR. MORA: The actual notifications?

6 COMMISSIONER LA ROSA: Yes.

7 MR. MORA: We do that throughout the year.

8 COMMISSIONER LA ROSA: That's what I thought.
9 Thank you very much for your presentation.

10 MR. MORA: Thank you.

11 CHAIRMAN FAY: Great. Thank you. Just a
12 quick question for you. You have a lot of
13 information in here about the communication process
14 and some of the changes that are being made. I'm
15 all about technology and efficiencies, but does --
16 in your drill process, does the utility look at
17 system failures as it relates to communication?

18 MR. MORA: Yeah, so in the ADMS cutover that
19 we did last year, we called internally like a smoke
20 test. So we loaded up the Hurricane Irma
21 information through our ADMS and tested all of our
22 customer experience interfaces through those and it
23 performed well.

24 CHAIRMAN FAY: Okay. Great. And then another
25 sort of quick question for you is on slide 10,

1 where Commissioner La Rosa was talking about the
2 restoration notification process. The last bullet
3 on there says ability to re-report outages if
4 necessary. What do you mean by that?

5 MR. MORA: So if we end up doing any kind of
6 restoration, let's say on a circuit that we've
7 talked about before, and then in the -- on the
8 unlikely event that the circuit went out again,
9 that there will be an ability to be able to
10 report -- re-report those outages back to our
11 customers.

12 CHAIRMAN FAY: Okay. So they would have the
13 notice of the original outage. There might be a
14 reason it has to be taken back offline in the
15 future, maybe even hours later. You would provide
16 an additional notice at that time to the customer,
17 and it's clear in that notice that this is actually
18 another outage so they're not -- they're not
19 confused as far as --

20 MR. MORA: That is correct. That is how we
21 do --

22 CHAIRMAN FAY: Okay. Great.

23 With that, Commissioners, that will -- we'll
24 allow Mr. Mora to take questions from staff. I
25 won't miss you this time, Ms. Buys.

1 MS. BUYS: On slide three, with your
2 transmission pole inspection, you gave some numbers
3 for non-storm protection plan poles and storm
4 protection plan poles. What's the difference?

5 MR. MORA: Let me get back to you on that.

6 MS. BUYS: All right. And then I had the same
7 question about the EV charging stations.

8 MR. MORA: Yeah, the same as our counterparts
9 there. They're identified in our circuit priority
10 list. They are -- and so they're not high like a
11 911 or a hospital or what have you, but they're
12 identified on our circuit priority list. We know
13 where they're at.

14 MS. BUYS: Thank you.

15 CHAIRMAN FAY: Great. Thank you, Ms. Buys.

16 Next up, we have Jorge Puentes, the Manager
17 for Technical Engineering for Florida Public
18 Utilities Company.

19 Mr. Puentes, you're recognized.

20 MR. PUENTES: Thank you, Chairman. And thank
21 you, Commissioners. My name is Jorge Puentes and I
22 had a slight change of title. I'm not the
23 Technical Engineering Manager. I'm the Engineering
24 Manager.

25 CHAIRMAN FAY: I don't know if that's a good

1 or a bad thing.

2 MR. PUENTES: Just a small change. But I do
3 similar activities anyway.

4 Thank you, Commissioners, for allowing us to
5 present to you our storm preparedness at FPU for
6 this season.

7 As -- okay. As you know, we are the smallest
8 IOU in Florida. We have nearly 30,000 electric
9 customers and we do have also propane and natural
10 gas businesses that we provide and distribute.
11 However, there's only two electric divisions, one
12 in the northeast and one in the northwest. We have
13 about 16 miles of transmission lines, and 906 miles
14 of distribution lines.

15 Now I'll proceed to provide you an overview of
16 our preparation, activation and restoration for
17 this hurricane season. We begin with pre-storm
18 planning activities. We are also a culture that
19 is, in essence, always prepared to take care of
20 outages and we focus on safety, both of our
21 customers and our employees. We take into
22 consideration still COVID-19 pandemic procedures
23 and restrictions, with all the other utilities and
24 in our company.

25 We begin planning in early stages of the year.

1 We start in around March, and -- but our next
2 company-wide tabletop exercise is scheduled for May
3 27, and it continues in mid-June, and if it's
4 required, we do exercises as other hurricanes or
5 storms approach. We do these exercises with
6 natural gas and also propane operations companies.
7 So it's a global initiative. We focus on lessons
8 learned from other hurricanes, especially Michael,
9 which nearly destroyed our northwest territory.
10 And we focus on improve procedures.

11 We -- in the preparations stages, we have
12 customer outreach programs where we provide the
13 customers with website informations and bill
14 inserts, public announcements and hurricane storm
15 brochures. We begin to look at our major emergency
16 procedures, storm communication plans. We consider
17 several staging options, depending on the path of
18 the storm, and we engage with contractors who have
19 signed agreements with us. We also take a look at
20 the facility system inventory and we begin to
21 purchase materials, especially because of the
22 supply chain issues we have noted. We coordinate
23 with many of the city, county and state EOC's. As
24 a matter of fact, we also participated in the
25 recent Governor's hurricane conference that he had

1 a couple of days ago, and we made contact to our
2 joint users to ensure that we have the proper storm
3 contacts in case we need to get in touch with them.
4 And we participate with many mutual aid assistance
5 committees and the Edison Electric Institute and
6 SEE.

7 Our activation starts by looking at storm
8 watch, duties are reviewed and assigned, inventory
9 levels are rechecked. Logistics, such as hotels,
10 outside vendors and items like that are confirmed.
11 We check for fuel, inventories and readiness
12 levels. We continue then for storm warning and
13 keep track of the storm. Contact our EOC's, local
14 contractors or officials, and we activate emergency
15 plans for our employees and our -- so that they can
16 take care of their families prior to responding to
17 the hurricanes.

18 And one thing we also do, since we're across
19 the state, is have resources for call centers that
20 are located in several different locations. We
21 also commit to having an employee at the EOC
22 locations that are affected by the path of the
23 storm.

24 The restoration, we use our OMS -- we use our
25 OMS system and SCADA systems to organize and

1 prioritize restoration. We've assessed physically
2 the damage and we set up teams to -- team leaders
3 to go and assess the different substations,
4 transmission lines or circuits that are been --
5 that had been impacted. And the general order is
6 we take care of the generation transmission and
7 substations, then the distribution feeders. And we
8 focus the priority on bringing back hospitals,
9 police, fire, EOC, storm shelters, and water and
10 sewer plants, and then food retailers and
11 restaurants is in the order of priority that we
12 provide restoration.

13 In terms of our customer awareness, we have --
14 we provide information, be it our printed ads,
15 brochures, and we give information 72 hours, 48
16 hours and 12-hour increments on local media. We
17 actually have all our digital communications land
18 on one page so that the customer is able to find
19 all the information in there, and we have also a
20 mobile app that they can use.

21 In terms of the plans for storm hardening, the
22 vegetation, I'd like to talk about. We have a --
23 currently we have a three-year cycle for feeders
24 and a six-year cycle for distribution laterals. We
25 currently are in the second year of a fifth-year

1 cycle on the distribution. And on the laterals, we
2 are on the first year of the third cycle. What we
3 have accomplished for 2021, we have trimmed nearly
4 31 miles of distribution feeders and about 80 miles
5 of lateral. And these numbers, also you have the
6 inclusion of hotspot trimming that we also do.

7 In terms of the wood pole inspections, we have
8 about 31,700 poles, and we have -- we're on the
9 sixth year of a second year eight-year cycle. We
10 have completed a total inspection from the
11 beginning of the program, about 67 percent of it,
12 and that equates to 21,114 poles. In 2021, we
13 specifically completed the inspection of 2,825
14 poles. And out of these poles, we had a failure
15 rate of 3.86, and that equates to 106 poles that
16 fail. We replaced 203 and we have upcoming
17 replacements of 672.

18 In terms of some of the improvements based on
19 lessons learned, I think one of the ones that most
20 of utilities began to look is the supply chain
21 disruptions. So we try to acquire all that
22 material as quickly as we could and order early,
23 also locate staging areas that are easily
24 accessible, and not prone to flooding, or large
25 enough to accommodate all the equipment, and

1 include record keeping staff when we do
2 restoration, also increase security at offices and
3 other areas where -- to prevent unauthorized entry.

4 One of the things we continue to do is
5 continue to invest in storm hardening initiatives
6 and continue to invest in technology that improves
7 hurricane prediction, and continue to improve in
8 our technology of GIS, OMS and IVR.

9 And, at this point, if -- I would entertain
10 any questions.

11 CHAIRMAN FAY: Great. Thank you, Mr. Puentes.
12 Commissioner Clark, you're recognized.

13 COMMISSIONER CLARK: Yeah, just a couple of
14 observations, Mr. Puentes. In regard to your
15 service system in the northwest division, what
16 percentage of that system would you say is
17 practically brand new?

18 MR. PUENTES: I would say nearly 70 percent,
19 approximately.

20 COMMISSIONER CLARK: About 70 percent. So
21 your inspections, most of that, is that in the
22 northeast? You have very little right-of-way to
23 trim anymore. It's kind of limited.

24 MR. PUENTES: No. Actually, we continue to
25 trim -- as you know, when the storm Michael passed

1 over and destroyed nearly the territory, there were
2 still lingering effects of that, so we continue to
3 trim. And I remember one question you asked me
4 last year was about the failure rate of those
5 poles. And initially, when we started doing the
6 pole inspection program, we had higher rates, like
7 in the double digits, but now as you can see, it's
8 much lower.

9 COMMISSIONER CLARK: I think that's kind of
10 where I was going with this is in the event, the
11 unfortunate event a storm does hit that area, your
12 system should be in a really good shape in those
13 two counties, three counties in the Panhandle.

14 MR. PUENTES: We hope so. Yes, sir.

15 COMMISSIONER CLARK: Thank you.

16 CHAIRMAN FAY: Commissioner La Rosa, you're
17 recognized.

18 COMMISSIONER LA ROSA: Thank you, Chairman.

19 And because you mentioned pole failures, and
20 just to kind of give a little bit more intel in it,
21 when you identify a pole's failed, how quickly is
22 it replaced and is it detrimental to, you know,
23 sustaining the next possible storm?

24 MR. PUENTES: Yes, we do. We have a
25 contractor that does this for us. The contractor

1 goes out and inspects the poles and uses several
2 methods to find out if the pole, the integrity of
3 the pole and how bad the pole is, and then we're --
4 they're placed in a category. If it's a red tag
5 pole, it needs to be replaced as soon as possible,
6 and we include it into our normal schedule, but if
7 it's a pole that has some -- still has some life,
8 but needs to be replaced, we also put them in that.

9 COMMISSIONER LA ROSA: Thank you for
10 clarifying that. It's not just failure, you're
11 out? No, it's failure, it's a prioritize --

12 MR. PUENTES: Yes. Yes.

13 COMMISSIONER LA ROSA: Thank you.

14 CHAIRMAN FAY: Great. Other questions?

15 I just have one quick clarifying question for
16 you. I know you mentioned as one of the smaller
17 utilities, we've had some discussion about the
18 supply chain issues. Is that something that is
19 more challenging based on your size, or do you
20 believe there's some prioritization there?

21 MR. PUENTES: We didn't notice the supply
22 chain issues early on the -- during the year, so we
23 tried to acquire the material early, but we also
24 work with other utilities, as you know, during the
25 Hurricane Michael, FP&L was very instrumental in

1 helping us out, and also the other companies trying
2 to provide materials and also to help us with the
3 restoration. So, we work very closely with the
4 other utilities.

5 CHAIRMAN FAY: Great. Thank you. Ms. Buys,
6 you're recognized for questions.

7 MS. BUYS: The question I have is the EV
8 charging station for the critical infrastructure.

9 MR. PUENTES: We currently do not have as many
10 EV stations in -- on the island and in the
11 northwest either, but as they begin -- we have
12 begin receiving applications for them. And, just
13 like the other utilities, they are not the top
14 priority. However, you do bring them in as other
15 circuits or laterals are brought in. And I would
16 say that they're also rated near the hotels and
17 other facilities that we bring in a systematic way.

18 MS. BUYS: Thank you.

19 CHAIRMAN FAY: Great. Thank you.

20 And, with that, we'll move next to Mr. Ricky
21 Erixton, Vice President of Electric Systems for
22 JEA.

23 MR. ERIXTON: Thank you, sir.

24 To start on our first presentation here, I
25 want to give some background on JEA. So JEA is the

1 largest public power utility in the state of
2 Florida. It was also the eighth largest in the
3 country. We serve over a million people in our
4 electric service territory. We have about 904
5 square miles of service territory with over 7,000
6 miles of distribution. We have over 1,000
7 distribution transformers and have 3,000 megawatts
8 of generation and purchased power under our
9 control.

10 We are also one of Florida's largest water
11 utilities as well. Over 370,000 customers on the
12 water system and almost 300,000 on the wastewater
13 system. So we provide very important services to
14 the communities in northeast Florida.

15 So like my peers, we'll go through the various
16 topics for discussion. Start with our storm prep
17 and restoration process. As our -- as with my
18 peers, we do annual drills every year. This year
19 it's scheduled for June 6th to June 8th. We
20 involve the company on this drill. We also do it
21 in cooperation with the City of Jacksonville and
22 the National Weather Service. We get scenarios and
23 work through the products and tools that the
24 weather service can provide us. We do this in
25 conjunction with the City of Jacksonville.

1 Also have real emphasis on our NIMS model, the
2 National Incident Management System. The City of
3 Jacksonville utilizes that in all their response to
4 emergencies, and we do as well, and we emphasize
5 the use of that in our exercises. We also have
6 challenging response scenarios, so we can alter
7 thinking, collaboration on how to address different
8 problems may come up during storms, but these are
9 the table -- tabletop exercises we're doing this
10 year.

11 Mutual aid. A lot of conversation around
12 mutual aid. We also have several mutual aid
13 agreements with various entities. Florida
14 Municipal Electric Association is our primary one,
15 and through them the American Public Power
16 Association. So that enables us to get resources
17 throughout the country, should we need them. We
18 also provide mutual aid to many of these same
19 entities across the country. We do have mutual aid
20 agreements with the IOU's through the Florida
21 Electric Coordinating Group in Tampa, FCG. We do
22 have agreements with all of the IOU's in the state
23 of Florida.

24 We also go out and get storm contracts ahead
25 of time. FEMA is very important to us. We get

1 reimbursements from FEMA, because we're
2 municipality, so it's important to have these
3 contracts in place ahead of time before the storm
4 hits, because FEMA does not like to reimburse
5 things when you do it on the fly. So it's very
6 important for us to get these storm contracts in
7 place ahead of time, both contractors from a
8 utility restoration point of view and vegetation
9 management.

10 Also, in the last few years COVID has been a
11 big issue for the entire industry, for the entire
12 country, world, obviously. We established some
13 guidelines through the FMEA with our fellow
14 municipals around the state on what to expect when
15 receiving mutual aid and what to expect when you
16 provide mutual aid. Those are very important
17 guidelines for us to handle when we -- when mutual
18 aid's required.

19 You heard of storm stock from various -- from
20 our peers. We do the same thing. We review that
21 every year prior to storm season. This year,
22 supply chain has been mentioned. We recognize that
23 as a potential problem. We've increased our storm
24 stock for this year and did it early. We have
25 orders coming in as we speak on a lot of our storm

1 stock materials, especially transformers. Again,
2 that's been mentioned before. I sound like a
3 broken record on some of that, but the transformers
4 is a big deal, and we've identified that as a big
5 deal and we're taking means to mitigate that.

6 Talk about some of our customer stakeholder
7 communication outreach. So we do coordinate very
8 closely with our local EOC's. We have a member of
9 our team in the local EOC's in Duval County, Nassau
10 County, Clay County and St. Johns County. These
11 are the counties we have customers in. We have
12 somebody from our -- who used to have certain jobs
13 in a blue sky mode, we put them in a gray sky mode
14 and sent them to the EOC's for close coordination
15 and contact with our troops and our EOC and JEA.
16 We also have dedicated persons strictly for
17 emergency preparedness, and they're -- they're
18 assigned to our EOC in the City of Jacksonville.
19 So they have a direct line to us at our JEA EOC for
20 any sort of emergency or issues that come up during
21 the storm.

22 We do have some customer communication
23 messaging we'll go over shortly, and we do have a
24 third-party attacher designated for a contact. We
25 do lease out a lot of our poles for space for,

1 like, AT&T and Comcast in our local area. So we
2 have a contact for them to call should they need
3 some sort of assistance or some sort of
4 notification. We have a person they can call for
5 that who can get with us in the EOC to get that
6 handled.

7 Our priority list, like everybody else, we
8 have one of those as well, and we update that
9 annually. Same type of things, life-saving type
10 customers, hospitals. We also make sure our
11 service centers are on that priority list. So if
12 we don't have power, we can't restore power to
13 others. So we update that annually.

14 And in preparation of the EV charger question,
15 well, we don't have many of those either, but
16 similar to what George said, we have most of those
17 installed at sites such as malls, shopping centers,
18 grocery stores, things that are higher in the
19 priority list, but not raising up to infrastructure
20 where you have life-saving type infrastructure.
21 They're more -- they're higher priority, as well.
22 So we don't have very many of those yet, but they
23 are along those same lines as those type of
24 facilities.

25 Our customer communication messaging. After

1 Irma, we recognized that we needed to improve our
2 customer communication. So we embarked upon a team
3 and an initiative to improve that with our
4 customers in our service territory. So we created
5 something called Restoration 123. It's kind of our
6 brand to help inform and educate our customers on
7 our restoration process, and some of the things
8 that they can do to help prepare for being out of
9 power, being out of water during an event. We'll
10 go through the various parts on that.

11 Phase one. Restoration 123, phase one.
12 Public safety and infrastructure, everything you've
13 heard from my peers, we go out and get the
14 backbone, the feeders back up, handle the
15 substations and/or transmission lines should they
16 be damaged, work our way down to the customer.
17 Phase one is really about getting the life-saving
18 customers back on, hospitals, all those things we
19 talked about earlier. During this phase we
20 typically don't encourage customers to call in.
21 This is the phase where we drive them to the outage
22 map to show what we have so they can have
23 information on what's currently out. However, we
24 do, you know, have customer reps for them to call
25 in, should they need to speak to a customer rep.

1 We have all those -- we staff up a customer center
2 during an event. Like I said, we have a lot of
3 blue sky people redeployed to the customer center
4 to take those calls so we can address the
5 customer's concerns.

6 We send out mass customer emails and social
7 media updates during this time. We send them out
8 updates on where we're working, what part of the
9 city we're working, what part of the system we're
10 restoring, so they have an idea as to where they
11 can go to get ice and get medical supplies, things
12 like that they may need during the time that the
13 power's out.

14 In our phase two, this is when we get all that
15 main backbone back in. Now we start moving in to
16 the more neighborhood type part of our system. And
17 in this phase we're working to get through
18 everybody's back in on the -- on the laterals and
19 all the lift stations, all those things that are
20 required normal activity, normal business. This is
21 the time that we encourage our customers to call
22 in, make sure their outage is known if they're
23 still out of power, to ensure that they're on the
24 outage map. And, obviously, we still send out
25 emails and continue to let them know through social

1 media where we are and what we're working so they
2 can know what to expect.

3 And phase three is kind of our final repairs.
4 A lot of this where the customer had overhead
5 damage or things like that that may be not normal
6 for regular outage. So, during this time, we again
7 continue to contact and communicate with our
8 customers and encourage them to call in to ensure
9 that their outage is in our system.

10 All this is to help educate and inform our
11 customers and community on how we work, how we
12 respond to a storm and what they can do to help
13 themselves. All this is on our JEA website. And
14 we have a micro site where we call, Do More With
15 JEA. It's both blue sky and gray sky. So blue
16 sky, obviously what they can do in any normal day,
17 how they can connect to the service, things of that
18 nature, but also have a gray sky portion where they
19 can go and see what they can do to prepare for a
20 storm, like filling tubs up with water or keep the
21 breaker off until the power's back, things to check
22 for during storms. We do all these things to help
23 educate and inform our local community of how to --
24 we respond to outages, but as well as things they
25 can do to help themselves.

1 On the vegetation management, we have a
2 two-and-a-half-year cycle, and we do all on
3 two-and-a-half years. So mainline feeders,
4 laterals and even service drops we do on
5 two-and-a-half year cycle. Our community is very
6 tree-friendly and they like trees, so we try to do
7 a better job at trimming the trees on a more
8 routine basis so it's less -- it's less disruptive
9 to the residents.

10 Last year, in 2021, we maintained 1,200 miles
11 of overhead transmission distribution. On the
12 transmission side, we inspect our transmission
13 right-of-ways two times a year by mowing them. We
14 have approximately 740 miles of transmission, and
15 we maintain these twice a year. All this is also
16 to ensure that we're compliant with the NERC
17 standard. Fact three is very important for NERC
18 reliability standard, and we're very -- we take it
19 very seriously, and this is a way to help make sure
20 that we comply with that standard.

21 On our 2021 results over a five-year period,
22 as you can see on the slide, our vegetation-related
23 outages decreased by 22 percent. It's a very
24 concentrated effort. Some of that, I must say, is
25 due to two storms coming through, knocking a bunch

1 of stuff down that's no longer there. So it's not
2 all based on what we did. Some of it is related to
3 the storm, knocking it down. It did increase --
4 improve our numbers.

5 For our pole inspections, we have
6 approximately 180,000 wood poles, do it on an
7 eight-year cycle. We have a tool called a
8 Resistograph that we'll use at the base of the pole
9 that will actually tell you the integrity of the
10 pole. As it drills in, it will give a graph to
11 show you if it's very hard to drill in or very
12 easy. Very easy just means there's rot inside the
13 pole. It helps us prioritize when we replace that
14 pole, if it indicates that it's not fully
15 integrity. So that helps us prioritize and
16 schedule pole replacements as we inspect our poles.

17 On the transmission side, we have almost 6,000
18 transmission structures of all types, wood, steel,
19 concrete. We inspect those every five years,
20 however, there's a couple that are more critical to
21 our system and we put them on a two-year inspection
22 to ensure that we have the most possible
23 reliability of those to our system operations and
24 rely on those very important circuits.

25 Some of our lessons learned. We deployed

1 several times in the last few years to others.
2 That means that we will be happy to help anybody
3 else as long as we don't have to call in for us.
4 And, as part of that, we observed one of the
5 receiving mutual aid companies having a video along
6 with their information packs. We're doing the same
7 thing, because that gives a very consistent message
8 on what to expect while you're on our system, a lot
9 hazards to look out for. Sometimes when you have
10 different people doing it, when different crews
11 come in, you may miss something that's -- it's very
12 important to have a very consistent message on it.
13 That's one of the improvements we made.

14 Also learned during some of our tabletop
15 exercises during gray sky, we tend to assign people
16 in blue -- from blue sky jobs in to gray sky jobs
17 to do things to support the restoration efforts,
18 sometimes multiple entities -- you know, find the
19 same people to do different things at the same
20 time. But we noticed that as a problem. We've
21 addressed that.

22 As I mentioned earlier, FEMA -- it's very
23 important for FEMA for us -- we had to submit
24 documentation get reimbursed -- it's very important
25 for us to ensure all of our field crews and all of

1 our personnel are well informed and early educated
2 on how to complete these forms, making sure that we
3 get the proper amount of reimbursement back to keep
4 the cost down for our costumers.

5 Customer communication is critical. That's
6 what we found out in Irma, and that's what
7 Restoration 123 was designed, is to help improve
8 that customer communication.

9 And Logistics is key. Any time we've had an
10 event, especially during Matthew and Irma,
11 logistics is just so important. Doesn't matter how
12 many crews you have, if you don't have material,
13 you don't have fuel, you don't have accommodations
14 to give the crews, to rest, it's just not going to
15 be successful. So we really, really focus on
16 logistics and support that group very well to
17 get -- ensure we have the support for our crew.

18 And that's it. Open to any questions you may
19 have.

20 CHAIRMAN FAY: Great. Thank you.

21 Commissioners, questions.

22 Commissioner Clark, you're recognized.

23 COMMISSIONER CLARK: Just a question regarding
24 your trimming cycle. You showed what you were able
25 to accomplish, but was that from changing the

1 cycle? Were you at a longer than
2 two-and-a-half-year cycle?

3 MR. ERIXTON: Used to be back in the 2000's,
4 before 2010, we were at a three-year cycle, but
5 went to two-and-a-half-year cycle to improve our --
6 we had a lot of vegetation-related outages. But a
7 two-and-a-half year cycle was an attempt to help
8 improve that and the numbers bear that out.

9 COMMISSIONER CLARK: It's an aggressive cycle,
10 but would you attribute the need to be on a
11 two-and-a-half-year cycle to your tree-friendly
12 community where you're not allowed to cut as much,
13 you're getting smaller amounts each time you're
14 having to go back and trim?

15 MR. ERIXTON: I would attribute it to
16 responding to our community's concerns and needs.

17 COMMISSIONER CLARK: Good answer. Thank you.

18 CHAIRMAN FAY: Great. Just a quick question
19 for you. It's more of a general question for
20 operationally. It looks like you're doing a lot in
21 this area. I know, on a federal level, there's a
22 lot of discussion about funds being distributed to
23 essentially harden or improve some of the critical
24 infrastructure in our country. A lot of times
25 those are directed through government agencies

1 and/or municipals. Is that something that may not
2 be available to the IOU's, but as a municipality,
3 are you able to go out and apply for some of that?
4 Are you involved in that process that, you know, as
5 it relates to storm hardening?

6 MR. ERIXTON: We have -- especially through
7 the infrastructure bill that came in the past, we
8 have acquired services from grant writers, and
9 we're going after some of those dollars. So we are
10 applying for some of those dollars to help improve
11 our system.

12 CHAIRMAN FAY: Okay. Great. And then just
13 you seem to be one of the only entities I've seen
14 that has created a micro site, essentially a
15 streamlined version of what you're trying to
16 communicate to the customers. Is there a reason
17 that you felt that was necessary, as maybe it
18 relates to our senior population, or why you would
19 create something like that?

20 MR. ERIXTON: Not necessarily to the senior
21 population, just to help inform our customers and
22 community to help them deal with storms and to help
23 them understand what we do. It's really just about
24 reaching out to the customer and trying to be more
25 engaged with our customers.

1 CHAIRMAN FAY: Great. Thank you for your
2 presentation. Ms. Buys, did he answer your
3 question? Great. Thank you.

4 With that, Commissioners, last, but definitely
5 not least, Mike Grice, the Director of Engineering
6 from Talquin Electric Cooperative, you're
7 recognized.

8 MR. GRICE: Thank you. First off, just to
9 give you an understanding of where we're at, we
10 serve electric water and wastewater services to the
11 four-county service territory including Gadsden,
12 the capital county here in Leon, Liberty and
13 Wakulla. There's a few brief stats. I know you
14 can see them, but we serve just over 2,700 miles of
15 distribution overhead and then 500 underground.
16 And then, of course, the other numbers you can see
17 as well.

18 We are a member of FECA, the Florida Electric
19 Cooperative Association. So we while we're nestled
20 away here in the Big Bend area, the FECA network
21 extends from Panhandle Florida down into Peninsula
22 Florida.

23 Our vegetation management approach is we're on
24 a five-year trim cycle, and we currently employ our
25 ACRT, which is a contract planner, they help

1 support our small in-house staff to identify our --
2 the tree-cutting needs throughout the cooperative
3 and prepare the contract crews to go out and cut
4 the planned routes. We currently employ a
5 three-tiered approach to our vegetation management.
6 Once the planning is complete, we send out the
7 lowest-cost approach, which is our mechanical,
8 cutters. From there we move into hand-cutting
9 anything that we cannot reach with mechanical
10 cutting. And then we follow up that -- follow that
11 up with a spring crew that helps mitigate future
12 issues and helps us maintain the right-of-way that
13 we have acquired.

14 We also maintain a hotspot -- we maintain
15 multiple hotspot crews that help manage identified
16 trouble trees that may be outside of the
17 right-of-way, or that may have appeared between
18 trim cycles, to manage those as they arise.

19 The contractors that we use, both the hand-cut
20 and mechanical have a national presence, which is
21 key to storm response that helps us be able to pull
22 and leverage that resource pool and bring them to
23 our area when needed during storms.

24 Our system inspection cycle, we're on an
25 eight-year inspection cycle. We use a contract

1 crew for that purpose, as well. And when those
2 contractors go on site, they inspect everything
3 from below ground to above ground. So they're
4 looking at everything from ground decay below
5 ground to the pole condition above ground. They're
6 drilling and boring, identified pole -- or certain
7 criteria of poles to ensure that they're sound, and
8 they're also looking at our hardware and our wire
9 or code violations, deterioration that may make
10 them more susceptible to storm damage.

11 Our system design currently is anything that
12 we can put underground in new subdivisions, we are
13 installing underground. We're also installing our
14 new services underground, as well. We've found
15 from previous storms that these help us focus on
16 our larger areas of the storm response triage and
17 allows us to keep our attention focused on larger
18 restoration areas, and it also helps the members in
19 their storm response, as well, because it minimizes
20 damage that may arise from trees falling on
21 secondary service wires, which can cause damage to
22 their homes and their own equipment.

23 We focus on installing all of our primary
24 distribution lines in a narrow profile
25 configuration, which obviously helps mitigate trees

1 falling on the lines and damage when it does fall
2 on the lines. Most of our system out of our 23
3 substations, 21 of those have been converted to 25
4 kV. That helps us both have redundancy of feeds,
5 and it helps us get the lines back from different
6 feeds, it helps them get on a little bit quicker
7 during the restoration process, which is the next
8 bullet point is we design our lines for redundant
9 feeds to have capacity to feed members from
10 multiple directions, and it gets us more bang for
11 our buck from our substation feeds.

12 During the course of new line construction, we
13 also add additional switches, which allows us to
14 quickly isolate lines and manually divert paths of
15 feeds from one substation to another.

16 Another thing we work on with our system
17 design, which isn't bulleted here, is the material.
18 We try to make sure we have redundant material and
19 vendors assigned for our construction needs, which
20 helps tremendously with the current supply stream
21 constraints -- supply chain constraints we're
22 seeing right now.

23 Our planning efforts, we have -- we haven't --
24 we maintain and continually update our ERP, our
25 emergency response plan. We also have a annual

1 storm drill that we have recently completed. That
2 involves the -- that involves all departments and
3 every employee. Each employee within the
4 cooperative is assigned a role within the emergency
5 response plan that -- during storm mode, they
6 report to different channels, and all employees are
7 focused on the expedient restoration of service to
8 our membership.

9 We also work with our statewide association
10 for hurricane planning workshops in order to try to
11 improve our planning throughout the state and
12 ensure that our network is as strong as possible.

13 We also have a presence with our EOC in the --
14 with the county EOC in each of the four counties.
15 We continually work with them in workshops and on
16 phone calls to make sure that we are all on the
17 same page, and we're meeting their needs as well as
18 them to help support our needs during the
19 restoration process.

20 So our member communication strategy is
21 ultimately to provide as much information back to
22 the members as possible. Pre-storm, we try to help
23 the members understand what to expect, both from
24 recent experiences, as well as what we're seeing
25 from the prediction and models of the current storm

1 in the path so they can better prepare themselves
2 to meet the needs -- or to meet their needs
3 throughout the event. And then post-storm we try
4 to let them know as much as we can, as far as the
5 e-tour, getting their service restored, try to let
6 them know what to expect so that they can better
7 manage their needs throughout the course of the
8 restoration.

9 Our reactive efforts right now, we have a
10 really strong robust OMS system. We've proven that
11 through the course of Hurricane Michael. We rode
12 it out. It held up very well during Hurricane
13 Michael. We were able to maintain that system with
14 98 percent of our system being offline, and it
15 performed as expected. We have a contractor that
16 we use, or a consultant that supports that
17 restoration of the -- or the use of the OMS during
18 the course of the restoration. The consultant that
19 we use, they work in the background and then at
20 nights when we're at minimal staff to ensure that
21 the OMS is being updated and maintained correctly,
22 to help us expedite and focus on our true trouble
23 spots, and not the clutter that may be arrived at
24 from all the calls that may be coming in throughout
25 the outage.

1 We have a SCADA system that pairs with the
2 OMS. It's the same menu -- or the same vendor
3 provides our SCADA system that provides our OMS.
4 So we have strong integration between those two
5 systems that allows with keeping all the
6 information on the forefront and accuracy of the
7 systems. We have an AMI system that integrates
8 very well with the OMS. It populates outages and
9 helps us with our predictability of the OMS system
10 to ensure that it's maintained correctly. And then
11 we also have a system map that has an iOS app that
12 we're able to provide the system map to contractors
13 and mutual aid that arrive on the system, to
14 support the restoration effort, to give them a
15 little bit better picture of what our system looks
16 like, and improve the restoration process.

17 From a personnel standpoint, we have 20
18 in-house crews that we use along with a large
19 mutual aid network. We coordinate our mutual aid
20 network through our statewide organization, FECA.
21 They provide a regional support mechanism where
22 they coordinate the mutual aid networks of our
23 neighboring states and bring them in to help
24 support us. And then we also, in the inverse, we
25 help support the mutual aid efforts within both --

1 within Florida as well as outside of Florida. In
2 fact, we sent crews to support the restoration last
3 fall out in Louisiana.

4 Our construction contractor that we keep on
5 system, same as the vegetation management
6 contractor, they maintain a large national presence
7 so that we're able to leverage that during the
8 course of events and rely on them as being a
9 primary source of crews, as well, in addition to
10 the mutual aid crews that we bring on to the
11 system. As you can see, during Tropical Storm Fred
12 last fall, we had eight crews within a matter of 24
13 hours, most of those of arriving within a 12-hour
14 period.

15 And another thing we perform, during our
16 reactive efforts is we help stage employee --
17 cooperative employees at each one of our county
18 EOC's. So each one of the four counties has
19 Talquin employees co-located at their EOC to help
20 coordination between the cooperative and the county
21 personnel to try to minimize any communication
22 issues that may arise.

23 With that, I'll turn over the floor to
24 questions.

25 CHAIRMAN FAY: Great. Thank you, Mr. Grice.

1 Commissioner Clark, you're recognized.

2 COMMISSIONER CLARK: Thank you, Mr. Grice.

3 One of the things that we saw during Hurricane
4 Michael, and any catastrophic storm, was the amount
5 of crews that we were bringing in to work at the
6 different utility companies. Our ability to manage
7 those crews, we had more help than we had people to
8 direct those crews. Has there been any
9 consideration given to working on that problem, or
10 any -- I know that was kind of a new lesson learned
11 for us during that time period. But going forward,
12 you mentioned your iOS maps that you could give to
13 visiting crews. Anything else that's done from a
14 technology or a personnel perspective to help solve
15 that problem?

16 MR. GRICE: Sure. With our -- I would say one
17 thing we've done with personnel is ensured that we
18 have as many bird dogs -- in-house employees that
19 are familiar with our bird dog process as possible,
20 so that we're able to reassign those resources to
21 help with that crew management and get the -- be
22 able to take on as many crews from outside as
23 possible.

24 CHAIRMAN FAY: Commissioner La Rosa.

25 COMMISSIONER LA ROSA: Thank you, Chairman.

1 This is more of a comment than it is a question. I
2 just want to say thank you to Talquin. A few
3 months back, you guys allowed me to kind of, you
4 know, get my boots on the ground there with you
5 guys and see the operations firsthand, and a lot of
6 the stuff that you talked about today, I was able
7 to actually visualize, see and kind of put my hands
8 on and see what you guys do. So thank you for the
9 presentation. Certainly understand some of the
10 challenges that you guys have, like everyone does
11 in our state, but you guys uniquely with how
12 widespread you guys are. But thank you for the
13 detailed information that you've always
14 communicated back to our office back and forth.
15 Thank you, sir.

16 MR. GRICE: Thank you.

17 CHAIRMAN FAY: Great. Thank you. And I just
18 had a quick question for you. On slide six you
19 mentioned framing poles with narrow profile
20 construction. I think of the priority being, of
21 course, the validity of the poles during storms,
22 but is this -- can you explain the process to me, I
23 guess, what benefits?

24 MR. GRICE: So historically, many cooperatives
25 framed poles using cross-arm construction, which

1 creates what you could call a basket on the pole.
2 You would ultimately have an eight-foot-wide
3 wingspan. Currently, all of our construction
4 focuses on maintaining all of the conductors on one
5 side of the pole, which mitigates the risk of a
6 tree falling. It reduces the horizontal footprint
7 of the conductors.

8 CHAIRMAN FAY: Great. Thank you. Ms. Buys.

9 MS. BUYS: I'm good. Thank you.

10 CHAIRMAN FAY: Great. Okay. Commissioner
11 Passidomo, you're recognized.

12 COMMISSIONER PASSIDOMO: Thank you, Mr.
13 Chairman. So I'm just going to -- I might just
14 reiterate the question I had earlier. I mean,
15 super impressive with your -- the size of the
16 cooperative and all of these technologies that
17 you've incorporated. Do you have -- using those
18 outside -- these other, you know, the OMS system,
19 the advanced metering system and using these
20 outside vendors and stuff, how do you ensure that
21 they're, you know, having cyber security practices?
22 Because, unfortunately, we're seeing targets of
23 smaller, you know, cooperatives or
24 municipally-owned utilities. And so what are you
25 doing to mitigate those issues?

1 MR. GRICE: Definitely understand. We have a
2 very security-minded IT department that ensures
3 that any handshake or deliverables of IT
4 infrastructure, both coming into and outside of the
5 cooperative is strongly vetted. And we try to
6 maintain that, a DMZ environment or some system
7 such as that to ensure that there there's nothing
8 that can corrupt our data coming in or outside the
9 cooperative as much as possible.

10 CHAIRMAN FAY: Great. Thank you.

11 So with that, I think that will conclude our
12 workshop. I did just want to add, Commissioners,
13 as you know, our staff has put all these
14 presentations online, and so if you go to our
15 homepage we have a hot topics button, and so if the
16 public or anyone else wants to review these, they
17 will be made accessible on that website.

18 With that, we will conclude our Commission
19 Workshop for the 2022 Hurricane Season
20 Preparedness.

21 (Proceedings concluded.)

22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

STATE OF FLORIDA)
COUNTY OF LEON)

I, DANA W. REEVES, Professional Court
Reporter, do hereby certify that the foregoing
proceeding was heard at the time and place herein
stated.

IT IS FURTHER CERTIFIED that I
stenographically reported the said proceedings; that the
same has been transcribed under my direct supervision;
and that this transcript constitutes a true
transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative,
employee, attorney or counsel of any of the parties, nor
am I a relative or employee of any of the parties'
attorney or counsel connected with the action, nor am I
financially interested in the action.

DATED THIS 31st day of May, 2022.



DANA W. REEVES
NOTARY PUBLIC
COMMISSION #GG970595
EXPIRES MARCH 22, 2024