

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

DOCKET NO. UNDOCKETED

REVIEW OF TEN YEAR SITE
PLANS OF ELECTRIC UTILITIES.

_____ /

PROCEEDINGS: COMMISSION WORKSHOP

COMMISSIONERS
PARTICIPATING: CHAIRMAN ANDREW GILES FAY
COMMISSIONER ART GRAHAM
COMMISSIONER GARY CLARK
COMMISSIONER MIKE LA ROSA
COMMISSIONER GABRIELLA PASSIDOMO

DATE: Wednesday, June 1, 2022

TIME: Commenced: 1:30 p.m.
Concluded: 4:13 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: DEBRA R. KRICK
Court Reporter and
Notary Public in and for
the State of Florida at Large

PREMIER REPORTING
112 W. 5TH AVENUE
TALLAHASSEE, FLORIDA
(850) 894-0828

1	I N D E X	
2	PRESENTATIONS BY:	PAGE
3	Tampa Electric Presentation by Brent Caldwell	3
4		
5	Duke Energy Presentation by Ben Borsch	14
6	Florida Power & Light Presentations by Andrew Whitley & Jun Park	31
7		
8	Southern Alliance for Clean Energy & Vote Solar Presentation by James F. Wilson	83
9	Charles Rehwinkel, Office of Public Counsel	94
10	Robert Scheffel Wright	104
11	Kim Ross, ReThink Energy Florida	109
12	Bradley Marshall, Florida Rising & Environmental Confederation of Southwest Florida	121
13		
14	Natalia Brown, Catalyst Miami	115
15	Christian Wagley, Healthy Gulf	119
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 P R O C E E D I N G S

2 CHAIRMAN FAY: All right. Good afternoon,
3 everyone. If you could take your seats, we will
4 begin to the 2022 10-year site plan workshop.

5 Staff, would you please read the notice.

6 MR. IMIG: By notices issued on May 18th and
7 19th, 2022, this time and place have been set for a
8 workshop on the 10-year site plan. The purpose of
9 the workshop is more fully set out in the notice.

10 CHAIRMAN FAY: Great. Thank you.

11 Commissioners, just like we would in any
12 workshop, we will go through the participating
13 groups, and then we will allow for some public
14 testimony at the end. We have a few names that
15 have submitted to our office.

16 So he with that, we will get started. First
17 we have Tampa Electric, and I believe it's Mr.
18 Caldwell presenting.

19 MR. CALDWELL: Yes, sir.

20 CHAIRMAN FAY: Yes, you are recognized, Mr.
21 Caldwell.

22 MR. CALDWELL: Brent Caldwell, Director of
23 Resource Planning and Unit Commitment for Tampa
24 Electric Company. Thank you very much for letting
25 me talk to you about the 10-year site plan we filed

1 in April. And I particularly want to thank the
2 staff for putting together the presentation
3 template. That certainly makes it easier for us to
4 make sure we present the information that you want,
5 and in the format that you -- that you can best use
6 it.

7 I'll get started.

8 As we all know, the foundation of the 10-year
9 site plan is the customer forecast. We use
10 publicly available data from Moody's and from the
11 University of Florida, economic population
12 estimates, to generate our expected load growth.

13 Consistent with '21, the '22 load annual
14 average growth rates 1.4 percent for residential
15 0.6 for commercial, and about flat for industrial,
16 it is consistent with our 2021 10-year site plan.

17 Some of the other key factors that you look at
18 are summer peak demand in 2022 forecast to be a .7
19 percent annual average growth rate. Winter peak
20 slightly higher at .8 percent. And the net energy
21 for load .6 percent. Those are consistent with but
22 slightly lower than the annual average growth rates
23 in the 2021 10-year site plan load forecast.

24 There at the bottom, you will see the natural
25 gas annual average growth rate. It looks like a

1 huge change, 7.3 percent in '21, 1.2 percent in
2 '22. The real difference there is the starting
3 value. If you look at the long-term natural gas
4 fuel price forecast, they are very consistent
5 between '21 and '22. The difference is the first
6 year, \$2.28, per MMBtu for '21, 4.03 for '22
7 10-year site plan. And of course, as we are
8 probably all painfully aware, this summer we are
9 looking at about eight dollars for natural gas.
10 This summer and next winter.

11 When you put in your load forecast, and then
12 you identify the most cost-effective collection of
13 generation assets or demand-side management
14 opportunities to meet that growing load.

15 If you will take a quick look at the
16 comparison between '21 and '22. For the first
17 three years, you will see two things. The two
18 10-year site plans are very consistent in what's
19 known as our expansion, and that's because things
20 have been in flight, and are still in flight, to
21 improve our system.

22 The other thing you will notice, there are
23 also some negatives in there. We are transitioning
24 from three coal units, Big Bend Steam Turbine 1,
25 Big Bend Steam Turbine 2, Big Bend Steam Turbine 3.

1 All coal-fired units have served our customers
2 great for a number of years, but 2 and 3 are being
3 retired. In fact, 2 was retired last December 1st.
4 3 was retired in April of 2023. And then Big Bend
5 Steam Turbine 1 is part of our Big Bend
6 Modernization Combined Cycle.

7 Those two combustion turbines, Big Bend CTs 5
8 and 6, went commercial last December 1st. And the
9 eight recovery steam generators associated with
10 those combustion turbines, and then the refurbished
11 Big Bend Steam Turbine 1 are all getting married
12 together at the end of this year to complete the
13 Big Bend modernization.

14 So that's been going on for a number of years.
15 That mostly finishes toward the end of this year,
16 really end of April of '23 when the Big Bend
17 retires as well.

18 You will also notice a significant amount of
19 photovoltaic, about 300 megawatts per year in '21.
20 '22 is a little bit less than '23. All of that is
21 a transition into more solar voltaic generation for
22 Tampa Electric. It provides a natural hedge
23 against natural gas volatility. It provides a
24 reduction in carbon emissions, all of which
25 ultimately are good for customers.

1 When you look beyond '23, the 10-year site
2 plan gets a little boring. You will notice small
3 solar photovoltaic additions, 35 to 150 megawatts
4 per year; battery additions of about 50 megawatts
5 per year, and then some small recip engines,
6 reciprocating engines coming in in '25 and '28.

7 What that really means is all this work that
8 we've done in the last couple of years the Polk 2
9 Combined Cycle conversion, the Big Bend
10 Modernization Combined Cycle, we have really driven
11 down the heat rate or increased the efficiency of
12 our system with these excellent, you know, highly
13 efficient combined cycle units.

14 What we have going forward is a need for units
15 that are quick responding, and that are small to
16 account for the small amount of load growth that's
17 going forward. And that's where you see small
18 amounts of solar, small amounts of battery.

19 Any questions on that?

20 On this slide, this is looking at the
21 generation energy mix, the 2021 10-year site plan
22 versus the 2022 10-year site plan. And obviously
23 what jumps off the page in both 10-year site plans
24 a significant dependence on natural gas, looking at
25 roughly 80 percent of the energy on our system

1 generated from natural gas, both currently and in
2 the future in 2030.

3 You will see there is a growth in the solar
4 generation, but it roughly just keeps up with the
5 load growth. That's why you don't see a
6 significant drop really in the amount of natural
7 gas energy as a percentage.

8 Certainly, with the \$8 gas prices, we wish we
9 had a little more solar on the system today.

10 So what does this translate into reserve
11 margins? This is our summer reserve margin, which
12 has a significant amount of solar generation that
13 was put on the system. And really what drives
14 Tampa Electric's expansion plan is the winter peak.

15 So if we go to the next page, look at the 2021
16 versus the 2022 10-year site plan winter peak
17 reserve margin, you will see that in our 2022
18 10-year site plan, right there at the 22, 23
19 percent level of reserve margin, and it stays
20 there. Plus, we are just adding a small amount of,
21 you know, flexible generation to kind of cover load
22 growth over the next couple of years. You stay
23 right there in the 23 percent. No big chunks of
24 generation like the Big Bend mod or Polk combined
25 cycle.

1 So that covers the presentation. I will be
2 glad to answer any questions if there are some.

3 CHAIRMAN FAY: Great. Thank you, Mr. Caldwell
4 for the presentation.

5 I will start with Commissioners. Do we have
6 any questions for TECO?

7 Seeing none from the Commissioners. Staff,
8 any questions for TECO?

9 MS. HARLOW: Thank you, Chairman.

10 Hello, Mr. Caldwell, I am Judy Harlow with
11 staff. I just have a couple of questions about
12 your winter peak demand forecast.

13 So on your slide three, entitled Other
14 Forecast Values, you showed the Commission your
15 winter peak demand as well as your summer peak
16 demand. Can he tell me if that winter peak demand
17 model was derived using normal weather assumptions?

18 MR. CALDWELL: You pointed out a very good
19 thing to talk about. The 3,247 megawatts of winter
20 peak demand shown in that third slide is from the
21 2020-2021 actual winter peak. And if you go back
22 to our 10-year site plan, you have the 10 years of
23 history and the 10 years of forecast, you will see
24 that is the last year of actual. And of course,
25 it's kind of still, and that was a very mild

1 winter. The peak was only 3,247. If you look at
2 the following 10 years, such as 2022 projected,
3 which was the winter '22-'23 --

4 MS. HARLOW: Thank you.

5 MR. CALDWELL: -- you will see 4,246, which is
6 the normalized 31-degree winter peak projection,
7 and that's what the outer years are.

8 MS. HARLOW: Thank you.

9 So your winter peak projections are based on,
10 I will call it normal weather conditions, correct?

11 MR. CALDWELL: Yes.

12 MS. HARLOW: And my second question is: Did
13 TECO consider modifying its winter peak demand
14 forecast methodology to take into account an
15 extreme winter weather scenario, or due to the
16 impact of the 2021 winter conditions in Texas?

17 MR. CALDWELL: Tampa Electric certainly
18 recognizes the event that took place in Texas and
19 the whole midwest, the storm there, and how easily
20 it is for a utility to become complaisant if you
21 are not watching constantly for extremes.

22 And we -- back to the table you asked about.
23 You look at the past 10 years, peaks like 3,400,
24 it's been so mild for the last 10 years, it's very
25 easy to look at -- you will think that's the norm

1 and it's going to stay mild like that, and then a
2 January 2010, a January 2014, a January 2018, a
3 December 1989 event pops up, and you are not ready
4 for it.

5 Tampa Electric has took -- took the storm year
6 events very seriously. We have gone through our
7 units, we have gone through our plans, and we are
8 making sure we are ready for a cold weather event.

9 MS. HARLOW: Thank you, sir.

10 If you wouldn't mind, could you repeat how
11 much past data is used on weather in your demand
12 forecast methodology?

13 CHAIRMAN FAY: And, Mr. Caldwell, if I could,
14 just make sure you are speaking into the mic just
15 so our court reporter gets it. Thank you.

16 MR. CALDWELL: For the load forecast, the load
17 forecasting group who is the expert in that area,
18 they use 20 years of historic data as their
19 normalization for their winter and summer peak
20 values.

21 MS. HARLOW: Okay. And so over time, that's a
22 rolling 20 years, correct?

23 MR. CALDWELL: That is.

24 MS. HARLOW: Okay. Thank you very much, sir.

25 That's all I have. I believe engineering has

1 questions as well.

2 CHAIRMAN FAY: You are recognized.

3 MS. MALOY: Hello, Mr. Caldwell. Kerri Maloy
4 for engineering staff.

5 Referring again to slide three, could you
6 please explain the reason for the overall decreased
7 average annual growth rate percentages of the 2022
8 10-year site plan compared to the 2021?

9 MR. CALDWELL: I acknowledge that they are
10 lower, and that is coming purely from the load
11 forecasting group. That would indicate that the
12 population growth data that they feed the model
13 with, coming from the University of Florida and
14 from Moody's, is potentially lower this year versus
15 last year. Potentially COVID related.

16 Also, I think it reflects an expectation of an
17 increased efficiency, increased conservation that
18 will bring electric demand growth down as well.

19 MS. MALOY: Thank you.

20 As you know, NERC is evaluating several issues
21 related to the 2021 Texas cold weather event. Can
22 you indicate whether or not NERC required a change
23 in cold weather planning assumptions following this
24 event?

25 MR. CALDWELL: We do not expect to have to

1 change any planning criteria as the result of the
2 NERC, or FERC, or FRCC analyses associated with the
3 storm year. That doesn't mean we haven't looked at
4 a number of different scenarios. And then
5 certainly, we test basically 20 percent reserve
6 margin sufficient for a cold event such as January
7 of 2010? Is it sufficient for expected outages
8 from our units.

9 But, you know, we certainly are adopting new
10 requirements on our plants to make sure they are
11 ready to run if it should be cold, or ready to run
12 should it be particularly hot in the summer, or a
13 hurricane. But in terms of planning criteria, we
14 believe we are in a pretty good position.

15 MS. MALOY: Thank you.

16 Can you verify that overall, the planning
17 assumptions included in your 2022 10-year site plan
18 do not vary much from these -- from those included
19 in the 2021 10-year site plan?

20 MR. CALDWELL: Yes, I can.

21 MS. MALOY: Thank you.

22 That's all the questions.

23 CHAIRMAN FAY: Great. Thank you so much.

24 With that, we will move on to Duke's
25 presentation. Mr. Borsch, you are recognized.

1 MR. BORSCH: Thank you.

2 CHAIRMAN FAY: Make sure your light is on
3 there.

4 MR. BORSCH: There we go. How is that? Much
5 better.

6 Thank you, and thank you for the opportunity
7 to talk about our 10-year site plan. The 10-year
8 site plan, ours, this year, as it always does,
9 provides the electric generation additions and
10 retirements that we have selected to, you know,
11 meet the particular resource needs for this -- in
12 this case, from 2022 through 2031, and similar to
13 what Mr. Caldwell said, you know, we use a standard
14 set of assumptions that underlie that forecast.

15 And beginning, again, with the customer
16 forecast, we use the same underlying data that Mr.
17 Caldwell mentioned, from Moody's and from the
18 University of Florida.

19 As has been the case over the last, you know,
20 10 years, what we continue to see is a fairly
21 steady onward -- upward trajectory in the number of
22 residential customers and a kind of accompanying
23 slightly smaller growth in commercial customers;
24 and, you know, basically a flat to very slightly
25 negative trajectory in our industrial customer

1 count.

2 So then on these other forecast values, we
3 modified the slide slightly -- sorry about that,
4 staff -- but to -- because we felt like it was
5 important to see not only the actual values, but
6 also the starting forecast values. And as you can
7 see in the summer values, those are not too
8 different.

9 In the winter values, there is substantially
10 larger number in our first year winter projection
11 compared to the actual. And as Mr. Caldwell
12 pointed out, the last several years have been very
13 mild from a winter standpoint. So we have
14 continued to project a starting winter point that
15 is -- reflects what we consider to be a normal cold
16 winter, which is colder than certainly any of the
17 winters we've had since 2010.

18 So that gives you the fact so you can see, you
19 know, broadly across our projections that we have a
20 general kind of softening of our expected load
21 growth going forward. Some of that has to do with
22 projections of maybe slightly less economic growth.
23 I mean, we continue to see healthy customer growth,
24 but economic activity is projected to soften
25 slightly in the next few years.

1 In addition to that, we continue to see the
2 ongoing trend of additional energy efficiency
3 reduced use per customer, which is driven, again,
4 partly by energy efficiency and also by a certain
5 amount of customer owned mostly rooftop solar
6 generation.

7 And finally, I think, you know, the same
8 trends that were mentioned in the natural gas, our
9 long-term natural gas forecast is somewhat higher
10 if you compare 2030 to 2030 than it was a year ago,
11 because we see a higher demand offshore on
12 liquified natural gas propping up the price, you
13 know, 10 years out. But it is actually negative
14 from now until then because of the high current
15 price of natural gas.

16 So on the resource plan, in the next few
17 years, our resource plan shows primarily the
18 completion of our solar generation additions
19 associated with the SoBRA and CEC approved
20 programs, and as well as the beginning of the
21 roll-off of some contracts that we have had for a
22 number of years, which are mostly no longer in the
23 market. So we've -- there is a general trend of
24 contract endings along with, you know, construction
25 of solar facilities.

1 In addition to that, we have -- we are working
2 on a -- what's actually a transmission project that
3 will bring us the full capacity of our Osprey
4 combined cycle facility in the year future.

5 As you see then in the 2025 through 2028
6 period, the trend is very much the same. We are
7 committed to an ongoing growth in the solar
8 generation, and so there is a steady growth. Our
9 10-year site plan represents an additional 300
10 megawatts nameplate per year of solar throughout
11 this period. That is reflected in slightly lower
12 numbers when you talk about firm megawatts, but
13 there is a, you know, it's a steady addition of
14 solar, and you will see that reflected in the
15 energy trends when we get to that slide.

16 And that is offset, again by the roll-off of
17 some expiring contracts, and the opportunity that
18 we are going to have over the next few years to
19 retire a number of older and less efficient simple
20 cycle combustion turbines.

21 As we get to the end of the period, the
22 overall pattern continues. We do see the need for
23 some addition of reliability units. As we have
24 added a large amount of solar on the system, we
25 recognize the need for additional balancing of the

1 system to reflect the intermittency of the solar
2 behavior, so we have a peaker projected in 2029, as
3 well as some solar paired with storage in
4 throughout the '29 through '30 period, through '31.

5 Finally, the energy generation slides, and
6 these are not terribly different from the way they
7 were last year. You do see the uptick in the
8 renewables, because our 2022 site plan calls for
9 more solar than it did in the previous plan. You
10 see a reduction in the expected coal generation,
11 which is driven partly by its replacement with
12 solar energy, and also partly by change in the
13 expected relative prices of natural gas and coal
14 going forward.

15 Finally, the reserve margins, very much the
16 same trend as we have seen for the last several
17 years. Our reserve margin is fairly high
18 currently, and we expect, in spite of the addition
19 of the solar generation, to allow that to move sort
20 of generally back towards the 20 percent mark,
21 probably a little bit above that, but maintaining,
22 you know, a good reserve margin. We are still
23 planning for the summer. Although, as you will see
24 when we get to the winter, there is a good balance.
25 But the trend is downward as we have generation

1 rolling off from expiring expensive contracts
2 through the middle of the decade.

3 And then finally, on the winter side. Again,
4 the trend is very much the same. We have a higher
5 amount of reserve generation at the moment, and it
6 trends back down as we planned, not perhaps to the
7 20 percent, about but towards it in the latter part
8 of the decade.

9 So that is our plan in a nutshell, and I am
10 happy to take questions.

11 CHAIRMAN FAY: All right. Great. Thank you.

12 Commissioners -- commissioner Clark, you are
13 recognized.

14 COMMISSIONER CLARK: Just thank you for your
15 presentation. A quick question regarding the
16 proposed installation of solar.

17 When you show that you are adding 100
18 megawatts of solar, how much of that do you
19 actually count toward your firm capacity?

20 MR. BORSCH: That depends on the penetration
21 of the amount of solar that we have on the system.
22 So today, we have evaluated the solar, and we are
23 counting 57 percent of the nameplate value of the
24 solar towards our firm reserves. As we go forward
25 in time, that decreases, because as we build more

1 solar on the system, the amount that we count
2 towards the net is essentially based on the amount
3 of, you know, gas-fired or fuel-fired generation
4 that we are pushing back on.

5 So as we get on towards the latter part of the
6 decade, what we see happening is that that net peak
7 starts pushing later in the evening, so, you know
8 -- and we do a statistical average across summer
9 peak hours. So we are not necessarily targeting
10 the single peak hour.

11 But on average, what begins to happen is that
12 that peak starts to push out past five o'clock
13 towards 6:00, 6:30, and so on. And as that
14 happens, the net capacity of the solar decreases.
15 So in the end part of the decade, we go down
16 towards 25 percent, and even dip a little bit below
17 that at the end.

18 COMMISSIONER CLARK: And how much would you be
19 contributing toward your -- of that capacity, solar
20 capacity, would you contributing toward your winter
21 reserve margins?

22 MR. BORSCH: For the time being, we have
23 conservatively assumed that none is contributed to
24 the winter reserve margin. Our historical peak
25 hour in the wintertime is between 7:00 and 8:00

1 a.m. And there is a very small, you know, sub five
2 percent contribution at that hour, but for
3 conservative purposes, we have assumed that was
4 zero.

5 COMMISSIONER CLARK: So you are adding no --
6 no solar capacity is counted toward your winter
7 reserve, or toward your winter peak?

8 MR. BORSCH: That's correct.

9 COMMISSIONER CLARK: Thank you, Mr. Chairman.

10 CHAIRMAN FAY: A quick question for you on
11 slide nine. So I know we are looking forward here,
12 but on the 2021 calculation for the winter reserve,
13 you have a total of 58 percent of peak. Can you
14 just explain that?

15 MR. BORSCH: I am trying to remember now if
16 that's an actual number.

17 Yeah -- well, I mean, in essence, we had a lot
18 of -- yeah, I believe that's calculated, because of
19 the timing of when these were put together, that's
20 calculated on an actual value. So it's be
21 abnormally high based on the fact that it was based
22 on the actual mild winter value as opposed to the
23 projected value. If it had been on the projected
24 value, you would have gotten a number that was more
25 in line with those mid-30s values.

1 CHAIRMAN FAY: Okay. And I am -- to your
2 point, I am presuming it's actual data based on
3 what the previous 10-year site plan projections
4 were?

5 MR. BORSCH: I would have to double check
6 that. I believe that's actually a value that's
7 calculated on the actual winter of 2020 and '21.

8 CHAIRMAN FAY: Okay. Great. Thanks.
9 Commissioner Graham, you are recognized.

10 COMMISSIONER GRAHAM: Thank you, Mr. Chairman.
11 I'm trying to find out if I'm reading this
12 correctly. On page three, you guys are
13 traditionally a summer peak utility, is that
14 correct?

15 MR. BORSCH: We are.

16 CHAIRMAN FAY: And so you are saying that you
17 are going to a winter peak in 2022?

18 MR. BORSCH: No. No, we are not.

19 The reason that it looks like that -- so let
20 me say that technically Duke Energy is, and has
21 been for many years, a winter peaking utility in
22 the sense that our winter peak is higher than our
23 summer peak. However, we are a summer planning
24 utility because our generating fleet has a
25 significantly higher capacity in the winter than it

1 does in the summer. So the peak that we are
2 planning against in terms of the reserve margin is
3 the summer.

4 COMMISSIONER GRAHAM: Okay.

5 MR. BORSCH: And that's because of the fact
6 that, you know, our fleet is very heavily dominated
7 by combustion turbines and combustion turbine
8 combined cycle. And those turbines generate a
9 greater capacity in cold weather than they do in
10 hot weather. So we have almost a thousand megawatt
11 increase in our capacity between the summer and the
12 winter.

13 COMMISSIONER GRAHAM: Now, looking on page
14 eight and nine in your reserve margins.

15 MR. BORSCH: Uh-huh.

16 COMMISSIONER GRAHAM: It seems like, and maybe
17 this goes right back to the question I just asked
18 you, some years your -- it seems like your reserve
19 margin is smaller than the summertime and some
20 years it's smaller than the wintertime.

21 MR. BORSCH: It's possible that there are a
22 few years where there is a little bit of wiggle
23 back and forth. You know, we are, as I said,
24 planning for the summer, and then, you know, always
25 checking to make sure that we are meeting the

1 reserve margin target in the winter. You know,
2 especially with the addition of the solar
3 generation, which, as I mentioned, is getting
4 capacity in the summertime but not in the winter,
5 there is a little bit of -- you know, the numbers
6 are very close together, let's just say that. So
7 there is, you know, an opportunity for them to go
8 back and forth. But we continue to plan for the
9 summer. We have not yet seen a situation where we
10 have to be a winter planning utility.

11 COMMISSIONER GRAHAM: Thank you.

12 CHAIRMAN FAY: Staff, you are recognized for
13 questions. Oh. I apologize, Commissioner La Rosa,
14 go ahead.

15 COMMISSIONER LA ROSA: Thank you, Chairman.
16 Sorry, I changed my mind --

17 CHAIRMAN FAY: That's okay --

18 COMMISSIONER LA ROSA: -- hearing all the
19 questions.

20 CHAIRMAN FAY: That's why we are here.

21 COMMISSIONER LA ROSA: Just a quick
22 clarification. I think it was on slide three,
23 talking about the winter peak demand, you mentioned
24 -- let's see, you had -- there has been a milder
25 winter, but colder than years before, is what you

1 guys are expecting, can you maybe clarify that a
2 little deeper?

3 MR. BORSCH: I guess -- so we use a 30-year
4 average to plan our peak, and it's actually a
5 statistically-based -- average isn't the right
6 word. Essentially we are creating a model of what
7 potential projected winters there could be based on
8 the past 30 years, and the normal weather that we
9 project is essentially a sort of a 50-50 projection
10 of what could be the peak of the winter weather.

11 So that 50-50 projection has, really for the
12 last decade, been above the actual winter weather,
13 you know, throughout that period because it's
14 weighted towards a number of other cold weather
15 periods that we've had in the past.

16 CHAIRMAN FAY: All right. With that, we will
17 move on to staff for questions. You are
18 recognized.

19 MS. HARLOW: Thank you, Mr. Chairman.

20 Good afternoon, Mr. Borsch.

21 MR. BORSCH: Good afternoon.

22 MS. HARLOW: Hi. I am Judy Harlow with staff.
23 I just have with quick because, frankly,
24 Commissioner La Rosa stole my question.

25 Turning again to slide three, you said that

1 your model was based on 30-year average weather to
2 plan for your peak, and because of that, you are
3 taking into account 30 years of weather. So as you
4 move from 10-year site plan to 10-year site plan,
5 that's a rolling 30 years, correct?

6 MR. BORSCH: Yes, it is.

7 MS. HARLOW: Yes. And thinking about that
8 model, and what happened recently in Texas, and the
9 fact that we've had severe weather in Florida as
10 well, for example in 1989, did your company
11 consider changing its winter peak demand forecast
12 methodology to account for those extreme weather
13 events?

14 MR. BORSCH: No, we did not. But I should say
15 that we do evaluate a high load scenario, which is
16 present in our plan each year. And of that high
17 load scenario is based on a combination of many
18 factors that could bias the load going forward to a
19 higher level. One of those is certainly weather.

20 So we choose a, what's essentially one
21 standard deviation above the median for our, you
22 know, extreme weather, both for summer and winter.
23 And then on top of that, we layer the idea of, you
24 know, higher than projected economic activity and
25 higher than projected customer growth, and we

1 evaluate that.

2 This year, we did look at some of the past
3 cold weather events, 2010, 20 -- 1989. We
4 determined that our high level forecast -- our high
5 load forecast was robust enough to cover those
6 conditions.

7 So we do not plan to change our planning
8 practice, but we do that practice with an eye to
9 what the outlying possibilities are.

10 MS. HARLOW: Thank you.

11 So you -- would it be correct that you could
12 think of that high load scenario that you just
13 discussed as a sensitivity analysis to test the
14 robustness of your traditional forecast model?

15 MR. BORSCH: Yes.

16 MS. HARLOW: Thank you.

17 That's all I have, and I will hand it offer to
18 engineering again.

19 CHAIRMAN FAY: Great. You are recognized.

20 MS. MALOY: Good afternoon, Mr. Borsch. Kerri
21 Maloy for Commission staff.

22 Referring again to slide three, can you please
23 explain the reason for the projected flat to
24 negative average annual growth rate in the summer
25 and winter peak demand, and net energy load for the

1 2022 10-year site plan?

2 MR. BORSCH: Yes. Principally, especially
3 where the peak demand is concerned, the flat
4 forecast is an artifact of the fact that we have a
5 number of wholesale contracts which are ending
6 during this 10-year period, and which we do not
7 currently project renewal on those contracts. It's
8 always possible that, you know, in the future
9 something will happen differently, but we don't
10 project ahead to renewal of those contracts.

11 So even though we do have some underlying
12 growth in our retail load, the overall trend is
13 flat.

14 MS. MALOY: Again on slide three, can you
15 please explain the reason for the negative average
16 annual growth rate percentage for the price of
17 natural gas for the 2022 10-year site plan?

18 MR. BORSCH: Yes. In essence, that negative
19 growth is caused by the fact that we have seen a
20 recent spike in the price of natural gas, you know,
21 for a variety of factors that are going on
22 economically today. We do not project that spike
23 persisting. We anticipate that over the next two
24 to three years we will see a return to, you know,
25 more or less the long-term normal price behavior of

1 natural gas that we have seen over, say, the last
2 10 years.

3 MS. MALOY: Is this forecast consistent with
4 the recent market movement given the unexpected
5 events, such as the invasion of Ukraine?

6 MR. BORSCH: Yes. I think that, you know, the
7 projection is essentially that. I mean, as Mr.
8 Caldwell mentioned, we are all buying spot gas
9 these days, so we are buying gas at something much
10 closer to \$8 today, and probably will for the
11 balance of this year. But, I mean, yes, the higher
12 number, the 5.28 that you see compared to the 3.37
13 that we had in last year's plan is entirely a
14 function of those factors.

15 MS. MALOY: As mentioned in the question for
16 TECO, we know the NERC serve evaluating several
17 issues relating to the 2021 Texas cold weather
18 event. Can you indicate whether or not NERC
19 required a change in cold weather planning
20 assumptions following the 2021 cold weather --
21 Texas cold weather event?

22 MR. BORSCH: We have evaluated the NERC, you
23 know, updates, and we do not believe that that will
24 require a change in our planning.

25 MS. MALOY: Does the utility conduct practice

1 runs with extreme weather plans to keep staff
2 trained and ready for these circumstances?

3 MR. BORSCH: We, we do. In fact, we changed
4 our practices several years ago following the polar
5 vortex of 2014 and '15. Our Duke Carolina
6 utilities were heavily impacted by those events,
7 and we had an enterprise wide change in practice to
8 include a complete review of all of our
9 weatherization plans for the units, as well as
10 semiannual summer and winter seasonal, you know,
11 peak behavior practices, which include, you know,
12 staff training, staff reviews of behavior and also,
13 you know, reviews of the equipment systems
14 themselves.

15 MS. MALOY: And can you verify that overall,
16 the planning assumption included in your 2022
17 10-year site plan do not vary much from those
18 included in your 2021 10-year site plan?

19 MR. BORSCH: Yes.

20 MS. MALOY: Thank you.

21 CHAIRMAN FAY: Great. Thank you.

22 With that, we will move on to the presentation
23 from FPL. I believe we have Andrew Whitley and Jun
24 Park. You are recognized to present.

25 MR. WHITLEY: Thank you, Mr. Chairman and

1 Commissioners. My name is Andrew Whitley. I am
2 the Manager of Integrated Resource Planning at FPL.
3 And here with me today is Jun Park, who is the
4 Manager of Load Forecast at FPL.

5 We are going to get into the slides that have
6 been kind of provided as a template by staff in a
7 bit. First, I want to provide just an overview of
8 some of the general occurrences in our site plan,
9 how they compare -- and how they compare to the
10 2021 site plan.

11 So in the executive summary of FPL's 2022 site
12 plan we actually provided four resource plans, only
13 two of which I am going to discussed to. Those are
14 our two official plans; the recommended plan, which
15 accounts for extreme winter planning; and a
16 business-as-usual plan that uses our typical P50
17 winter load. So in this slide, I lay out some of
18 the similarities that occur in both of these plans.

19 So both of the plans have the Dania Beach
20 Clean Energy Center coming in -- actually, as of
21 roughly 13 hours ago, it is in service. And both
22 of the plans also add the North Florida Resiliency
23 Connection line coming in later this month.

24 And in addition, both plans continue upgrades
25 on our existing combined cycle fleet to provide

1 summer capacity, as well as adding over 9,000
2 megawatts of nameplate solar over the 10-year
3 period. And all of those resource additions and
4 changes are consistent with the 2021 10-year site
5 plan.

6 In terms of unit retirements, FPL is planning
7 on retiring its position in all of its coal-fired
8 generation over the next 10 years. So that
9 includes Scherer 4, which was retired earlier this
10 year; the Dania 1 and 2 units in Mississippi; and
11 the Scherer 3 unit, which FPL is has a 25 percent
12 ownership in, in 2028 which is a new retirement
13 compared to the 2021 site plan.

14 The other major resource addition that's
15 occurring in both of our resource plans in the 2022
16 site plan is a significant amount of batteries;
17 over 3,000 in the recommended plan, and 1,800 in
18 the business-as-usual plan. And this is a large
19 departure from our 2021 site plan, which only added
20 700 megawatts of batteries up and above the roughly
21 470 megawatts that we added at the Manatee Clean
22 Energy Center.

23 And just for reference, the two other resource
24 plans that I am not discussing today were
25 informational only. Both of those detailed, in

1 effect, of what proposed federal renewable tax
2 credits would have on our resource plan going
3 forward.

4 Moving on to the next slide. This is just a
5 brief overview of our changes to prepare for
6 extreme winter. I will do a brief summary here,
7 and at the end, I will wrap up with kind of a more
8 detailed timeline of how FPL came about planning
9 for this and some of the input that went into it.

10 But FPL's recommended plan is planning to meet
11 a future extreme winter event. And this is based
12 on events that have actually occurred in Florida in
13 the past. So it's based on temperatures that
14 occurred in the December 1989 winter event, along
15 with a pattern of hourly loads based on the January
16 2010 winter event.

17 And so there are effectively two sets of
18 resources that are being added in the recommended
19 plan to deal with this extreme winter. One is
20 near-term additions, which are broken out up there.
21 Several units that are in retirement or previously
22 planned for retirement are going to be converted to
23 winter only operation. Meaning that they will be
24 idle throughout the year. In advance of a possible
25 winter event, they will be brought back on-line in

1 order to provide capacity for that event.

2 Another near-term event that FPL plans on
3 doing over the next several years is providing a
4 separate outbreak package to its existing combined
5 cycle units. And that will provide roughly 700
6 megawatts of winter only capacity.

7 Those near-term changes allow us to be
8 prepared to meet an extreme winter load through the
9 year 2026. As load grows, however, that -- the
10 projected load from an extreme winter event will
11 grow as well. So in order to meet that projected
12 extreme winter load past 2027, FPL will plan on
13 adding an additional 1,400 megawatts of additional
14 batteries from 2027 through 2031.

15 CHAIRMAN FAY: If you would just make sure you
16 speak in the mic. If you fail a little bit, she
17 will get us back in line. Thank you.

18 MR. WHITLEY: Okay. All right. And I am
19 going to turn this over to Mr. Park, as he is going
20 to cover the fundamentals of our load forecast.

21 MR. PARK: Good afternoon, Mr. Chairman,
22 Commissioners. My name is Jun Park, and I am the
23 Manager of Load Forecasting for FPL.

24 In this slide, though, we see the residential,
25 commercial and industrial customer forecast and the

1 associated growth rates from the 2021 and 2022
2 10-year site plans. The current site plan projects
3 residential and commercial customers to grow at an
4 average rate of 1.2 percent per year over the
5 forecast horizon. There is very little change from
6 the prior forecast.

7 Looking at the industrial customer forecast,
8 there is a decline, and that decline is driven by
9 temporary service poles, or TSPs. TSPs are
10 temporary installations that are used commonly for
11 construction, and the current high level of housing
12 construction is what's driving that. As housing
13 construction returns to more normal levels, the
14 customer count for industrial will decrease by
15 2031.

16 And in this next slide, we see the values for
17 the first forecast year for summer peak, winter
18 peak and net energy for load for both the current
19 business-as-usual plan as well as the prior 10-year
20 site plan.

21 As with customers, the forecast for summer
22 peak, winter peak and net energy for load are very
23 similar. The slight decrease in the summer peak
24 demand growth rate is due to lower wholesale peak
25 demand, which is slightly offset by a somewhat

1 higher commercial -- excuse me, retail customer.
2 And -- there was a lag there.

3 In this next slide, this is similar to the
4 prior slide, but this shows the business-as-usual
5 plan and the recommended plan from the current
6 10-year site plan.

7 The recommended plan reflects the impacts of
8 December 1989 actual weather conditions on the
9 winter peak demand, as well as net energy for load.
10 The winter peak for the recommended plan was
11 developed by taking the business-as-usual P50
12 winter peak and then adjusting it for the impacts
13 of the actual conditions that were experienced in
14 December of 1989.

15 In FPL's business-as-usual plan, a high system
16 peak occurs in summer, while in the recommended
17 plan, the high system peak occurs in the winter.
18 The winter peak in the recommended plan is 4,800
19 megawatts, or 19 percent higher than the summer
20 plan.

21 When spread across FPL's total customer base
22 of nearly 5.8 million customers, the 4,800 megawatt
23 increase represents an increase of 0.8 kW per
24 customer. And for reference, a coffee maker uses
25 0.8 to 1.2 kW, and a typical residential electric

1 heating system, which is in over 90 percent of
2 FPL's residential premises, uses between five and
3 10 kW.

4 The winter peak demand was developed by taking
5 the business-as-usual P50 case, and then we
6 adjusted that to reflect the impacts of the actual
7 weather conditions that occurred in December of
8 1989. The adjustment was developed using models
9 that specifically focused on the ways in which
10 FPL's peak demands respond to cold weather.

11 MR. WHITLEY: Okay. Before we leave this
12 slide, I do want to just cover the natural gas
13 forecast. I know there was a question for Mr.
14 Borsch earlier similar to this that details if
15 there is a negative annual growth rate on natural
16 gas. And the answer for that would be similar to
17 the answer Mr. Borsch provided.

18 We do anticipate -- or we have been seeing
19 some recent short-term volatility in the natural
20 gas market and an increase in price. We do
21 anticipate that that will slowly subside over time,
22 and that results in that negative 1.8 percent that
23 you see on the slide up there.

24 Okay. So moving through to our resource
25 additions year by year, I will cover some of the

1 major highlights that we anticipate in each of
2 these time periods.

3 For the next several years, there is
4 consistent amount of solar additions being added
5 here. All these numbers here are firm summer
6 megawatts from solar.

7 In 2022, you can see a large spike in combined
8 cycle addition. That is from the Dania Beach Clean
9 Energy Center.

10 And in terms of retirements here, you see two
11 out of the three retirements I mentioned earlier,
12 with the Scherer retirement in '22 and the Dania
13 retirement in '24. And in '23, you see a
14 expiration of one of FPL's purchase power
15 agreements with a power plant in Alabama, which is
16 the retirement value there.

17 So going forward to the next time period, 2025
18 through 2028, again, there is a consistent amount
19 of solar being added. As well you can see a
20 combined cycle increases in megawatts due to the
21 summer megawatt upgrade packages that have been
22 identified earlier.

23 And starting in 2027, in the recommended plan,
24 you can see that there is additional firm summer
25 capacity being added from those additional

1 batteries that I mentioned earlier. These
2 batteries don't operate just in the winter. They
3 provide value throughout the year for our
4 customers, and you can see that here, and that they
5 provide peak summer capacity as well.

6 And finally, for the final time period, in
7 2029 through 2031, you can again see continued
8 additions of PV, along with the additions of the
9 batteries, both in the recommended plan, as I
10 mentioned. And you do start to see batteries come
11 into play in the business-as-usual plan as well
12 going forward.

13 So moving forward to the energy generation
14 mix, the fuel mix for all of our plans, you can see
15 a very common pattern between the 2021 10-year site
16 plan, and in this case, both of our plans, both the
17 recommended and business-as-usual plans, have a
18 very similar projection of fuel mix going forward.

19 We don't anticipate that there will be, you
20 know, there won't be an extreme winter event every
21 year, so the general generation year by year for
22 both of those plans is very similar. So you can
23 see the decrease in natural gas generation made up
24 for by an increase in solar generation in 2031.

25 And so looking at summer reserve margins,

1 again, the 2021 site plan and the 2022
2 business-as-usual plan show a very similar pattern
3 in terms of summer reserves. Starting out in the
4 mid-20 percent range and going down to the 20
5 percent target as you add solar year to year to
6 keep that summer reserve margin at the 20 percent
7 level.

8 You can see in the recommended plan, the
9 effects of what I mentioned earlier. The batteries
10 that are being added in that time period continue
11 to provide summer capacity in the 2027 through 2031
12 time period as well.

13 Now, moving to the winter reserve margins, you
14 do see some interesting results obviously for our
15 recommended plan. But focusing on the 2021 and the
16 2022 business-as-usual plan, you again see a very
17 similar trend. Winter reserve margins start out
18 high, in the 40 percent range. We do show a
19 declining trend going forward, which kind of leads
20 into our planning for winter events going forward.

21 In the recommended plan itself, you can see
22 that the -- you are well under the 20 percent
23 reserve margin target, and that's because to -- in
24 the planning for our recommended plan to meet
25 extreme winters events, we, at FPL, plan on meeting

1 the extreme winter load exactly. So you can see in
2 those later years, where we are at zero percent, we
3 are essentially meeting that peak load to the
4 megawatt, and are able to serve all our customers
5 in an extreme winter event.

6 And that concludes the slides that I've been
7 going through. And I just want to kind of, as we
8 are discussing the recommended plan, just provide a
9 summary of how FPL got there. I'm sure there is a
10 lot of interest and a lot of questions in there, so
11 I will start it.

12 Obviously, as we have heard referenced a
13 couple of times here, after the 2021 winter event
14 in Texas in ERCOT. That precipitated kind of a
15 massive examination at FPL of, you know, its winter
16 planning processes and what it can do going
17 forward.

18 So FPL began looking at several difference
19 scenarios. One of which was a scenario similar to
20 what it was experienced in Texas, and that it was
21 10 degrees colder than anything Florida has looked
22 at before. Ultimately, that would have required a
23 massive amount of resources, and so FPL decided to
24 focus on events that have occurred in Florida in
25 the past. So namely the December 1989 event that

1 I've referenced, and the January 2010 event. Both
2 of which were very cold events in Florida.

3 For some reference, the 2010, the actual load
4 was roughly 30 percent higher than the P50 forecast
5 that we had put together in advance of that event.
6 And that equated to roughly 4,800 megawatts of
7 additional load during that 2010 event.

8 For the 1989 event, that was a more extreme
9 event than the 2010 event. Temperatures were about
10 five degrees colder in Miami during that event.
11 It's difficult to say exactly what the load impact
12 was on of that event because -- because of that
13 extreme load, FPL had to rotate feeders, and
14 therefore, was not able to get accurate estimates
15 of the load, or the hourly load pattern.

16 So in the process of evaluating this extreme
17 winter event, FPL used its 2021 resource plan, and
18 compared it to an event of 1989 winter event
19 occurring in Florida in the future. And when we
20 looked at that, FPL determined that it would not be
21 able to serve all of its load with its 2021
22 resource plan.

23 So based on this determination, FPL began a
24 number of actions going forward to mitigate and
25 plan for this event. Part of which are enhanced

1 winterization on both its nuclear and fossil units,
2 preparing those to operate in temperatures even
3 colder than those in the 1989 events.

4 And two of the other events were the near-term
5 resource additions that I brought up earlier, which
6 is retaining some units that were going to be
7 planned for retirement as winter only events, and
8 upgrading our existing combined cycle fleet to
9 provide roughly 700 megawatts of additional
10 capacity in the near-term.

11 And both of those events, when looking at an
12 extreme 1989-like winter event, both of those
13 events led to FPL being able to meet its load
14 through the year 2026. But as I mentioned earlier,
15 with continued load growth, that load would
16 continue to grow, and continue to be more extreme,
17 and therefore, in starting in 2027, FPL needed to
18 add additional resources. In this case the
19 recommended plan adds batteries to meet that
20 capacity going forward, other than, say, new
21 gas-fired power plants.

22 And part of the advantage -- I alluded to this
23 earlier -- is that the batteries aren't just for
24 winter load. They provide, again, summer capacity.
25 They provide usage throughout the year, and they

1 provide the ability to help with the curtailment of
2 solar. And given the resource mix, where FPL is
3 continually adding solar throughout the 10-year
4 period, it's likely we would have to install
5 batteries in order to help kind of mitigate some of
6 that curtailment and some of the issues that come
7 along with adding solar as well.

8 So for a lot of cases, these batteries would
9 merely be accelerated forward from a later
10 timeframe. And because those batteries do
11 generally have a three-year lead time, and they are
12 not being added until 2027, a final decision on
13 whether or not those batteries would be needed
14 would not be needed until 2024.

15 So for the script to kind of provide an
16 overview of what FPL is looking for is, you know,
17 to -- for the Commission to, you know, find the
18 recommended plan suitable for planning, which will
19 allow us to go forward with our plans to kind of
20 plan for events that have happened in Florida in
21 the past, that have led to extreme winter
22 temperatures. And to mitigate that, again, we
23 would plan on bringing back our units from planned
24 retirement to become winter only units, adding
25 capacity to our existing units, and then as those

1 units and capacity additions would come on-line, we
2 would then determine the prudence and the cost of
3 those units in the future filings.

4 So that's the conclusion of my presentation.
5 I will be happy to answer any questions and thank
6 you for your time.

7 CHAIRMAN FAY: Great. Thank you.

8 And I guess, if Mr. Park is a better question
9 to answer a question, feel free to respond
10 appropriately.

11 Commissioner Clark, you are recognized.

12 COMMISSIONER CLARK: Thank you, Mr. Chairman.

13 I have several questions. I appreciate FPL's
14 considerations for what I consider a possible
15 scenario in terms of a severe winter event, and how
16 that's going to affect the system. I have several
17 questions. First let me hit a couple of key ones.

18 You show, on page seven, the installation of
19 190 megawatts of solar toward firm capacity. My
20 question is how much nameplate solar is that?

21 MR. WHITLEY: I would have to double check.
22 If you want, I can look up in our executive
23 summary.

24 COMMISSIONER CLARK: Did you consider -- are
25 you still using a 51 percent rating? That was your

1 last answer, I think, when --

2 MR. WHITLEY: Yeah, it varies based on what
3 your load is and how much solar penetration you
4 have on the system.

5 COMMISSIONER CLARK: But for planning
6 purposes, you ran it through a model, and you have
7 a nameplate capacity and a firm capacity rating,
8 roughly 50 percent?

9 MR. WHITLEY: It starts out around 50 percent.
10 As you add more, it declines going forward.

11 COMMISSIONER CLARK: Okay. You have talked a
12 lot about batteries today, and when they begin to
13 come into play in the proposal for, I believe
14 installation of batteries begin in 2027. Are the
15 batteries you are talking about -- and you did just
16 add a minute ago that you had a three-way lead
17 time -- a three-way -- a three-year lead time on
18 these batteries. Are these batteries in commercial
19 production today? Could you order one and have --
20 I mean, is there one we could go look at and see
21 how it is performs and operates during one of these
22 extreme events?

23 MR. WHITLEY: Well, our Manatee Clean Energy
24 Center, the 409-megawatt battery is in operation
25 today. And part of the reason for locating that at

1 Manatee was to address regional winter concerns in
2 that area.

3 COMMISSIONER CLARK: And how has it performed
4 during an extreme event?

5 MR. WHITLEY: I don't know the operational
6 considerations of it. I do know that it has been
7 tested in terms of its operation. And I believe it
8 was -- in the coldest temperatures we had in
9 January it was, you know, utilized then, but I
10 don't know exactly how -- how it operated during
11 those events.

12 COMMISSIONER CLARK: That's my concern. My
13 battery always dies when it gets cold, so that's my
14 biggest concern there.

15 Could you tell me what -- what drives FPL's
16 winter peak? What is -- if you had to identify one
17 single factor that drives the peak, what would that
18 be?

19 MR. PARK: One single factor, or the biggest
20 single factor would be electric space heating.

21 COMMISSIONER CLARK: Electric space heating.
22 And mostly electric resistance heating backed up in
23 heat pumps or straight electric resistance heat for
24 home heating.

25 MR. PARK: Yes. Correct.

1 COMMISSIONER CLARK: Okay. When you look at
2 extreme events, specifically I would -- my
3 assumption is that the primary part of your extreme
4 load would be driven by Miami, Ft. Lauderdale, that
5 geographic region right there. What temperatures
6 do you look at in terms of -- and you can convert
7 it to heating degree days if you needed today, but
8 are you saying that if we had five days of
9 30-degree temperature in Miami, that you would be
10 on an extreme -- extreme weather event?

11 MR. PARK: Yes.

12 COMMISSIONER CLARK: Okay.

13 MR. PARK: Because the way that we looked at
14 it was the 1989, December 1989 -- and I don't
15 recall the specifics of each of the individual
16 weather stations. Miami is one of the weather
17 stations we use, but the system average temperature
18 was 29 degrees.

19 COMMISSIONER CLARK: Was 29 degrees. And that
20 was for how many days?

21 MR. PARK: The 29 days was -- I believe it
22 reached 29 days for two mornings in a row. The
23 total event was, just off the top of my head, I
24 seem to recall it was two-and-a-half days.

25 COMMISSIONER CLARK: And I'm going to just

1 throw a very hypothetical question out there. If
2 you don't want to answer it, I won't insist on it,
3 but if you had a 29-degree event that lasted five
4 days in Miami, could the system handle it right
5 now?

6 MR. WHITLEY: Right now, I go back to the
7 answer looking at our 2021 resource plan, where we
8 looked at a 1989-like scenario, that would probably
9 be similar to that.

10 COMMISSIONER CLARK: But you said that would
11 have tapped it out.

12 MR. WHITLEY: That would have happened it out.

13 COMMISSIONER CLARK: And that was a three-day
14 event?

15 MR. WHITLEY: Yeah. I would have to -- to
16 know exactly what the load is to be able to kind of
17 determine what --

18 COMMISSIONER CLARK: Sure. And I am not
19 trying to trap -- trap you with a trick question.
20 I want a context for what we are saying is an
21 extreme weather event. We are talking about the
22 possibilities that, you know, things are getting --
23 the climate is getting worse, that it's getting
24 colder. So how unrealistic is it that we are going
25 to have four-day event in the southern part of

1 Florida that was 27, 28 degrees?

2 MR. PARK: To provide a little bit of context
3 as to weather events that Mr. Whitley referred to
4 were December 1989, which was the coldest, but it
5 was not the longest duration. And then the other
6 event was January 2010.

7 January 2010 was not quite as cold. Again, I
8 believe that was about 33-and-a-half degrees, the
9 system average temperature, but the duration was
10 almost a day longer. And so when we reference to
11 having a combination of both 1989 as well as 2010,
12 specifically what we did was we estimated what the
13 total peak demand would be based on the weather
14 conditions that we experienced in 1989, but then to
15 the duration is more reflective of what occurred in
16 2010.

17 But you can think of the severe weather event,
18 the extreme winter peak as being the severity of
19 what actually occurred in December 1989, but the
20 duration is more reflective of what occurred in
21 January 2010, which is closer to three days.

22 The scenario that you have proposed, the
23 four-day, I don't believe we've seen that -- and
24 this is just, again, not having detailed -- a
25 detail of the analysis of all the weather history,

1 but based on those two data points, which, again,
2 were the most severe in recent history, we have not
3 experienced four days, but we have experienced
4 something very similar, which was January 2010.

5 COMMISSIONER CLARK: Thank you.

6 One final question, as we begin to look at
7 possibilities of allowing systems to have some
8 overbuild, what are the concepts and the
9 possibilities of system integrations to be able to
10 address some of these needs based on the geographic
11 dispersity of the different utilities? Do we have
12 some -- do we have some possibility for some system
13 integration basically moving power across the grid
14 to solve some of these problems?

15 MR. WHITLEY: I would -- I would have to
16 consult with our energy marketing folks who would
17 probably be better suited to answer that. I can
18 provide some context for that.

19 If there -- if there is a certain region with
20 capacity, then there would be additional capacity
21 to transfer between utilities. But one of the
22 things we looked when examining our extreme winter
23 scenarios is that if it is cold in South Florida,
24 it's cold everywhere else. And so there is no --
25 there is not an opportunity for additional capacity

1 really to come in to -- to FPL's service territory.

2 COMMISSIONER CLARK: Right. Not
3 necessarily -- and I guess get that. If it's cold
4 in Miami. It's cold everywhere. But what about
5 the idea of some sort of shared resource, some
6 shared integration that maybe we are able to limit
7 some of the upfront costs, some the impacts to
8 ratepayers that could be brought on-line in a
9 severe weather event that everybody needed to
10 utilize, has there ever been any consideration to
11 including something like this in the planning?

12 MR. WHITLEY: To my knowledge, there hasn't
13 been anything like that considered. It's certainly
14 a possibility that we could look at it in the
15 future if we are planning for these.

16 COMMISSIONER CLARK: Thanks.

17 CHAIRMAN FAY: I have got a quick question for
18 Mr. Park.

19 So you did -- you did just sort of upfront
20 address my original question, which is the overall
21 average decrease in industrial customers, you
22 mentioned that's temporary service poles. It looks
23 like the numbers increase over a few years and then
24 drop. I know there is a lot of discussion about
25 just the growth in Florida in general. Just

1 clarify for me why this is different and why it
2 goes back down.

3 MR. PARK: Commissioner, Mr. Chairman, I would
4 say think of temporary service poles more as more
5 of an incremental growth. And so when a
6 construction site is occurring, there has to be the
7 temporary service so that they can do the
8 construction. And really think of the temporary
9 service poles as the level of new construction
10 activity. So that when you are really growing much
11 faster than normal, that's when you have the
12 accelerated number of TSPs. So as it returns to a
13 more normal level, the industrial customer count
14 will go down because the TSPs go back to a normal
15 level. So really, I think of it as more of the
16 temporary just a couple of years out. It's more
17 elevated just because of the housing market.

18 CHAIRMAN FAY: Okay. Great. Thank you.

19 Other Commissioners questions?

20 Commissioner La Rosa, you recognized.

21 COMMISSIONER LA ROSA: Thank you, Chairman.

22 And Commissioner Clark, you know, hit on the
23 point that I was kind of going towards. When you
24 are talking about the 1989 winter event and the
25 2010 winter event with using a load pattern. So I

1 think I understand it correctly, 29 degrees for two
2 mornings in 1989, and then 33-and-half degrees in
3 January 2010, and that's where you used the load
4 patterns from -- let's maybe start with that. Am I
5 assuming that correctly?

6 MR. PARK: Yes.

7 COMMISSIONER LA ROSA: Okay. So when
8 considering the load patterns, was there also a
9 consideration with how the territory is divided,
10 from when you look at South Florida as a heavy, you
11 know, dense territory in comparison to maybe the
12 new territory in the Panhandle?

13 MR. PARK: We didn't do the analysis by
14 division. What we did was we looked at the total
15 system. And when we look at the total system, we
16 have a system weighted average temperature. The
17 weighted average temperature is based on the
18 weather from Miami, West Palm Beach, Ft. Myers and
19 Daytona Beach. And this is for the -- I call it
20 the FPL legacy, or Peninsula of Florida. And then
21 also have the northwest division, which used to be
22 Gulf Power, and that's the Pensacola Weather
23 Station.

24 That whether data that we have is the system
25 weighted average. So when we do everything, we do

1 it on a total system basis, not looking at it by
2 each of the individual divisions.

3 COMMISSIONER LA ROSA: Okay. So just for
4 clarification, is there ever an event where you
5 look at it separate or, no, it's always --

6 MR. PARK: We did not look at where if we had
7 severe weather in one division versus the other. I
8 would say that if that were the case, essentially
9 as long as the cold weather hits Miami, then it's
10 going to hit all of the other -- all of the other
11 divisions.

12 COMMISSIONER LA ROSA: Thank you.

13 CHAIRMAN FAY: Great. Seeing no other
14 questions from Commissioners, staff.

15 COMMISSIONER CLARK: Can I follow up with
16 that. Commissioner La Rosa, you are on a -- on a
17 really good point there.

18 Did you factor into account the time
19 difference and the ability to spread -- that peak
20 actually is going to begin to spread out some
21 because of the time difference. It takes the sun a
22 little longer to reach us over on the other side of
23 the river, and it starts out on this side of the
24 state, so do you have that factored into the plan
25 as well?

1 MR. PARK: On the load perspective, yes, we
2 do. That's the diversity of load.

3 COMMISSIONER CLARK: And duration of your
4 peak?

5 MR. PARK: Duration as well. And for --
6 specifically for those weather events, as you would
7 expect, the weather event did hit the Pensacola
8 Weather Station as well as the Daytona Beach
9 Weather Station before it hit the Ft. Myers, West
10 Palm Beach, Miami weather stations.

11 COMMISSIONER CLARK: So which way does it
12 work? To having the northwest division integrated
13 into the system, the duration of the peak would be
14 longer, but the peak occurs an hour later, roughly,
15 is that positive or negative?

16 MR. PARK: I don't have the answer right
17 offhand, but what I do know is that between the
18 northwest Florida division and then the rest of the
19 Peninsula of Florida, the system diversity is -- I
20 am -- I am trying to recall off the top of my head,
21 but I want to say that it's in order of five, six,
22 seven percent. So it's actually several percent of
23 diversity that we achieve on the winter peaks.

24 COMMISSIONER CLARK: Okay. Good. Thank you.

25 CHAIRMAN FAY: Any other questions?

1 With that, we will move to staff. You are
2 recognized, Ms. Harlow.

3 MS. HARLOW: Thank you, Mr. Chairman.

4 Good afternoon, Mr. Whitley and Mr. Park.
5 Again, I am Judy Harlow with economic staff for the
6 Commission.

7 I would like to ask you some questions to get
8 a little bit more detail on your changed winter
9 peak demand forecast methodology, which is the
10 underpinning, or the foundation of your recommended
11 plan.

12 So how long has FPL been using its, as you
13 call, business-as-usual peak demand forecast
14 methodology? If you don't mind, I will refer to it
15 as your traditional methodology.

16 MR. PARK: We've been using the
17 business-as-usual P50 approach for as long as I
18 remember, so it would be many years.

19 MS. HARLOW: Thank you.

20 And that methodology uses approximately 20
21 years of normal weather data to derive that model,
22 correct?

23 MR. PARK: Yes. That's correct.

24 MS. HARLOW: Thank you.

25 And it appears that in your recommended

1 planning, you are changing -- you are recommending
2 to change your January peak demand forecast
3 methodology, whereas, you will use the traditional
4 or business-as-usual methodology for the 11 --
5 other 11 months of the year, is that correct?

6 MR. PARK: That is generally correct. For the
7 January peak, we take the business-as-usual then we
8 actually do increase it or adjust it for the severe
9 winter weather that we experienced in
10 January 1989 -- or excuse me, December '89.

11 MS. HARLOW: And I believe you explained that
12 your new approach for January is a two-step process
13 in response to one of the Commissioner's questions.
14 Was there anything else would you like to add to
15 that?

16 MR. PARK: I don't have anything else to add.
17 I will be glad to answer questions, but I don't
18 have any additional details. I feel like that
19 would be going far into the weeds.

20 MS. HARLOW: Thank you.

21 Are you aware of any other utilities that are
22 using a similar two-stage process, or another
23 process, to forecast the winter peak demand based
24 on extreme weather circumstances for planning
25 purposes?

1 MR. PARK: Not for planning purposes, no.

2 MS. HARLOW: Thank you.

3 And did FPL consider any other types of models
4 or approaches to looking at the impact of an
5 extreme winter weather scenario on its forecasted
6 peak demand?

7 MR. PARK: I would say that when we are trying
8 to develop the -- well, backing up. We were tasked
9 with trying to come up with a reasonable peak
10 demand that would best reflect what our system
11 would theoretically achieve if we were to reach the
12 temperatures that we had in December 1989. And
13 during that time, we did consider multiple methods,
14 but ultimately what we decided to do was we felt
15 that it was most reasonable to start with something
16 that was already tested and time proven, which is
17 the P50.

18 And then from there, we just developed --
19 there are still multiple linear regression models
20 that are based on statistical analysis, but we just
21 did that based on the -- how our systems respond to
22 cold weather. And so it's -- really, think of it
23 as we still use the P50 models as the basis, and
24 then all we are doing is, for this specific event,
25 which is the severe weather, we are just adjusting

1 that based on the linear regression models that we
2 developed.

3 MS. HARLOW: All right. So you chose an
4 approach to take that you believe was reasonable,
5 but would you agree that there might be other
6 approaches to look at the affect of extreme weather
7 on your demand? And if so, could -- is it
8 reasonable to expect that they would result in a
9 different peak demand forecast?

10 MR. PARK: So the first thing is absolutely,
11 there is other approaches, because I have been in
12 the forecasting business for more than 20 years,
13 and so I have learned that there is many, many ways
14 to solve a problem.

15 I would not necessarily be surprised if there
16 were slightly different results. However, one data
17 point that you may be interested in is that the
18 models that we used to develop the adjustment for
19 the severe weather, those were provided to staff in
20 staff's, I believe it was the third data request,
21 Item No. 14, subpart (d), and so there were two
22 models; one that was labeled FPL, and then another
23 for Gulf.

24 If you were to take those and then you were to
25 substitute the 1989 actual weather conditions and

1 put in the January 2010 weather conditions, those
2 models will -- the model is specifically for
3 Peninsular Florida, so traditional FPL, that would
4 result in an increase in the peak demand over the
5 P50 of, I seem recall somewhere around 25, 26, 27
6 percent.

7 And as Mr. Whitley testified, what we saw
8 during the actual 2010 weather event, what was
9 reported in the 2000 -- in the 10-year site plans
10 for the actual net firm demand was about 30 percent
11 higher than the 2009 10-year site plan, which was
12 the most recent forecast for that weather event.
13 So to me, that's a data point that says it's laying
14 right on top of what we actually observed.

15 MS. HARLOW: As you said, Mr. Whitley
16 mentioned that 30 percent difference between your
17 2010 P50 forecast and your actual demand when that,
18 we will call it extreme event occurred. Did you
19 also say, Mr. Whitley, that you could not give us a
20 response similar to that for 1989, because you had
21 rolling blackouts at that time?

22 MR. WHITLEY: Yes. That's correct. Because
23 of the rolling blackouts, that essentially altered
24 the peak load for that event, and so we do not have
25 either accurate estimates of the actual peak load,

1 and we do not have accurate hourly estimates of
2 what the load shape was looking like.

3 MS. HARLOW: So is my assumption correct, that
4 you had no rolling blackouts in 2010?

5 MR. WHITLEY: That's correct.

6 MS. HARLOW: Thank you.

7 I just have a few more.

8 Does FPL believe that a winter event similar
9 to the 1989 event is more likely to occur or there
10 is more risk of such an event in the future in
11 Florida than in the recent past?

12 MR. PARK: Can you clarify that just a bit,
13 please?

14 MS. HARLOW: Did FPL do any probabilistic or
15 probability studies on the likelihood of a winter
16 events in the future such as 1989 in its territory?

17 MR. PARK: We did not perform the
18 probabilistic analysis for the likelihood of 1989.

19 MS. HARLOW: Thank you.

20 And since you do not have a probability
21 analysis of such an event -- and perhaps this has
22 been answered already, but I will just give you a
23 chance to add to that if you would like to -- then
24 why does FPL support a change in its forecast
25 methodology today based on the 1989 event? In

1 other words, what has prompted the company to make
2 this change in your longstanding forecast
3 methodology?

4 MR. WHITLEY: I can -- I can answer that, and
5 if Mr. Park has anything to add, he can add it.

6 Again, after the Texas 2021 event, FPL wanted
7 to examine everything about its system to see if it
8 would be able to respond to events similar to that.
9 And FPL chose to analyze the 1989 event because it
10 is something that has occurred in Florida in the
11 past.

12 And so we obviously cannot predict the
13 weather, which is one of the reasons, I think, why
14 there is no probability study of what could occur,
15 but we do know that a 1989 event has occurred in
16 the past, and we wanted to be ready for an event
17 should it occur in the future.

18 MS. HARLOW: Thank you, Mr. Whitley.

19 And if we look -- you don't need turn to this,
20 but on slide six and also schedule 3.2 in your
21 10-year site plan, a quick calculation shows us
22 that your new approach results in about a 43
23 percent increase in demand over your traditional
24 forecast approach for winter peak demand, correct?

25 MR. PARK: Correct.

1 MS. HARLOW: Yes. And if the Commission finds
2 that your recommended 10-year site plan is suitable
3 for planning purposes, then FPL will plan to meet
4 that 43 percent increase in forecasted demand based
5 on its new methodology, correct?

6 MR. PARK: Correct. That 43 percent is above
7 the P50 winter peak. But as I noticed -- noted
8 previously, the extreme weather winter peak demand
9 is about 19 percent higher than the summer peak,
10 which the company is already planning.

11 MS. HARLOW: Okay. But let's look at a mild
12 winter, or I will call it a normal winter, and in
13 fact, you have a significant variable for a recent
14 mild winter in your traditional forecasting
15 approach, as I recall.

16 In that case, is it fair say that your
17 preferred forecast in your recommended plan will be
18 significantly high compared to your actual peak
19 demand? In fact, I would say it would average
20 43 percent high, is that reasonable?

21 MR. PARK: That's a reasonable statement.
22 Yes.

23 MS. HARLOW: Can you explain, then, why you
24 think this it is -- that this is reasonable, your
25 new approach is reasonable from a planning or

1 regulatory perspective? And you may have already
2 answered this.

3 MR. PARK: My answer would be more specific in
4 the way in which the peak demand is developed, and
5 then I believe you are also talking about more of
6 the forecast accuracy. And so when you are talking
7 about forecast accuracy, yeah, typically what we
8 call the P50, or 50 percent probability, what that
9 means is that actual events are just as likely to
10 be lower or higher than the actual -- than your
11 forecast. So P50 means that it will be right in
12 the middle of your distribution of actual outcomes.

13 With the extreme weather event, by definition,
14 what we've done with this is we have not tried to
15 create a winter forecast that is right in the
16 middle of expected outcomes. Instead, what we have
17 done is that we've developed a forecast, which is,
18 by very definition, one of the most extreme events
19 that we have observed. And so that's the
20 difference there.

21 And you are correct, in that if you look at
22 the forecast accuracy, the forecast accuracy would
23 be -- would be harmed, or it would be higher using
24 the extreme weather event compared to the P50. But
25 I believe that's the actual purpose of this, is

1 that we want to ensure that we have the resources
2 to meet that demand, and that's where Mr. Whitley
3 can answer.

4 MR. WHITLEY: Yeah, just to follow up. You
5 know, as I have alluded to, yeah, we are planning
6 on something that has occurred in the past. And
7 we, you know, recognize that if an extreme winter
8 event were to occur, we would face significant
9 customer outages throughout our service territory,
10 and the resources we add in the recommended plan
11 are designed to minimize or eliminate those
12 outages.

13 MS. HARLOW: Thank you.

14 I have one final question are, and then I will
15 hand it off to my colleagues in engineering.

16 I believe Mr. Whitley noted on one of your
17 slides that in the out years of your recommended
18 approach there would be a zero percent reserve
19 margin, and that's the result of FPL planning to
20 meet peak load exactly. Let me see -- I just want
21 to make sure that I am understanding this
22 correctly.

23 Does that mean that under your recommended
24 plan, that plan is designed to eliminate all or
25 nearly all projected customer outages, and that

1 would include anything such as a 15- to 30-minute
2 rolling blackout, correct?

3 MR. WHITLEY: That's correct. In the
4 executive summary of the site plan, we provided a
5 table of what the projected customer outages would
6 be, and if we did -- if we experienced an extreme
7 winter event and did not add additional resources
8 to it, and those are all based on I believe a
9 30-minute rolling blackout per customer.

10 MS. HARLOW: So that's assuming you have gone
11 through -- just last one. That's assuming you have
12 gone through your entire dispatch order, correct?
13 Energy efficiency, power purchases, all your units,
14 and even to the point of exercising demand
15 response, correct?

16 MR. WHITLEY: That's correct. Yes. All of
17 our units would be dispatched to their fullest
18 capacity. All of our load control would be
19 dispatched to the fullest capacity, including the
20 effects of having additional megawatts from load
21 control due to the extreme temperature itself.

22 MS. HARLOW: Thank you.

23 I appreciate your patience, Mr. Chairman, and
24 I will hand it off to engineering.

25 CHAIRMAN FAY: Great. Engineering, you are

1 recognized.

2 MS. THOMPSON: Thank you, Mr. Chairman.

3 Good afternoon, Mr. Whitley and Mr. Park.

4 Takira Thompson with Commission staff.

5 As mentioned in the questions here to TECO and
6 DEF, we know NERC is evaluating several issues
7 relating to the 2021 Texas cold weather event. Can
8 you indicate whether or not NERC required a change
9 in the cold weather planning assumptions following
10 this event?

11 MR. WHITLEY: I don't know if there are any
12 official requirements that NERC has sent out
13 regarding the event. I do know that in one of its
14 postmortems, one of its summaries of the event, it
15 did mention including the possibility of planning
16 for -- or including the adjusting load forecast to
17 account for extreme winter.

18 MS. THOMPSON: Okay. Thank you.

19 Can you indicate whether or not the utility
20 conducts practices -- or practice runs with extreme
21 winter plans to keep staff trained and ready for
22 these types of events?

23 MR. WHITLEY: Yes. FPL does conduct those
24 event regularly, and I know there is obviously
25 going be to increased focus on those event

1 following the Texas event.

2 MS. THOMPSON: Can you tell us if the utility
3 is of the opinion that of the winterization
4 procedures that are currently in place for FPL's
5 integrated system are not sufficient to serve FPL's
6 load in those instances?

7 MR. WHITLEY: In regard to the winterization,
8 I think there is a couple of categories there. The
9 existing winterization of its nuclear and fossil
10 fleet, which I mentioned earlier, I believe that's
11 being conducted to temperatures that are even
12 beyond what we are planning for until our 1989-like
13 scenario.

14 And so in regards to the resource availability
15 in extreme winter event, FPL, by to the mere
16 inclusion of its recommended plan, is indicating
17 that it would require additional resources to meet
18 that load going forward.

19 MS. THOMPSON: Can you identify when the
20 utility decided to create a resource plan focused
21 on the possible occurrence of an extreme weather
22 event?

23 MR. WHITLEY: I am not aware of any utilities
24 that are currently planning for an extreme weather
25 event. I do know that the 2021 Texas event would

1 likely cause many utilities to reexamine their
2 planning processes, but I am not aware of any that
3 are currently looking at an event similar to that.

4 MS. THOMPSON: Okay. Referring to slide two
5 of the presentation, would it be correct to say
6 that the difference between the two plans is
7 approximately 75 megawatts of additional solar
8 generation, and 1,400 megawatts of batteries?

9 MR. WHITLEY: That's correct in part. The
10 recommended plan also includes the near-term
11 resource additions, which includes putting units on
12 a winter only status, which is approximately 800
13 megawatts -- 1,800 megawatts of capability; and
14 also includes roughly 700 megawatts of upgrades to
15 our existing combined cycle fleet.

16 MS. THOMPSON: Okay. Thank you.

17 Do you know the cost of this incremental
18 capacity?

19 MR. WHITLEY: I am sorry, could you repeat
20 that question?

21 MS. THOMPSON: Do you know the cost of this
22 incremental capacity?

23 MR. WHITLEY: For the incremental capacity in
24 terms of the additional batteries we are adding, I
25 don't have the installed cost off the top of my

1 head. I do know that it equates to roughly a
2 50-cent impact on per thousand kWh per customer.

3 For the additional near-term resources, the
4 cost to bring the units back to winter only status
5 I know is minimal. I don't know the exact cost.
6 And I believe the cost estimates for the additional
7 700 megawatts of capacity are still being examined,
8 but I believe it equates to roughly \$140 million in
9 installed cost.

10 In discussing some of the financial analysis
11 that others have done on those objects. That
12 equates to roughly another 50 cents on a thousand
13 kWh bill. So the total impact would roughly be a
14 dollar to a thousand kWh bill, when factoring in
15 both the near-term and long-term.

16 MS. THOMPSON: Okay. Thank you.

17 If you look at pages 21 and 22 of your 10-year
18 site plan.

19 MR. WHITLEY: Okay.

20 MS. THOMPSON: Does this show that the
21 additional 75 megawatts of solar capacity is added
22 in 2031?

23 MR. WHITLEY: Yes. That's correct. There is
24 one additional solar site being added in the
25 recommended plan.

1 MS. THOMPSON: And the first additional
2 batteries start in 2027?

3 MR. WHITLEY: Yes. That's correct.

4 MS. THOMPSON: Thank you.

5 Referring to slide three, could you please
6 explain how the utility determined that delaying
7 unit retirements, combined cycle unit upgrades and
8 adding additional batteries were the best solutions
9 for addressing a potentially extreme winter event?

10 MR. WHITLEY: Sure. Yeah. The -- and after
11 the 2021 Texas event, FPL examined the effects of a
12 possible extreme weather event in Florida. And in
13 looking at a 1989-like event, it was determined
14 that in order to serve all our customers in an
15 event like that, we would need additional capacity
16 both in the near-term and long-term.

17 And so in the near-term event, that was --
18 there was input from our other departments
19 regarding the availability of bringing these units
20 back to winter only status, as well as upgrading
21 existing units. And after accounting for those
22 units, our integrated resource planning department
23 conducted modeling exercises to determine when we
24 would need to add additional capacity in regards to
25 the long-term addition such as batteries.

1 MS. THOMPSON: Okay. And were those the least
2 cost alternatives of all the alternatives
3 considered?

4 MR. WHITLEY: We examined a variety of options
5 to serve those, and those were one of the most
6 cost-effective options. There was other options we
7 looked at along the way that did not provide some
8 of the additional benefits that I mentioned in
9 regards to batteries in terms of reducing future
10 solar curtailment and providing additional carbon
11 free generation throughout the year.

12 MS. THOMPSON: Okay. Also on slide three you
13 showed 1,828 megawatts of units coming out of
14 retirement for winter only operation. Is it
15 correct that Manatee Units 1 and 2, approximately
16 1,638 megawatts, have already been converted to
17 winter only operation?

18 MR. WHITLEY: That is correct. Yes.

19 MS. THOMPSON: Okay. Can you indicate how
20 long the utility has known that it would
21 potentially delay retirement of those units?

22 MR. WHITLEY: I don't know exactly how long
23 FPL is planning on keeping those units in winter
24 only operation at the moment, no. It would be at
25 least through the 10-year period that we are in in

1 the current site plan.

2 MS. THOMPSON: Was the decision to delay
3 retirement of these units the result of creating a
4 resource plan focused on the occurrence, or the
5 possible occurrence of a winter -- extreme winter
6 event?

7 MR. WHITLEY: Yes. It was a result of looking
8 at possible customer outages with an extreme
9 weather event. And that was one of the solutions
10 that was identified to mitigate those outages from
11 an event like that.

12 MS. THOMPSON: Okay. Thank you.

13 I have no further questions, but I think my
14 colleague does.

15 MR. WOOTEN: Hello. Orlando Wooten,
16 engineering staff.

17 In response to staff's third data request
18 number three, the utility stated that if its
19 recommended plan is not found suitable for planning
20 purposes, FPL will plan for the immediate
21 retirement of Manatee's Units 1 and 2, is this
22 correct?

23 MR. WHITLEY: I think, absent any other
24 direction from the Commission regarding on planning
25 for extreme winter events, FPL interpreted that

1 question to mean that there was no future planning
2 for extreme winter events. And as such, the
3 resource additions, including the delaying the
4 retirement of these units, would not be carried
5 out, but that would be dependent on the direction
6 the Commission provides to us regarding the
7 recommended plan.

8 MR. WOOTEN: In the same data request, in
9 response to question number four, the utility
10 stated that if the recommended plan is not deemed
11 suitable, FPL will not continue to add backup fuel
12 capabilities to existing units, is that correct?

13 MR. WHITLEY: That's -- I believe that's
14 correct. Yes. FPL has not proceeded with the
15 addition of that backup fuel capability as of yet.
16 And again, that would be contingent upon the
17 direction that the Commission provides regarding
18 planning for extreme winter events in the future.

19 MR. WOOTEN: In response to question number 27
20 from that same data request, staff asked FPL to
21 estimate the winter peak load for each of the five
22 subregions that FPL reports as available energy
23 prices. However, the response only stated that
24 FPL's forecast of extreme winter peak demand was
25 for the total system only.

1 Can you tell us, based on historical
2 information, what the estimated percentage of
3 system winter peak demand is in the south region?

4 MR. PARK: I don't have the winter peak
5 impact. Just generally, when it comes to the
6 energy sales, the south region -- and for us, when
7 we refer to the south region is Miami-Dade. I seem
8 to recall that's about 25 percent or so of the FPL
9 system sales.

10 MR. WOOTEN: How about for the southeast
11 region?

12 MR. PARK: Southeast would be Broward County.
13 And, again, off the top of my head, I want to say
14 somewhere around maybe 10-ish or so percent.

15 MR. WOOTEN: Say that again. I am sorry.

16 MR. PARK: I believe about 10-ish or so
17 percent. But again, these are numbers that are
18 just off the top of my head. They are subject to
19 check.

20 MR. WOOTEN: West, northeast and northwest
21 regions?

22 MR. PARK: The west region would be Fort Myers
23 area. And that's one that I am a little bit weaker
24 on, so I don't have an answer to that.

25 Generally, though, I do know that Miami-Dade

1 is the largest single division that we have, which
2 is south. And that's roughly a quarter. The
3 others are going to be smaller than that. They are
4 not going to be much different in size, though,
5 between the, say, Broward County then Palm Beach
6 County, which is the south central -- or excuse me,
7 southeast. So I don't have a number, but it would
8 be roughly around there.

9 MR. WOOTEN: On slides eight and nine of your
10 presentation, could you please verify that the
11 additional capacity in the recommended plan as
12 compared to the business-as-usual plan increases
13 summer capacity by approximately 748 megawatts from
14 2027 through 2031, although, this additional
15 capacity is intended to address potential extreme
16 weather events?

17 MR. WHITLEY: Subject to check, I would have
18 to add up the numbers in the right-hand column
19 there regarding the additional battery additions.
20 But the -- this is summer capacity resulting from
21 adding additional batteries to meet that extreme
22 winter event.

23 So the differential would be between the
24 business-as-usual plan and the recommended plan.
25 That would provide kind of a metric for what the

1 additional firm summer capacity being added in the
2 recommended plan is.

3 MR. WOOTEN: That's all my questions.

4 CHAIRMAN FAY: Great. Thank you.

5 Next -- oh --

6 MR. BALLINGER: Sorry.

7 CHAIRMAN FAY: Mr. Ballinger, you are
8 recognized.

9 MR. BALLINGER: Yeah. I can't help myself. I
10 have just a couple of questions. This is kind of
11 to follow up.

12 We talked a lot about the impact in Texas.
13 This is kind of the precedent for this. And I just
14 want to go through a few things and highlight some
15 differences if you agree with the Texas and Florida
16 systems.

17 Is it true that in the Texas event, that
18 they -- part of the reason for outages was the loss
19 of power to gas compressor stations and wellheads?

20 MR. WHITLEY: It is my understanding that was
21 one of the root causes of customer outages?

22 MR. BALLINGER: Right. It was one factor, and
23 it was part of -- it was tied in with rotating
24 feeders that interrupted power to some of these
25 facilities, is that correct?

1 MR. WHITLEY: I believe that's correct. Yes.

2 MR. BALLINGER: Okay. And FPL has gas
3 infrastructure, if you will, as a critical
4 facility, a top tier in terms of rotating
5 blackouts. In other words, it's right up there
6 with your dispatch center. It will not be
7 interrupted. It's not part of the scheme for a
8 rotating blackout, is that correct?

9 MR. WHITLEY: I would have to double check
10 with our system operations and power delivery
11 folks, but I believe that is correct. I do know
12 that they are considered critical facilities.

13 MR. BALLINGER: Was another factor in Texas
14 was some of the generating units -- they are in a
15 different regulatory scheme than we are -- had
16 non-firm fuel contracts, which were interruptible
17 fuel contracts which got interrupted because some
18 wells froze, things of that nature, so they were
19 unable to get fuel, is that -- and that's not the
20 case in Florida. I believe most of your units have
21 firm gas contracts?

22 MR. WHITLEY: We do have firm gas contracts
23 for our units in Florida. Yes.

24 MR. BALLINGER: Okay.

25 MR. WHITLEY: I am not particularly well

1 versed in how that -- how the non-firm contracts
2 operated in Texas.

3 MR. BALLINGER: And if you know, has Texas
4 experienced events like this, like Uri, similar,
5 maybe not as catastrophic as that, but recent
6 years, in 2011, 2014, 2018 and 2021, where they had
7 loss of power due to winter storms coming through
8 Texas, do you agree with that or do you know?

9 MR. WHITLEY: Yeah, I am aware, at least in
10 2011, that there was another extreme winter event
11 in Texas.

12 MR. BALLINGER: Okay. And Florida hasn't had
13 a rotating blackouts since 1989, at least from what
14 I heard today. You didn't have them in 2010,
15 correct?

16 MR. WHITLEY: You are correct in that they did
17 not occur in 2010. I don't know if there have been
18 rotating blackouts in between, for other events
19 other than 1989.

20 MR. BALLINGER: Probably not for extreme
21 winter events. It might have been for some other
22 events, some operational things, a plane hitting a
23 transmission line or something like that, you had
24 to rotate feeders to accommodate the system.

25 MR. WHITLEY: That may have been the case,

1 yes.

2 MR. BALLINGER: And just if you could, I think
3 the question came up of the current system today,
4 could you handle an '89? What would be the
5 scenario, if you will, if we had an extreme winter
6 event this winter coming up, what would FPL do?
7 You would go through your dispatch, and then it
8 would entity end up rotating feeders, and I think
9 that's outlined in your 10-year site plan, correct?

10 MR. WHITLEY: Yes, it is.

11 MR. BALLINGER: Okay. And it would go through
12 -- and these rotations would be 15 to 20, maybe 30
13 minutes at a time, and vary between customers?

14 MR. WHITLEY: Yeah. I think the general to
15 determine kind of how many customers would be
16 affected and how long those outages would be, we
17 assume a 30-minute rotating black out.

18 MR. BALLINGER: Okay. And one final question.

19 Is this -- what about this, that this is to
20 improve the reliability for customers and mitigate
21 potential outages in the winter -- actually it's
22 two questions. You were asked earlier about a
23 probability of this, and you have not done one.
24 Which I understand. It's difficult to do. But
25 would you agree that the likelihood of Florida

1 getting hit by hurricanes is greater than an
2 extreme winter event?

3 MR. WHITLEY: Again, as we haven't conducted a
4 probability of what an extreme winter event would
5 be, it's kind of hard to compare. You know, I do
6 know that there are landfalls of hurricanes in
7 Florida every year --

8 MR. BALLINGER: Okay.

9 MR. WHITLEY: -- that's something to prepare
10 for.

11 MR. BALLINGER: And I am just curious, have
12 your customers approached you about increasing
13 reliability in winter events? Have they expressed
14 a concern to FPL about the vulnerability of an
15 extreme winter events?

16 MR. WHITLEY: I am not directly involved with
17 our customer service operations or with our
18 external affairs department, so I am not aware if
19 any customers have approached us about this issue
20 or not.

21 MR. BALLINGER: Okay. Thank you.

22 Thank you, Chairman.

23 CHAIRMAN FAY: Thank you.

24 Anybody else? Keith? Anybody? No.

25 Okay. We will move on, then, to Southern

1 Alliance for Clean Energy and Vote Solar. Mr.
2 Wilson, you are recognized.

3 MR. WILSON: Thank you. Good afternoon.

4 So I am James Wilson. I am an independent
5 consultant doing as Wilson Energy Economics, and I
6 was invited to speak because I have got a lot of
7 experience on these issues. I have worked on load
8 forecasting and resource planning, including
9 extreme cold events in North and South Carolina, in
10 Georgia, Alabama, Virginia, in the PJM region in
11 the middle Atlantic for quite a few years, so I was
12 invited to speak here. And other qualifications
13 are later in my presentation.

14 I want to thank you for the opportunity to
15 participate in this workshop, and thank staff for
16 their three data requests. That provided a lot of
17 very useful information.

18 And to go forward. I would like to -- oh,
19 there we are. Yeah. So just four topics, but
20 really it's the third one.

21 Real briefly about the Texas events that have
22 already been discussed a number of times, causes
23 and recommendations. And then I will outline the
24 standard in the industry practices for load
25 forecasting and resource adequacy analysis, taking

1 into account extreme cold. Third, I will comment
2 on Florida Power & Light's proposed approach to the
3 extreme winter peak and resource planning. And
4 finally, just briefly on a demand response
5 opportunity for extreme cold preparation.

6 So I have seen that from Virginia to Texas,
7 and beyond, electricity loads can spike under
8 extreme cold. And as was mentioned, rarely used
9 electric resistance heating gets plugged in, pulled
10 out of the attic and plugged in, and that can spike
11 loads. And it's sort of surprising that we don't
12 see that in the northern part of the country,
13 because space heating is generally natural gas or
14 oil based. So it's very much a southern phenomenon
15 that you can get, under extreme cold, you can get
16 these spikes.

17 And they tend to all have the same shape. I
18 have seen is that same shape that I am showing here
19 for Florida Power & Light. I have seen that in the
20 Carolinas and in Alabama and Georgia, Southern
21 Company, of a rather steep morning peak around
22 7:00, 8:00, 9:00 a.m., with the overlap of, I
23 guess, residential and commercial heating, and then
24 a lower and somewhat flatter evening peak. I am
25 showing here FPL's highest six load days over the

1 2013 to 2021 period.

2 And of course forecasting how high those load
3 spikes might go under extreme cold is challenging,
4 because we just don't have very many recent
5 examples of that extreme cold, so that makes it
6 very challenging. And I will note that
7 temperatures down in the teens or the single digits
8 can also lead to cold related power plant outages.

9 So the next slide, a lot of talk about Texas
10 February '21. Temperatures actually fell to the
11 single digits for about 100 consecutive hours below
12 freezing, and power plant outages over the two days
13 averaged 49 percent of the Texas peak load. So a
14 very large fraction of the capacity was out and
15 some of those causes have been discussed.

16 Nobody was paying them to winterize, so a lot
17 of the plants weren't winterized. And then, as was
18 mentioned, you also had problems very reverberating
19 back and forth between electricity and natural gas.
20 So there were a lot of problems there, and I have
21 an appendix slide that kind of lists some of the
22 recommendations. But the main point is that lack
23 of adequate installed capacity is really not
24 considered one of the causes. It's more about that
25 capacity not being available; nor is building more

1 installed capacity one of the many, many
2 recommendations that came out of those events.

3 So that's pretty much what I wanted to say
4 about Texas. A lot of discussion of Texas, but
5 it's really not very applicable to what we are
6 dealing with here.

7 So moving on to the standard practices in load
8 forecasting and resource adequacy analysis. And I
9 think probably a lot of you know this. But
10 typically the capacity requirement is a peak load
11 forecast plus a reserve margin. And we've seen
12 that listed today.

13 Peak load forecasting, typically there is two
14 key elements to it. One is a long-term 50-50, or
15 P50, or median forecast, which has been accurately
16 described as, you know, a forecast that, in the
17 actual year, it's about equally likely that the
18 actual peak will be greater than or less than the
19 forecast. So typically that's the starting point,
20 is a P50, or median forecast.

21 But then around that, a really important
22 element is analysis of how high the peak load might
23 be around that P50 forecast. And the typical
24 approach is to gather a lot of historical weather
25 data and to analyze how the extreme weather can

1 make loads rise, and then to come up with a full
2 probabilistic representation of what the peak loads
3 might be. That's the standard approach.

4 And then that probabilistic representation of
5 peak loads goes into a probabilistic simulation of
6 the system to determine the reserve margin over P50
7 that's needed to maintain an adequate level of
8 capacity. And typically, the criterion is one day
9 in 10 years is often applied. And this
10 probabilistic will also represent the possibilities
11 of power plant outages, which are probabilistic,
12 and a lot of other assumptions, such as the amount
13 of assistance that might be available from
14 neighboring regions. Shared resources was
15 mentioned earlier.

16 So that probabilistic simulation is a really
17 key element of the analysis. Many assumptions go
18 in there, of course, and stakeholders can disagree
19 about those assumptions, but it's a key step, and
20 it determines a reserve margin to meet a criterion.

21 So comments on FPL's proposal. They haven't
22 followed the standard approach, as we've already
23 discussed. They developed a recommended plan of
24 extreme winter peak load forecast, which is shown
25 in their Schedule 4, employing what I consider to

1 be a questionable methodology. And the value is,
2 of course, very extreme, as we've seen. It's 43
3 percent above the business-as-usual.

4 And perhaps most important is they didn't
5 perform the probabilistic simulation that I think
6 is a critical step to figure out what is the
7 reserve margin over business-as-usual P50 that is
8 appropriate to meet an accepted, approved resource
9 adequacy criterion like one day in 10 years. That
10 step just has not been applied here. Instead, the
11 extreme winter forecast is proposed as a capacity
12 requirement.

13 And again, I think that probabilistic
14 simulation adds a lot of value. It requires coming
15 up with a probabilistic representation of how high
16 the peak load could be, and that is challenging.
17 But it also includes probabilistic representation
18 of plant availability and possible outages. And
19 outages can increase under extreme cold. There is
20 typically a representation in there of how much
21 assistance might be available from neighboring
22 systems. And, you know, that's an important
23 assumption that needs to be in there. And many
24 other assumptions go into that probabilistic
25 analysis. So that's what, in my opinion, is

1 completely missing here.

2 So FPL's extreme winter peak forecast touches
3 briefly. It's already been noted that it's much
4 higher than business-as-usual, so I don't need to
5 belabor that point.

6 The estimate of extreme winter peak load, it's
7 typical to use a regression approach. And I show
8 in this graph a regression I did. I did not have
9 the 2010 data. I don't have 2010 hourly data. I
10 still don't have it, so I used 2013 to 2021.

11 And in doing this regression -- the point here
12 is to understand how will additional extreme cold
13 cause loads to continue to rise? That's the key
14 question we are asking here.

15 So we have evidence on some recent events.
16 Those blue dots are all recent events of how cold
17 it got, and how load -- how high load went. But to
18 extrapolate it to something like 1989, you need to
19 extrapolate down to some temperatures that you just
20 don't have any data points for.

21 So typically in doing these, the company used
22 daily minimum temperature. I found that other
23 measures have more explanatory power. For this
24 graph, I found that a three-hour average had the
25 most explanatory power for this dataset. They used

1 below 46 degrees. In other regions, I have used
2 below 17 degrees. That wouldn't work here because
3 there is no observations. But the regression
4 really needs to focus on the low temperature end of
5 the distribution, because that relationship between
6 extreme cold and load does tend to change as the
7 temperatures get lower.

8 What I have seen elsewhere is, at some point,
9 pretty much all of the heating equipment is turned
10 on, and if you get an additional degree, or two
11 degrees, or three degrees, there isn't really too
12 much more than can be turned on, so the impact on
13 load tends to weaken. And then the other thing
14 that happens in other places anecdotally -- I don't
15 have any data on this, but certainly it happens
16 anecdotally, which is that when you get this
17 extreme cold, that some schools stay closed, and
18 some other commercial establishments will decide to
19 open late, because under that extreme cold, they
20 won't have any customers. And that also will tend
21 to suppress the impact of incremental cold on
22 loads.

23 So a key step in the process is to estimate
24 just how high loads will go under very extreme
25 cold. And, again, it's challenging because we have

1 so few instances.

2 So to summarize my observations on the FPL
3 approach, they haven't followed the standard
4 practices. Their extreme winter forecast is based
5 on what was a nontransparent methodology under Step
6 3 of the data request. I got some more information
7 about it. We actually got their regression, and I
8 was able to recreate the regression. I still don't
9 have the 2010 hourly data, so how they grafted the
10 '89 and the 2010 together, I don't have that, but
11 it's, to me, a very ad hoc and questionable
12 methodology.

13 And of course, the key thing is the usual
14 probabilistic analysis simulation of resource
15 adequacy that all utilities do, where you put in
16 the probabilistic representation of loads, and
17 resources, and outages, and everything, that has
18 not been performed here at all. So that's the key
19 thing.

20 And their proposal, which really is just one
21 scenario, could potentially lead to the
22 construction of unneeded one-day-in-30-year power
23 plants and unnecessary cost to consumers.

24 So the other aspect of this is that those
25 winter morning load spikes tend to be relatively

1 brief. The graph I showed earlier for Florida
2 Power & Light, and in other regions, a very similar
3 pattern. And that raises the question of the
4 possibility, to me, of focusing on the demand side
5 to deal with these.

6 And I don't know about Florida conditions, but
7 certainly in other regions, the extreme cold, it
8 does not catch you by surprise. In Texas, they had
9 forecast more than a week in advance of the extreme
10 cold that was coming. So typically, the extreme
11 cold, really extreme cold that we are talking about
12 here, when it's coming, you have days and days of
13 advanced warning.

14 And in other regions, as I mentioned, you
15 might have school closings, you might have other
16 businesses close, so you might actually be able to
17 approach a lot of your customers and get voluntary
18 commitments from them, that if, you know, the
19 forecast is for 29 in Miami, and they will say, 29
20 in Miami? 29 in Miami, that they would agree that
21 they are going to, you know, hold their school
22 closed, or keep their business closed. I mean,
23 they might be willing to agree to something that
24 they don't really think is very likely to occur,
25 and you would probably give them an annual bill

1 discount for that, and probably also have to do
2 some measurement and verification. But you might
3 be able to really save that potential very rare
4 load spike by voluntary commitments with your
5 customers based on a trigger that's probably a
6 temperature that won't concern them very much
7 because it's so unlikely to occur.

8 So that concludes my presentation. I have
9 four appendix slides. One with kind of the laundry
10 list of NERC and FERC recommendations. Another is
11 more detail forecasting. Another I am showing the
12 50-year history of minimum annual temperatures in
13 Miami.

14 And this is my slide 15, just real briefly.
15 It shows an upward trend in those minimum
16 temperatures of about one degree every five or six
17 years. And I have seen that in many other areas,
18 that temperatures, those minimum extreme
19 temperatures are trending upward at about one
20 degree every five or six years. So 29 degrees in
21 1989, 30 years on, that's kind of 33 or 34 degrees
22 if you take that trend seriously.

23 And then the last one is just pointing out
24 that what's called extreme temperatures in Alabama
25 and North Carolina, and even Dallas, Texas, is

1 temperatures in the single digits; whereas, you
2 know, in Florida, you don't get that low.

3 So that's my presentation, and I would be very
4 happy to answer any questions.

5 CHAIRMAN FAY: Great. Thank you, Mr. Wilson
6 for your presentation.

7 We will start with the Commissioners. Any
8 questions?

9 Seeing none, we will move to staff? Any
10 questions to the presenter?

11 Mr. Wilson, I thought you did a good job with
12 your presentation. I will just have to mention to
13 you, as a Floridan, Ft. Myers is M-Y-E-R-S. It's a
14 simple mistake that could occur for anybody, but I
15 do, once again, appreciate your testimony today, or
16 your presentation today.

17 With that, we will move on to the Office of
18 Public Counsel. Mr. Rehwinkel, you are recognized.

19 MR. REHWINKEL: Thank you, Mr. Chairman and
20 Commissioners. And I was born in Ft. Myers, and I
21 still put that E in there sometimes.

22 CHAIRMAN FAY: Don't bail him out, Mr.
23 Rehwinkel.

24 MR. WILSON: I think it was auto spellcheck.

25 MR. REHWINKEL: My name is Charlse Rehwinkel,

1 and I am the Deputy Public Counsel appearing here
2 on behalf of the customers of the utilities here.
3 The OPC thanks you for the opportunity to provide
4 some remarks on this unusual review of the 2022
5 10-year site plans.

6 As you know, the OPC rarely participates in
7 this process, and there is a reason for this, as
8 the 10-year site plan process has been a relatively
9 routine, objective, transparent and disciplined one
10 that has been conducted according to established
11 principles and expectations. This is important.

12 We understand the reason for this annual
13 review process, and appreciate the benefits that
14 are provided by an orderly resource planning
15 process that is required by the Legislature and
16 supervised by this commission. The Commission's
17 review and oversight of the plans, and the plans
18 themselves, should be objective and transparent.
19 These principles give the entire process
20 credibility and acceptance.

21 Your staff has a wealth of experience, and,
22 thus, is able to advise you as to the suitability
23 of these plans for evaluation -- for evaluating the
24 prudence of the utilities' efforts to meet its
25 generation and transmission needs and obligations.

1 Historically, this reliance on the staff's
2 competence in the process has enabled the Public
3 Counsel to advocate in the rate-making process
4 comforted in the knowledge that the site planning
5 process is in good hands. We still feel this way,
6 Commissioners. Your staff today retains a
7 tremendous wealth of experience, expertise and
8 institutional knowledge.

9 So you might ask if all of this is true, why
10 is the Public Counsel here today? There must be
11 something different. Well, there is something new
12 in the process, and it is one that today might look
13 like a ripple, but it is actually the beginning of
14 a tsunami, we fear.

15 You have heard about the proposal from one
16 utility to deviate from the accepted normalized
17 weather data load forecast approach that has served
18 the process well. It is worth noting that only one
19 of the utilities has made such a proposal.

20 Public Counsel is here now to ask you to
21 reject this proposed deviation from the process.
22 Don't rush, it has been 33 years since 1989, and
23 there is no reason to hurry to some kind of
24 judgment. If you believe a deeper dive is needed,
25 you have the tools, the staff expertise and the

1 informal and formal process to learn more.

2 Commissioners, I would like to read you a
3 passage from page 22 of your review of the 2021
4 review of the 10-year site plan filing from just
5 seven months ago.

6 As previously discussed, Florida is normally a
7 summer peaking state, and was for the past 10
8 years. This trend is anticipated to continue, with
9 the next 10 forecasted years all anticipated to be
10 summer peaking. Based upon current forecasts using
11 normalized weather data, Florida's electric
12 utilities anticipate a gradual increase in both
13 summer and winter firm demand during the planning
14 period.

15 Now, against this background, FPL has asked
16 you to classify its recommended plan suitable for
17 planning given the possibility -- possibility of
18 extreme winter weather in the FPL service area.
19 This request for you to greenlight this
20 hypothetical winter peak demand came out of nowhere
21 and historically inconsistent with the gradual
22 growth assumptions that the Commission recognizes
23 apply to load forecasting in Florida.

24 We have serious concerns about the proposed,
25 abrupt and unsubstantiated hypothetical change to

1 the winter peak load forecast assumptions, and that
2 is why we are here today. Frankly, Commissioners,
3 we are concerned that this workshop is inadequate
4 to fully address the matter if you are seriously
5 considering approving this proposal.

6 Yes, you have received some good preliminary
7 information in this early process. The fact that
8 the Commission has taken the unusual step of
9 holding this meeting within 60 days of the filing
10 of the 10-year site plans is a good thing on the
11 one hand, and we appreciate that the staff has
12 sought to initiate an urgent early discussion, and
13 has asked thoughtful questions here and in data
14 requests; however, on the other hand, this
15 preliminary look will, of course, not satisfy the
16 requirement that the Commission perform the
17 preliminary study required by Section 186.809 of
18 Florida Statutes.

19 This workshop should not be a one-and-done
20 process, to borrow a phrase from Kentucky
21 basketball. Something more, maybe a lot more needs
22 to happen before an informed decision can be
23 rendered on this novel hypothesis of an usual
24 winter storm revisiting Florida more than 33 years
25 later.

1 To our knowledge, the fact that planning has,
2 for many years, been presented to acknowledged by
3 the Commission based on the conventional normalized
4 weather data assumptions has served the state well,
5 and made it unnecessary in past years to hold
6 formal proceedings that invoke the due process
7 provisions of the APA and require agency action in
8 the form of a point of entry, expert testimony and
9 final orders to be issued. This winter extreme
10 weather proposal certainly appears to change that,
11 and I am not sure that all parties to all dockets
12 that could be affected by this proposal are on
13 notice that this process could affect their
14 substantial interests.

15 FPL has postulated a capacity shortfall for
16 some undetermined time in the future based solely
17 on the fact that 33 years ago there was some
18 unusually cold weather that made its way into
19 Florida, and even into South Florida. What is
20 missing from the analysis in this year's plan is
21 any reasonable evidence that such weather might
22 reasonably be expected to occur in the future.
23 This is problematic.

24 In the past 33 years, neither FPL nor any
25 other utility has seen fit to apply this historical

1 event to its expansion plans, so why now? Well,
2 the answer is there is no good evidence-based
3 reason to change the process.

4 We recognize that in February 2021, hundreds
5 of miles away in Texas, a winter storm, the likes
6 of which has never hit Florida, negatively impacted
7 the vastly different and far away Texas bulk
8 electrical system and other energy supplies. That
9 was a painful event for Texas, and our sympathies
10 are with them. No one has connected the dots,
11 however, between a unique, highly individualized
12 isolated Texas regulatory construct the
13 circumstances hundreds of miles away here in
14 Florida where the state's reasonable load
15 forecasting needs are met with your transparent,
16 objective and thoughtful evidence-based integrated
17 resource planning process.

18 There has been no evidence presented here or
19 in the 10-year site plan that was filed
20 demonstrating that it is reasonable to assume that
21 Florida will experience this 1989 winter weather
22 event again, or demonstrating that what Texas
23 experienced in 1921 -- in 2021 means that Florida
24 is expected to experience a repeat of something
25 that happened 33 years ago. There just is no

1 evidence behind this 1989 notion.

2 This workshop process is not the place to
3 adjudicate the future based on arcane testimony
4 that is not before you today about changing weather
5 patterns, global warming, climate change, and how
6 warming temperatures might somehow bring colder
7 weather to Florida.

8 We took the deposition of an FPL expert -- IRP
9 expert last week, and he admitted that FPL did no
10 studies of the probability of an extreme weather
11 event. He also acknowledged that the term eventual
12 that you see on page eight of the 10-year site plan
13 they filed did not mean that FPL had determined
14 that a repeat of 1989 will occur. This is
15 significant.

16 In this plan, FPL has presented you,
17 Commissioners, with a specter of rolling blackouts
18 based on this purely hypothetical recurrence of a
19 long ago event. This fear-evoking scenario would
20 only be realistic if there was some evidence that
21 the actual weather threat was real, and that
22 evidence is not here.

23 The Winter Storm Uri events in Texas did cause
24 the NERC and industry everywhere to evaluate
25 capacity constraints, but nowhere in this call to

1 action were there -- was there an accompanying
2 directive to assume that the weather in Texas meant
3 that places hundreds of miles south and east of
4 Texas should expect a new round of colder weather,
5 or colder peak weather, or modify their planning
6 assumptions. This evidence is just not here.

7 The leap of logic you are being asked to take
8 is unwarranted. And the Public Counsel asks you to
9 decline to accept FPL's proposed classification.

10 If anything, and only because they asked, we
11 ask you to expressly reject the proposal to adopt
12 the unrealistic and unsubstantiated effort to reach
13 decades back in time to justify overbuilding of the
14 generation and transmission system. At a minimum,
15 Commissioners, you should indicate that this is not
16 the proper forum for addressing FPL's request.

17 And before I close, I want to go off my script
18 and just read a statement by somebody downtown said
19 recently.

20 Given the United States has experienced its
21 worst inflation in 40 years, and that consumers
22 have seen steep increases in the price of gas and
23 groceries, as well as escalating bills, the State
24 of Florida should not contribute to this -- to the
25 financial crunch that our citizens are

1 experiencing.

2 These are words to head. Greenlighting this
3 proposal means that hundreds of millions of dollars
4 in the form of investments will be spent. It will
5 affect pending dockets now and future rates. And I
6 would like to note that if it's approved for FPL,
7 even though the other utilities didn't ask you to
8 do it, they will also plan accordingly, and build
9 accordingly.

10 So that will end my remarks, and I am happy to
11 entertain any questions. Thank you.

12 CHAIRMAN FAY: Thank you, Mr. Rehwinkel. I
13 know we added you a little bit late, so I don't
14 know if anyone -- are there any questions? To
15 staff, any questions? Nope.

16 Okay, with that, next I was going to go to Mr.
17 Wright, and then we have a few for public comment.
18 I want to make sure our court reporter, do you need
19 a break for -- a couple minutes? Yeah. We are
20 going to take just a quick five-minute break for
21 our court reporter, and why don't we say we will
22 start back right back at 3:50 with Mr. Wright and
23 then a few public testimony.

24 Thank you.

25 (Brief recess.)

1 CHAIRMAN FAY: All right. Mr. Wright, I have
2 you next, you are on my notes. If you can, just
3 make to speak to the content of the workshop here
4 today. Thank you so much.

5 MR. WRIGHT: I wouldn't consider doing
6 anything else. Thank you, Mr. Chairman.

7 Most of you know me. I am Schef Wright. I
8 have worked in the energy space in Florida since
9 December of 1980, when I the started work for
10 Governor Bob Graham's Governor's Energy Office. I
11 continued my energy career here at the Florida
12 Public Service Commission, where I worked for about
13 seven years. As far as I put it, I got a nice
14 break and got to go to law school. I have worked
15 for private sector and public sector clients in the
16 energy space and the utility space continuously
17 since that time.

18 My comments today are my own; although, I may
19 provide written comments on behalf of clients if I
20 am allowed to do so after this workshop.

21 In brief, I would like to talk about the legal
22 context of this workshop. The Commission is
23 charged by Section 186.801 Florida Statutes with
24 conducting a preliminary review of 10-year site
25 plans, and classifying each plan as suitable or

1 unsuitable. The Commission's 10-year site plan
2 rule includes the incorporated form PSC/ENG 043-E,
3 which states that each 10-year site plan shall
4 provide sufficient information to assure the
5 Commission that an adequate and reliable supply the
6 electricity at the lowest cost possible is planned
7 for the state's electric needs. And that's a quote
8 from your rule.

9 In the first instance, I submit to you that a
10 10-year site plan that does not include cost
11 information for major power supply additions. In
12 this context, generation and storage cannot be
13 deemed suitable, and accordingly, neither FPL's nor
14 Duke's 10-year site plans can be deemed suitable.

15 By my count, FPL has about 34 solar units in
16 its plan, accounting for about 7,800, 7,900
17 megawatts that for which no cost information is
18 given. And their battery -- their out-year battery
19 additions in the 3,000 plus or minus megawatt
20 range, likewise, have no cost addition -- cost
21 information provided.

22 Duke has eight solar projects in its 10-year
23 site plans in its Schedule 9s that have no cost
24 information, and three battery additions that have
25 no cost information.

1 I will observe that Tampa Electric's 10-year
2 site plan does, indeed, include cost information
3 for all of its proposed solar and battery additions
4 in its 10-year site plan.

5 FPL's proposed switch in planning criterion is
6 unnecessary to ensure reliable service. In prior
7 years -- like I said, I have been doing this a long
8 time -- in the 1980s and the 1990s, Florida and the
9 Florida Public Service Commission and the utilities
10 followed, as a general proposition, followed a
11 planning criterion of one day in 10 years, a loss
12 of load probability criterion of one day in 10
13 years, or 0.1 day or 2.4 hours of outage as the
14 planning criterion.

15 Since the Commission, around the year 2000, I
16 think it was '99 or 2000, it was around the time of
17 the merchant power excursion, the Commission
18 approved going to a reserve margin of 20 percent,
19 LOLPs have become minuscule, and reliability, at
20 least as far as power supply goes, leaving aside
21 T&D issues, has been very, very high. The LOLPs
22 are now offered magnitude less than 0.1.

23 Under FPL's plan, FPL would have 3,200
24 megawatts of battery storage, again, at unknown
25 cost. My guess is using Tampa Electric's cost, or

1 some earlier FPL cost somewhere between
2 three-and-a-half billion and \$5 billion, that it
3 may or may not be necessary. Certainly, there is
4 no evidence, as Mr. Rehwinkel has eloquently
5 pointed out, there is no evidence that the change
6 in planning is justified on any evidentiary basis
7 at all.

8 Allowing this change should only be permitted,
9 if at all ever, after a full evidentiary vetting, a
10 full proceeding to follow the prescription in your
11 10-year site plan rule, i.e., to assure that
12 Florida's electricity supply is met at the lowest
13 cost possible, investments of this magnitude must,
14 at a minimum, be thoroughly vetted in evidentiary
15 proceedings before commitments are made.

16 You need to know what you are getting and what
17 you are being -- what customers are being asked to
18 pay for it. I think FPL acknowledged that they
19 haven't been approached by customers talking about
20 this. I think it's a fair question. What would
21 customers say about this? How much would this
22 really cost? The revenue requirements associated
23 with \$4 billion of additional investment is a bunch
24 of money. Spread that kind of -- convert that to
25 revenue requirements, put it on a thousand kWh

1 bill, it's not chump change.

2 In summary, a full evidentiary evaluation of
3 any change of this magnitude is necessary, and full
4 evidentiary evaluations of expenditures,
5 commitments of billions of billions -- billions and
6 billions of dollars in revenue requirements terms
7 of customer money must be done, in my view of the
8 world, before commitments are made. Neither FPL's
9 nor Duke's 10-year site plan can be deemed
10 suitable.

11 I will submit written comments if I am given
12 the opportunity to do so.

13 Thank you very much.

14 CHAIRMAN FAY: Great. Thank you, Mr. Wright.

15 And we will allow for, essentially, two weeks
16 following this workshop for additional written
17 comments to be submitted, so you will be able to do
18 that.

19 MR. WRIGHT: Thank you.

20 CHAIRMAN FAY: Next, Commissioners, we will,
21 assuming there are no questions for Mr. Wright,
22 next we will move into the public comment portion
23 of the workshop.

24 The first name I have here is Kim Ross,
25 Executive Director of ReThink Energy Florida. If

1 you could, you can come up here to this chair right
2 here near the computer, and then just make sure,
3 Ms. Ross, that your green light is on in front of
4 you so we can hear you. And I just will ask you to
5 stay within the three-minute time period for public
6 comment.

7 MS. ROSS: Absolutely. Thank you so much.

8 As you said, my name is Kim Ross. I am the
9 Executive Director of ReThink Energy Florida. I am
10 here to represent the thousands of rethinkers who
11 are based in Florida Power & Light's territory,
12 specifically in Brevard, Broward, Escambia, Walton
13 and Miami-Dade Counties.

14 While FPL cites Texas as a reason to adopt an
15 extreme winter peak demand load forecast in its
16 10-year site plan, I think the one thing that we
17 can agree on this in this room is that Florida is
18 not Texas.

19 During the Texas winter storm in 2021,
20 temperatures dropped and stayed below freezing for
21 five consecutive days, and some cities reported
22 lows below zero. There was significant snowfall
23 and ice accumulation; meanwhile, we get excited
24 here in North Florida when we can see flurries for
25 a few seconds. A lot of the problems in Texas

1 stemmed from several unplanned gas units being
2 off-line, freeze related generation outages, which
3 has already been pointed out.

4 Texas -- the Texas grid is set up as its own
5 independent system. It's not connected to the
6 western or eastern internet connection; therefore,
7 the impact of the winter storm was felt more
8 severely. What might have been shorter outages
9 turned for some into six-day outages with
10 skyrocketing costs after that.

11 FPL assumed in its forecast that the
12 temperatures would go down to 27 degrees in Miami,
13 a temperature not recorded since NOAA began keeping
14 regular records in 1931. In 1989, according to
15 NOAA, it went down briefly to 30 degrees. In 2010,
16 according to NOAA, the low was a balmy 35 degrees.

17 FPL, as has been pointed out, has done no
18 probability analysis, so it can't even answer if
19 such an extreme winter weather event will occur in
20 its service territory. That is no way to do
21 resource planning.

22 What we do know is that FPL is proposing some
23 \$467 million in transmission and distribution
24 improvements alone. The company also wants to keep
25 gas units on-line that were supposed to be retired,

1 and another 700 megawatts of additional power
2 capacity. These winterization plans will
3 absolutely raise bills at a time when so many
4 Floridians are struggling to make ends meet.

5 Didn't FPL just get an hefty increase for
6 transmission and generation improvements? Florida
7 families can't take any more bill impacts. Instead
8 of laying groundwork for additional infrastructure,
9 FPL should invest in energy efficiency and help
10 families make their homes more efficient and
11 secure, while helping lower bills for all customers
12 as we reduce our reliance on fossil fuels.

13 FPL and the Florida Public Service Commission
14 on this first day of hurricane season to
15 continue -- to concern themselves with the storms
16 that are coming in the form of hurricanes. To that
17 end, for our state and its largest utility, it
18 should be a much higher priority to lead on climate
19 canning and reduce our carbon emissions. While
20 this extreme winter event may never happen,
21 hurricanes will get stronger and more frequent as a
22 result of climate change.

23 Thank you very much.

24 CHAIRMAN FAY: Thank you.

25 Next Bradley Marshall. And you are with

1 Earthjustice. You are recognized, Mr. Marshall.

2 MR. MARSHALL: Thank you.

3 Good afternoon. Bradley Marshall with
4 Earthjustice on behalf of Florida Rising and the
5 Environmental Confederation of Southwest Florida
6 addressing the FPL 10-year site plan.

7 The Commission has historically caveated its
8 review and role in this process as, quote, not a
9 binding plan of action for electric utilities. The
10 Commission's classification of these plans as
11 suitable or unsuitable does not constitute a
12 finding or determination in docketed matters before
13 the Commission. The Commission may address any
14 concerns raised by a utility's 10-year site plan at
15 a public hearing, end quote. In other words,
16 findings made as to suitability are not
17 precedential, the parties' substantial interests
18 are not at stake in this proceeding.

19 If the Commission is going to try and change
20 that approach to give a finding of suitability
21 precedential weight, it needs to say so, so that
22 parties know their substantial interests are at
23 stake in this proceeding and proceed accordingly
24 under Chapter 120.

25 Now on to the substance. What FPL has

1 proposed is not sensible utility planning. They
2 would plan their system for an event which may or
3 may not happen. No probability is assigned to that
4 event. One reliability criteria that has been
5 discussed is the loss of load probability
6 criterion, i.e., the blackout risk. FPL uses a 0.1
7 per one year standard, or once every 10 years, but
8 their best forecast for summer and winter peaks are
9 their best forecast what they expect the coldest
10 and hottest weather to be experienced will be,
11 their lost of load probability currently stands at
12 0.000001 for once every million years. And it is
13 worth noting that FPL's consistently
14 over-forecasted their winter peak almost without
15 exception, and often by quite a lot, usually by
16 thousands of megawatts.

17 FPL would like to prepare their system for an
18 event which we don't know if it will happen. It
19 hasn't happened since 1989, which is a lot more
20 than 10 years. To put that in context, I was two
21 years old at the time. Based on the 10-year
22 standard, which is a sensible and conservative
23 standard, since it isn't something that is
24 happening at least every 10 years, it isn't
25 something that we should be planning to meet 100

1 percent load for.

2 And as to the January 2010 event, FPL exported
3 hundreds of megawatts to Duke's predecessor during
4 that event, met all its load, and still had some
5 capacity left over.

6 We can keep allowing FPL to overbuild their
7 system, which generates more profits for them and
8 higher rates for the people of the state, but we
9 have seen what happens as electric bills become
10 unaffordable. People making hard choices as to
11 whether to buy tell or medicine.

12 Enough is enough. A once every million years
13 of loss of load probability is proof that FPL's
14 system has become overbuilt. Incremental
15 reliability improvements are worthless if people
16 can't afford to be connected to the grid. If FPL's
17 plan is adopted, costs will, no doubt, only go up
18 as FPL finds the need to make ever increasing
19 investments in gas to meet these hypothetical
20 extreme winter peaks.

21 Please do not find FPL's recommended extreme
22 winter plan suitable. Thank you.

23 CHAIRMAN FAY: Thank you, Mr. Marshall.

24 Next I have Natalia Brown.

25 Welcome, Ms. Brown. If you can hit that

1 button in front of you, you will see the light will
2 turn green for you.

3 You are recognized.

4 MS. BROWN: Thank you.

5 Good afternoon. My name is Natalia Brown, and
6 I serve as the Climate Justice Program Manager for
7 Catalyst Miami. Our organization works with low
8 wealth communities and communities of color to
9 address the issues that are adversely impacting
10 their lives. It focused primarily throughout
11 Miami-Dade County.

12 Energy affordability is a significant concern
13 for a lot of the residents that we work with, and
14 that's why I am here today, to ask that you deem
15 FPL's 10-year site plan unsuitable, particularly
16 until measures are added to help reduce cost burden
17 and to eliminate the winter peak proposals that
18 would enable increased and unnecessary costs to
19 customers.

20 Just last weekend, as I was listening to you
21 all speak, I was thinking about some residents that
22 I visited. Last weekend I visited a gentleman who
23 lives in North Miami, and he has been caring for
24 his grandmother. He was talking to me about energy
25 and heat, and he was talking about how he has been

1 trying to stretch out prescriptions for himself and
2 his grandmother, and creating new health risks that
3 he really wasn't sure what was going to happen, but
4 he was -- his main priority was just mitigating the
5 immediate risk of disconnection or mounting on his
6 existing utility debt.

7 Just weeks before, I spoke with a mother of
8 three who was talking to me about a new job that
9 she took on because of the rising cost of energy,
10 now that we are approaching the summer months, and
11 as bills are going up, and how that's pulling her
12 even more away from the time that -- the little
13 time that she is spending with her kids.

14 And I also thought about my own grandparents,
15 who, at this stage in their life, can physically --
16 physically cannot be in a room that is
17 uncomfortably hot, and so they've gotten to a point
18 where, as a matter of dignity, they will sacrifice
19 meals, several meals a week just to be able to make
20 ends meet on their own for themselves.

21 And this pattern in their households is all
22 too common. Those are just three examples. And
23 people, when Floridians don't have access to
24 affordable electricity, they start to make these
25 tradeoffs. They are forced to make these

1 tradeoffs, between basic necessary expenses,
2 childcare, groceries, medications. And there are a
3 few things within the scope of this plan that I
4 believe can be done to address energy affordability
5 for my community, as well as so many other
6 households across the state.

7 First, as has been discussed at length, you
8 can reject FPL's irresponsible winter peak
9 proposal. South Florida hasn't seen a snow flake
10 since my mother was a toddler, literally, and I
11 mean, let alone, considered the type of prolonged
12 extreme cold events that have been described today.

13 In Miami-Dade, residents are experiencing
14 nearly three times as many days over 90 degrees as
15 were recorded 50 years ago. And that number is
16 projected to more than double in the next three
17 decades.

18 Year round, both temperature minimums and
19 maximums are increasing based on our state's
20 National Weather Service data. And extreme heat is
21 increasingly affecting our ability to maintain
22 habitable indoor spaces. That's the temperature
23 extreme. It's really impacting our energy
24 affordability and our energy access at the
25 household level.

1 As we are in, the winter peak proposal is more
2 likely to just impose added costs to customers and
3 become relevant or be needed over the next 10
4 years. Maintaining that generating capacity will
5 be the real cause for disconnections when customers
6 can't make the payments to meet their energy needs.

7 CHAIRMAN FAY: Ms. Brown, I am going to let
8 you go over your time, but I am going to need you
9 to wrap it up.

10 MS. BROWN: Okay. I also just wanted to talk
11 a little bit about the overreliance on gas, because
12 at the household level, people realize that major
13 resource changes really needs to be focused on
14 shifting the means of generation to improve
15 affordability. And we know that fossil fuels have
16 been uneconomic and unsustainable for decades. And
17 transitioning off of gas is an important way to
18 mitigate the impacts of price volatility and the
19 burdensome rate increases that come from that.

20 I also wanted to urge you to invest in energy
21 efficiency. There is a lot that can be done. FPL
22 is capturing less than one-tenth of one percent of
23 the company's annual sales through energy
24 efficiency, while we are seeing that other large
25 utility companies, not as large but large, are

1 investing four or five times the amount, and
2 generating much more meaningful savings for
3 themselves as producers, and also for all of their
4 customers to be able to meet their energy needs.

5 CHAIRMAN FAY: Ms. Brown, we have other
6 speakers.

7 MS. BROWN: Uh-huh. Yeah.

8 CHAIRMAN FAY: I am going to need to go ahead
9 and cut you off there. Thank you for your time
10 today.

11 MS. BROWN: Thank you.

12 CHAIRMAN FAY: Next I have Christian Wagley.
13 Mr. Wagley, she left that light on there for
14 you, so you are good to go.

15 MR. WAGLEY: Very good. Thank you.

16 Again, Christian Wagley, representing Healthy
17 Gulf. We are a nonprofit organization that works
18 on a range of energy, water and environmental
19 issues along the Gulf Coast. On behalf of our
20 members and supporters in Florida, we wish to
21 comment on the FPL 10-year site plan.

22 And just a foundation of my comments I want to
23 mention is that our organization advocates for what
24 we call a just transition, which is that as we
25 transition to renewable energy, that transition

1 needs to be fair and equitable for ratepayers.

2 I am also here as a resident of Pensacola and
3 Northwest Florida to speak on behalf of the
4 residents of Northwest Florida who are suffering
5 tremendously under the rate increase from FPL that
6 took effect in January. Many of them would be here
7 today if the meeting weren't in the middle of the
8 week.

9 I echo so many of the comments you have heard
10 today about concern about the type of modeling
11 that's been used, the extreme event that's been
12 looked at, that doesn't seem to be scientifically
13 valid or very likely to occur. It's also been well
14 pointed out by multiple speakers that there are
15 other ways of dealing with this, through
16 efficiency, through conservation, through
17 demand-side management if there are any issues with
18 capacity.

19 Looking at the situation in Northwest Florida,
20 and I think it's important to comment on the
21 context of where I live. We -- income levels are
22 lower in Northwest Florida, yet we pay the highest,
23 or among the highest rates in the state right now,
24 and have for some number of years. So when we look
25 at something that's going to raise our rates, the

1 people can't handle this. And they have been very
2 upset about this for months.

3 There are over 17,000 signatures on a petition
4 to the Public Service Commission that's been sent
5 to you that those signatures were collected in just
6 the first couple months of the year, asking for a
7 rehearing on the rate increase of what was approved
8 last summer.

9 We have had dozens of people showing up at
10 city council meetings, county commission meetings,
11 I think we've had close to 10 jurisdictions in
12 Northwest Florida that have signed a letter of
13 support for a rehearing on that case. So we look
14 at something like the recommended plan from FPL
15 that would potentially -- it doesn't raise rates,
16 obviously, but it would raise our bills, because
17 those costs get passed on to ratepayers. And in
18 fact, there is an incentive in the system for FPL
19 to build more, right, because you can pass that
20 cost plus profits on. And so in the end, we know
21 that that would raise our bills at Northwest
22 Florida. We simply can't handle that, especially
23 when there are other options.

24 So on behalf of Healthy Gulf, on behalf of
25 those thousands of ratepayers in Northwest Florida,

1 we ask you to reject that recommended plan.

2 Thank you very much.

3 CHAIRMAN FAY: Thank you, Mr. Wagley.

4 With that -- are there any other members of
5 the public here to comment?

6 With that, I would like to thank all of our
7 presenters and our speakers today.

8 Commissioners, unless there is anything else
9 to add, that will conclude this workshop today, and
10 we are adjourned. Thank you so much.

11 (Proceedings concluded.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

STATE OF FLORIDA)
COUNTY OF LEON)

I, DEBRA KRICK, Court Reporter, do hereby
certify that the foregoing proceeding was heard at the
time and place herein stated.

IT IS FURTHER CERTIFIED that I
stenographically reported the said proceedings; that the
same has been transcribed under my direct supervision;
and that this transcript constitutes a true
transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative,
employee, attorney or counsel of any of the parties, nor
am I a relative or employee of any of the parties'
attorney or counsel connected with the action, nor am I
financially interested in the action.

DATED this 15th day of June, 2022.



DEBRA R. KRICK
NOTARY PUBLIC
COMMISSION #HH31926
EXPIRES AUGUST 13, 2024