

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

Petition for rate increase
by Tampa Electric Company.

DOCKET NO. 20240026-EI

Petition for approval of 2023
depreciation and dismantlement
study, by Tampa Electric Company.

DOCKET NO. 20230139-EI

In re: Petition to implement 2024
generation base rate adjustment
provisions in paragraph 4 of the
2021 stipulation and settlement
agreement, by Tampa Electric Company.

DOCKET NO. 20230090-EI

VOLUME 6 - PAGES 1091 - 1297

PROCEEDINGS: HEARING

COMMISSIONERS
PARTICIPATING: CHAIRMAN MIKE LA ROSA
COMMISSIONER ART GRAHAM
COMMISSIONER GARY F. CLARK
COMMISSIONER ANDREW GILES FAY
COMMISSIONER GABRIELLA PASSIDOMO

DATE: Wednesday, August 28, 2024

TIME: Commenced: 8:00 a.m.
Concluded: 9:15 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

TRANSCRIBED BY: DEBRA R. KRICK
Court Reporter and
Notary Public in and for
the State of Florida at Large

APPEARANCES: (As heretofore noted.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESS:	PAGE
CHIP WHITWORTH	
Examination by Mr. Means	1094
Prefiled Direct Testimony inserted	1097
Prefiled Rebuttal Testimony inserted	1145
Examination by Ms. Christensen	1162
Examination by Ms. Lochan	1176
Examination by Mr. Moyle	1180
Examination by Mr. Wright	1183
Further Examination by Mr. Means	1185
DAVID LUKCIC	
Examination by Mr. Means	1190
Prefiled Direct Testimony inserted	1193
Prefiled Rebuttal Testimony inserted	1255
Examination by Mr. Watrous	1278
Examination by Ms. Lochan	1289
Further Examination by Mr. Means	1293

1	EXHIBITS		
2	NUMBER:	ID	ADMITTED
3	21	As identified in the CEL	1087
4	145	As identified in the CEL	1087
5	370	As identified in the CEL	1088
6	725-726	As identified in the CEL	1088
7	22	As identified in the CEL	1294
8	639	As identified in the CEL	1295
9	649	As identified in the CEL	1295
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 P R O C E E D I N G S

2 (Transcript follows in sequence from Volume
3 5.)

4 CHAIRMAN LA ROSA: TECO, let's go ahead and
5 introduce your next witness.

6 MR. WAHLEN: Thank you, Mr. Chairman. Tampa
7 Electric calls Chip Whitworth.

8 CHAIRMAN LA ROSA: Mr. Whitworth, I do not
9 believe you have been administered the oath. Do
10 you mind standing?

11 Whereupon,

12 CHIP WHITWORTH

13 was called as a witness, having been first duly sworn to
14 speak the truth, the whole truth, and nothing but the
15 truth, was examined and testified as follows:

16 THE WITNESS: I do.

17 CHAIRMAN LA ROSA: Thank you.

18 Have a seat. Get settled in. We will give
19 you a few seconds to get organized.

20 TECO, you are ready -- or we are ready when
21 you are.

22 MR. MEANS: Thank you, Mr. Chairman.

23 EXAMINATION

24 BY MR. MEANS:

25 Q Good morning, Mr. Whitworth.

1 A Hey. Good morning.

2 Q Can you please state your full name for the
3 record?

4 A Chip Whitworth.

5 Q And you were just sworn, correct?

6 A I was.

7 Q Who is your current employer and what is your
8 business address?

9 A Tampa Electric Company. Business address is
10 702 North Franklin Street, Tampa, Florida.

11 Q Did you prepare and cause to be filed in this
12 docket, on April 2nd, 2024, prepared direct testimony
13 consisting of 47 pages?

14 A I did.

15 Q And did you prepare and cause to be filed in
16 this docket, on July 2nd, 2024, prepared rebuttal
17 testimony consisting of 13 pages?

18 A I did.

19 Q Do you have any additions or corrections to
20 your prepared direct or rebuttal testimony?

21 A I do not.

22 Q If I were to ask you the questions contained
23 in your prepared direct and rebuttal testimony today,
24 would your answers be the same?

25 A They would.

1 MR. MEANS: Mr. Chairman, Tampa Electric
2 requests that the prepared direct and rebuttal
3 testimony of Mr. Whitworth be inserted to the
4 record as though read.

5 CHAIRMAN LA ROSA: Okay.

6 (Whereupon, prefiled direct testimony of Chip
7 Whitworth was inserted.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **PREPARED DIRECT TESTIMONY**

3 **OF**

4 **CHIP WHITWORTH**

5

6 **Q.** Please state your name, address, occupation, and employer.

7

8 **A.** My name is Chip Whitworth. My business address is 702 N.
9 Franklin Street, Tampa, Florida 33602. I am employed by
10 Tampa Electric Company ("Tampa Electric" or the
11 "company"), and I am the Vice President of Electric
12 Delivery.

13

14 **Q.** Please describe your duties and responsibilities in that
15 position.

16

17 **A.** I have responsibility for all aspects of Electric Delivery
18 which include Safety; Environmental Compliance; Customer
19 Reliability; Transmission and Distribution Grid and
20 Energy Control Center; Transmission, Substation, and
21 Distribution Engineering and Construction; Storm
22 Protection Plan ("SPP"); Asset Management; Meter
23 Operations; Operational Technology and Strategy; Lighting
24 Operations; Telecommunications; and Fleet Operations. I
25 provide direct leadership to all the company's Electric

1 Delivery Directors and lead a team of approximately 1,050
2 team members.

3
4 My duties and responsibilities include the oversight of
5 all functions within Tampa Electric's Electric Delivery
6 Department including the planning, engineering,
7 operation, maintenance, and restoration of the
8 transmission, distribution, and substation systems;
9 operation of the distribution and energy control centers;
10 administration of tariffs and compliance; execution of
11 the company's Transmission and Distribution ("T&D")
12 strategic solutions including advanced metering
13 infrastructure ("AMI"), outdoor and streetlight light-
14 emitting diode ("LED") conversion project, and Advanced
15 Distribution Management System ("ADMS"); line clearance
16 activities; and fleet and equipment. In addition, I am
17 responsible for the safe, timely, and efficient
18 implementation of Tampa Electric's storm restoration
19 plan.

20
21 **Q.** Have you previously testified before the Florida Public
22 Service Commission ("Commission")?

23
24 **A.** Yes. I filed direct testimony in Docket No. 20230019-EI,
25 Tampa Electric's Petition for recovery of costs associated

1 with named tropical systems during the 2018-2022 hurricane
2 season and replenishment of storm reserve. I also provided
3 testimony for two Transmission Line Siting Act ("TLSA")
4 projects; Willow Oak,- Wheeler,- Davis and Lake Agnes to
5 Gifford were the two projects.

6

7 **Q.** Please provide a brief outline of your educational
8 background and business experience.

9

10 **A.** I graduated from The University of South Florida with a
11 Bachelor of Science in Civil/Structural Engineering
12 ("BSCE") and a Master of Business Administration ("MBA").
13 I have more than 27 years of experience in the energy
14 industry, all of which has been at Tampa Electric. Prior
15 to becoming Vice President of Electric Delivery at Tampa
16 Electric in 2022, I held the position of Vice President
17 of Safety beginning in 2021. Prior to taking that role,
18 my work experience included approximately 24 years in
19 Electric Delivery and Energy Supply where I worked as an
20 engineer and held various engineering and operations
21 leadership positions.

22

23 **Q.** What are the purposes of your direct testimony?

24

25 **A.** The purposes of my direct testimony are to (1) describe

1 the company's T&D system; (2) describe the changes to the
2 T&D system since the company's last base rate case; (3)
3 describe the company's future plans for its T&D system and
4 our grid modernization strategy; (4) demonstrate that the
5 company's T&D plant (*i.e.*, electric delivery) construction
6 program and capital budget for 2025 is reasonable and
7 prudent; and (5) show that the company's proposed level of
8 operations and maintenance expense ("O&M") for Electric
9 Delivery in the 2025 test year is reasonable and prudent.
10 The T&D related capital and O&M spending discussed in my
11 direct testimony does not include any capital or O&M
12 associated with the SPP.

13
14 **Q.** Have you prepared an exhibit to support your direct
15 testimony?

16
17 **A.** Yes. Exhibit No. CW-1, entitled "Exhibit of Chip Whitworth"
18 was prepared under my direction and supervision. The
19 contents of my exhibit were derived from the business
20 records of the company and are true and correct to the best
21 of my information and belief. The exhibit consists of eight
22 documents, as follows:

23 Document No. 1 List of Minimum Filing Requirement
24 Schedules Sponsored or Co-Sponsored by
25 Chip Whitworth

- 1 Document No. 2 FPSC Adjusted Reliability Trends
2 Document No. 3 Service Area Customer Demand - Growth
3 Document No. 4 Electric Delivery Capital Summary
4 2022 - 2025
5 Document No. 5 DOE ICE Calculator Results
6 Document No. 6 Line Loss Reduction
7 Document No. 7 Grid Reliability and Resilience
8 Project Schedule
9 Document No. 8 Service Territory Map

10
11 **Q.** Are you sponsoring any sections of Tampa Electric's
12 Minimum Filing Requirement ("MFR") Schedules?

13
14 **A.** Yes. I am sponsoring or co-sponsoring the MFR Schedules
15 listed in Document No. 1 of my exhibit. The data and
16 information on these schedules were taken from the business
17 records of the company and are true and correct to the best
18 of my information and belief.

19
20 **Q.** Do the rate base and O&M amounts for the 2025 test year
21 and otherwise discussed in your direct testimony include
22 amounts related to the company's SPP?

23
24 **A.** No. The rate base and O&M amounts for the 2025 test year
25 do not include SPP O&M.

1 **TRANSMISSION AND DISTRIBUTION SYSTEM OVERVIEW**

2 **Q.** Please describe the company's current T&D system.

3
4 **A.** Tampa Electric's service territory covers approximately
5 2,000 square miles in West Central Florida, including
6 nearly all of Hillsborough County and parts of Polk, Pasco,
7 and Pinellas Counties. The company has divided its service
8 territory into seven "service areas" for operational and
9 administrative purposes. Please refer to Document No. 8 of
10 my exhibit entitled: "Service Territory Map".

11
12 Tampa Electric's transmission system consists of nearly
13 1,332 circuit miles of overhead facilities, including
14 approximately 25,296 transmission poles and structures.
15 The company's transmission system also includes
16 approximately ten circuit miles of underground facilities.

17
18 The company's distribution system consists of
19 approximately 6,137 distribution circuit miles of overhead
20 facilities, and approximately 266,773 poles. The
21 distribution system also includes approximately 6,475
22 circuit miles of underground facilities.

23
24 The company currently has 238 T&D substations.
25

1 Q. What role does safety play in Electric Delivery?
2

3 A. Safety is the top priority, a core value at Tampa Electric,
4 and is integral to the work that we perform. Electric
5 Delivery is committed to the belief that all injuries are
6 preventable. In 2018, Electric Delivery implemented a
7 Safety Management System ("SMS") designed to ensure
8 compliance with Occupational Safety and Health
9 Administration ("OSHA") regulations and to follow OSHA
10 recommended practices. The SMS consists of 10 elements
11 including: Safety Leadership; Risk Management; Programs,
12 Procedures, and Practices; Communication, Training, and
13 Awareness; Culture and Behavior; Contractor Safety; Asset
14 Integrity; Measuring and Reporting; Incident Management
15 and Investigation; and Auditing and Compliance.
16

17 Through 2021 and 2022 Tampa Electric Company worked over 6
18 million work hours without a lost-time injury. Through
19 December 2023, Tampa Electric's lost-time injury rate is
20 16 percent better than the company's five-year average.
21

22 Additionally, Electric Delivery is focusing on
23 preventative measures such as high energy identification,
24 hazard recognition, and mitigation through new job risk
25 briefing tools and training sessions. These tools teach

1 workers to identify high energy sources present and to not
2 proceed with work until barriers are installed. Industry
3 trends show that most Serious Injuries and Fatalities
4 ("SIF") are the result of unmitigated high energy exposure
5 contacting a worker.

6
7 Electric Delivery has a robust community-outreach safety
8 program where we communicate in-person with first
9 responders, educators, and community leaders about
10 electrical facilities and how that relates to public
11 safety.

12
13 **Q.** What is Asset Management and how has the company integrated
14 Asset Management techniques into its planning and
15 operations for Electric Delivery?

16
17 **A.** Asset Management is a disciplined way of thinking and
18 managing that aligns engineering, operations, maintenance,
19 other technical and financial decisions, and processes for
20 the purpose of optimizing the value of our assets
21 throughout their lifecycles.

22
23 Tampa Electric seeks to achieve its asset optimization
24 goals by focusing on three Asset Management objectives, as
25 described below.

1 The first objective is the integration of asset monitoring;
2 health and risk assessment; work planning and scheduling;
3 capital planning; outage planning; risk management; and
4 other supporting asset management processes into
5 continuous business processes.

6
7 The second objective is the broader engagement of team
8 members and subject matter experts in these continuous
9 improvement processes, the establishment of asset
10 management responsibilities throughout the organization,
11 and ensuring team members are empowered with industry best
12 practices through awareness, training, and implementing
13 these best practices.

14
15 Finally, we sustain the integrated processes and engagement
16 of our teams through documentation and standardization of
17 technical and business processes and the implementation of
18 supporting operational and operations technology systems.

19
20 Applying Asset Management principles gives us a
21 comprehensive understanding of the condition of our assets
22 and the risks associated with them and allows us to better
23 identify and prioritize the work that needs to be done.

24
25 This level of understanding enables us to improve our

1 planning and scheduling of work, lowers the costs and risks
2 of operating our system, ensures full utilization of assets
3 and often life extensions of assets, and improves
4 efficiency and reliability - all of which promote a good
5 customer experience.

6
7 **PROGRESS SINCE TAMPA ELECTRIC'S LAST BASE RATE PROCEEDING**

8 **Q.** How has the company's T&D system continued to evolve since
9 the company's last base rate proceeding in 2021?

10
11 **A.** Since 2021, Tampa Electric's Electric Delivery department
12 has continued to ensure that we can provide resilient,
13 safe, and reliable power to our current and future
14 customers.

15
16 One of the ways that the T&D system has evolved is through
17 system expansion. We expanded our overhead transmission
18 system by approximately 18 circuit miles and expanded our
19 underground distribution system by approximately 760
20 circuit miles. Additionally, the company placed 15 new
21 substations in service and added approximately 670 single
22 and three phase reclosing devices on the distribution
23 system.

24
25 Another way the T&D system changed is through a shift to

1 primarily providing distribution service through
2 underground equipment, which is more reliable and resilient
3 in extreme weather conditions. Since 2021, we have reduced
4 our overhead distribution system by approximately 109 miles
5 even as the overall mileage of the distribution system has
6 grown. In 2023, Electric Delivery transitioned to a
7 primarily underground distribution system, with more
8 installed underground circuit miles than overhead. The
9 ratio of underground to overhead circuit miles will
10 continue to increase as the SPP lateral undergrounding
11 program matures and as new single family housing
12 developments continue to propagate.

13
14 These capital investments since the last base rate case
15 were required to support the substantial increase in
16 customer demand and support the economic development in
17 Tampa Electric's service territory. For example, since
18 2016, customer system demand in terms of Mega Volt Ampere
19 ("MVA") has cumulatively increased by 9.7 percent.

20
21 This growth in demand is directly correlated to our
22 customer growth rate. Since 2016, Tampa Electric has had
23 an overall average annual customer growth rate of 2.1
24 percent. The cumulative overall growth has been 17.7
25 percent. However, this does not reflect the rapid growth

1 and expansion within areas of Tampa Electric's service
2 territory. For example, the South Hillsborough, Winter
3 Haven, and Dade City service areas have seen cumulative
4 customer increases of 53.3 percent, 22.8 percent, and 17.8
5 percent respectively. Please see Document No. 3 of my
6 exhibit entitled: "Service Area Customer Demand".
7

8 The customer demand growth analysis shows that a
9 significant influx of new customers are moving to formerly
10 rural areas within our service territory requiring electric
11 system expansion, *i.e.*, new substations, transmission
12 lines, upgraded distribution services, and relocations of
13 existing facilities to accommodate roadway improvements.
14

15 **Q.** Please describe the indicators the company uses to monitor
16 reliability and how they relate to what customers
17 experience.
18

19 **A.** The reliability of our service has the most impact on our
20 customer experience. We track a variety of industry
21 recognized reliability metrics that reflect how our
22 Electric Delivery system performs from a customer's
23 perspective.
24

25 The company focuses primarily on System Average

1 Interruption Duration Index ("SAIDI") and Momentary
2 Average Interruption Event Frequency Index ("MAIFIE").

3
4 SAIDI indicates the total minutes of interruption time the
5 average customer experiences in a year. It is the most
6 relevant and best overall reliability indicator because it
7 encompasses two other standard performance metrics for
8 overall reliability - the System Average Interruption
9 Frequency Index ("SAIFI") and the Customer Average
10 Interruption Duration Index ("CAIDI").

11
12 MAIFIE reflects the overall impact of momentary
13 interruptions on a circuit and is defined as the average
14 number of times a customer experiences a momentary
15 interruption event each year.

16
17 Tampa Electric sets reliability goals for both SAIDI and
18 MAIFIE annually and reports these results to the Commission
19 in compliance with Rule 25-6.0455, Florida Administrative
20 Code, which requires investor-owned utilities ("IOU") to
21 file distribution reliability reports.

22
23 The company also tracks and sets goals around a measurement
24 known as Customers Experiencing Multiple Interruptions
25 ("CEMI-5"). CEMI-5 indicates the percentage of customers

1 who experience six or more sustained outages annually.
2 CEMI-5 yearly results are consistently improving each year,
3 as shown later in my testimony.
4

5 **Q.** Has the company's delivery system reliability improved
6 since 2021?
7

8 **A.** Yes, the company's T&D reliability has steadily improved
9 since 2021. Our SAIDI improved from a high of 84.5 in 2021
10 to a low of 57.27 in 2023, and MAIFIE improved from a high
11 of 6.5 in 2021 to a low of 6.44 in 2023. CEMI-5 improved
12 from 9,744 in 2021 to 1,022 in 2023. These results are
13 reflected in Document No. 2 of my exhibit entitled: "FPSC
14 Adjusted Reliability Trends".
15

16 **Q.** How did the company achieve these improvements in Electric
17 delivery system reliability?
18

19 **A.** Tampa Electric attributes these improvements to work
20 performed in four major areas: the Asset Management
21 Program, our Annual Distribution Reliability Plan,
22 operational changes, and the SPP.
23

24 **Q.** Please describe the company's achievements through the
25 Asset Management Program since 2021.

1 **A.** Tampa Electric completed several activities under the Asset
2 Management Program that improved system reliability. For
3 example, Tampa Electric inspected 2,691 of the company's
4 3,099 distribution switchgears. This inspection showed
5 that some of these switchgears are at the end of life,
6 while for others replacement can be deferred. Based on
7 these findings, the company moved from a time-based
8 replacement prioritization to a risk-based prioritization.
9 This change will prioritize replacement of switchgear that
10 are at their end of useful life, instead of simply
11 prioritizing the oldest equipment, and will maximize the
12 use of switchgear that has remaining life. Through this
13 effort, Tampa Electric has replaced 444 of these
14 switchgears since 2019.

15
16 As another example, the company used Asset Management
17 analysis to prioritize proactive replacement and
18 maintenance of medium power transformers, 69 kV oil circuit
19 breakers, and 13 kV distribution circuit breakers. This
20 proactive replacement and maintenance prioritization
21 prevents potential customer outages, maximizes the useful
22 life of installed assets, and mitigates risks associated
23 with equipment failures. Our Asset Management processes
24 also consider the impact of equipment failures to the
25 community in the prioritization of maintenance. In 2022

1 and 2023, Tampa Electric proactively replaced 28 of our 13
2 kV distribution circuit breakers, including all breakers
3 that feed one of the most critical facilities to our
4 customers, Tampa International Airport.

5
6 **Q.** Please describe the annual distribution reliability plan
7 and how it is prepared.

8
9 **A.** We prepare our distribution reliability plan by evaluating
10 the reliability of each distribution circuit on an annual
11 basis. The company uses the SAIDI, MAIFIE, SAIFI, and CEMI-
12 5 results to determine which circuits to target for
13 reliability improvement. We also evaluate circuit outages
14 over a five-year period to determine the most frequent
15 outage locations as well as the most frequent root causes.
16 This allows us to effectively deploy capital to the
17 circuits that have below average performance.

18
19 The results of these evaluations are used to identify the
20 type of equipment needed to improve reliability, such as
21 automatic feeder and lateral reclosers, and fault
22 detectors, and to install that equipment in places that
23 will optimize reliability improvements. The company has
24 achieved significant reliability improvements through this
25 targeted approach of research and field device

1 installation.

2

3 **Q.** What operational changes has the company made to improve
4 reliability?

5

6 **A.** The company made operational changes within the control
7 room to dispatch resources more effectively for outages.
8 For example, Tampa Electric has line crews available during
9 the night that can instantly mobilize to an outage. This
10 avoids mobilizing line workers from their homes, which adds
11 considerable time to restoration.

12

13 From an engineering perspective, Tampa Electric has
14 utilized a relay and protection scheme known as "sequence
15 coordination" between circuit breakers and lateral
16 reclosers to better sectionalize momentary interruption
17 impacts, leading to significant MAIFIE improvements.

18

19 **Q.** Please briefly describe the company's progress under the
20 SPP program over the last several years.

21

22 **A.** Section 366.96(3), Florida Statutes, requires each public
23 utility to file a T&D SPP that covers the immediate 10-
24 year planning period, and to explain the systematic
25 approach the utility will follow to achieve the objectives

1 of reducing restoration costs and outage times associated
2 with extreme weather events and enhancing reliability.
3 Tampa Electric submitted its first SPP to the Commission
4 in April 2020 and it was approved later that year in Docket
5 No. 20200067-EI. The Commission approved the company's
6 second SPP in December of 2022, through Order PSC-2020-
7 0293-AS-EI, which was issued on August 28, 2020.

8
9 Between April 2020 and the end of 2023, Tampa Electric
10 completed the following SPP activities:

- 11 • 27 Feeder Hardening projects.
- 12 • 239 Lateral Undergrounding projects.
- 13 • 355 circuits (2,180 miles) trimmed under the
14 Supplemental Vegetation Management program.
- 15 • 270 circuits (1,440 miles inspected, 3,680 spans trimmed
16 and 1,917 hazard trees removed) under the Mid-Cycle
17 Vegetation Management program.

18
19 **Q.** Can you please provide an update on how the SPP Program
20 has impacted the reliability of the system during storms?

21
22 **A.** Our SPP activities have resulted in significant improvement
23 in system performance during and after extreme weather
24 events, which improves the customer experience. This
25 improvement is best illustrated by comparing system

1 performance during Hurricane Irma, which predated the first
2 SPP, and Hurricane Ian in September of 2022. During
3 Hurricane Ian, wind speeds remained above 40 miles per hour
4 for 8.5 hours, as compared to only 1.5 hours during
5 Hurricane Irma. Despite these more severe weather
6 conditions, the company saw significantly improved
7 performance in several areas, including:

- 8
- 9 • A 57 percent reduction in the number of outages on the
10 18 circuits that were hardened under the Feeder
11 Hardening Program, and zero pole or feeder wire failures
12 on those circuits. There were four pole failures on non-
13 hardened feeders within 1,000 feet of hardened feeders,
14 which indicates that there would have been more pole
15 failures but for the company's hardening efforts.
 - 16 • None of the laterals that were undergrounded before
17 Hurricane Ian experienced an outage during Ian. The
18 company examined areas within 1,000 feet of each
19 underground conversion project and identified four pole
20 failures, indicating that weather conditions in those
21 areas could have caused damage to overhead lateral
22 equipment if it had been present.
 - 23 • Circuits that received Supplemental Vegetation
24 Management had a 20 percent reduction in the number of
25 outages.

- 1 • Circuits that received Mid-Cycle Vegetation Management
2 had a five percent reduction in the number of outages.
3 • Circuits that received both Supplemental and Mid-Cycle
4 Vegetation Management had a 43 percent reduction in
5 outages.

6
7 **Q.** Have the improvements made to the company's system
8 performance and reliability since 2021 improved Tampa
9 Electric's customer experience?

10
11 **A.** Yes. In 2023, Tampa Electric scored better than the
12 industry average for every residential customer
13 satisfaction criterion (as measured by J.D. Power),
14 including Power Quality and Reliability, which is ranked
15 at the top of the second quartile nationally (40th out of
16 149 brands). In the South Large segment, Tampa Electric is
17 ranked third out of 12 brands, which is the highest ranked
18 Florida brand in our segment for Power Quality and
19 Reliability. On the business side, Tampa Electric also
20 scored better than the industry average and is ranked in
21 the second quartile nationally (37th out of 77 brands) for
22 Power Quality and Reliability. Between 2022 and 2023, when
23 most other satisfaction criterion scores decreased, Tampa
24 Electric's Power Quality and Reliability score increased
25 by three points.

1 **FUTURE PLANS FOR TRANSMISSION AND DISTRIBUTION SYSTEM**

2 **Q.** Will the company need to continue investing in its T&D
3 system?

4
5 **A.** Yes. Tampa Electric witnesses Archie Collins, Karen
6 Sparkman, Carlos Aldazabal, Chris Heck, and David Lukcic
7 describe how the expectations of our customers and the
8 electric industry are changing. To meet the challenge,
9 Tampa Electric must make long term investments in our T&D
10 system to ensure that it will be safe, resilient, secure,
11 reliable, compatible with distributed generation and
12 energy storage, and will provide the data customers want
13 for managing their electric service. Accordingly, our long-
14 term plans include significant investments for grid
15 resilience and reliability. These investments support
16 digitalizing the grid which will increase our visibility
17 into grid operations and make data available for more
18 efficient and effective grid operations; improve
19 reliability; reduce restoration times; increase
20 resiliency; improve grid planning; allow new customer
21 programs and new rate designs; and provide data directly
22 to customers so they can better manage their electric
23 service. Tampa Electric will implement a group of projects,
24 known collectively as the Grid Reliability and Resilience
25 Projects, including a Grid Communication Network Project,

1 to meet these needs.

2

3 **Q.** What are the Grid Reliability and Resilience Projects?

4

5 **A.** The Grid Reliability and Resilience Projects are components
6 of a comprehensive program that builds on Tampa Electric's
7 existing grid modernization strategy. The program includes
8 more than 40 interdependent projects across the six primary
9 domains of the electric system including: (1)
10 telecommunications; (2) control center operational
11 technology; (3) back-office information technology; (4)
12 distributed energy resources ("DER") infrastructure; (5)
13 field devices; and (6) substations. When completed, these
14 changes to the grid will create a "system of systems" with
15 many benefits for Tampa Electric's customers. Tampa
16 Electric's goal is to complete all component projects by
17 the end of 2030.

18

19 Mr. Lukcic provides greater detail regarding the Grid
20 Reliability and Resilience Projects planned for the next
21 several years in his direct testimony.

22

23 **Q.** Why is Tampa Electric aggregating the Grid Reliability and
24 Resilience Projects?

25

1 **A.** Aggregating these projects results in more efficient
2 capital spending and unlocks enhanced functionality as
3 system elements are deployed. Pursuing these activities as
4 individual projects would hinder the integration of the
5 program and increase the risk of project delays, rework,
6 and scope changes.

7
8 **Q.** What do you mean when you describe these projects as
9 interdependent?

10
11 **A.** Through the Grid Reliability and Resilience Projects, Tampa
12 Electric will deploy infrastructure in a coordinated
13 program that will enable the company to exchange
14 electricity and information across the six grid domains,
15 and to exchange information from the grid edge to the
16 company's control and information technology ("IT") and
17 operations technology systems.

18
19 For example, sensors on lines and substations in the field
20 device domain can continuously monitor circuits for faults
21 or anomalies. Monitoring data from these field devices is
22 relayed through the telecommunications domain to the
23 control system operational technology domain. These
24 control systems can then take appropriate corrective
25 actions by sending signals back to the field devices.

1 Q. Why are the Grid Reliability and Resilience Projects
2 necessary?

3

4 A. These projects are necessary to replace obsolete systems
5 and equipment that have reached end of life as well as
6 meeting customer demands for greater reliability, greater
7 access to data, and to adapt to changes in how our customers
8 consume energy.

9

10 Reliable and resilient electric service underpins
11 everything Tampa Electric does. Our customers are
12 increasingly demanding an "always-on" experience. As shown
13 elsewhere in my testimony, our reliability metrics have
14 significantly improved in recent years. The Grid
15 Reliability and Resilience Projects are the next step in
16 the journey to world-class reliability to help meet
17 customer expectations.

18

19 The Grid Reliability and Resilience Projects will result
20 in a better integration of back-office systems with field
21 operations, which will lead to better in-service timelines
22 and a simpler, more streamlined interaction with Tampa
23 Electric for customers. This will allow customers access
24 to more data to help them make informed decisions about
25 energy usage and provide better visibility into the status

1 of work we are performing for them.

2

3 These projects are also necessary to respond to changes in
4 how energy is consumed and produced, including the rapid
5 growth of electric vehicle ("EV") adoption and the
6 proliferation of customer owned distributed energy
7 resources ("DER"), and to replace obsolete and unsupported
8 operating systems. Tampa Electric forecasts that by 2030,
9 there will be over 200,000 EV charging on the company's
10 grid, consuming approximately 944 gigawatt-hours ("GWh")
11 of energy and adding up to 282 megawatts ("MW") of peak
12 demand. Some of these vehicles may also have vehicle-to-
13 grid capability, meaning they can inject power back into
14 the grid. The company also forecasts that by 2030, the
15 number of customer-owned DER on Tampa Electric's system
16 will triple from the current count of 25,000 to
17 approximately 75,000. This level of DER is equivalent to a
18 nameplate generating capacity of 770 MW resulting in 1,212
19 GWh of energy going back into homes/businesses with excess
20 energy going back into the company's distribution grid.

21

22 **Q.** What effect will the increasing adoption of EV and customer
23 owned DER have on Tampa Electric's distribution system?

24

25 **A.** Tampa Electric's distribution system is designed for a

1 centralized generation model under which power is generated
2 at large, centralized power plants and transmitted and
3 distributed over long distances to end users. With the
4 proliferation of EV and DER, the grid will now experience
5 two-way power flows. Through our AMI, Tampa Electric has
6 begun to detect areas of elevated reverse loading due to
7 concentrated DER installations. Unmanaged and undetected
8 two-way power flows can back feed protective equipment,
9 cause service disruptions, distort power quality, and
10 create voltage instability causing negative customer
11 impacts and reducing reliability.

12
13 **Q.** How will customers benefit from the Grid Reliability and
14 Resilience Projects?

15
16 **A.** The Grid Reliability and Resilience Projects will result
17 in quantifiable benefits in terms of reliability and
18 avoided capital and O&M expense.

19
20 In terms of reliability, Tampa Electric forecasts that the
21 combination of these projects and the company's ongoing SPP
22 activities will reduce SAIDI to approximately 30 minutes per
23 year, reduce MAIFIE to near zero, avoid 30 million customer
24 minutes of interruption, and reduce the CEMI-4 and CEMI-5
25 metrics to near 0 by 2031.

1 Improving reliability has significant benefits for
2 customers. The Department of Energy ("DOE") has developed
3 an Interruption Cost Estimator - or ICE calculator - to
4 measure the cost of electric service interruptions to
5 different customer segments. The ICE calculator translates
6 reliability metric improvement into avoided costs for
7 customers based on the economic costs to customers resulting
8 from service interruptions. The ICE calculator model is
9 state-specific and based on the residential and non-
10 residential customer mix. Using the ICE calculator, Tampa
11 Electric estimates that by 2043, the total benefit of the
12 reliability improvements from these projects is a Net
13 Present Value ("NPV") of \$2.88 billion. Please see Document
14 5 of my exhibit entitled: "DOE ICE Calculator Results".
15 Driving down the frequency of outages and enabling more
16 targeted field responses will also reduce the need to deploy
17 utility vehicles to assess reported issues, resulting in
18 cost savings and reduced vehicle emissions.

19
20 The Grid Reliability and Resilience Projects are also
21 expected to avoid capital and O&M expenses. As DER
22 proliferate and Tampa Electric develops the capability to
23 manage decentralized circuits through a mix of field
24 devices, substation devices, and management systems, the
25 company forecasts that line losses will substantially

1 decrease. An analysis at one company substation with a high
2 percentage of DER experienced a reduction in line losses
3 of five percent during system peak and as high as 30 percent
4 during off-peak conditions. When scaled across the
5 company's entire system, these avoided line losses result
6 in reduced energy needs. The company calculated the
7 estimated load reduction from the Grid Reliability and
8 Resilience Projects and ran that figure through the
9 company's production cost models. This analysis showed
10 savings in the forms of avoided fuel costs, avoided
11 variable O&M expense, and avoided startup costs. In total,
12 this equals \$134.1 million in avoided costs based on the
13 company's current weighted average cost of capital. Please
14 see Document No. 6 of my exhibit entitled: "Line Loss
15 Reduction".

16
17 Customers will also benefit from operational savings
18 through automated line restoration and quicker
19 troubleshooting due to automated, self-healing grid
20 technologies installed through the Grid Reliability and
21 Resilience Projects.

22
23 **Q.** When does the company plan to begin the Grid Reliability
24 and Resilience Projects and when does it expect those
25 projects will go into service?

1 **A.** The company plans to begin the Grid Reliability and
2 Resiliency Projects in 2024 and conclude in 2023. I provide
3 a schedule in Document No. 7 of my exhibit entitled: "Grid
4 Reliability and Resilience Project Schedule", which shows
5 the company's plans for in service dates and completing
6 the Grid Reliability and Resilience Projects.

7
8 **Q.** What is the Grid Communication Network Project?

9
10 **A.** The Grid Communication Network Project is a component of
11 the Grid Reliability and Resilience Projects. This project
12 is the installation of a private Long Term Evolution
13 cellular network that will allow the company to communicate
14 with its existing field devices and the future field
15 devices planned under the Grid Reliability and Resilience
16 Projects. This project is instrumental in enabling near
17 real-time, two-way communication and control of field
18 devices where we will eliminate the need for field device
19 communication through our radio system that is slow and
20 unsecured. The ability to gather data from field devices
21 and issue remote controls with low latency has a large
22 impact in making the system safer and increasing customer
23 reliability. This project is explained in greater detail
24 in the testimony of Mr. Lukcic.

25

1 **ELECTRIC DELIVERY AND OUR REQUEST FOR RATE RELIEF**

2 **Q.** How does Tampa Electric determine the construction program
3 and capital budget for additional T&D facilities?

4
5 **A.** The Electric Delivery department examines and balances many
6 items including load growth, resilience, reliability,
7 technology improvements, investments across all of Tampa
8 Electric, customer demands and desires, and impacts to
9 customer bills when determining the need for capital
10 investments.

11
12 Tampa Electric determines its construction program and
13 capital budget for major T&D facilities through an annual
14 system and capital planning process. This process makes
15 management aware of future capital needs to complete
16 projects necessary to serve customer load, maintain
17 reliability, and ensure resiliency in storms. The system
18 and capital planning process prioritizes capital spending
19 on the right projects to achieve the maximum benefit for
20 customers in addition to balancing out financial
21 requirements for smaller T&D additions, maintenance,
22 restoration, and other T&D needs.

23
24 **Q.** How does the company plan and manage its major T&D capital
25 improvement projects?

1 **A.** The company plans to meet the future requirements of all
2 customers served through its T&D systems using established
3 industry T&D planning requirements, standards, and
4 criteria, and by using standard industry models and tools.
5 These models and criteria ensure that Tampa Electric
6 identifies the most cost-effective projects. Transmission
7 projects are identified and planned through regional models
8 and industry standards, and distribution projects are
9 planned using local models and industry standards.

10

11 Tampa Electric's Project Management team is responsible
12 for execution of these projects through engineering and
13 operations and ensuring that project schedules and
14 budgets are maintained through construction until the
15 project is completed.

16

17 **Q.** How much capital did Tampa Electric invest in Electric
18 Delivery during the three-year term of the 2021
19 Stipulation and Settlement Agreement from 2022 through
20 2024?

21

22 **A.** For the period 2022 through 2024, the company invested
23 approximately \$1.590 billion in capital projects for the
24 Electric Delivery area, of which \$994.2 million will be
25 recovered through base rates. The remainder consists of

1 investments that are recovered through the SPP Cost
2 Recovery Clause, AFUDC, and below the line non-utility
3 projects.

4
5 **Q.** How much capital does Tampa Electric expect to invest in
6 Electric Delivery in 2025?

7
8 **A.** In 2025, the company expects to invest approximately \$716.0
9 million in capital projects for the Electric Delivery area,
10 of which \$380.8 million will be recovered through base
11 rates. The remainder consists of investments that are
12 recovered through the SPP Cost Recovery Clause, AFUDC, and
13 below the line non-utility projects.

14
15 **Q.** What portion of the total projected capital for the years
16 2022 through 2025 is comprised of projects described in
17 the direct testimony of Mr. Lukcic?

18
19 **A.** Our total rate base capital for Electric Delivery for the
20 years 2022 through 2025 is projected to be \$1.375 billion.
21 Of the \$1.375 billion, \$357.7 million of the investment is
22 comprised of Operations Technology and Strategy projects
23 described in the direct testimony of Mr. Lukcic.

24
25 **Q.** Please explain which major projects make up the rate base

1 capital total investment in Electric Delivery, why they
2 are needed, and how they will benefit customers.

3
4 **A.** Major projects for 2022 through 2025, and the associated
5 customer benefits are described below.

6
7 • The company expects to invest \$471.0 million from 2022
8 through 2024 and \$135.9 million in 2025 for blanket
9 capital.

10 o Preventive maintenance activities on the
11 distribution system including wood pole changeouts,
12 underground cable replacements, transformer
13 replacements, switchgear replacements, and
14 capacitor bank maintenance. Replacing these units
15 proactively ensures that the work is done more
16 cost-effectively (scheduled weekday) compared to
17 reactive maintenance that may be done on nights and
18 weekends. It can also reduce customer outages.

19 o Corrective maintenance activities on the
20 distribution system, such as replacing failed
21 overhead and underground equipment and restoration
22 activities following typical storm events.

23 o New lighting installations to satisfy customer
24 requests.

25 o Substation preventive maintenance activities,

1 including circuit breaker, relay, and switch
2 upgrades, and spare transformer purchases. These
3 investments were identified as part of our Asset
4 Management Program and will significantly reduce
5 the chances of large and sustained outages,
6 improving reliability and service to our customers.
7

- 8 • The company expects to invest \$224.9 million from 2022
9 through 2024 and \$71.3 million in 2025 for specific
10 capital, as follows.
 - 11 ○ Distribution system expansion to reliably serve new
12 customers.
 - 13 ○ New transmission lines and upgrading existing
14 transmission facilities to meet capacity and
15 regulatory requirements;
 - 16 ○ Relocating existing T&D facilities located in
17 public rights-of-way in conjunction with road
18 improvement projects;
 - 19 ○ New substation construction and expansion of
20 existing substation facilities to meet the required
21 capacity and to provide reliable electrical service
22 to residential and commercial customers; and
 - 23 ○ New fiber installation and the Grid Communication
24 Network Project.

25

- 1 • The company expects to invest \$69.4 million from 2022
2 through 2024 and \$44.8 million in 2025 to support
3 facilities construction, investments in land, and other
4 non-clause SPP related activities. Please refer to
5 Document No.4 of my exhibit entitled: "Electric Delivery
6 Capital Expense Summary 2022 - 2025".

7
8 **Q.** What major factors caused the projected increase in 2025
9 capital investment over 2022?

10
11 **A.** There are several major factors that contributed to the
12 increase in total capital spending in Electric Delivery.
13 They include the following items:

- 14 1. Contracted labor cost increases.
15 2. Internal labor cost increases.
16 3. Material cost increases.
17 4. Customer growth.
18 5. Greater demand for utility worker labor.

19
20 For example, material cost increases for key components
21 have increased substantially. From 2021 to present, the
22 company experienced price increases for the equipment it
23 buys to provide electric service as follows.

- 24 • Transformer prices increased 49 percent.
25 • The price of poles increased 34 percent.

- 1 • Outdoor lighting equipment prices increased 25 percent.
- 2 • Switchgear prices increased 21 percent.
- 3 • Substation equipment prices increased 36 percent.

4

5 **Q.** What steps is the company taking to make sure these
6 projects are completed at the lowest reasonable cost?

7

8 **A.** Tampa Electric utilizes industry standards,
9 specifications, and codes as the basis for system planning,
10 engineering, and design to ensure our project designs are
11 as efficient as possible while maintaining reliability and
12 safety. Additionally, the company continuously tests the
13 market for pricing regarding material and labor. By
14 following the company's Request for Proposal ("RFP")
15 policies, Electric Delivery ensures material and labor
16 rates are fair and competitive and the selected service
17 providers are qualified.

18

19 **Q.** What are Tampa Electric's projected capital investments
20 in 2026 and 2027 for Electric Delivery and what projects
21 are included in this total for the subsequent year
22 adjustments ("SYA")?

23

24 **A.** The Grid Reliability and Resilience Projects, including
25 the Grid Communication Network Project, are included in

1 the company's request for SYA. These are described in the
2 direct testimony of Mr. Lukcic.

3

4 **Q.** Is there any property being held for future T&D use?

5

6 **A.** Yes. As reflected in MFR Schedule B-15, the company is
7 holding property for future T&D use. One example is the
8 River to South Hillsborough corridor, which was certified
9 under the TLSA and could be used for future 230 kV
10 facilities necessary to reliably serve existing and
11 future load and to meet existing North American Electric
12 Reliability Company ("NERC") Operations and Planning
13 Reliability Standards. Tampa Electric also has several
14 locations, sized from one to two acres, in areas of
15 expected growth for future load-serving substations
16 throughout Hillsborough County. Finally, the company owns
17 property adjacent to the existing Big Bend Power Station
18 at the intersection of Big Bend Road and U.S. 41 that
19 could be used for a future substation, site expansion, or
20 a renewable generation project.

21

22 **2025 TRANSMISSION AND DISTRIBUTION O&M EXPENSES**

23 **Q.** How have the Electric Delivery department's T&D operating
24 expenditures changed since its last rate case?

25

1 **A.** The department's transmission expenditures decreased by
2 \$1.8 million, or 10 percent, from \$18.1 million in the last
3 rate case to \$16.3 million in the test year. \$1.2 million
4 of the decrease is attributed to rate base expenditures.
5 Distribution expenditures increased by \$7.3 million, or 16
6 percent, from \$65.3 million in the last rate case to \$72.6
7 million in the test year. \$7.6 million of the increase is
8 attributed to rate base expenditures.

9
10 **Q.** What major factors caused the projected increase in 2025
11 O&M expenses over 2022?

12
13 **A.** There are several major factors that contributed to the
14 increase in total O&M spending in Electric Delivery:
15 1. Contracted labor cost increases.
16 2. Internal labor cost increases.
17 3. Material cost increases.
18 4. Increased material lead times leading to higher
19 inventory needs.
20 5. Customer growth.
21 6. Greater demand for utility worker labor.
22 7. Increased focus on restoration speed.
23 8. Increased focus on reactive tree trimming to benefit
24 reliability and better meet customer expectations.
25 9. Technology upgrades and process changes within

- 1 distribution and transmission control rooms.
- 2 10. Staffing for a Renewable Control Center.
- 3 11. Staffing for a Diagnostics and Drone Center.
- 4 12. Deployment of distribution equipment that improves
- 5 reliability.
- 6 13. Annual software service agreements.
- 7

8 Increased labor rates continue to be a major factor in

9 upward pressure on O&M expenses. For example, the rates of

10 our primary restoration distribution line contractors have

11 gone up 45 percent since 2021. Higher fuel costs and a tight

12 labor market nationwide for skilled line workers has driven

13 up equipment rates and wages resulting in increased costs

14 to Electric Delivery.

15

16 **Q.** What is the forecasted amount for 2025 O&M expense, and is

17 the amount reasonable?

18

19 **A.** Yes. In 2025, the company plans to spend approximately

20 \$88.9 million in O&M expenses for the Electric Delivery

21 department, of which \$65.7 million is base rate

22 expenditures. The proposed O&M expenses for 2025 are

23 reasonable and support the activities required for system

24 operations and restoration, inspection programs,

25 maintenance of equipment and computer systems, meter

1 services, and required compliance activities.

2

3 Tampa Electric mitigated the need to increase O&M
4 expenditures through the company's culture of continuous
5 improvement, which has generated many initiatives and cost
6 control measures that have been implemented since 2021.
7 They helped mitigate cost pressures in several areas,
8 including the higher labor rates and contractor costs, and
9 material inflation due to market conditions, increased
10 demand, and a limited supply of utility workers.

11

12 **Q.** Were any adjustments made to O&M expenses, and if so, how
13 much?

14

15 **A.** Yes. To obtain an "apples to apples" comparison, an
16 adjustment was made for the SPP related activities. We
17 adjusted the test year by \$23.2 million and the base year
18 by \$216,000. The SPP adjustments for the test year are
19 shown in MFR Schedule C-38, and the adjustments for the
20 base year are shown in MFR Schedule C-39. The adjusted T&D
21 O&M benchmark calculations are shown in MFR Schedule C-41.

22

23 **Q.** What is the company's performance against the O&M benchmark
24 of the company's T&D functional expenses?

25

1 **A.** MFR Schedule C-41 reports transmission and distribution
2 expenses and benchmarks separately, and each is below the
3 respective benchmark. Transmission O&M expenses budgeted
4 for 2025 are \$4.6 million less than the transmission
5 benchmark. Distribution O&M expenses are \$13.3 million less
6 than the distribution benchmark. These variances compared
7 to the benchmarks are due to the company's O&M expense
8 reduction measures taken in the T&D areas, as I describe
9 in my testimony.

10

11 **Q.** What steps has the company taken to manage Electric
12 Delivery O&M expenses?

13

14 **A.** Electric Delivery continuously takes action to ensure O&M
15 expenses are tracked and managed. These actions include
16 managing overtime, seeking skilled labor rates through a
17 fair RFP process, and ensuring team members' time is
18 charged appropriately.

19

20 Our Asset Management Program has also played a critical
21 role in controlling Electric Delivery O&M expenses by
22 ensuring that the right assets are maintained, repaired,
23 or replaced at the right time to eliminate outages,
24 customer impacts and expensive unplanned maintenance
25 activities.

1 Tampa Electric's technology use also helped control O&M
2 costs. For example, our installation of circuit reclosers
3 not only minimizes total customers out during an outage,
4 but also reduces the time it takes troubleshooters to
5 patrol the circuit to find the damage. Control room
6 technology, like our ADMS system, helps identify outage
7 causes and helps troubleshooters respond more quickly.
8 Since 2013, our customer count has gone up by over 150,000
9 customers, but our troubleshooting employee count has
10 remained flat, mostly due to the efficient use of
11 technology on our distribution grid allowing for faster
12 troubleshooting.

13
14 Tampa Electric has also invested in the replacement of all
15 streetlights and area lights with smart LED technology
16 throughout our service areas. This innovative technology
17 provides a higher-quality light and lasts longer than
18 traditional streetlights, reducing needed maintenance. We
19 have sent 85 percent fewer trucks to repair lighting since
20 the start of the LED conversion, which saves labor and fuel
21 costs.

22
23 **Q.** How has development of the company's SPP and implementation
24 of the related SPP cost recovery clause affected the amount
25 of T&D O&M expense to be recovered through base rates?

1 **A.** As part of the SPP, the company shifted several legacy
2 storm hardening activities into SPP programs. Cost recovery
3 of the O&M expenses associated with these activities was
4 also shifted from base rates to the SPP cost recovery
5 clause. These activities and costs included vegetation
6 management, pole inspections, and transmission structure
7 inspections.

8
9 **Q.** What safety initiatives are reflected in T&D O&M expenses
10 for the 2025 test year and why are those initiatives
11 beneficial for customers?

12
13 **A.** Abiding by the SMS described earlier in my direct testimony
14 is one of the cornerstones of Electric Delivery's
15 operations. The SMS is designed to ensure compliance with
16 OSHA regulations and is aligned with OSHA recommended
17 practices. The requirements and programs of each element
18 are embedded in the operating costs of the business. By
19 implementing an SMS, the company is not only promoting the
20 safety of its team members, but also its customers and the
21 public.

22
23 **Q.** What was the employee count for Electric Delivery in 2022
24 and 2023?

25

1 **A.** There were 1,013 team members within the Electric Delivery
2 department in 2022 and 1,028 in 2023.

3

4 **Q.** How many employees are projected in the 2025 test year for
5 the Electric Delivery department?

6

7 **A.** The Electric Delivery department expects to employ 1,081
8 team members in 2025.

9

10 **Q.** What factors are causing the need to add personnel in the
11 Electric Delivery area?

12

13 **A.** The Electric Delivery team has the largest increase in team
14 members among all areas within the company moving from 197
15 employees in 2022 to 243 in the test year. These additional
16 employees are needed to complete implementation of Grid
17 Reliability and Resilience Projects and new technologies
18 to further integrate DER, improve restoration times, and
19 collect data from field devices, as mentioned elsewhere in
20 this testimony and as explained in the testimony of Mr.
21 Lukcic.

22

23 The balance of new employees is comprised of craft labor
24 and support staff that support operational functions within
25 Electric Delivery, primarily positions within the Energy

1 Control Center, Substation, Transmission and Distribution
2 operations.

3

4 **Q.** What metrics did your team use to identify the need for
5 additional employees, contractors, service providers, when
6 to add them, and how many to add?

7

8 **A.** Tampa Electric looks at several factors when considering
9 adding incremental employees to the business. Project
10 growth and changes in operational practices are evaluated
11 to increase or decrease employee count. In certain areas,
12 employee count is increased to moderate overtime and manage
13 safety in the field. Anticipated attrition and the average
14 time to replace employees is also considered when adding
15 employees. Lastly, peaks and valleys in work that are
16 transient are assessed and generally managed with
17 contractors. Tampa Electric evaluated these factors in
18 determining the need to add the employee count I described
19 earlier in my testimony.

20

21 **SUMMARY**

22 **Q.** Please summarize your direct testimony.

23

24 **A.** Tampa Electric forecasts that it will invest \$380.8 million
25 in Electric Delivery capital and incur \$65.7 million in

1 Electric Delivery O&M expenses for the 2025 test year.

2

3 Electric Delivery's capital budget includes investments
4 for the transmission, distribution, and substation
5 expansion and upgrades needed to support customer growth,
6 maintain system reliability, resiliency, replace aging
7 infrastructure, improve our customers' experience, and
8 meet governmental and regulatory requirements. Our 2025
9 forecasted O&M amounts will support the activities required
10 for system operations and restoration, inspections,
11 maintenance of equipment and computer systems, meter
12 services, and required compliance activities.

13

14 Electric Delivery's historical cost control measures and
15 practices have resulted in O&M spending below the benchmark
16 despite increased interest rates, inflationary material
17 and equipment rates, and increasing wage rates.

18

19 Tampa Electric has significantly improved its system
20 reliability since the company's last base rate case. The
21 company's reliability improvements can be attributed in
22 part to the company's robust Asset Management Program and
23 by putting the right systems and personnel in place to
24 minimize outage times when outages do occur.

25

1 The company's Grid Reliability and Resilience efforts
2 described in my direct testimony are reasonable and
3 prudent and are necessary to meet the future demands of
4 our customers and to keep pace with electric industry
5 changes. All these projects will provide real benefits to
6 our customers.

7
8 Overall, Tampa Electric's proposed T&D capital and O&M
9 budgets for 2025 represent a strategic and balanced
10 approach that will provide the modern grid required to
11 meet our customers' increasing expectations at a
12 reasonable cost and should be approved.

13

14 **Q.** Does this conclude your direct testimony?

15

16 **A.** Yes, it does.

17

18

19

20

21

22

23

24

25

1 (Whereupon, prefiled rebuttal testimony of
2 Chip Whitworth was inserted.)

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 20240026-EI

PETITION FOR RATE INCREASE
BY TAMPA ELECTRIC COMPANY

REBUTTAL TESTIMONY AND EXHIBIT
OF
CHIP WHITWORTH

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **REBUTTAL TESTIMONY**

3 **OF**

4 **CHIP WHITWORTH**

5
6 **Q.** Please state your name, address, occupation and employer.

7
8 **A.** My name is Chip Whitworth. My business address is 702
9 North Franklin Street, Tampa, Florida 33602. I am employed
10 by Tampa Electric Company ("Tampa Electric" or the
11 "company") as Vice President of Electric Delivery.

12
13 **Q.** Are you the same Chip Whitworth who filed direct testimony
14 in this proceeding?

15
16 **A.** Yes.

17
18 **Q.** Have your title and duties and responsibilities changed
19 since the company filed your prepared direct testimony on
20 April 2, 2024?

21
22 **A.** No.

23
24 **Q.** What are the purposes of your rebuttal testimony?
25

1 **A.** My rebuttal testimony serves three general purposes.

2

3 First, I will address the analysis of Tampa Electric's
4 spare power transformer inventory presented by the Office
5 of Public Counsel's ("OPC") witnesses Kevin Mara and Lane
6 Kollen. I will explain why OPC's analysis is flawed and
7 why it's recommendations should be rejected.

8

9 Second, I will address the inaccuracies relating to the
10 company's Storm Protection Plan ("SPP") spending
11 presented in Mr. Mara's direct testimony and illustrate
12 why the Florida Public Service Commission ("Commission")
13 should reject his recommendations regarding that
14 spending.

15

16 Finally, I will address Mr. Kollen's recommended
17 reduction in depreciation expense for the company's
18 Feeder Hardening activities.

19

20 **Q.** Have you prepared an exhibit supporting your rebuttal
21 testimony?

22

23 **A.** Yes. Rebuttal Exhibit No. CW-2, entitled "Rebuttal
24 Exhibit of Chip Whitworth," was prepared by me or under
25 my direction and supervision. The contents of this

1 rebuttal exhibit were derived from the business records
2 of the company and are true and correct to the best of my
3 information and belief. My rebuttal exhibit consists of
4 the following three documents:

5
6 Document No. 1 Historical Transformer Failures

7 Document No. 2 Historical Transformer Purchases

8 Document No. 3 Order No. PSC-2020-0224-AS-EI
9

10 **I. TAMPA ELECTRIC'S SPARE POWER TRANSFORMER INVENTORY IS**
11 **REASONABLE AND APPROPRIATE**

12 **Q.** Please explain how Tampa Electric plans for and secures
13 spare power transformer inventory.
14

15 **A.** Tampa Electric has two standardized sizes of medium power
16 (69kV/13kV) transformers: 28 MVA and 37 MVA. Tampa
17 Electric purchases one 28 MVA transformer and three 37
18 MVA transformers per year. Tampa Electric typically
19 installs 37 MVA transformers in areas of increased system
20 load growth and utilizes 28 MVA transformers in areas
21 where the existing substation footprint does not allow it
22 and load growth is flat. This policy helps to reduce unit
23 costs by \$240,000. This approach to maintaining inventory
24 is reasonable and prudent given the rate at which the
25 company replaces transformers, as I will explain below.

1 Q. On Page 15 of his testimony, Mr. Mara asserts that the
2 company budgeted for "an inordinate amount of
3 transformers." Do you agree with this characterization of
4 the company's plans?

5
6 A. No. Tampa Electric has averaged 4.2 medium power
7 transformers (69kV/13kV) transformer failures per year
8 from 2012 through 2023. This is illustrated in Document
9 No. 1 of my rebuttal exhibit. The total actual/estimated
10 spares for years 2021 through 2027 was 29. This equates
11 to 4.8 transformers on average per year that Tampa
12 Electric needs to procure to keep up with future
13 replacements. Additionally, we monitor transformer health
14 and proactively replace transformers that are degrading
15 prior to failure through our Asset Management program,
16 which helps avoid unplanned outages. To illustrate, the
17 company plans to proactively replace three substation
18 transformers under the Asset Management program in 2025.

19
20 Q. Please describe the different types of power transformer
21 replacements included in the company's Grid Reliability
22 and Resilience Project and the reasons for those
23 replacements.

24
25 A. As explained in Tampa Electric witness David Lukcic's

1 direct testimony, the Grid Reliability and Resilience
2 ("GRR") Projects includes the installation of devices to
3 facilitate automatic fault location, isolation, and
4 system restoration ("FLISR"). FLISR automates system
5 restoration during unplanned outages by facilitating
6 automatic load transfers around the outage elements. This
7 automated FLISR technology will automatically re-route
8 power around faults.

9
10 While the company already monitors and replaces degraded
11 transformers, there may also be instances where
12 distribution substation transformer replacements are
13 needed to improve load transfer coordination and provide
14 needed capacity in certain load pockets of our system.
15 Tampa Electric may also need to replace transformers to
16 support new demand as the system load changes over time.

17
18 As we deploy FLISR, we expect to find situations where
19 existing transformers need to be replaced due to the new
20 switching scheme and new load growth. These transformers
21 will be replaced as part of the GRR Projects. Tampa
22 Electric does not plan to replace end-of-life
23 transformers through the GRR Projects unless that
24 transformer also needs to be upgraded to accommodate
25 FLISR.

1 Q. On pages 14 and 15 of his testimony, Mr. Mara asserts
2 that the company's plans to upgrade some transformers to
3 accommodate load restoration switching is evidence that
4 the company failed to follow its own planning criteria.
5 Do you agree with this assertion?
6

7 A. No. Tampa Electric's planning criteria do not include the
8 upgrade of transformers (or other facilities) to
9 accommodate load under unplanned outage conditions unless
10 relay service is requested and required upgrades are paid
11 for by the customer. The company's plans to upgrade some
12 transformers to accommodate load restoration switching is
13 part of Tampa Electric's FLISR implementation under the
14 GRR Projects which supports outage restoration for all
15 customers. In addition, it is not included in the
16 company's proposed Subsequent Year Adjustments ("SYA").
17

18 Q. Also, on page 15, Mr. Mara notes that "including power
19 transformers in SYA is not necessary." Are there any costs
20 associated with power transformer replacements included
21 within the 2026 and 2027 SYA?
22

23 A. No. The costs associated with power transformer
24 replacements for the GRR Projects are not included within
25 the SYA.

1 Q. Mr. Mara recommends on page 16 of his testimony that the
2 Commission should exclude four 37 MVA transformers from
3 the company's rate base. What would be the effect of this
4 exclusion?

5
6 A. Mr. Mara's recommendation would result in adverse
7 reliability and financial impacts for Tampa Electric's
8 customers. The current lead time to obtain a transformer
9 is approximately two to three years, so ordering four
10 spare transformers annually is needed to serve firm load
11 and provide adequate voltage to customers in the event of
12 a transformer failure. I prepared a table to show the
13 company's actual historical lead times for transformer
14 purchases over the last several years, which is included
15 as Document No. 2 of my rebuttal exhibit.

16
17 Disallowing these transformers could also increase costs
18 for customers. The price of these transformers, which the
19 company obtains through competitive bidding, have
20 increased 110 percent since 2020. If Tampa Electric is
21 unable to maintain a healthy spare inventory, it may be
22 required to purchase emergency replacements from other
23 utilities or pay additional manufacturing fees for
24 advanced production slots to shorten lead times, which
25 will increase costs even further. In short, Mr. Mara's

1 proposed disallowance would create additional reliability
2 risk and could also increase costs.

3
4 **II. TAMPA ELECTRIC'S SPP COSTS IN RATE BASE**

5 **Q.** Please describe how the company manages the separation of
6 SPP costs and rate base costs.

7
8 **A.** Tampa Electric identifies all SPP costs using the
9 company's accounting system attributes including Funding
10 Projects, Work Orders, and Plant Maintenance Orders or
11 work requests. Each SPP project is assigned a specific
12 code, which clearly differentiates SPP operations and
13 maintenance ("O&M") and SPP capital investments from the
14 company's other O&M and capital investments in the
15 accounting system. These SPP costs are ultimately
16 recovered through the SPP cost recovery clause
17 ("SPPCRC").

18
19 **Q.** On page 16 of his testimony, Mr. Mara states his
20 "understanding is that investments in SPP are recovered
21 through the SPPCRC and are separated from the base rates."
22 Is Mr. Mara's understanding correct?

23
24 **A.** Mr. Mara is correct that investments in SPP projects are
25 recovered separately from traditional distribution

1 capital projects. Certain SPP activities, however,
2 require installing new equipment as well as removing
3 existing assets. The costs associated with removal of some
4 of these assets are charged to base rates. This accounting
5 treatment is required by the "2020 Settlement Agreement,"
6 which was signed by OPC and approved by the Commission in
7 Order No. PSC-2020-0224-AS-EI, issued on June 30, 2020,
8 in the company's 2020 SPP docket. A copy of this Order is
9 included as Document No. 3 to my rebuttal exhibit.

10
11 **Q.** What does the 2020 Settlement Agreement state with respect
12 to the cost of removal associated with SPP projects?

13
14 **A.** Paragraph 12 of the 2020 Settlement Agreement states: "For
15 assets being retired and replaced with new assets as part
16 of a program in the company's SPP, the company will not
17 seek to recover the cost of removal net of salvage
18 associated with the related assets to be retired through
19 the SPPCRC." Paragraph 13 similarly requires the company
20 to recover the cost of distribution pole replacements,
21 and the O&M expenses associated with asset transfers
22 related to distribution pole replacements, through base
23 rates and not through the SPPCRC. Tampa Electric witness
24 Jeff Chronister will address this topic from an accounting
25 perspective in his rebuttal testimony.

1 Q. Is Mr. Mara correct that a portion of the company's SPP
2 Feeder Hardening costs are included in base rates?

3

4 A. Yes, the SPP Feeder Hardening program requires removal of
5 existing rate base equipment and installation of new
6 equipment. As I previously explained, the 2020 Settlement
7 Agreement requires Tampa Electric to charge the costs of
8 removal to base rates.

9

10 Q. On pages 18 and 19 of his testimony, Mr. Mara asserts
11 that he is "waiting on a response to a data request" for
12 certain feeder hardening information for the year 2024.
13 Are you aware of any outstanding discovery owed to OPC
14 related to SPP Feeder Hardening data?

15

16 A. No. Mr. Mara references OPC's Seventh Set of
17 Interrogatories No. 121 on pages 18 and 19, but that
18 interrogatory did not request Feeder Hardening program
19 data for 2024. Tampa Electric is not aware of any other
20 discovery request to date that asked for that information.
21 Tampa Electric also received confirmation from OPC on June
22 24, 2024, that the company has no outstanding unanswered
23 discovery requests from OPC related to SPP Feeder
24 Hardening.

25

1 Q. On page 19 of his testimony, Mr. Mara asserts that the
2 company's separation of SPP and base rate costs is "not
3 working as intended" or that the company is "purposefully
4 moving dollars from SPP to base rates." Are either of
5 these assertions correct?
6

7 A. No. Tampa Electric is properly accounting for cost of
8 removal as required by a Commission-approved 2020
9 Settlement Agreement that OPC signed.
10

11 Q. Do you agree with Mr. Mara's recommendation that \$7.97
12 million of "feeder hardening costs" be shifted from base
13 rates to the SPP?
14

15 A. No. For the reasons I previously described, the cost to
16 remove existing rate base assets associated with the SPP
17 Feeder Hardening program should be recovered through base
18 rates.
19

20 Q. Is Mr. Mara correct that a portion of the company's SPP
21 Lateral Undergrounding costs are assigned to base rates?
22

23 A. Yes. Like the Feeder Hardening activities mentioned
24 above, the SPP Lateral Undergrounding projects require
25 removal of existing rate base equipment and installation

1 of new equipment. The 2020 Settlement Agreement requires
2 the company to recover these costs through base rates.

3

4 **Q.** Do you agree with Mr. Mara's characterization of the
5 company's SPP Lateral Undergrounding program as including
6 "accelerated costs" on page 21 of his testimony?

7

8 **A.** No. Tampa Electric is not completing more miles of
9 underground conversions than it originally planned.
10 However, I do agree that these SPP costs will be reviewed
11 and explained through the separate SPPCRC proceeding.

12

13 **III. OPC'S PROPOSED CHANGES TO FEEDER HARDENING COSTS IN BASE**
14 **RATES SHOULD BE REJECTED**

15 **Q.** On page 5 of his testimony, Mr. Kollen presents a
16 recommended reduction to Tampa Electric's proposed
17 operating income and rate base to remove feeder hardening
18 costs associated with Mr. Mara's recommendations. Do you
19 agree with these adjustments to the company's projected
20 test year budget?

21

22 **A.** No. For the reasons I previously discussed, the costs
23 associated with removing existing rate base equipment
24 during the course of executing the SPP Feeder Hardening
25 and Lateral Undergrounding projects should remain within

1 Tampa Electric's operating income and rate base and be
2 allowed within the test year budget.

3

4 **IV. SUMMARY**

5 **Q.** Please summarize your rebuttal testimony.

6

7 **A.** My rebuttal testimony addressed statements made by
8 witnesses Mara and Kollen regarding Tampa Electric's
9 management of spare distribution transformers and cost
10 allocation between base rates and SPP. I demonstrated that
11 Tampa Electric is prudently managing spare transformer
12 inventory to ensure system reliability. I also explained
13 that Tampa Electric continues to manage costs
14 appropriately to separate traditional distribution work
15 and SPP work in accordance with previous Commission
16 Orders. The recommended adjustments of witnesses Mara and
17 Kollen are not appropriate and should be rejected.

18

19 **Q.** Does this conclude your rebuttal testimony?

20

21 **A.** Yes.

22

23

24

25

1 BY MR. MEANS:

2 Q Mr. Whitworth, did you also prepare a cause to
3 be filed with your direct testimony an exhibit marked
4 CW-1, consisting of eight documents?

5 A I did.

6 Q Did you also prepare a cause to be filed with
7 your rebuttal testimony an exhibit marked CW-2,
8 consisting of three documents?

9 A I did.

10 MR. MEANS: Mr. Chairman, Tampa Electric would
11 note for the record that Exhibits C-1 and C-2 have
12 been identified on the Comprehensive Exhibit List
13 as Exhibits 21 and 145.

14 CHAIRMAN LA ROSA: Okay.

15 BY MR. MEANS:

16 Q Mr. Whitworth, did you prepare a summary of
17 your direct and rebuttal testimony?

18 A I did.

19 Q Will you please give that summary?

20 A Sure. Good morning, Commissioners.

21 My direct testimony describes the company's
22 transmission and distribution system; how our system has
23 grown and changed since the company's last base rate
24 case; how our customers have benefited from improved
25 blue sky and extreme weather reliability; and why our

1 capital investments in the T&D system since the last
2 rate case were necessary and prudent.

3 My direct testimony explains the capital and
4 O&M investments in our T&D system for transmission,
5 distribution, substation expansion and upgrades that are
6 needed to support customer growth, maintain and improve
7 system reliability, improve grid resiliency, replace
8 aging infrastructure, improve our customers' experience,
9 and meet our governmental and regulatory commitments.

10 Lastly, my direct testimony describes how
11 Tampa Electric's proposed T&D capital and O&M budgets
12 for 2025 represent a strategic and balanced approach
13 that will provide a modern grid to be our consumers'
14 increasing expectations, adapt growing demand, and
15 ensure a grid that will be safe, resilient, secure and
16 reliable for many years to come.

17 My rebuttal testimony addresses two main issues
18 raised by the Office of Public Counsel's testimony
19 related to the company's spare medium power transformer
20 inventory and accounting for SPP work.

21 First, my rebuttal testimony explains the
22 company's reasonable prudent process for maintaining
23 transformer inventory. Tampa Electric currently has
24 four spare medium power transformers in stock. And the
25 Office of Public Counsel has requested the company

1 reduce the median power transformer inventory level by
2 four.

3 I recommend that the Commission make no
4 adjustment to our transformer inventory levels. Since
5 lead times for medium power transformers are
6 approximately a year-and-a-half to two years, they are
7 an essential piece of equipment to serve our customers,
8 and needed to keep up with energy demand and customer
9 growth.

10 Second, my rebuttal testimony explains how
11 OPC's recommended reclassification of certain feeder
12 hardening costs from base rates to the SPP recovery
13 clause is inconsistent with the Commission's order, when
14 Tampa Electric's 2020 SPP Settlement Agreement approved.
15 That agreement, which OPC signed, requires Tampa
16 Electric to charge the cost of removal for assets that
17 are being retired as part of an SPP project to the
18 accumulated depreciation in rate base used to set base
19 rates.

20 I recommend that the Commission make no
21 adjustments to the feeder hardening cost or removal
22 expenses since those costs were charged properly under
23 the 2022 SPP Settlement Agreement.

24 This concludes my summary. Thank you.

25 MR. MEANS: We tender the witness for

1 cross-examination.

2 CHAIRMAN LA ROSA: Thank you.

3 OPC, you are recognized when you are ready.

4 MS. CHRISTENSEN: Good morning, Commissioners.

5 EXAMINATION

6 BY MS. CHRISTENSEN:

7 Q Good morning --

8 A Good morning.

9 Q -- Mr. Whitworth.

10 Mr. Whitworth, can I have you just take a look
11 at page two of the testimony that's up there?

12 And in your direct, you say that your duties
13 include advanced metering infrastructure, advanced
14 distribution management systems, line clearing
15 activities and fleet equipment; is that correct?

16 A That's correct.

17 Q And are you aware of the filing that your
18 company made on August 22nd, 2024, where TECO revised
19 portions of the GRR program that's now included in this
20 request?

21 A Could you repeat the questions, please?

22 Q Sure.

23 Are you aware of the August 22nd filing that
24 was made to revise the request?

25 A Yes, I am.

1 Q Okay. And are you aware that in that filing,
2 one of the things that they revised were the number of
3 programs that were included in the GRR?

4 A Yes, I am aware of that.

5 Q Okay. Can you tell me how many programs from
6 the original 40 programs that you discuss in your
7 testimony on page 22 have been removed?

8 A That question is better suited for witness
9 David Lukcic.

10 Q Lukcic?

11 A Yes.

12 Q Okay. Let me ask you this question: Would I
13 be correct that removing these programs from this
14 request does not mean that these projects will not be
15 done?

16 A That's correct.

17 Q And looking at page 22 of your testimony --
18 and let me know when you get there -- lines 15 or 17, I
19 believe is what I was referring to.

20 In that portion of your testimony, you say:
21 It is TECO's goal to complete all of the projects by
22 2030. But you would agree that that completion date is
23 not a firm date?

24 A Our intent is to complete the entire set of
25 our GRR projects by 2030. I would also like to note

1 that we are not asking the Commission to improve the
2 entire set of the GRR projects through this rate case.
3 We are only asking you to improve a subset of those that
4 are in 2025 and the subsequent year ask.

5 **Q Am I to assume from the fact that you**
6 **responded you would like to complete them by 2030, that**
7 **you agree that with my questions, that it's not a firm**
8 **date?**

9 A We intend to complete it by 2030, and I would
10 defer to witness David Lukcic for the specifics of
11 in-service times and dates in and around the GRR
12 project.

13 **Q Okay. On the bottom of 2022, on the page --**
14 **this page of your testimony, you claim -- your claim is**
15 **that aggregating these projects results in more**
16 **efficient capital spend and enhancement functionality,**
17 **not that all these 40 projects cannot be done**
18 **individually; is that correct?**

19 A That's correct.

20 **Q Moving on to page 24 of this portion of your**
21 **testimony, you say that the GRR projects are necessary**
22 **to replace obsolete systems and equipment that have**
23 **reached the end of their life, correct?**

24 A That's correct. That is one component of the
25 GRR projects.

1 **Q You would agree that replacing old obsolete**
2 **equipment is normal activities for a utility, right?**

3 A In certain circumstances, it is. In other
4 circumstances, when you can replace these assets in a
5 coordinated fashion, there is a way that the company can
6 execute these projects and save the customers further
7 capital by the efficiency of how these are executed and
8 rolled out. And witness David Lukcic has a great deal
9 of detail on those execution plans.

10 **Q So you agree that replacing old obsolete**
11 **equipment is normal activities, right?**

12 MR. MEANS: Objection. Asked and answered.

13 CHAIRMAN LA ROSA: It has been asked. You
14 did --

15 MS. CHRISTENSEN: I know I asked it. I just
16 didn't get a yes or no answer, but if I could ask
17 that the witness be directed to give me a yes or no
18 answer and then a brief explanation, I would --

19 CHAIRMAN LA ROSA: Oh, so I am going to allow
20 the question to be asked, but I will -- if the
21 witness can answer the question, I will allow the
22 question.

23 BY MS. CHRISTENSEN:

24 **Q And I think you affirmatively agreed that it**
25 **is normal activities to replace old obsolete equipment,**

1 **yes?**

2 A I said in certain circumstances it is.

3 Q Okay. You then say in your testimony that
4 **investments are to improve reliability, access to data**
5 **and adapt to changes, correct?**

6 A What page and line are you on, please?

7 Q I am on page 22 -- or, I am sorry, 24. And I
8 **believe we are looking at your answer which starts at**
9 **line four.**

10 A Excuse me? Which line?

11 Q Line four. If you need to read through that
12 **answer, that's fine.**

13 A Okay. Thank you.

14 Q So would you agree that your testimony, you
15 **say, investments are to improve reliability, access data**
16 **and adapt to changes, correct?**

17 A That's correct.

18 Q Would you agree that TECO routinely looks for
19 **ways to improve its systems functions?**

20 A We do.

21 Q Okay. And let's go to page 29 of your
22 **testimony. And looking at lines one and two on that**
23 **page, it says: The company plans to begin the Grid**
24 **Reliability and Resiliency Projects in 2024 and conclude**
25 **in 2023. Did you mean to say 2030 in that portion of**

1 your testimony?

2 A Yes. That should say 2030.

3 Q Okay. And would you agree that existing field
4 devices communicate through your SCADA radio network
5 currently?

6 A They do.

7 Q And would you agree that the current radio
8 SCADA system was installed in 1990 --

9 A That's correct.

10 Q -- and that it -- oh, I'm sorry.

11 A That's correct.

12 Q And that the SCADA system needs replacing?

13 A That's correct.

14 Q Okay. Looking at your exhibit to your
15 testimony, document 7 -- and give it a minute to come up
16 here.

17 Okay. And this is an exhibit that shows the
18 GRR project as proposed, correct?

19 A No, it does not. This is just a general graph
20 that shows large buckets of the project and a general
21 description of the project and timeline, but does not
22 depict any sort of in-service dates.

23 Q Okay. So it's a general indication of the
24 projects and the timeline, but not a specific in-service
25 date, correct?

1 A Correct.

2 Q Okay. And part of this talks about the new
3 communication platform that is the PLTE Spectrum, is
4 that correct?

5 A It does mention that, yes.

6 Q Okay. And that's the purple line, right?

7 A Yes. Correct?

8 Q Okay. And the PLTE Spectrum project, that's
9 protected to go into service in 2026. Is that still
10 correct?

11 A That's my understanding, but witness David
12 Lukcic has the specifics on the private LTE project and
13 all of the GRR projects.

14 Q Okay. Then let me ask you the questions, and
15 to the extent you know, if you can answer them.

16 And looking at the blue field devices, these
17 are items that will communicate via the PLTE Spectrum
18 system, correct?

19 A That's correct.

20 Q And your plan is to modify to -- your plan is
21 to modify existing capacitors already out in the field
22 to communicate through the PT -- or PLTE system,
23 correct?

24 A Yes. We plan to -- we have to modify existing
25 equipment more so than capacitor banks. There is also

1 other equipment we might have to modify. And certainly
2 what we call new will have the capability to communicate
3 through the cellular network. And, again, witness David
4 Lukcic can provide all of the details in and around how
5 that communications network will interact with these
6 field devices.

7 Q Okay. And you will also replace older
8 automatic lateral switches and modify the newer ALS
9 switches to connect via the PLTE Spectrum system,
10 correct? That's the plan?

11 A If necessary, yes.

12 Q Okay. And starting on page 36 of your
13 testimony. And when we get there, we are going to be
14 looking at -- starting at line 19, and then through the
15 top of the next page.

16 Okay. Your -- you mention the projects
17 included in the subsequent year adjustment in this
18 section of your testimony, correct?

19 A I am sorry, which page and which line?

20 Q Looking at page 36, starting at line 19. You
21 have a question regarding the projected capital
22 investments in '26 and '27 that were going to be
23 proposed to be put into the subsequent year adjustments.
24 Do you see that?

25 A I do.

1 Q Okay. And that was my question, is this is
2 the portion of your testimony starting here, and then
3 going on to the top of the next page, where you discuss
4 the projects that will be included in the '26 and '27
5 projected -- or the subsequent year adjustments,
6 correct?

7 A No, that's not correct. My answer says that
8 the subsequent year adjustments will be explained
9 witness David Lukcic.

10 Q Okay. And then you -- well, to a certain
11 extent, you do discuss the GRR projects, correct,
12 because you included document 7?

13 A Yes. I discuss the GRR projects in a
14 strategic overall level and view and perspective of what
15 we intend to achieve from that. Specific details of how
16 we execute that and the in-service dates for those are
17 with witness David Lukcic.

18 Q Okay. Well, let's go back to document 7.

19 Okay. And you have green boxes with a line
20 for breaker replacements and digital relays. You would
21 agree that you replacement breakers -- that you replace
22 breakers when they are old and obsolete, correct?

23 A Not necessarily when they are, you know, not
24 necessarily old and obsolete, but certainly when they
25 become non-functional and non-serviceable --

1 Q Okay.

2 A -- we would make an attempt to do that. This
3 is referencing relays that are not compatible with the
4 cellular communication technology and our communication
5 plans for our modernized grid.

6 Q Let me ask you this: When do you replace
7 older breakers, for whatever the reason, and put them
8 into service in between rate cases, that would become
9 part of rate base that's recovered in the next rate
10 case, would that be correct, to your knowledge?

11 A Yes.

12 Q Okay. In looking at the green line for power
13 transformer replacement, you would agree that you
14 upgrade or build out transformers relative to TECO's
15 system planning and customer growth and demand, correct?

16 A I would. We do our overhead distribution
17 planning according to a steady state criteria.

18 Q Okay. And you would also agree that in the
19 past, when you normally replace transformers to customer
20 growth and demand and put it into service between rate
21 cases, it becomes part of rate case that is then
22 recovered in the next base rate case, correct?

23 A That's correct.

24 Q Let me take you to OPC Exhibit 145, which I
25 believe is F2.2-7210.

1 Are you familiar with this document?

2 A I am.

3 Q Okay. And can we have you look at page three
4 of this document? And let me know when you get there.

5 A I am there.

6 Q Okay. Wonderful.

7 And if you look at the bottom of that
8 document, you see the Project Risk Assessment header?

9 A I do.

10 Q Okay. You would agree that the third bullet
11 down talks about the risk of material shortages,
12 correct?

13 A It does.

14 Q And then if you look further down, about the
15 fifth bullet, it says the program benefits are not
16 achieved on the specific timelines is another risk you
17 identified?

18 A That's correct.

19 Q And the additional risk that you identified is
20 the pace of change exceeds the organization's ability to
21 adapt. And you called that change fatigue, correct?

22 A Correct.

23 Q Another risk you identified related to the GRR
24 programs is the cost changing unexpectedly over time,
25 correct?

1 A That's correct. And what I really like about
2 this list is it shows the company's forethought in
3 understanding the risk before we enter a capital project
4 like this. Before we even started, we have mapped it
5 out. We communicated it to our leaders. We
6 communicated it to our staff. And we are mapping out
7 and understanding what mitigation plans do we put in
8 place to avoid these risks. We are thinking about it
9 way ahead of time.

10 **Q Okay. And then --**

11 A And I think this is a testament for of how we
12 achieve success?

13 **Q And finally, one of the other risks that you**
14 **identified was that technology and standards change over**
15 **the program life, among others risk, correct?**

16 A Correct.

17 **Q Okay. If I can have you look back on page 24**
18 **of your direct testimony. And specifically, I am**
19 **looking at line 10 and -- 10 through 14.**

20 **You mention an always-on experience. Do you**
21 **see that?**

22 A I do.

23 **Q Are you warranting that customers will never**
24 **lose service if the GRRP is fully implemented?**

25 A I am not.

1 Q Okay. Am I correct, that you believe the GRR
2 projects are giving the distribution system a brain,
3 whereas, the SPP is the physical assets that are being
4 replaced?

5 A That's correct.

6 Q And you would agree that there is a FLISR
7 component to the SPP, i.e., mechanical devices that are
8 going out in the field, correct?

9 A That's correct. The mechanical devices as
10 part of FLISR are installed via SPP since the crews are
11 there. They are mobilized. They are already performing
12 the work. It's just a matter of efficiency to go ahead
13 and have them install that hardware. And then GRR will
14 come behind that, give it a brain and provide the
15 communication and coordination.

16 Q And you can you tell me what FLISR stands for?

17 A Fault Location Isolation and System
18 Restoration.

19 Q Okay. And would you agree that the FLISR
20 would be an overall system concept that includes field
21 devices, a communication network and software to
22 coordinate it?

23 A Yes, I would.

24 Q And you will mainly rely on Alabama Power as
25 your example of a utility development of a private LTE

1 **communication network and FLISR technology, is that**
2 **correct?**

3 A No, that is incorrect. We have a team of
4 people, and a staff of people who evaluated this
5 technology. At many utilities, it's a known technology,
6 a proven technology that's been installed throughout the
7 U.S., and Alabama is one example of an IOU that's nearby
8 that we have had discussions with. But by no mean is
9 that sole example. There are many examples across the
10 country of this technology.

11 Q **But that's the one that you are most familiar**
12 **with, and the one that you actually had the most**
13 **familiarity with, correct?**

14 A That would be the company that I went to
15 visit --

16 Q **Okay.**

17 A -- to see how they deployed FLISR.

18 Q **And isn't it true the affiliate company in**
19 **Canada, Nova Scotia Power, does not have a GRR program**
20 **or a FLISR type program or private network to your**
21 **knowledge?**

22 A Not to my knowledge.

23 Q **And TECO is seeking PSC approval for the, in**
24 **this proceeding, that the GRRP is prudent, correct?**

25 A We are only seeking a portion of the GRR

1 project in its entirety, and David Lukcic can speak to
2 that during his --

3 Q Okay. So then you would agree that if the GRR
4 components only about 400 to 500 million that will not
5 go into -- will not go into service until after 2027,
6 TECO will come back in the future and ask for PSC
7 authorization to recover those costs later?

8 A That's correct. Whatever is not allowed in
9 '25 and the subsequent year ask, that will be for
10 another rate case.

11 Q Okay. So you are not seeking prudence of the
12 continual program beyond what you are asking for through
13 2027, correct?

14 A Correct.

15 Q Okay.

16 MS. CHRISTENSEN: I have no further questions.
17 Thank you.

18 CHAIRMAN LA ROSA: Great. Thank you.
19 Florida Rising/LULAC.

20 MS. LOCHAN: Thank you so much, Chairman.

21 EXAMINATION

22 BY MS. LOCHAN:

23 Q Good after -- I believe it's afternoon now. I
24 think I can safely say that. Good afternoon, Mr.
25 Whitworth.

1 A Good morning, yeah -- or afternoon, everyone.

2 Q Almost lunchtime.

3 Nice seeing you again. I think we met during
4 the depositions.

5 I just have a few questions. I am going to
6 try not to be repetitive with the questions that Ms.
7 Christensen just asked, but I will direct you to your --
8 actually, just speaking generally about your testimony,
9 you did look at sort of long-term trends of the grid
10 reliability project?

11 A We did. Yes.

12 Q Thank you.

13 I will direct you to -- this is staff Exhibit
14 21, master number E4022. And if we can rotate it.
15 Perfect.

16 Just scrolling down to where there are the key
17 bullet points, or key observations. The first bullet
18 point does state that TECO has maintained second place
19 in the state in the last few years, with minimal
20 reliability engineering and proactive preventative
21 maintenance programs, correct?

22 A That's correct.

23 Q Thank you so much.

24 Now, I would like to direct you to your
25 testimony, particularly -- this is master page C6-938.

1 Great. If we can scroll down to lines 13 and -- yeah,
2 to line 13 -- sorry. C6-938 -- sorry -- oh, 398.

3 Sorry, my own device is loading.

4 Generally speaking, the reliability project is
5 purported to benefit customers, correct?

6 A That's correct.

7 Q Thank you.

8 If we can pull up FLL-265, which is master
9 number F3.5-24488. And these are the, I feel like I am
10 going to say this incorrectly, but MAIFI -- the MAIFI
11 numbers regarding the reliability improvement project.

12 A It looks like, based on the title, this was
13 the data that was used for the ICE calculator.

14 Q Thank you so much.

15 And if you look under column B, line three,
16 this shows that residential customers have a total
17 benefit of six percent?

18 A That's correct.

19 Q And 94 percent would be going towards other
20 customers?

21 A Small C&I, Medium and Large C&I.

22 Q Mr. Whitworth, would you agree that
23 residential customers are the vast majority of TECO's
24 customers?

25 A I would say we have a higher number of

1 residential customers, yes, than commercial/industrial
2 customers.

3 Q Okay. Thank you.

4 I am now going to pull up FLL-266, which is
5 master number F3.5-24492.

6 And once again the -- I might say this
7 correctly, but this shows these SIADI (ph) benefits --
8 SAIDI benefits?

9 A I don't -- the improvements, they look more
10 like customer minutes improvements more so than SAIDI
11 improvements.

12 Q Will the title of the document jog your memory
13 on the top, where it has the Bates stamps number?

14 A It does. It says, ADI SAIDI ICE benefits, so
15 I'm -- so, yeah, just not -- just not how I am used to
16 seeing that data, so...

17 Q Got it. But if I could direct you to the
18 third line. This shows that residential customers have
19 a total benefit of five percent, correct?

20 A I do not see five percent on this page.

21 Q Are you on the -- if you scroll up?

22 A Okay. Yep. Yes, five percent.

23 Q All right. Thank you so much.

24 I believe those are all my questions, Mr.
25 Whitworth. Thank you.

1 **CHAIRMAN LA ROSA:** Thank you.

2 **FIPUG.**

3 **MR. MOYLE:** Thank you, Mr. Chairman, just a
4 couple of quick questions.

5 EXAMINATION

6 BY MR. MOYLE:

7 **Q** **Good morning.**

8 **A** Good morning.

9 **Q** I had asked a question about the smart grid.
10 I am interested in learning a little bit more about
11 that, and in particular, when do you believe you will
12 have the ability for the grid to notify the company of
13 an outage as compared to customers having to call and
14 say, hey, I have an outage, can you come fix it? It
15 seems like there is evidence that suggests that's a
16 pretty significant time piece, to have the customer
17 call, and then that message get translated down. So I
18 am just looking for maybe a narrative answer with
19 respect to the timing of that and, generally speaking,
20 how it would work.

21 **A** Sure. I did hear Witness Sparkman's testimony
22 yesterday, so I am familiar with the question. And we
23 do currently, today, have the ability to know when an
24 entire circuit is out, which translates to customer
25 outage as well. We also have AMI data that comes

1 through a system that aggregates, that shows, hey, there
2 are -- these meters are out, there may be a problem
3 here. That, coupled with a call from a customer, allows
4 us to dispatch the troubleshooters to the appropriate
5 location. So we are not totally blind, but it's not as
6 specific as we want to get.

7 My expectation, and something witness David
8 Lukcic can speak to, is that by 2030, we expect to have
9 that technology to be able to pinpoint precisely where
10 navigation is, and have the ability to dispatch
11 troubleshooters and repair workers to a very specific
12 location to expedite those repairs.

13 **Q Just to follow up on the dispatch piece. Is**
14 **that also projected to be taking place at some future**
15 **point in time? You had referenced 2030, but that would**
16 **be done without human beings being involved, that it**
17 **would just send a message and go to a message, and no**
18 **passing along messages through humans?**

19 A As we begin to deploy FLISR technology --
20 that's that acronym we talked about earlier, Fault
21 Location Isolation and System Restoration -- as we begin
22 to deploy that through this process, that's precisely
23 what will happen. The technology will be able to detect
24 an anomaly on the grid, or an outage, automatically
25 restore as many customers as possible prior to human

1 intervention; and also pinpointing where the fault
2 location is, where we could roll resources directly to
3 that location for repair, so...

4 **Q And with respect to how you are rolling this**
5 **system out, are you prioritizing circuits that, say,**
6 **have MacDill Air Force Base on it, or have Tampa General**
7 **Hospital, airport, in a way so that your more critical**
8 **infrastructure is going to be plugged in first?**

9 A We currently do have customer reliability
10 programs for folks like the airport, for folks like TGH
11 hospital, and those types of things. Even a Walmart
12 distribution center, big food distribution center is on
13 there where we track those assets very closely, and the
14 performance of those already, and we have certain alarms
15 and substation alarms that come to the control room on
16 those particular -- that particular infrastructure.

17 As we roll out FLISR through GRR, it's going
18 to follow the timeline of our cellular network. And as
19 those towers go in, we will then deploy the field
20 devices and such that all that tower construction, and
21 start to bring that technology into the control room.

22 **Q Okay. And just briefly on the cell network,**
23 **is that going to be a cell network that is exclusive to**
24 **TECO's use, or will it be a cell network that**
25 **third-parties will also be able to use, or something**

1 **else?**

2 A Yeah. It is a private cellular network, and
3 it was evaluated for many reasons. And how we landed on
4 that, and one of the biggest drivers, is that that is
5 just more secure. It's a much more secure way of
6 communication between our devices and data transfer.

7 MR. MOYLE: Those are all my questions I have.
8 Thanks.

9 CHAIRMAN LA ROSA: Thank you.

10 FEA.

11 CAPTAIN GEORGE: No questions, Chairman.

12 CHAIRMAN LA ROSA: Thank you.

13 Sierra Club.

14 MR. SHRINATH: No questions, Mr. Chairman.

15 CHAIRMAN LA ROSA: Thank you.

16 FRF.

17 MR. WRIGHT: Thank you, Mr. Chair. I just
18 have a very few follow-up questions to his
19 discussion with Ms. Christensen.

20 EXAMINATION

21 BY MR. WRIGHT:

22 Q Good morning, Mr. Whitworth. How are you
23 doing?

24 A Wonderful. Good morning.

25 Q My name is Schef Wright. I represent the

1 Florida Retail Federation, and I just wanted to follow
2 up on a response you gave to a question from Ms.
3 Christensen.

4 She asked you whether it was normal to replace
5 old and obsolete equipment, and you said, under certain
6 circumstances. My question is: When is it not normal
7 to replace old or obsolete equipment?

8 A So what I meant by that is we have to -- we
9 have to do that obsolete equipment replacement in a
10 organized and timely fashion. It's something that has
11 to be coordinated. Typically that equipment is
12 integrated with other pieces of equipment in and around
13 the system. And as soon as it becomes obsolete, we
14 would have to coordinate that.

15 The other thing is that oftentimes, through
16 proper asset management programs and proper health
17 analysis, we can also work with that piece of equipment
18 for a duration of time, maximizing our capital
19 investment, which also maximizes the customers'
20 investment as well. So we get full use of that piece of
21 equipment.

22 Q So I think I understood part of your follow-on
23 discussion to indicate that you might replace the
24 function of a piece of equipment with better equipment,
25 or equipment that would do more than the old obsolete

1 **equipment did, is that kind of what you are getting at?**

2 A It is. With respect to GRR and those
3 projects, that's correct?

4 **Q Okay. Thanks very much. That's all I had?**

5 A Okay.

6 CHAIRMAN LA ROSA: Great. Thank you.

7 Walmart.

8 MS. EATON: We have no cross. Thank you.

9 CHAIRMAN LA ROSA: Staff.

10 MR. SPARKS: Staff has no questions. Thank
11 you.

12 CHAIRMAN LA ROSA: Commissioners, questions?

13 Seeing none, TECO, I give it back to you for
14 redirect.

15 MR. MEANS: Thank you, Mr. Chairman.

16 FURTHER EXAMINATION

17 BY MR. MEANS:

18 **Q Mr. Whitworth, I want to ask you real quickly**
19 **about this document, FLL-266, that's pulled up here.**

20 **And do you see at the top there, where it**
21 **says, reliability improvement?**

22 A I do.

23 **Q Is the only benefit of the GRR project going**
24 **to be reliability improvement?**

25 A It will not. There are any benefits in

1 addition to reliability. Reliability is just one of the
2 things that we balance when we consider what's happening
3 with the grid, and how the grid is changing.

4 In fact, I would add one of the largest
5 benefits to GRR is being able to detect two-way power
6 flows. We currently have 25,000 customers with rooftop
7 solar. In 2030, we expect to have around 75,000
8 customers with rooftop solar. That's around 770
9 megawatts of connected nameplate and capacity.

10 This will result in two-way power flows on our
11 system, and this is important for three main reasons:

12 No. 1, safety. Safety of our workers. Our
13 workers need to understand the direction of power flow
14 so they can properly isolate the system and remove the
15 hazardous energy to go to work.

16 No. 2, the equipment we install out there
17 needs to be technically capable to handle two-way power
18 flows.

19 No. 3, to the extent we can understand the
20 contribution of renewable energies that are being
21 injected on our grid, we can back down traditional
22 fossil fuels and reduce line losses, which saves the
23 customer money through fuel losses -- or fuel savings.

24 So those are three main reasons. There is
25 many other reasons, from a security perspective, an

1 obsolescence perspective, which we have talked a lot
2 about, and also improving our customer experiences and
3 different data offerings that we will be able to have
4 access to.

5 **Q Will any of those benefits accrue to**
6 **residential customers?**

7 A Yes, they will.

8 MR. MEANS: No further questions.

9 CHAIRMAN LA ROSA: Great. Thank you.

10 Okay. So let's now move exhibits into the
11 record.

12 MR. MEANS: Tampa Electric moves Exhibits 21
13 and 145 into the record.

14 CHAIRMAN LA ROSA: Okay. Are there
15 objections? Seeing none, show them as entered into
16 the record.

17 (Whereupon, Exhibit Nos. 21 & 145 were
18 received into evidence.)

19 CHAIRMAN LA ROSA: OPC?

20 MS. CHRISTENSEN: OPC would move 370 into the
21 record if it has not already been admitted.

22 CHAIRMAN LA ROSA: Okay. Is there objection?

23 MR. MEANS: No objection.

24 CHAIRMAN LA ROSA: Seeing none, then show that
25 entered into the record.

1 (Whereupon, Exhibit No. 370 was received into
2 evidence.)

3 CHAIRMAN LA ROSA: Anybody else?

4 MS. LOCHAN: And Florida Rising and LULAC
5 would like to move Exhibits 725 and 726 into the
6 record.

7 CHAIRMAN LA ROSA: 725 and 726, any objection?

8 MR. MEANS: No objection.

9 CHAIRMAN LA ROSA: No objection, show that
10 entered into the record.

11 (Whereupon, Exhibit Nos. 725-726 were received
12 into evidence.)

13 CHAIRMAN LA ROSA: Any other exhibits?

14 Seeing none, Mr. Whitworth, you are -- I
15 almost said you are recognized. I think you have
16 done enough of answering questions, but you are
17 excused, sir. Thank you very much.

18 THE WITNESS: All right. Thank you. Thank
19 you so much.

20 (Witness excused.)

21 CHAIRMAN LA ROSA: All right. TECO, I will
22 throw it back to you to introduce your next witness
23 and we will see how far we can get with him before
24 lunch.

25 MR. MEANS: Thank you, Mr. Chairman. Tampa

1 Electric calls David Lukcic.

2 MR. WAHLEN: Mr. Chair, while we are on a
3 break, would it be all right if I said,
4 congratulations for making this document system
5 work, and the lawyers working it, and the people
6 working it? It's actually turning out to be fairly
7 cool. I don't want to jinx it or anything, but --

8 CHAIRMAN LA ROSA: I had similar thoughts,
9 but --

10 MR. WAHLEN: So if fails this afternoon, you
11 can blame me, but I just wanted to acknowledge all
12 the hard work and effort. It doesn't look like
13 it's on its way, and appreciate that.

14 CHAIRMAN LA ROSA: Yeah. Thank you. No, it's
15 certainly from, at least my perspective being up
16 here, makes that following along a little bit
17 easier, especially when doing multiple things, so
18 yeah, I think we are good. Okay, and we won't look
19 your direction if you do jinx. Hopefully you
20 don't.

21 Mr. Lukcic, sorry I didn't get to you before
22 you sat down. Do you mind standing up just very
23 quickly? I do not believe you have been
24 administered the oath. Please raise your right
25 hand.

1 Whereupon,

2 DAVID LUKCIC

3 was called as a witness, having been first duly sworn to
4 speak the truth, the whole truth, and nothing but the
5 truth, was examined and testified as follows:

6 THE WITNESS: I do.

7 CHAIRMAN LA ROSA: Excellent. Thank you.

8 THE WITNESS: Thank you.

9 EXAMINATION

10 BY MR. MEANS:

11 Q Good morning, Mr. Lukcic.

12 A Yep. Good morning.

13 Q Can you please state your full name for the
14 record?

15 A Yes. David Lukcic.

16 Q And you were just sworn, correct?

17 A Yes, I was.

18 Q Who is your current employer and what is your
19 business address?

20 A Current employer is Tampa Electric Company.
21 Business address is 702 North Franklin Street, Tampa,
22 Florida.

23 Q Did you prepare and cause to be filed in this
24 docket, on April 2nd, 2024, prepared direct testimony
25 consisting of 61 pages?

1 A Yes, I did.

2 Q Did you prepare and cause to be filed in this
3 docket, on July 2nd, 2024, prepared rebuttal testimony
4 consisting of 20 pages?

5 A Yes, I did.

6 Q Do you have any additions or corrections to
7 your prepared direct or rebuttal testimony?

8 A I do not.

9 Q Mr. Lukcic, are you familiar with the August
10 22nd filing Tampa Electric made to change the company's
11 revenue requirement?

12 A Yes, I am.

13 Q Do you have any changes to your testimony
14 associated with that filing?

15 A I do. Yes.

16 On August 22nd, Tampa Electric filed a change
17 to the company's revenue requirements to remove the cost
18 of the project referred to as Line Sensor Software and
19 the Distribution Planning Software for the company's
20 SYA. This would change my direct and rebuttal testimony
21 in several places. Instead of going through that page
22 by page, I just want to note on the record that all
23 discussion of these two projects in my testimony no
24 longer applies.

25 Q Thank you.

1 And other than those changes, if I were to ask
2 you the questions contained in your prepared direct and
3 rebuttal testimony today, would your answers be the
4 same?

5 A They would.

6 MR. MEANS: Mr. Chairman, Tampa Electric
7 requests that the prepared direct and rebuttal
8 testimony of Mr. Lukcic be inserted to the record
9 as though read.

10 CHAIRMAN LA ROSA: Okay.

11 (Whereupon, prefilled direct testimony of David
12 Lukcic was inserted.)

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **PREPARED DIRECT TESTIMONY**

3 **OF**

4 **DAVID LUKCIC**

5
6 **Q.** Please state your name, address, occupation, and employer.

7
8 **A.** My name is David Lukcic. My business address is 702 N.
9 Franklin Street, Tampa, Florida 33602. I am employed by
10 Tampa Electric Company ("Tampa Electric" or the "company")
11 as Senior Director Operational Technology & Strategy.

12
13 **Q.** Please describe your duties and responsibilities in that
14 position.

15
16 **A.** As Senior Director Operational Technology & Strategy, I
17 report to the Vice President of Electric Delivery. My areas
18 of oversight include Data Analytics, Distributed
19 Intelligence, Asset Management, Grid Modernization,
20 Operations Technologies, and Data and Technology
21 Governance. I am responsible for several operations areas
22 within the company, including Telecommunications, Meter
23 Operations, Lighting Operations, and Advanced Metering
24 Infrastructure Operations. I lead a total of approximately
25 280 team members.

1 Q. Have you previously testified before the Florida Public
2 Service Commission ("Commission")?

3

4 A. Yes, I have testified or filed testimony in several dockets,
5 including testimony for Tampa Electric in Docket No.
6 20120234-EI, Tampa Electric's Petition to determine the
7 need for the Polk 2-5 combined cycle conversion.

8

9 Q. Please provide a brief outline of your educational
10 background and business experience.

11

12 A. I graduated from the University of South Florida with a
13 bachelor's degree in electrical engineering and an
14 executive master's degree in business administration.

15

16 I have more than 25 years of experience in the energy
17 industry. Prior to becoming the Senior Director of
18 Operational Technology and Strategy in 2022, I led the
19 Automated Metering Infrastructure ("AMI") deployment and
20 built the AMI operational organization. I have worked in
21 both Energy Supply and Electric Delivery and at all three
22 of the company's generation stations, Big Bend, Bayside,
23 and Polk Power Station. My previous roles within the company
24 include meter operations, environmental, capital projects,
25 distribution engineering, and standards.

1 Q. What are the purposes of your direct testimony?

2

3 A. The purposes of my direct testimony are to (1) describe
4 the company's Operations Technology & Strategy ("OT&S")
5 department and the operations technology resources and
6 applications Tampa Electric uses to operate its electric
7 system and provide an outstanding customer experience; (2)
8 explain the progress made in the OT&S area since the
9 company's last base rate case; (3) summarize the OT&S
10 department's plans for the future; (4) explain the
11 company's OT&S capital investments and operations and
12 maintenance ("O&M") expense; and (5) describe the Grid
13 Reliability & Resilience Projects that will be going in
14 service as part of Tampa Electric's subsequent year
15 adjustments ("SYA") for 2026 and 2027.

16

17 Q. Have you prepared an exhibit to support your direct
18 testimony?

19

20 A. Yes. Exhibit No. DL-1, entitled "Exhibit of David Lukcic,"
21 was prepared under my direction and supervision. The
22 contents of my exhibit were derived from the business
23 records of the company and are true and correct to the best
24 of my information and belief. It consists of the following
25 two documents:

1 Document No. 1 List of Minimum Filing Requirement
2 Schedules Sponsored or Co-Sponsored by
3 David Lukcic
4

5 Document No. 2 Operation Technology Capital Expense
6 Summary 2022-2025
7

8 **Q.** Are you sponsoring any sections of Tampa Electric's
9 Minimum Filing Requirement ("MFR") Schedules?
10

11 **A.** Yes, I am sponsoring or co-sponsoring the MFR Schedules
12 listed in Document No. 1 of my exhibit. The contents of
13 my MFR schedules were derived from the business records
14 of the company and are true and correct to the best of my
15 information and belief.
16

17 **OVERVIEW OF THE OT&S DEPARTMENT**

18 **Q.** What is operations technology and how does it differ from
19 information technology?
20

21 **A.** Operations Technology ("OT") consists of hardware,
22 software, and field assets used to monitor and control the
23 company's electric generation units, distribution
24 equipment, meters, and lighting. This technology helps
25 ensure that the company continues to provide reliable and

1 affordable service to our customers. Tampa Electric uses
2 OT to improve efficiency and reliability, to educate
3 customers, and to enable more customer choice. OT is
4 distinct from Information Technology ("IT") as OT focuses
5 on real time functionalities such as control systems,
6 Supervisory Control and Data Acquisitions ("SCADA")
7 systems, and automation tools for the functions previously
8 listed. The company's IT department supports the OT&S
9 department by managing network infrastructure,
10 cybersecurity, data management, and integration between
11 systems. The IT department also provides the necessary
12 expertise to ensure the reliability, security, and
13 efficiency of operational processes.

14
15 **Q.** Please describe the company's OT&S department.

16
17 **A.** The OT&S department manages and maintains the operational
18 technology infrastructure essential for the delivery and
19 management of company services. We provide a range of OT
20 services for Tampa Electric, including Strategic
21 Leadership; Data and Technology Analytics and Governance;
22 Project Management and Operations; Grid Modernization
23 Strategy; Network Operations; Asset Management; and OT
24 Operations.

25

1 Additionally, the OT&S department specifically supports
2 the activities of the company's Energy Supply, Electric
3 Delivery, and Customer Experience departments by providing
4 technology, services, and advice regarding best practices.

5

6 **Q.** Does Tampa Electric's OT&S department provide OT services
7 to the company's affiliates?

8

9 **A.** No.

10

11 **Q.** Does Emera Inc. ("Emera") or any other Emera company
12 provide OT services to Tampa Electric?

13

14 **A.** No.

15

16 **OT APPLICATIONS THAT SUPPORT THE CUSTOMER EXPERIENCE, ELECTRIC**
17 **DELIVERY, AND ENERGY SUPPLY DEPARTMENTS**

18 **Q.** What major OT applications support customer experience
19 activities?

20

21 **A.** The OT&S department oversees and administers several OT
22 systems that support the company's Customer Experience
23 department's initiatives. These include AMI, Data
24 Analytics Platform ("DAP"), Distributed Intelligence
25 ("DI"), Artificial Intelligence and Machine Learning

1 ("AIML"), and Street Light Vision ("SLV").

2

3 **Q.** Please describe the applications listed above and how they
4 support the Customer Experience department.

5

6 **A.** Tampa Electric's AMI system includes advanced "smart"
7 meters, communication infrastructure, and data management
8 systems. The smart meters can collect granular, near real-
9 time data that enables new customer programs and features.
10 One illustration of how Customer Experience uses this
11 technology is the Interactive Bill, which features a daily
12 and monthly usage graph and information regarding how
13 weather affected the customer's bill.

14

15 The DAP software operating system allows Tampa Electric to
16 collect and analyze data including transformer loading,
17 events, and alarms and identifies proactive substation
18 transformer maintenance and replacements. The company uses
19 this data to proactively reduce customer outages. The DAP
20 also provides real-time, granular customer data to the call
21 center to help Customer Service Professionals respond to
22 customer questions and enable first call resolution.

23

24 DI consists of applications that reside on the company's
25 meters and enable the company to analyze data at the grid

1 edge. DI uses the following applications: (1) high
2 impedance, which detects faulty equipment on customer and
3 utility assets; (2) high temperature, which identifies
4 faulty customer equipment; (3) location awareness, which
5 improves system accuracy and allows quicker response to
6 customer outages; and (4) active transformer loading and
7 monitoring, which helps the company better understand
8 customer-owned equipment and the impact it has on our
9 system.

10
11 The AIML applications consist of various programs and
12 tools, including natural language models such as ChatGPT,
13 that enable the company to process data quickly and
14 effectively. With AIML, Tampa Electric can automate
15 processes that directly improve customer experience and
16 reliability. The company first used these applications as
17 a limited scope pilot project within Human Resources as an
18 expert advisor for our 2024 Benefits Open Enrollment.

19
20 **Q.** What major OT applications support Electric Delivery
21 activities?

22
23 **A.** The following OT applications support the Electric Delivery
24 department: (1) the Energy Management System ("EMS"); (2)
25 the Advanced Distribution Management System ("ADMS"); (3)

1 AMI; (4) the Work Management System ("WMS"); (5) the
2 Geographic Information System ("GIS"); (6) SLV; (7) the
3 Grid Communication Network project; (8) and the ARCOS
4 Resource Management Platform.

5

6 **Q.** Please describe the EMS, ADMS, and SCADA applications and
7 how they support the Electric Delivery department.

8

9 **A.** EMS is the core application suite for electric grid
10 operations and interfaces with the ADMS system. EMS enables
11 the grid operators within Electric Delivery to better
12 control, optimize, and analyze the transmission and
13 distribution electric grid in real time.

14

15 The SCADA system is used by the Electric Delivery
16 department to retrieve data and alarms across the system
17 and control devices or machines at remote sites. EMS uses
18 SCADA to centrally monitor and control the grid to minimize
19 risk and increase flexibility.

20

21 ADMS is a software platform that enables the company's
22 distribution system operators to control and optimize the
23 distribution network. ADMS works in conjunction with
24 SCADA. ADMS also coordinates and operates smart grid
25 operating technology, including Distributed Energy

1 Resources ("DER") and intelligent distribution controls
2 (e.g., smart switches).

3

4 Together, these systems allow central monitoring and
5 control of the distribution grid and, in conjunction with
6 AMI, CRB, and the Outage Map, provide outage management
7 and outage restoration capabilities. Each of these systems
8 contributes to customer reliability.

9

10 **Q.** Please describe the AMI system and how it supports the
11 Electric Delivery department.

12

13 **A.** AMI supports Electric Delivery by offering the ability for
14 team members to read, disconnect, and reconnect meters
15 remotely, reducing the need to dispatch field workers. This
16 system also enables the company to monitor data in real
17 time and detect outages.

18

19 **Q.** Please describe the WMS and GIS systems and how they
20 support the Electric Delivery department.

21

22 **A.** The company's Electric Delivery department uses the WMS
23 application suite (Workpro) to plan, track, organize, and
24 dispatch field crews to construct, maintain, operate, and
25 repair our transmission and distribution assets. The GIS

1 is a mapping system that stores and manages the geographic
2 coordinates of distribution, transmission, and telecom
3 equipment. The GIS, along with WMS, creates a starting
4 point for designers to plan and engineer work. Together,
5 the WMS and GIS application suites enable Electric Delivery
6 to efficiently plan projects and schedule team members and
7 contractors in the field.

8
9 **Q.** Please describe the SLV application and how it supports
10 the Electric Delivery department.

11
12 **A.** The SLV application allows team members to remotely control
13 and monitor outdoor lighting equipment and supports the
14 company's asset management program, which is described in
15 the direct testimony of Tampa Electric witness Chip
16 Whitworth. The SLV application also provides data analytics
17 that can be used to improve energy efficiency. The SLV
18 technology can also enable advanced "smart city"
19 functionalities such as traffic management, smart parking,
20 and transportation optimization. The Electric Delivery
21 department also uses SLV to support the company's growing
22 smart light-emitting diode ("LED") streetlight operations
23 and to automate and simplify the management of the lighting
24 infrastructure. Finally, SLV's maintenance prediction
25 capabilities allow the company to detect issues early,

1 preventing major outages and reducing downtime.

2

3 **Q.** Please describe the ARCOS Resource Management Platform
4 ("ARCOS") and how it supports the Electric Delivery
5 department.

6

7 **A.** ARCOS is a field scheduling tool used by the Electric
8 Delivery department that allows the company to track crews
9 in the field in both "blue sky" and "gray sky" weather
10 conditions. ARCOS automates and optimizes resource
11 management and emergency response processes. The benefits
12 of ARCOS include efficient resource management, automated
13 callout and scheduling, increased visibility of field
14 crews, and optimized workforce utilization.

15

16 **Q.** What major OT applications support Energy Supply
17 activities?

18

19 **A.** The Energy Supply department uses (1) WORKman; (2) the Lock
20 Out Tag Out ("LOTO") application NiSoft; (3) Data
21 Historian; (4) Power Plant Controllers ("PPC"); and (5)
22 SCADA.

23

24 **Q.** Please describe these five applications and how they
25 support the Energy Supply department.

1 **A.** WORKman helps Energy Supply organize asset information,
2 optimize asset maintenance, efficiently schedule work, and
3 manage materials used at the various Energy Supply work
4 sites.

5
6 Energy Supply uses the LOTO application NiSoft to
7 facilitate the high-energy control procedure of isolating
8 equipment prior to any maintenance or emergency work. The
9 LOTO system supports the company's safety goals by
10 standardizing safety practices, enhancing communication,
11 and reducing equipment damage.

12
13 Energy Supply relies on the Data Historian application to
14 archive operational telemetry for analysis. The
15 operational data is used to analyze and optimize generation
16 system performance.

17
18 The PPC application integrates, monitors, and autonomously
19 controls the operation of the company's solar generation
20 assets.

21
22 Lastly, similar to Electric Delivery, the Energy Supply
23 department uses SCADA to acquire data from the PPC,
24 equipment, and sensors throughout generating units (both
25 combustion turbines and renewables). Team members use SCADA

1 to monitor operations and control the generation units.

2

3 **Q.** What major OT applications enable the company to comply
4 with legal and regulatory requirements?

5

6 **A.** All the applications discussed above help the company
7 comply with legal and regulatory requirements. For example,
8 AMI provides bill ready data that is validated and vetted
9 through the Meter Data Management System to ensure
10 customers receive timely, accurate bills. SLV quickly
11 detects and reports streetlight outages, and contributes
12 to increased public safety because restoration occurs more
13 quickly. ADMS notifies the company's systems and customers
14 of outages and outage restorations, resulting in quicker
15 restorations. GIS is the core connectivity and field asset
16 model that feeds data to multiple other applications,
17 including ADMS.

18

19 **SUCCESSSES SINCE TAMPA ELECTRIC'S LAST BASE RATE PROCEEDING**

20 **Q.** You previously described several applications and
21 technologies that the OT&S department uses to support
22 Customer Experience, Electric Delivery, and Energy Supply.
23 Which of these technologies went into service after the
24 company's last base rate case in 2021?

25

1 **A.** The following applications were placed into service since
2 2021: AMI, DAP, DI, AIML, SLV, ARCOS, and the 3.21 version
3 update to ADMS.

4
5 **Q.** How did these projects benefit the company and its
6 customers?

7
8 **A.** The benefits of each project are explained below.

9
10 AMI

11 Tampa Electric's use of AMI technology reduced bill
12 estimations and allows quicker restoration of disconnected
13 customers. The company's bill estimation rate for AMI
14 meters is 0.1 percent and over 98 percent of AMI meters
15 are reconnected remotely, which avoids the expense of
16 dispatching technicians ("truck rolls") to the premise.

17
18 DAP

19 Tampa Electric uses DAP to provide customer usage data
20 through a web portal. As I previously explained, the DAP
21 application also allows the company to monitor usage
22 metrics, meter events, and alarms. The use of this
23 technology results in fewer outages and reduces the need
24 for truck rolls.

25

1 DI

2 DI improves the safety of customers by providing the
3 company with awareness of high meter temperature and high
4 impedance, which may indicate a dangerous situation such
5 as a failing connector or a bad connection on customer
6 equipment in the early stage of failure. These items are
7 not normally identified until after failure, and failures
8 can cause unplanned outages, potential energized wire down
9 situations, prolonged unplanned customer outages, or poor
10 power quality. DI also improves reliability for customers
11 by alerting the company to situations that may cause
12 unplanned outages. Finally, DI gives the company more
13 accurate mapping of our physical network, which helps
14 reduce outage restoration times.

15

16 AIML

17 As discussed above, the AIML applications were implemented
18 as a limited scope pilot project for the company's most
19 recent benefits Open Enrollment process. The application
20 absorbed all the open enrollment 2024 health insurance
21 plans to train the system to automatically answer employee
22 questions instead of an HR representative. This was done
23 to improve efficiency. This project created a platform that
24 will allow us to automate and enhance business processes,
25 which will result in more consistent, quicker responses,

1 enhanced service to customers, and potentially savings in
2 O&M expense.

3
4 SLV

5 This application provided the company with automation and
6 increased visibility into the lighting network, which
7 resulted in a 75 percent reduction in truck rolls for move-
8 in and move-out tickets. SLV also provided a 38 percent
9 reduction in truck rolls during Hurricane Idalia by giving
10 us better visibility into the operation and condition of
11 the lighting system.

12
13 ADMS

14 The ADMS Upgrade project provides additional functionality
15 to improve customer outage estimated time to restore
16 ("ETR") calculations and reporting.

17
18 ARCOS

19 The ARCOS upgrade provided the company with gains in
20 service, economics, and reliability. The direct benefits
21 included improved accuracy in crew callouts, real time
22 personnel and crew updates, and increased visibility of
23 circuit information and status.

24
25

1 **PREPARING FOR THE FUTURE**

2 **Q.** How is the OT&S department planning for the future?

3

4 **A.** The company is planning a group of projects, known as the
5 "Grid Reliability and Resilience Projects." These
6 projects will build on Tampa Electric's existing grid
7 modernization strategy and will provide new and enhanced
8 functionality. Additionally, they will help the company
9 adapt to changes in how our customers use and, in some
10 cases, produce electricity. One of these projects is a
11 Grid Communication Network Project, which is a high
12 bandwidth, low latency network. The Grid Communication
13 Network project will handle the surge of data from the
14 many devices, such as smart switches, which enable remote
15 monitoring, control, and automation of power distribution
16 and capacitor banks. These devices play a crucial role in
17 optimizing the performance and efficiency of the
18 distribution system.

19

20 **OT&S CAPITAL INVESTMENTS AND BUDGET**

21 **Q.** The company's last rate case was resolved via the 2021
22 Stipulation and Settlement Agreement ("2021 Agreement")
23 approved by the Commission in Order No. PSC-2021-0423-S-
24 EI, dated November 10, 2021. How much capital did the
25 company invest in the OT&S area during the three-year

1 term of the 2021 Agreement from 2022 through 2024?

2

3 **A.** For the period 2022 through 2024, the company invested
4 approximately \$257.6 million, of which \$228.9 million will
5 be recovered through base rates. Document No. 2 of my
6 Exhibit summarizes the company's OT&S capital investments
7 over this period.

8

9 **Q.** What capital projects are included in the company's OT&S
10 capital spending during the period 2022 through 2024 and
11 what was the capital investment for each project?

12

13 **A.** The OT&S capital investment in 2022 through 2024 is shown
14 in the following table.

15

16 **2022-2024 Major Capital Projects**

	Total
Other	60,153,819
Blanket - Lighting	48,623,384
DAP	27,370,247
OT Application	22,192,038
Lighting - Growth	15,581,296
Grid Reliability and Resilience Projects	21,246,304
Blanket - Meter	13,695,381
AMI	11,704,918
ADMS	5,275,120
ES Capital Maintenance/Improvement Project/Program	1,288,501
Meter Operations	765,696
Lighting - Operations	608,823
ED Capital Maintenance/Improvement Project/Program	200,000
BLSN	158,172
Total	228,863,698

23

24 **Q.** How much did the company invest for the AMI project during
25 the period 2022 through 2024?

1 **A.** Tampa Electric incurred \$11.7 million in costs associated
2 with AMI during the period 2022 through 2024. Tampa
3 Electric's conversion to AMI meters from Advanced Meter
4 Reading ("AMR") meters was approved by the Commission as
5 part of the 2021 Agreement. The company completed the
6 conversion in 2021 and has continued to enhance the AMI
7 system since that time. AMI benefits customers because it
8 makes meter data available in close to real time and allows
9 Tampa Electric to analyze system capacity, loading of
10 assets, and other operating conditions more quickly. AMI
11 also makes it possible to create new rate programs for
12 customers or provide them with their data to help explain
13 usage patterns or billing.

14
15 BLANKET LIGHTING PROJECTS

16 **Q.** Please describe the Blanket - Lighting projects and why
17 they are needed.

18
19 **A.** These projects include the purchase and replacement of
20 streetlights across the service territory. The purchases
21 are needed to accommodate growth, respond to customer
22 requests, and ensure continued support of the lighting
23 network.

24
25 **Q.** What steps will the company take to ensure these projects

1 are completed at the lowest reasonable cost?

2

3 **A.** Tampa Electric selects a vendor from a group of qualified
4 contractors for each project. The contracting pool was
5 selected through a bidding process. This selection is based
6 on both cost and the quality of work offered by each vendor.
7 The company also negotiates pricing to ensure the purchases
8 are in line with the industry.

9

10 **Q.** What benefits will the Blanket - Lighting projects provide
11 to customers?

12

13 **A.** The benefits include meeting customer demand, public
14 safety, reliability, and integration with smart city
15 technology as I described previously in my direct
16 testimony.

17

18 **Q.** Will these projects require new employees?

19

20 **A.** No.

21

22 OTHER PROJECTS

23 **Q.** Please describe the projects in the "Other" category and
24 why they are needed.

25

1 **A.** Projects in the "Other" category include various telecom
2 and analytics projects. These projects are needed to
3 support routine customer growth and operations.

4
5 **Q.** What steps will the company take to ensure these projects
6 are completed at the lowest reasonable cost?

7
8 **A.** These projects were competitively bid with standard project
9 practices.

10
11 **Q.** What benefits will the Other projects provide to customers?

12
13 **A.** The benefits include the ability to support continued
14 reliability and standard field operations.

15
16 **Q.** Will these projects require new employees?

17
18 **A.** No.

19
20 GRID RELIABILITY AND RESILIENCE PROJECTS

21 **Q.** What are the Grid Reliability and Resilience Projects?

22
23 **A.** The Grid Reliability and Resilience Projects are
24 comprised of six interrelated components including: (1)
25 Control Systems OT; (2) Back Office IT; (3) Field Devices;

1 (4) Substation; (5) DER Infrastructure; and (6) the Grid
2 Communication Network Project. My testimony addresses the
3 first five components of the Grid Reliability and
4 Resilience Projects first, and then I will provide
5 additional detail about the Grid Communication Network
6 component separately.

7
8 **Q.** Why are these five components needed?

9
10 **A.** These five components are designed to address changes to
11 the grid, including increased digitalization,
12 decentralization, and decarbonization, an increase in
13 distributed generation (e.g., roof top solar), increasing
14 use of electric vehicles by residential customers and
15 commercial fleets, and growth in other distributed
16 technologies such as battery storage. Through the adoption
17 of intelligent field devices, identification of electric
18 vehicles ("EV"), and management of distributed energy
19 resources ("DER"), these projects enable the company to
20 meet rising customer demand and enhance reliability by
21 reducing the frequency, duration, and impact of outages,
22 both sustained and momentary. Overall, these efforts are
23 crucial for meeting customer demand, building a resilient
24 grid and adapting to changes in how our customers use, and
25 sometimes produce, energy.

1 Q. What is the Control Systems OT component?

2

3 A. The Control Systems OT component monitors and controls
4 assets in the field. In an increasingly decentralized grid,
5 the number of controllable grid devices is growing
6 exponentially, and the importance of the company's
7 monitoring and control capabilities is also growing. The
8 company can use these devices to diagnose system conditions
9 and respond through automation and remote action. The
10 Control Systems OT work will support the company's
11 objectives to build an adaptable grid, improve operational
12 performance, and reduce the frequency and duration of
13 customer outages. The Control Systems OT component will
14 work in concert with controllable field assets and our
15 high-speed telecommunications network to achieve
16 reliability improvements.

17

18 Q. What is the Back Office IT component?

19

20 A. The Back-Office IT component includes system
21 implementation, software licensing, interfaces, data
22 migration, and new configurations for back-office systems
23 such as GIS and WMS. These enhancements will have several
24 benefits. First, they will revolutionize Tampa Electric's
25 planning, building, and grid management while enhancing

1 customer programs and billing. Second, these consolidated
2 systems will replace obsolete and end-of-life systems,
3 streamline core processes, facilitate data exchange, and
4 support field installation of other program components.
5 Finally, these upgrades will boost work efficiency,
6 throughput, and adaptability to the evolving grid.

7
8 **Q.** What is the Field Devices component?

9
10 **A.** The Field Devices component involves deploying a variety
11 of detection and operational devices along the company's
12 circuits to provide the company with greater monitoring
13 and control over the system. These Field Devices will
14 improve reliability by taking automatic action to mitigate
15 adverse grid events or by providing operators with greater
16 control for fault location and isolation, switching, and
17 voltage management. More granular control of distribution
18 circuits is a necessary capability as distributed
19 generation, storage, and electric vehicles with bi-
20 directional charging capabilities (known as "vehicle to
21 grid") inject power and create bi-directional power flows
22 or voltage fluctuations. These Field Devices will mitigate
23 the outage impacts of faults, minimize the duration of
24 outages through fault location and isolation, and provide
25 data back to operators for improved system diagnostics.

1 Some examples of Field Devices are equipment such as
2 reclosers, regulators, line sensors, and automatic lateral
3 switches.

4
5 **Q.** What is the Substation component?
6

7 **A.** The Substation component modernizes and replaces obsolete
8 and end-of-life equipment to prepare for bi-directional
9 power flows, including system protection and optimization
10 of circuit level actions. Replacing electro-mechanical or
11 other end-of-life equipment at our substations with SCADA-
12 enabled gear increases the company's ability to remotely
13 monitor assets and operate fault detection, service
14 restoration, and voltage optimization control protocols.
15 These Substation activities will improve the reliability,
16 system control, power flow efficiency, and operational
17 efficiency of substation operations.

18
19 **Q.** What is the DER Infrastructure component?
20

21 **A.** The DER Infrastructure component implements monitoring and
22 controls that will coordinate DER and EV on our system.
23 These controls improve the efficiency of the bulk power
24 generation and transmission system by upgrading existing
25 infrastructure like wires and transformers that **C7-439**

1 overloaded from DER, developing standards for smart
2 inverters that will connect the grid with customer devices,
3 and developing interconnections to integrate DER
4 information into the Distributed Energy Resources
5 Management System ("DERMS"). This component will establish
6 interconnection standards, improve customer awareness, and
7 develop smart technologies to collectively strengthen the
8 grid's capacity to seamlessly integrate DER and EV.

9
10 **Q.** What steps will the company take to ensure these five
11 components of the Grid Reliability and Resilience Projects
12 are completed at the lowest reasonable cost?

13
14 **A.** As explained in the direct testimony of Mr. Whitworth,
15 Tampa Electric plans to aggregate the Grid Reliability and
16 Resilience Projects so that the company can optimize
17 capital spending, maximize functionality, and achieve
18 greater efficiency in resource deployment. This
19 coordinated approach enables centralized project
20 management, reduces redundancy, and enhances resource
21 efficiency.

22
23 **Q.** What benefits will these five components of the Grid
24 Reliability and Resilience Projects provide to customers?

1 **A.** The Grid Reliability and Resilience Projects not only
2 promise tangible benefits such as enhanced reliability and
3 reduced O&M expense, but also facilitate customer-focused
4 programs to improve fault detection, minimize downtime,
5 and expedite restoration. The Grid Reliability and
6 Resilience Projects will also facilitate the integration
7 of DER and enhance grid management, leading to reduced
8 energy losses and increased efficiency, especially during
9 peak load conditions. These benefits are also described in
10 greater detail in the direct testimony of Mr. Whitworth.

11
12 **Q.** Will these five components of the Grid Reliability and
13 Resilience Projects require new employees?

14
15 **A.** Yes, the company expects that new employees will be
16 necessary to support these projects. The company does not
17 expect, however, that these positions will be necessary in
18 the 2025 test year.

19
20 GRID COMMUNICATION NETWORK PROJECT

21 **Q.** What is the Grid Communication Network Project and why is
22 it needed?

23
24 **A.** Tampa Electric currently operates numerous field devices
25 on its distribution system including AMI meters, Fault

1 Location Isolation System Restoration ("FLISR") systems,
2 and other similar devices. The company also plans to
3 install additional devices through the Grid Reliability
4 and Resilience Projects over the next several years. The
5 existing radio-based SCADA system used to communicate with
6 the company's existing field devices, however, lacks any
7 additional bandwidth to support these future projects. The
8 Grid Communication Network Project addresses this need for
9 data transmission and communication through construction
10 of a PLTE, or a private cellular network, which includes
11 radios, antennae, and server core systems. This project is
12 necessary to provide communications to existing devices
13 and to the new Grid Reliability and Resilience Project
14 devices using 4G and 5G frequency bands.

15
16 The Grid Communication Network Project supports the
17 company's grid modernization strategy and Grid Reliability
18 and Resilience Projects in two primary ways.

19
20 First, the Grid Communication Network is the most cost-
21 effective means to seamlessly and quickly gather the data
22 generated by the company's existing and future field
23 devices, to make full use of those devices, and to improve
24 the customer experience.

25

1 Second, the Grid Communication Network provides the most
2 efficient pathway to manage the proliferation of EV
3 charging equipment and customer-owned renewable generation
4 on the company's system.

5
6 In short, the Grid Communication Network Project provides
7 the communication backbone for future grid reliability and
8 resilience initiatives and will help ensure overall grid
9 stability.

10
11 **Q.** What alternatives to this project did you consider?

12
13 **A.** The company considered several alternatives to the Grid
14 Communication Network Project.

15
16 First, the company considered expanding its existing fiber
17 network. This option is not as cost-effective as building
18 out a PLTE cellular network due to the significant costs
19 necessary to expand the existing fiber optic network to
20 connect to the growing fleet of smart devices and because
21 it would be very costly to maintain.

22
23 The company also considered using a public LTE network.
24 The company decided against this option because reliance
25 on an unsecured, public LTE network may expose the company

1 to security risks and limit the potential for migration of
2 Tampa Electric services to a near-future 5G platform.

3
4 Finally, the company determined that it could not move
5 forward with the existing radio-based SCADA system because
6 all channels are already at capacity. In fact, the existing
7 communications volume on the system is already resulting
8 in communication delays. Due to these constraints,
9 remaining with the existing system would also mean that
10 the company could not move forward with the Grid
11 Reliability and Resilience Projects at a pace and cost that
12 would bring the best value to our customers.

13
14 **Q.** What steps will the company take to ensure the Grid
15 Communication Network Project is completed at the lowest
16 reasonable cost?

17
18 **A.** In 2022, Tampa Electric engaged an expert, third-party
19 consultant, Burns & McDonnell ("BMD"), to conduct a
20 detailed analysis of existing and future field network
21 options to complete buildout of a PLTE network. The scope
22 of services for this analysis included the development of
23 a comprehensive list of use cases, business requirements,
24 Total Cost of Ownership ("TCO") estimates, and technical
25 requirements for the cellular communications

1 infrastructure for this network. These specifications were
2 then incorporated into a request for proposals for the
3 provision of the required equipment and services.
4

5 The BMD analysis:

- 6 • Identified the existing technology platforms currently
7 in service on Tampa Electric's system that would benefit
8 from a PLTE network, as well as potential future
9 technologies that would benefit from the network.
- 10 • Identified the potential benefits of a PLTE network and
11 the projects it would enable, which allows Tampa
12 Electric to prioritize the deployment of these future
13 projects.
- 14 • Provided a TCO based on a 3-year deployment of the PLTE
15 network, and a 20-year deployment of technologies
16 enabled by the network.
- 17 • Provided a cost-benefit analysis showing a four-to-five
18 year payback for Tampa Electric's initial investment.

19
20 **Q.** What benefits will this project provide to customers?
21

22 **A.** The Grid Communication Network Project will benefit
23 customers in three major ways.
24

25 First, this project enables communication with current and

1 future smart distribution equipment and allows the company
2 to automate devices, both of which will improve reliability
3 and reduce long-term O&M costs.

4
5 Second, the Grid Communication Network enables the
6 company's access to new data streams that are required to
7 operate the grid safely and reliably in a decentralized
8 world where EV and DER are installed at customer locations
9 across the system.

10
11 Third, the Grid Communication Network is scalable and will
12 help the company identify bi-directional flows, EV
13 penetration, and DER penetration to determine where needed
14 capital improvements will be most effective.

15
16 DAP PROJECT

17 **Q.** What is the DAP Project?

18
19 **A.** As I previously explained, DAP enables long term data
20 storage of AMI meter data and facilitates analysis of that
21 data for business insights and intelligence.

22
23 **Q.** What alternatives to this project did you consider?

24
25 **A.** Tampa Electric considered foregoing this project, but that

1 would leave the company without the data analytics
2 capabilities DAP offers and would not allow the company to
3 fully use the existing AMI meters.

4
5 **Q.** What steps did the company take to ensure the project was
6 completed at the lowest reasonable cost?

7
8 **A.** Tampa Electric used a competitive bid process to complete
9 this project, as well as strong project management and cost
10 control.

11
12 **Q.** What benefits will this project provide to customers?

13
14 **A.** The DAP system provides several benefits to customers.
15 First, DAP gives Tampa Electric's customers greater control
16 over their energy bills by providing them with information
17 regarding their daily energy usage and average daily
18 temperature through the company's new Interactive Bill.
19 Second, the DAP system provides the company's customer
20 service professionals with additional data that can help
21 them resolve customer calls regarding high bills. Third,
22 DAP improves the company's home energy audit program by
23 providing the home energy auditors with additional data
24 they can use to assess home energy consumption. Fourth, DAP
25 improves billing accuracy. Finally, the project will

1 potentially lead to cost savings by helping the company
2 optimize capital investments and identify operational
3 efficiencies.

4
5 **Q.** Will the DAP Project require new employees?

6
7 **A.** Yes. This project will require a Data Analyst and a Data
8 Director to support this project. We expect to fill these
9 positions in the next year.

10

11 OT APPLICATION PROJECTS

12 **Q.** Please describe the OT Application projects and why they
13 are needed.

14

15 **A.** OT applications enable the operational control of our power
16 plants and grid systems; network communication and
17 management of operational data; and collection and analysis
18 of sensor data, which helps the company understand the
19 condition and performance of our grid. OT applications also
20 facilitate the maintenance and operation of the grid
21 assets. These systems are required to operate our grid
22 safely, reliably, cost-effectively and in compliance with
23 all legal obligations.

24

25 **Q.** What steps will the company take to ensure the projects

1 are completed at the lowest reasonable cost?

2

3 **A.** Tampa Electric evaluates alternatives and best practices
4 in the industry to select a cost-effective solution.

5

6 **Q.** What benefits will the OT Application projects provide to
7 customers?

8

9 **A.** Each OT application serves a specific function in the
10 electric grid and provides benefits to our customers
11 related to that OT application's function. I previously
12 described the functions and benefits of our OT applications
13 such as the Work and Asset Management System, ADMS, and EMS
14 in my direct testimony.

15

16 BLANKET METER PROJECTS

17 **Q.** Please describe the Blanket - Meter projects and why they
18 are needed.

19

20 **A.** These projects include the purchase and replacement of
21 failed electric meters across the company's service
22 territory. The purchases are needed to accommodate growth
23 and provide continued support for the communication
24 network.

25

1 Q. What steps will the company take to ensure these projects
2 are completed at the lowest reasonable cost?

3

4 A. Tampa Electric selected a vendor through an RFP process
5 that involved multiple meter vendors. The company
6 negotiated a multi-year agreement with the selected vendor
7 that includes negotiated pricing and pricing discounts.

8

9 Q. What benefits will the Blanket - Meter projects provide to
10 customers?

11

12 A. As I previously explained, AMI meters have improved
13 networking capabilities to provide faster and more reliable
14 responses to customers for switching and data analysis.

15

16 Q. Will the project require new employees?

17

18 A. No.

19

20 LIGHTING GROWTH PROJECTS

21 Q. Please describe the Lighting Growth projects and why they
22 are needed.

23

24 A. Tampa Electric's LS-2 customized lighting tariff allows
25 customers to request custom lighting installations like

1 solar powered or decorative lighting. The projects in the
2 Lighting Growth category are necessary to satisfy customer
3 lighting service requests.

4
5 **Q.** What steps will the company take to ensure these projects
6 are completed at the lowest reasonable cost?

7
8 **A.** These projects use fixed pricing established through
9 competitive bids.

10
11 **Q.** What benefits will the Lighting Growth projects provide to
12 customers?

13
14 **A.** These projects allow customers to satisfy their lighting
15 needs in a cost-effective, hassle-free manner by using
16 Tampa Electric's expertise.

17
18 **Q.** Will the project require new employees?

19
20 **A.** No.

21
22 THE ADMS 3.12 UPGRADE PROJECT

23 **Q.** What is the ADMS 3.12 upgrade project?

24
25 **A.** As I mentioned earlier, ADMS includes functions that

1 integrate SCADA, advanced network applications, and outage
2 management to enhance the outage restoration process and
3 optimize the performance of the distribution grid. The ADMS
4 functions implemented through this upgrade include real
5 time distribution power flow; fault location, isolation,
6 and service restoration ("FLISR"); Volt/Volt-ampere
7 Reactive ("VAR") optimization; and the ability to support,
8 monitor, and control DER such as customer-owned solar and
9 batteries. The ADMS solution will put Tampa Electric in a
10 position to provide power that's safer, more reliable, and
11 more efficient.

12
13 **Q.** Why was the ADMS 3.12 upgrade project needed?
14

15 **A.** As I previously explained, this ADMS upgrade will provide
16 several new features that will improve grid operations and
17 provide benefits for our customers.
18

19 **Q.** What alternatives to this project did you consider?
20

21 **A.** Tampa Electric also considered upgrading distinct
22 components of ADMS over a longer time horizon. This option
23 would have introduced integration risks and increased the
24 long-term cost of completing the work.
25

1 Q. What steps did the company take to ensure the project was
2 completed at the lowest reasonable cost?

3
4 A. In April 2017, Tampa Electric engaged in a Request for
5 Information ("RFI") process with five vendors to solicit
6 information regarding ADMS solutions available in the
7 marketplace. Tampa Electric also engaged an external
8 utility expert to ensure that the RFI process was
9 comprehensive and would result in a structured and fair
10 result for both Tampa Electric and the bidding vendors.
11 The final RFI consisted of 880 requirements that were sent
12 to six vendors. Tampa Electric evaluated the bids, selected
13 the top two vendors, and asked those vendors to visit Tampa
14 Electric and provide a more detailed demonstration of their
15 proposed solutions. In addition to the demonstration, Tampa
16 Electric sent functional experts to Alabama Power and
17 Arizona Power to evaluate the vendors' products in a real-
18 world use situation. Based on the combined scoring of the
19 initial RFI and the on-site demonstrations, Tampa Electric
20 selected General Electric ("GE") Alstom as the preferred
21 provider.

22
23 Q. What benefits will this project provide to customers?

24
25 A. The ADMS 3.12 upgrade project provides additional
C7-453

1 functionality to improve customer outage estimated time to
2 restore ("ETR") calculations and reporting. The
3 integration of ADMS with AMI data allows the company to
4 identify customer outages and achieve faster restoration.
5 It also improves the company's ability to adjust and
6 coordinate field devices that improve reliability and power
7 quality. Finally, implementation of the ADMS 3.12 upgrade
8 allows the company to develop DER management capabilities.

9
10 **Q.** Will the project require new employees?

11
12 **A.** Yes. During 2021 and 2022, the OT&S department added two
13 modeling technicians team members, two ADMS Engineers, and
14 two IT support employees. The company expects to add one
15 employee working with DERMS to support ADMS in 2027.

16
17 METER OPERATIONS PROJECT

18 **Q.** Please describe the Meter Operations Project, why it is
19 needed, and how it will benefit customers.

20
21 **A.** The Meter Operations Project is a meter firmware upgrade.
22 Firmware is a set of embedded software instructions that
23 govern the operation of a metering device, including
24 managing the collection, processing, and transmission of
25 data such as electricity consumption. The meter firmware

1 includes algorithms for accurate data acquisition, real-
2 time processing, and communication with external systems.
3 This meter firmware upgrade significantly benefits
4 customers through various enhancements, including remote
5 monitoring and management, and will allow the company to
6 swiftly address issues and minimize downtime without
7 physically accessing the meters. Regular updates also
8 ensure compatibility with new technologies. This upgrade
9 also included bug fixes and stability improvements which
10 contribute to more reliable service, fewer disruptions,
11 and an enhanced customer experience. We expect to complete
12 the project in 2025.

13

14 **Q.** What steps will the company take to ensure the project is
15 completed at the lowest reasonable cost?

16

17 **A.** Tampa Electric used existing employees to complete this
18 project and distributed the firmware "over the air" using
19 the existing AMI network. This avoids the expense of
20 sending employees out into the field.

21

22 **Q.** Will the project require new employees?

23

24 **A.** No.

25

1 ELECTRIC DELIVERY CAPITAL MAINTENANCE IMPROVEMENT PROJECTS

2 **Q.** Please describe the Electric Delivery Capital Maintenance
3 Improvement Projects (“ED Capital Maintenance Improvement
4 Projects”) and why they are needed.

5
6 **A.** Tampa Electric monitors the condition and performance of
7 grid assets to evaluate risks to reliable performance. When
8 the company identifies a common risk of failure in many
9 similar or identical assets, such as 69 kV relays or
10 transmission insulators, Tampa Electric develops an asset
11 class mitigation plan to proactively address the identified
12 risk across the entire group of assets.

13
14 **Q.** What steps will the company take to ensure the ED Capital
15 Maintenance Improvement Projects are completed at the
16 lowest reasonable cost?

17
18 **A.** Proactive work is safer and lower cost than reactive
19 maintenance. Performing work systematically for a group of
20 assets allows the company to achieve larger economies of
21 scale through bundling and bidding of work, which ensures
22 that we obtain the lowest reasonable cost.

23
24 **Q.** What benefits will the ED Capital Maintenance Improvement
25 Projects provide to customers?

1 **A.** Tampa Electric's ED Capital Maintenance Improvement
2 Projects improve reliability for our customers by
3 mitigating failures. These projects also benefit
4 customers by providing reduced costs associated with
5 equipment replacement. Specifically, these projects enable
6 them to plan the procurement and installation of equipment,
7 which reduces cost compared to reactive repair or
8 replacement.

9
10 **Q.** Will these projects require new employees?

11
12 **A.** No.

13
14 ENERGY SUPPLY CAPITAL MAINTENANCE IMPROVEMENT PROJECTS

15 **Q.** Please describe the Energy Supply Capital Maintenance
16 Improvement Projects ("ES Capital Maintenance Improvement
17 Projects") and why they are needed.

18
19 **A.** Just as with our transmission and distribution grid, Tampa
20 Electric also monitors the condition and performance of our
21 generation assets, including motors, pumps, pipes, etc.
22 These projects facilitate this monitoring and allow the
23 company to proactively replace components before they fail,
24 to identify opportunities to improve unit efficiency and
25 performance, and to improve safety.

1 Q. What steps will the company take to ensure the ES Capital
2 Maintenance Improvement Projects are completed at the
3 lowest reasonable cost?
4

5 A. Proactive work is safer and lower cost than reactive
6 maintenance. Performing work systematically for a group of
7 assets allows Tampa Electric to achieve larger economies
8 of scale through bundling and bidding work, which ensures
9 that we obtain the lowest reasonable cost.
10

11 Q. What benefits will the ES Capital Maintenance Improvement
12 Projects provide to customers?
13

14 A. Tampa Electric's ES Capital Maintenance Improvement
15 Projects ensure proactive mitigation of failures, which
16 improves reliability, and proactive procurement and
17 planning of the capital work which reduces cost. Where
18 applicable, the team ensures we comply with all regulatory
19 requirements as well.
20

21 Q. Will these projects require new employees?
22

23 A. No.
24
25

1 LIGHTING OPERATIONS PROJECTS

2 **Q.** Please describe the Lighting Operations (Smart Street
3 Light) projects and why they are needed.

4
5 **A.** These projects are installations of intelligent lighting
6 systems to fulfill customer requests. These smart lighting
7 fixtures enhance safety and security, provide data insights
8 and analytics, and offer customization and flexibility to
9 meet specific community needs.

10
11 **Q.** What steps will the company take to ensure these projects
12 are completed at the lowest reasonable cost?

13
14 **A.** For each project, Tampa Electric completes a cost analysis
15 to determine the budget and allocate sufficient resources.
16 The company then completes a vendor selection and
17 negotiation process to secure favorable terms and pricing.

18
19 **Q.** What benefits will the Lighting Operations projects provide
20 to customers?

21
22 **A.** The benefits of these projects include enhanced safety,
23 reliability, and integration with smart technology.

24
25 **Q.** Will the Lighting Operations (Smart Street Light) projects

1 require new employees?

2

3 **A.** No.

4

5 BRIGHT LIGHTS, SAFE NIGHTS ("BLSN")

6 **Q.** What is the BLSN Project?

7

8 **A.** The BLSN project supports the local community's safety.
9 The City of Tampa partnered with Tampa Electric to provide
10 leased lighting services within high crime areas and on
11 roadways or intersections with more vehicle incidents to
12 enhance safety.

13

14 **Q.** What steps did the company take to ensure the BLSN Project
15 was completed at the lowest reasonable cost?

16

17 **A.** Tampa Electric negotiated labor rates for cost control
18 and did not begin work until after the design was approved
19 by the customer. Designs were developed to an IES standard
20 to assure the right light levels were provided at each
21 location, which minimizes potential for rework by
22 ensuring that safety and compliance requirements are met
23 prior to installation.

24

25 **Q.** What benefits will the BLSN Project provide to customers?

1 **A.** City of Tampa reported that the project resulted in a
 2 reduction of crime or vehicular incidents and reduced
 3 officer overtime as there were fewer incidents to respond
 4 to.

5
 6 **Q.** Will the project require new employees?
 7

8 **A.** No.
 9

10 **Q.** What major capital projects are planned in the OT area for
 11 2025?
 12

13 **A.** The major capital projects planned for 2025 are included
 14 in the following table. Additional detail is included in
 15 Document No. 2 of my exhibit.
 16

2025 Major Capital Projects	
	2025
Grid Reliability and Resilience Projects	65,871,743
DAP	18,075,079
Blanket - Lighting	16,069,585
OT Application	11,312,970
Other	4,188,739
Blanket - Meter	3,867,678
ED Capital Maintenance/Improvement Project/Program	2,900,685
Meter Operations	2,815,381
AMI	2,038,651
ES Capital Maintenance/Improvement Project/Program	665,000
Lighting - Growth	550,000
Lighting - Operations	500,000
Grand Total	128,855,509

25

1 Q. Are any of the projects, or groups of projects, planned
2 for 2025 continuations of projects the OT&S department
3 undertook in 2022 through 2024?
4

5 A. Yes. The following is a list of projects or groups of
6 projects that are continuations of the work the the OT&S
7 department undertook during 2022 through 2024.

- 8 • Blanket - Lighting
- 9 • OT Application
- 10 • Grid Reliability and Resilience Projects (including
11 Grid Communication Network Project)
- 12 • Other
- 13 • Blanket - Meter
- 14 • ED Capital Maintenance/Improvement
- 15 • Meter Operations
- 16 • AMI
- 17 • ES Capital Maintenance/Improvement
- 18 • Lighting - Growth
- 19 • Lighting - Operations

20
21 I previously described the need for these projects, how
22 they benefit customers, and the steps the company takes to
23 complete these projects at a reasonable cost in my
24 discussion of our capital investments in the years 2022
25 through 2024. Our planned investments in these areas in

1 2025 are necessary and prudent for the reasons I previously
2 described.

3

4 DAP PROJECTS

5 **Q.** Please describe the DAP projects and why they are needed.

6

7 **A.** The DAP projects planned for 2025 will build on the
8 existing DAP system and provide new capabilities, including
9 the ability to receive and process near-real time data.
10 This will support customer programs, such as the
11 Interactive bill, and safety programs, such as the
12 detection of downed energized conductors. It will support
13 more efficient dispatching due to access to current state
14 demand and generation data. Tampa Electric will be able to
15 receive and analyze DI data to support advanced analytics
16 such as detection of EV charging activities and location
17 of "ghost meters," or meters without a known installation
18 location. Finally, these projects provide the company the
19 ability to monitor new characteristics of the distribution
20 system, including transformer phase imbalances and actual
21 transformer and circuit loading characteristics. This will
22 allow the company to identify and resolve abnormal
23 conditions.

24

25 **Q.** What steps will the company take to ensure these projects

1 are completed at the lowest reasonable cost?

2

3 **A.** The company will use existing AMI technology to save costs.
4 The company will also use its procurement process along
5 with competitive bids to ensure projects are completed at
6 a reasonable cost.

7

8 **Q.** What benefits will the DAP projects provide to customers?

9

10 **A.** The DAP projects will allow the company to improve its unit
11 dispatching and generation decisions, which will lead to
12 more efficient operations and the potential for reduced
13 fuel costs. These projects will improve employee and
14 customer safety by enabling the detection of serious issues
15 that could cause injury or death, such as back-feeding onto
16 the distribution system or downed energized conductors.
17 These projects also will enable and support customer
18 programs such as improvements to the Interactive Bill and
19 new time-of-use programs.

20

21 **Q.** When will these projects be placed into service?

22

23 **A.** Tampa Electric expects to complete some DAP projects in
24 2024 and others in 2025.

25

1 AMI PROJECTS

2 **Q.** Please describe the AMI Projects and why they are needed.

3
4 **A.** The AMI project builds on our existing AMI infrastructure
5 by transitioning our AMI and lighting networks to a common
6 platform. This will allow the same team members to manage
7 both AMI meters and lighting. This project also will
8 examine potential future use cases for automation, AI, and
9 ML for AMI and lighting.

10
11 **Q.** What steps will the company take to ensure these projects
12 are completed at the lowest reasonable cost?

13
14 **A.** The company will use the existing streetlight network to
15 save costs, and the company will select vendors and
16 contractors through our competitive procurement processes.

17
18 **Q.** What benefits will the AMI projects provide to customers?

19
20 **A.** Using the same platform for the AMI and lighting networks
21 improves speed and efficiency in serving customer
22 disconnection, reconnection, and billing needs.

23
24 **Q.** When will these projects be placed into service?

25

1 **A.** Tampa Electric expects to complete the AMI projects in
2 2025.

3

4 **Q.** What is the total capital investment in OT for the above-
5 described projects between 2022 and 2025?

6

7 **A.** The total capital investment for the above-described
8 projects is \$478.6 million, of which \$357.7 million is in
9 rate base expenditures, from 2022 to 2025.

10

11 **SUBSEQUENT YEAR ADJUSTMENT**

12 **Q.** Please list the SYA project for which you are responsible
13 in this proceeding.

14

15 **A.** I am responsible for explaining the Grid Reliability and
16 Resilience Projects that are included in the company's
17 proposed 2026 SYA and 2027 SYA. I will describe the three
18 components which go into service during 2025 and 2026. In
19 August 2025, the Grid Communication Network component goes
20 into service. In September 2026, the Customer Information
21 Device Expansion components go into service, and in
22 December 2026, the Grid Communication Network Hardware,
23 Work Management, and Control Systems components go into
24 service.

25

1 GRID COMMUNICATION NETWORK - 2026 SYA

2 **Q.** Please describe the Grid Communication Network investment
3 in the SYA and why it is necessary.

4
5 **A.** The Grid Communication Network investment in the 2026 SYA
6 consists of acquiring the license for a 3x3 MHz band in
7 the 900 MHz spectrum to provide private and secure 4G and
8 5G communications to field devices. It is expected to cost
9 \$27.6 million and to be in service in August 2025.

10
11 This component is a standards-based technology that
12 provides a communications network to connect devices on
13 the grid. The networks have been designed for
14 cybersecurity, resiliency, reliability, and performance
15 and control. This component also reduces the reliance on
16 public carriers, reducing operating expenses and creating
17 a private, converged network where we can prioritize and
18 manage our own network traffic ensuring efficient and
19 reliable communication within the grid system.

20
21 **Q.** How will this component benefit customers?

22
23 **A.** I previously described the benefits of the Grid
24 Communication Network Project in my discussion of the
25 company's capital investments in the years 2022-2024. In

1 short, the Grid Communication Network Project will provide
2 high-speed communication between the Control Systems and
3 Field Device components to improve power quality and
4 reliability performance.

5
6 CUSTOMER INFORMATION DEVICE EXPANSION - 2026 AND 2027 SYA

7 **Q.** Please describe the Customer Information Device Expansion
8 and why it is necessary.

9
10 **A.** The Customer Information Device Expansion work falls into
11 the Back Office IT component of the Grid Reliability and
12 Resilience Projects. This consists of reconstructed data
13 models for lighting and non-meter devices, integrations
14 with existing systems, and revamped business processes for
15 device billing to better facilitate billing, unlock growth
16 opportunities in customer programs, and improve
17 operational efficiencies across utility services. They are
18 expected to cost \$24.3 million and to be in service in
19 September 2026. As a result, this component is contained
20 in both the 2026 SYA amount and the 2027 SYA amount.

21
22 This component changes the billing approach for non-meter
23 devices, eliminating reliance on workarounds, and prepares
24 the utility for growth in decentralized energy resources
25 and customer engagement.

1 Q. How will these components benefit customers?

2

3 A. The Customer Information Device Expansion component
4 enhances billing transparency, enables the ability to set
5 up an online marketplace for devices (lights, surge
6 protection, etc.) and helps to streamline business
7 processes such as reconnects and disconnects. This leads
8 to greater efficiency in the handling of devices on the
9 system, creating an optimal customer experience.

10

11 GRID COMMUNICATION NETWORK HARDWARE, BACK OFFICE IT SYSTEMS,
12 AND CONTROL SYSTEMS - 2026 AND 2027 SYA

13 Q. Please describe the Grid Communication Network Hardware,
14 Back Office IT Systems and Control Systems components and
15 why they are necessary.

16

17 A. The Grid Communication Network Hardware, Back Office IT
18 Systems, and Control Systems components that the company
19 plans to place in service in 2026 consist of line sensor
20 software, Private LTE implementation, a Work Management
21 System (WMS), and Distribution Planning Software Upgrades.
22 These components are expected to cost \$120.6 million and
23 to be in service in December 2026. As a result, these
24 components are contained in both the 2026 SYA amount and
25 the 2027 SYA amount.

1 This work will better facilitate advanced grid monitoring,
2 enhance operational efficiency, and improve the accuracy
3 of distribution planning and design. It will also improve
4 grid management and maintenance workflows, provide a robust
5 communication network for real-time data transmission, and
6 leverage real-time data for more precise planning and
7 operational decisions, significantly enhancing the
8 utility's operational capabilities and service
9 reliability.

10
11 **Q.** How will these components benefit customers?
12

13 **A.** As previously mentioned, the Grid Communication Network
14 Hardware, Back Office IT Systems, and Control Systems not
15 only create tangible benefits such as enhanced reliability
16 and reduced O&M expense, but also facilitate customer-
17 focused programs to improve fault detection, minimize
18 downtime, and expedite restoration. These projects will
19 also facilitate the integration of DER and enhance grid
20 management, leading to reduced energy losses and increased
21 efficiency, especially during peak load conditions. These
22 benefits are also described in greater detail in the direct
23 testimony of Mr. Whitworth.
24
25

1 **2025 OT&S O&M EXPENSE BUDGET**

2 **Q.** What is the level of O&M expense projected for the OT&S
3 area in 2025?

4
5 **A.** The level of O&M expense for the OT&S area in 2025 is a
6 component of the Electric Delivery budget, which is
7 described in the direct testimony of Mr. Whitworth.

8
9 **Q.** What steps has the company taken to reduce O&M expenses
10 in OT&S?

11
12 **A.** OT&S continuously evaluates effective ways to reduce O&M,
13 including methods such as workflow automation, data
14 driven decision making, and business process
15 optimization.

16
17 **Q.** What is the average number of team members within the
18 OT&S area in 2022 through 2024?

19
20 **A.** The average number of team members within the OT&S
21 department was 197 in 2022, 202 in 2023, and 234 in 2024.

22
23 **Q.** How many team members do you expect to employ in the 2025
24 test year?

25

1 **A.** The company projects our average number of team members
2 within the OT&S department in 2025 to remain the same as
3 2024, at 234 team members.

4
5 **Q.** What factors caused the addition of approximately 37 new
6 team members in the OT&S area between 2022 and 2024?

7
8 **A.** The increase of approximately 37 team members between 2022
9 and 2024 is primarily due to the (1) internal transfer or
10 reassignment of 24 team members to the OT&S department;
11 and (2) hiring of 13 new team members.

12
13 A total of seven employees transferred to OT&S from the IT
14 department, along with 11 from Energy Supply and six from
15 the company's RF Controls team. These reassignments were
16 needed to help the OT department carry out its vision and
17 strategy. Additionally, Tampa Electric determined the OT
18 department needed 13 new employees to provide the new
19 skillsets necessary to manage and maintain the operational
20 technology infrastructure. These 13 additions include the
21 following positions:

- 22
23 • Four to perform data strategy, data analytics, and
24 project management.
25 • Two to perform ADMS job functions.

- 1 • Three who joined the Meter team.
- 2 • Four who joined the Lighting team.

3

4 **Q.** What metrics or analysis did the OT&S department use to
5 identify the need for the approximately 37 additional
6 employees in the OT area?

7

8 **A.** The OT&S department first identified the skills necessary
9 by engaging in communications with industry leaders in the
10 field. We then looked within the company to identify
11 current employees that already had these skills or could
12 be retrained to develop them. The department was then able
13 to determine the number of new employees or "new hires"
14 required and what skillset would be needed.

15

16 **Q.** Do the approximately 37 team members added to the OT&S
17 department between 2022 and 2024 result in any avoided
18 costs or cost savings?

19

20 **A.** As stated above, 24 of the additional employees were
21 transferred from another area of the company, which does
22 not add to the overall number of company employees. This
23 reorganization will allow the company to better use the
24 existing skillsets in a more effective manner. The 13 new
25 Tampa Electric employees that joined the OT&S department

1 bring new skillsets that allow us to achieve the
2 organizational efficiencies and customer benefits that I
3 previously described in my direct testimony.
4

5 **SUMMARY**

6 **Q.** Please summarize your direct testimony.
7

8 **A.** My direct testimony describes the company's OT&S
9 department, and the OT&S resources and applications Tampa
10 Electric uses to operate its electric system and provide
11 an outstanding customer experience. I explained the
12 progress made in the OT&S area since the company's last
13 base rate case. I summarized the OT&S department's plans
14 and explained the company's OT&S capital investments and
15 O&M expense. I described the Grid Reliability & Resilience
16 Projects that will be going in service as part of Tampa
17 Electric's Subsequent Year Adjustments for 2026 and 2027.
18 These investments will enable us to provide a more
19 resilient and reliable service to our customers.
20

21 **Q.** Does this conclude your direct testimony?
22

23 **A.** Yes.
24
25

1 (Whereupon, prefiled rebuttal testimony of
2 David Lukcic was inserted.)

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



TECO[®]
TAMPA ELECTRIC
AN EMERA COMPANY

**BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION**

DOCKET NO. 20240026-EI

**PETITION FOR RATE INCREASE
BY TAMPA ELECTRIC COMPANY**

**REBUTTAL TESTIMONY
OF
DAVID LUKCIC**

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **REBUTTAL TESTIMONY**

3 **OF**

4 **DAVID LUKCIC**

5
6 **Q.** Please state your name, address, occupation and employer.

7
8 **A.** My name is David Lukcic. My business address is 702 North
9 Franklin Street, Tampa, Florida 33602. I am employed by
10 Tampa Electric Company ("Tampa Electric" or the "company")
11 as Senior Director Operational Technology & Strategy.

12
13 **Q.** Are you the same David Lukcic who filed direct testimony in
14 this proceeding?

15
16 **A.** Yes.

17
18 **Q.** Have your title and duties and responsibilities changed
19 since the company filed your prepared direct testimony on
20 April 2, 2024?

21
22 **A.** No.

23
24 **Q.** What are the purposes of your rebuttal testimony?

1 **A.** My rebuttal testimony serves two general purposes.

2

3 First, I will address inaccuracies in the direct testimony
4 of witness Kevin Mara, filed on behalf of the Office of
5 Public Counsel ("OPC"), and explain why the Florida Public
6 Service Commission ("Commission" or "FPSC") should
7 authorize including the company's Grid Reliability and
8 Resilience ("GRR") Projects and the Grid Communications
9 Project in the proposed Subsequent Year Adjustments
10 ("SYA").

11

12 Second, I will respond to the direct testimony of witness
13 Karl Rábago, filed on behalf of the League of United Latin
14 American Citizens ("LULAC") and Florida Rising, and
15 demonstrate why the Commission should reject his proposal
16 to disallow cost recovery for the GRR Projects.

17

18 **I. THE GRR PROJECTS ARE PRUDENT AND SHOULD BE INCLUDED IN THE**
19 **PROPOSED SYA**

20 **Q.** Does Mr. Mara challenge the necessity or prudence of the
21 proposed GRR Projects in his testimony or otherwise argue
22 that the company should not complete those projects?

23

24 **A.** No. Instead, he argues that the GRR Projects should be
25 recovered in base rates in the test year or in future test

1 years. To illustrate, on page four of his testimony he
2 states that the GRR Projects should be excluded from the
3 company's SYA. Similarly, he argues on page nine that the
4 SYA is "not the proper funding mechanism" for the GRR
5 Projects. As I explained in my direct testimony, the GRR
6 Projects are necessary and prudent investments to meet
7 customer demand, build a resilient grid, and adapt to
8 changes in how our customers use, and sometimes produce,
9 energy.

10
11 Furthermore, as I will explain below, Mr. Mara's
12 recommendation that the GRR Projects should be excluded from
13 the SYA is based on an inaccurate assessment of the nature
14 and scope of the GRR Projects, as well as a misunderstanding
15 of which components are included in the company's SYA. My
16 testimony will address these inaccuracies and explain why
17 the GRR Projects should be approved. Tampa Electric's
18 witness Jeff Chronister will address why the GRR Projects
19 are properly included in the SYA from a rate making
20 perspective.

21
22 **Q.** Does Mr. Mara's testimony correctly describe which GRR
23 Projects are included in the company's 2026 and 2027 SYA?

24
25 **A.** No. His testimony includes the following inaccuracies: (1)

1 In my direct testimony, I described three GRR Projects
2 components that are included within the 2026 and 2027 SYA.
3 Mr. Mara discusses only one of the three components. (2)
4 Mr. Mara inaccurately describes several of the GRR Projects
5 included in the SYA as routine activities to maintain or
6 replace obsolete equipment and argues that these
7 investments should be excluded from the SYA. (3) Mr. Mara
8 inaccurately states that the forward-looking nature of
9 these investments makes them inherently speculative and
10 thus they should be excluded from the SYA. (4) Mr. Mara
11 inaccurately states that the GRR projects included within
12 the SYA, all of which will be in-service by the end of 2026,
13 will not provide value to Tampa Electric's customers until
14 the overall program is complete - by the end of 2030. (5)
15 Lastly, Mr. Mara incorrectly states that none of the GRR
16 Projects have been approved by either the Tampa Electric or
17 Emera Board of Directors at the time of the rate case
18 filing.

19
20 The remaining discussion in Section I of my rebuttal
21 testimony will provide additional context and information
22 on the issues I described above.

23
24 (1) Clarification on which GRR Projects are in the SYA

25 Q. On page seven of his direct testimony, Mr. Mara states that

1 the GRR Projects included within Tampa Electric's 2026 and
2 2027 SYA include Private LTE Implementation, Line Sensor
3 Software, Work Management System ("WMS"), and Distribution
4 Planning Software upgrades. Does this accurately reflect
5 the GRR Projects included within the 2026 and 2027 SYA?
6

7 **A.** No. As I noted on pages 53 through 57 of my direct testimony,
8 there are three components of the GRR Projects that are
9 included within the SYA: (1) the Grid Communication Network,
10 (2) the Customer Information Device Expansion, and (3) the
11 Grid Communication Network Hardware, Work Management, and
12 Control Systems components. The projects noted by Mr. Mara
13 only reflect the third GRR Projects component.
14

15 **Q.** In Table 2, on page 8 of his testimony, Mr. Mara compares
16 information provided by Tampa Electric in response to OPC's
17 Seventh Set of Interrogatories No. 126 to SYA information
18 provided in Tampa Electric witness Richard Latta's direct
19 testimony (now Prepared Direct Testimony of Jeff Chronister
20 Volume II). Based on this comparison, Mr. Mara states that
21 the "budgeted values in these [referring to the PLTE
22 Implementation, Line Sensor Software, WMS, and Distribution
23 Planning Software] systems do not exactly match with the
24 SYAs..." Can you provide any additional clarification on
25 Mr. Mara's perceived misalignment between these two data

1 sources?

2

3 **A.** Yes. Mr. Mara's comparison is flawed for several reasons.
4 First, Mr. Mara's comparison of the company's answer to
5 OPC's Seventh Set of Interrogatories No. 126 with the SYA
6 budgets is incorrect because the interrogatory response was
7 not limited to the components included in the SYA. OPC's
8 Seventh Set of Interrogatories No. 126 asked the company to
9 provide the annual cost by project type for all six
10 components of the GRR Projects. As I previously explained,
11 the company only included some components in the SYA. The
12 company's interrogatory answer accordingly reflects total
13 expected annual capital expenditures for all GRR Projects,
14 regardless of whether they are included in the SYA.

15

16 Second, Mr. Mara's Table 2 does not match what is included
17 in the SYA. Table 2 does not include capital expenditures
18 associated with some components included in the SYA,
19 including the PLTE Spectrum (i.e., Grid Communication
20 Network) or Customer Information (i.e., CRB) Device
21 Expansion. Table 2 does, however, include capital
22 expenditures for the Distribution Design Tool and Short-
23 Cycle Work Management upgrade, which are not included in
24 the SYA, as I will discuss in more detail below.

25

1 Third, Mr. Mara made an apples-to-oranges comparison
2 between the annual capital expenditure amounts presented in
3 Tampa Electric's answer to OPC's Seventh Set of
4 Interrogatories No. 126 with figures from Volume II of Mr.
5 Chronister's direct testimony. The numbers in Volume II of
6 Mr. Chronister's testimony are not total annual capital
7 expenditures, but rather reflect 13-month average plant in
8 service, which includes both capital and the associated
9 financing costs. As I previously explained, the company's
10 answer to Interrogatory No. 126 provided total annual
11 capital costs.

12
13 (2) Clarification on the Description of System Replacements

14 **Q.** On page eight of his direct testimony, Mr. Mara
15 characterizes the GRR Projects included within the 2026 and
16 2027 SYA as "routine type of activities," and adds that
17 these projects include "maintenance and replacement of
18 obsolete equipment." Do you agree with this
19 characterization of the GRR Projects included within the
20 SYA?

21
22 **A.** No. As I stated on page 18 of my direct testimony, the GRR
23 Projects build on Tampa Electric's existing grid
24 modernization strategy and will provide new and enhanced
25 functionality across each of the investments. Overall, the

1 GRR Projects represent a comprehensive program that will
2 create a "system of systems" with coordination across the
3 six investment domains to improve grid reliability, provide
4 customers with greater access to data to make more informed
5 energy decisions, and enable more efficient and effective
6 operations within Electric Delivery. Specifically, the GRR
7 Projects within the SYA include upgrades to existing systems
8 (i.e., Distribution Planning Software Upgrade), replacement
9 of obsolete systems (i.e., Work Management System), as well
10 as deployment of new systems that do not exist today (i.e.,
11 Distribution Design Tool). However, none of these projects
12 are routine maintenance or like-for-like replacements of
13 equipment. Rather, each of the GRR Projects provides new or
14 enhanced functionality that is critical to meet customer
15 expectations and enable the benefits of a modern intelligent
16 grid (e.g., automated FLISR).

17
18 **Q.** On page 10 of his testimony, Mr. Mara characterizes the
19 Grid Communication Network Project as "replacement of an
20 older, obsolete [radio] system" that should be accomplished
21 through the company's test year budget. Do you agree with
22 his characterization of the project and his conclusion?

23
24 **A.** No. The primary purpose of the Grid Communication Network
25 Project is to install a new system that will provide

1 improved cybersecurity, resilience during storms,
2 reliability, safety, and performance benefits. While it is
3 true that the Grid Communication Network Project will
4 replace the existing end-of-life SCADA system, the project
5 will also provide capabilities and capacity well beyond the
6 existing SCADA radio network. These advancements provide
7 the infrastructure to manage the expansion of electric
8 vehicle charging and customer-owned solar generation and
9 lay the groundwork for new functionalities at both the
10 distribution level and the grid's edge. Furthermore, this
11 project is appropriately included in the SYA because it
12 will be completed in 2026 and begin providing value to
13 customers beginning as early as December 2024 when the first
14 ten PLTE towers are completed.

15
16 **Q.** Have other electric utilities installed a PLTE?
17

18 **A.** Yes. Tampa Electric is aware of several peer utilities that
19 have installed, or are in the process of installing, PLTE
20 networks within their service territories including Florida
21 Power & Light (Gulf Region); Southern Company in Alabama,
22 Georgia, and Mississippi; Ameren; San Diego Gas & Electric;
23 Evergy; Xcel Energy; and Lower Colorado River Authority.
24

25 **Q.** On page 12 of his testimony, Mr. Mara argues that the work

1 management system upgrade is an "upgrade of an existing
2 system" that should be included in the company's test year
3 budget and not an SYA. Do you agree with this
4 characterization and recommendation?

5
6 **A.** No. This project adopts an entirely new work and asset
7 management system that will provide significant new
8 functionality including, but not limited to, modern
9 Application Programming Interface ("API") based
10 communications, workforce optimization and analytics, and
11 mobile communication capabilities. The new system will
12 replace the current work management system ("WorkPro")
13 which was initially installed in 1997 and has been out of
14 vendor support for ten years. This project will be completed
15 and in-service by December 2026 and should be included
16 within the SYA.

17
18 **Q.** On page 13 of his testimony, Mr. Mara asserts that the
19 "Distribution Planning Software Upgrades" (referring to the
20 short-cycle work management system, distribution design
21 tool, and system planning model upgrade) represent either
22 upgrades to existing software or replacement of an existing
23 program and claims that the company should recover the costs
24 of these programs through "traditional base rates" and not
25 an SYA. Do you agree with this characterization and

1 recommendation?

2

3 **A.** No. As a preliminary matter, I would like to clarify that
4 these are three distinct systems. First, the investment in
5 the Short-Cycle Work Management System Upgrade is to replace
6 the current PragmaCAD system with a new system to manage
7 and execute emergent or reactive work orders. The company
8 uses PragmaCAD system when responding to equipment failures
9 or other unplanned incidents that impact service
10 reliability (e.g., vehicle hits a pole). The PragmaCAD
11 system is distinct from WorkPro, which is the current system
12 used to generate distribution, transmission, lighting, and
13 substation work orders for planned activities. The current
14 versions of both PragmaCAD and WorkPro are limited in
15 functionality and no longer meet industry standards. The
16 new Work Management system installed through the GRR
17 Projects will better align work management functionality
18 and enable greater consistency for how work is executed
19 across Electric Delivery for both planned (i.e., long-
20 cycle) and emergent (i.e., short-cycle) work and increase
21 operational efficiencies in Electric Delivery.

22

23 Second, the Distribution Design Tool Project implements a
24 new, dedicated design tool that Tampa Electric has not
25 previously had. Currently, electric distribution designs

1 are built in the GIS or AutoCAD, both of which offer limited
2 functionality to automate the design process, unlike the
3 Distribution Design Tool. This project will provide
4 significant efficiency benefits and help Tampa Electric
5 design customer projects faster and more effectively.

6
7 Third, the System Planning Model Upgrade will upgrade or
8 replace the distribution load flow model (i.e., Synergi)
9 which, in combination with other GRR Projects, including
10 the GIS replacement, ensures that the grid model accurately
11 reflects the distribution system as it grows to include new
12 distributed energy resources.

13
14 The Distribution Design Tool and Short-Cycle Work
15 Management Projects are both expected to be in-service in
16 2027 and were not included in the SYA. The Distribution
17 Planning Software Upgrade (i.e., Synergi replacement) is
18 the only project of the three that Mr. Mara described on
19 page 13 that was included in the SYA. Since this project is
20 scheduled to be completed and in-service by the end of the
21 third quarter of 2026, and since it will significantly
22 improve efficiency, it should be included within the SYA.

23
24 (3) Clarification on Forecasted Capital Costs

25 Q. On Page nine of his testimony, Mr. Mara asserts that GRR

1 Projects' expenditures should be excluded from the SYA
2 because work on various components of the GRR Projects will
3 continue until 2030, and because the expenditures are
4 "forecasted costs." Do you agree with this recommendation?

5
6 **A.** No. It is true that certain GRR Projects will not be
7 completed until 2030; however, none of these components have
8 been included within the SYA. The GRR Projects included
9 within the SYA will all be in-service by December 2026 and
10 will provide value to Tampa Electric customers prior to the
11 overall completion of the project. For example, once the
12 PLTE system is functional, with the appropriate control
13 schemes in ADMS, and deployment of intelligent switching
14 devices deployed on distribution circuits as well as within
15 the substation, Tampa Electric will be able to test and
16 begin implementation of automated FLISR. The reliability
17 and system benefits for all of Tampa Electric's service
18 territories will then increase as devices are deployed
19 across the entire system.

20
21 Additionally, the SYA costs reflect budgeted amounts for
22 the projects based on best estimates and past project
23 experience. If the projects were to run over the amount
24 included in the SYA, those dollars would not be
25 automatically recovered, and the company would need to

1 request cost recovery for those dollars and justify the
2 expense in a future rate case.

3
4 (4) Clarification on When Systems Will be In-Service

5 **Q.** Mr. Mara asserts that the Grid Communication Network Project
6 and the Line Sensor Software component should be excluded
7 from the SYA because they will enable other technologies
8 that will not "be fully capable" by the end of 2027. Is
9 this statement accurate?

10
11 **A.** No. The benefits of automated FLISR will be functional in
12 certain portions of Tampa Electric's service territory by
13 the end of 2026. As previously stated, the company will
14 begin connecting field devices as early as December 2024
15 when the first communication tower is completed.
16 Additionally, once the PLTE system is in-service, Tampa
17 Electric will be able to retrofit existing devices to
18 connect devices to this new network, which will provide
19 benefits including enhanced security and speed of
20 communication with field devices.

21
22 **Q.** Will the components of the GRR Projects included in the SYA
23 go into service and begin providing benefits to customers
24 before 2027?

25

1 **A.** Yes.

2

3 (5) Clarification on the Status of Project Approvals

4 **Q.** On Page nine, Mr. Mara says the GRR Projects should be
5 excluded from the SYA because "none of this project -- in
6 either its sub-parts or its totality - had been approved by
7 either the Tampa Electric or Emera Boards of Directors at
8 the time the case was filed". Is this statement accurate?

9

10 **A.** No. Several foundational components of GRR Projects were
11 already approved at the time of the rate case filing. The
12 Grid Communication Network Project (i.e., PLTE) was
13 approved by the Tampa Electric Board in November of 2023.
14 Additionally, the Capital Leadership Team previously
15 approved certain investments within the Field Devices and
16 Substation domains. The previously approved investments
17 include: (1) a project to implement integrated volt/VAR
18 control ("IVVC") through the installation of IVVC capable
19 capacitor banks, and (2) a project to replace outdated
20 analog circuit breakers and associated electro-mechanical
21 relays within substations with modernized breakers and
22 relays. The investments described above are critical
23 aspects of the GRR Projects and are required to enable
24 further system reliability improvements, including future
25 utilization of automated FLISR. Additionally, the Tampa

1 Electric Board of Directors have been thoroughly educated
2 on the GRR Projects over time, ensuring informed decision-
3 making and oversight.

4
5 **Q.** Have there been any updates to the approval of the overall
6 GRR Projects since your direct testimony was filed?

7
8 **A.** Yes. The GRR Projects were brought to the Tampa Electric
9 Board of Directors for review and approval on June 11, 2024,
10 and the GRR Projects were approved in their entirety.

11
12 (6) Recommendations Based on Mr. Mara's Direct Testimony

13 **Q.** Based on the information and arguments presented within Mr.
14 Mara's direct testimony, do you agree that the GRR Projects
15 described in your direct testimony should be excluded from
16 the 2026 and 2027 SYA?

17
18 **A.** No.

19
20 **Q.** What is your recommendation to the Commission regarding the
21 GRR Projects components included in the SYA?

22
23 **A.** I affirm what was stated in my direct testimony regarding
24 the need for, and prudence of, the GRR Projects, and I
25 recommend that the Commission approve all three components

1 of the GRR Projects that were included within the SYA for
2 2026 and 2027. Those three components are (1) the Grid
3 Communication Network, (2) the Customer Information Device
4 Expansion, and (3) the Grid Communication Network Hardware,
5 Work Management, and Control Systems components.
6

7 **II. THE GRR PROJECTS ARE NECESSARY AND PRUDENT, AND THE**
8 **COMMISSION SHOULD AUTHORIZE COST RECOVERY FOR THOSE**
9 **PROJECTS**

10 **Q.** On page 51 of his testimony, Mr. Rábago describes the GRR
11 Projects as "unnecessary gold plating." Do you agree that
12 the GRR Projects are unnecessary?
13

14 **A.** No. As I noted in my prior responses to Mr. Mara's
15 statements, the GRR Projects are a continuation of Tampa
16 Electric's grid modernization strategy to improve the
17 reliability and functionality of the Electric Delivery
18 system. The GRR Projects are necessary to meet evolving
19 customer expectations for the electric system to be "always
20 on", while preparing to manage bi-directional power flows
21 at the grid edge. As I noted in my direct testimony, the
22 GRR Projects are designed to address changes to the grid,
23 including increased digitalization and decentralization.
24 Customer adoption of distributed generation, electric
25 vehicles, and battery storage is causing a need for greater

1 grid visibility and new technologies to control bi-
2 directional energy flows. The GRR Projects will provide
3 tangible benefits for customers including, but not limited
4 to, enhanced reliability and reduced O&M expenses. Further,
5 as noted in Tampa Electric witness Chip Whitworth's direct
6 testimony, the GRR Projects are necessary to replace
7 obsolete systems and equipment, as well as meet customer
8 demands for greater reliability, greater access to data,
9 and to adapt to changes in how customers consume energy.

10
11 **Q.** On page 55 of his testimony, Mr. Rábago asserts that the
12 GRR Projects are "destined for quick obsolescence." Do you
13 agree with this conclusion?

14
15 **A.** No. I note that Mr. Rábago does not describe what timeframe
16 he would consider to be "quick obsolescence." Mr. Rábago
17 specifically calls out the PLTE network, which has an
18 estimated useful life of 20 years. I do not consider
19 technology with an estimated useful life of two decades to
20 be destined for "quick obsolescence." Further, the PLTE
21 network is designed to alleviate current communication
22 constraints, as well as prepare for future needs including
23 enhanced cybersecurity and reliability standards. The PLTE
24 system, and the GRR Projects as a whole, will draw on
25 lessons learned by peer utilities, the industry experience

1 of internal Tampa Electric standards and compliance
2 experts, and the knowledge of various external consultants
3 to help implement new systems that are designed with future
4 standards and requirements in mind.

5
6 **Q.** Based on the information and arguments presented within Mr.
7 Rábago's direct testimony, do you agree that the Commission
8 should not allow recovery of costs for the GRR Projects?
9

10 **A.** No. The GRR Projects are necessary, prudent, and will result
11 in tangible benefits for the company's customers.
12

13 **III. SUMMARY**

14 **Q.** Please summarize your rebuttal testimony.
15

16 **A.** My rebuttal testimony addressed the statements made by
17 witnesses Mara and Rábago regarding the GRR Projects
18 included within the 2026 and 2027 SYA. I demonstrated that
19 Mr. Mara and Mr. Rábago are incorrect in their assertions
20 that the GRR Projects should be excluded from the SYA. The
21 three GRR Projects components that I describe in my direct
22 testimony will all be in-service by the end of 2026, will
23 provide significant benefits to customers, and should be
24 included within the SYA.
25

1 Q. Does this conclude your rebuttal testimony?

2

3 A. Yes.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 BY MR. MEANS:

2 Q And, Mr. Lukcic, did you also prepare and
3 cause to be filed with your direct testimony an exhibit
4 marked DL-1, consisting of two documents?

5 A I did.

6 MR. MEANS: And, Mr. Chairman, Tampa Electric
7 would note for the record that Exhibit DL-1 has
8 been identified in the Comprehensive Exhibit List
9 as Exhibit 22.

10 BY MR. MEANS:

11 Q Mr. Lukcic, did you prepare a summary of your
12 direct and rebuttal testimony?

13 A I did.

14 Q Will you please deliver that now?

15 A I will.

16 Good morning, Commissioners.

17 My direct testimony describes the company's
18 Operation Technologies and Strategy Department; the OT
19 resources and applications Tampa Electric uses to
20 operate its electric system; explains the progress made
21 to date in operating technology and strategy since the
22 company's last base rate case.

23 The testimony summarizes the OTS department
24 plans, and explains the company's OT&S capital
25 investments and O&M expenses.

1 My testimony also describes the Grid
2 Reliability and Resiliency Project that has been created
3 to address increasing customer expectations, two-way
4 power flows, obsolete systems and equipment, in addition
5 to safety and reliability concerns with the evolving
6 grid.

7 GRR is a collection of a series of grid
8 modernization projects and upgrades that will deliver
9 maximum value in the most effective -- cost-effective
10 manner.

11 In addition to addressing the issues above,
12 GRR will also address cybersecurity, introduce
13 operational efficiencies, which will reduce operational
14 expenses, provide fuel savings due to reducing line
15 losses, along with setting the foundation for additional
16 customer programs. The program will go into service as
17 part of Tampa Electric's subsequent year adjustments,
18 for '26 and '27.

19 My rebuttal testimony addresses why the
20 Commission should authorize the inclusion of Grid
21 Reliability and Resiliency Projects in the company's
22 SYA.

23 My rebuttal testimony also responds to witness
24 Karl Rabago's proposal to disallow recovery for the GRR
25 projects.

1 This concludes my summary. Thank you.

2 MR. MEANS: We tender the witness for
3 cross-examination.

4 CHAIRMAN LA ROSA: Thank you.

5 OPC.

6 MR. WATROUS: Thank you, Mr. Chair.

7 EXAMINATION

8 BY MR. WATROUS:

9 **Q Good morning, Mr. Lukcic.**

10 A Good morning.

11 **Q I am going to go ahead and jump right on into**
12 **questions.**

13 **Isn't it true that the company has already**
14 **been implementing individual components of what you**
15 **named the GRR project since 2022?**

16 A That is correct.

17 **Q Okay. And the official name is the Advanced**
18 **Distribution Infrastructure, correct?**

19 A I don't know if I would call that the official
20 name. Although, it has been called both Advanced
21 Distribution Infrastructure and Grid Reliability and
22 Resiliency. The names have been kind of used
23 interchangeably.

24 **Q And you would agree that for many years, Tampa**
25 **Electric has periodically upgraded and modernized its**

1 **distribution network?**

2 A I would say that's fair.

3 **Q And this is what the individual components of**
4 **the ADI were intended to do when they were forecast in**
5 **the ordinary course of business, right?**

6 A I don't know that I would say it that way. I
7 think what might be helpful is understanding what GRR
8 is.

9 GRR was -- evolved out of a series of grid
10 modernization projects. And as such, as we gain through
11 time -- I think Archie talked about it starting in 2018.
12 Through time, what we did is we found a more
13 cost-effective way to execute these projects by looking
14 them in a holistic way. And it really allowed us to
15 find the cost-effective way to deploy them, along with
16 providing the maximum value to the customers. So it was
17 more than a one plus one equals two. It really allowed
18 us to get more, like, a one plus one equals three. And
19 that's how these things kind of evolved.

20 **Q And hasn't the company already invested**
21 **roughly 21 million in these component projects from 2022**
22 **to 2024?**

23 A That's correct.

24 **Q And doesn't the 2025 test year include for an**
25 **additional 65,871,743 for these component GRR projects?**

1 A That number sounds accurate.

2 **Q In other words, the company has already been**
3 **accounting for ADI projects consistent with the**
4 **expectations underlying the rate setting that occurred**
5 **in the 2021 settlement?**

6 A Could you rephrase the question?

7 **Q Yeah.**

8 **So these ADI projects are consistent with the**
9 **2021 Settlement Agreement, correct?**

10 A Are consistent with the '21 Settlement
11 Agreement? I am not exactly sure what you are -- I am
12 not exactly sure what you are referring to.

13 **Q Well, these component capital projects were**
14 **planned for and expected to be deployed between the 2021**
15 **and 2024 rate case?**

16 A So GRR hasn't evolved that way. It's not a
17 rate case determined activity. It's a -- again, it's a
18 continuation of grid modernization that really results
19 from the increasing expectations from our customers.

20 So when we continue to see the grid evolving
21 out underneath us, as customers make choices around
22 photovoltaics and electric vehicle selections, changes
23 the complexity of grid. We look at safety, which Chip
24 Whitworth mentioned, as now that PVs are becoming more
25 prevalent, we are seeing two-way power flow concerns on

1 our grid, and safety concerns for both the public and
2 the employees, in addition to customers' desires for
3 better expectations around reliability and storm
4 resolution.

5 So it's continuing to methodically address
6 those issues that allow the grid modernization program,
7 first, to develop, but then evolve into the most
8 cost-effective way to deploy it and maximize those
9 benefits. And that's what evolved GRR.

10 So it's not a rate case determination. It's
11 just the next step in an evolution, continuing to find
12 better ways to manage our grid.

13 **Q Okay. So yes or no, these capital projects**
14 **were planned for and expected to be deployed in between**
15 **the 2021 and 2024 rate cases?**

16 A Yes.

17 **Q Okay. And these component capital projects**
18 **are planned for and expected to be deployed during the**
19 **test year of the current rate case?**

20 A Yes.

21 **Q Okay. And the costs incurred in 2022 through**
22 **2024 are being reviewed for prudence in the next base**
23 **rate case, or the current one?**

24 A The current one. Uh-huh.

25 **Q Is it fair to say the main dispute between**

1 yourself and OPC's Witness Mara isn't the prudence or
2 the need for these projects that are included in the
3 subsequent year adjustments but, rather, the company's
4 decision to seek separate recovery of them through the
5 subsequent year adjustments?

6 A I don't want to necessarily speak for Mara.
7 To the best of my understanding, that's his position.
8 From our perspective, there is really four components
9 that are critical that we are asking for in the
10 subsequent year. The first one is the PLTE Spectrum,
11 which is the backbone of communications network. The
12 second one is CRB device expansion, another significant
13 but beneficial cus -- investment to the customers as it
14 relates to -- opens the door to a tremendous amount of
15 additional customer programs, more accurate billing,
16 those kind of issues.

17 And then you also have the work management
18 system that has been in, you know, for decades, out of
19 support. And that will continue to drive operational
20 efficiencies and O&M expense saving for the customers.

21 And then the last project is the completion of
22 PLTE back office hardware portion of it. And those
23 final pieces go in in December of 2026.

24 So, yes, there are substantial investments.
25 They are significant. Most of them are multi-year

1 projects, and we felt that the SYA was a -- was an
2 appropriate mechanism for recovery to help relieve
3 pressure for coming back in for a rate case in some of
4 the out years.

5 **Q And isn't spending on the GRR project**
6 **components going to continue beyond 2027?**

7 A That is correct.

8 **Q In fact, the company forecasts these GRR**
9 **spending to continue to at least 2030, correct?**

10 A That's correct.

11 **Q And the company could choose to reprofile the**
12 **capital, right?**

13 A So it's not a -- it's not a capital spend
14 project, right --

15 **Q Mr. Lukcic, can you please answer the question**
16 **yes or no and then --**

17 A Then I would have to say no, because these
18 projects are co-dependent. When you sit there and try
19 to drive towards the most effective deployment of
20 capital and to maximize the benefits to the customers,
21 they have to go in in a certain order. So a simple of
22 reorganizing projects, or delaying key components is not
23 an effective way to maximize value to the customers.

24 **Q The company could choose to cancel some of the**
25 **components that have yet to be implemented, correct?**

1 A It's a possibility, but the company would not.

2 Q Wasn't the PLTE component the only component
3 specifically approved by the board before this case was
4 filed?

5 A PLT was definitely approved by the board
6 before this case was filed. There have been several
7 grid modernization projects that have been approved by.
8 I don't know specifically anything else in GRR that has
9 been approved by the board, but the board did
10 subsequently approve this project in June of this year.

11 Q And is the PLTE component still expected to be
12 in service by 2026?

13 A The PLTE Spectrum should be deployed and
14 functional in Sep -- August of '25, and then the back
15 office hardware in December of '26. And those are the
16 two components.

17 Q Isn't it true that one of the criteria used by
18 TECO for seeking to recover what they named the GRR
19 project and the subsequent year adjustments was the
20 project was large enough to have been eligible for
21 AFUDC?

22 A No. AFUDC collection was not a function for
23 determining what actually was asked for recovery. What
24 we did is, as I alluded to before, we picked the most
25 substantial investments. Some of those qualified for a

1 AFUDC, some of those did not.

2 Q Do you remember being deposed in July?

3 A I do.

4 Q Do you have a copy of that deposition?

5 A I do.

6 Q Can you please go to page 47 of our
7 deposition?

8 CHAIRMAN LA ROSA: Do we know what -- is that
9 an exhibit?

10 MR. WATROUS: No. One sec, Mr. Chair.
11 Commissioners, can you give us a moment to
12 pass out the depositions, please?

13 CHAIRMAN LA ROSA: Sure. I think we are ready
14 when you are, but just clarify, the witness does
15 have a copy of the deposition?

16 THE WITNESS: I do. Thank you.

17 CHAIRMAN LA ROSA: Great. Thank you.

18 MR. WATROUS: And my apologies, Commissioners,
19 for the delays.

20 BY MR. WATROUS:

21 Q Mr. Lukcic, can you please turn to page 47?

22 A Got it.

23 Q And you were asked in this deposition: It
24 sounds like you are planning a standard here, that if
25 something improves efficiency, that it's appropriate to

1 include in the SYA. Am I characterizing that correctly?

2 Can you please read your answer on line six to
3 10?

4 A Okay. Can you state the first part of that
5 question or just however you want to phrase it?

6 Q Yes.

7 Isn't it true that one of the criteria used by
8 TECO for seeking to recover what they named the GRR
9 project and subsequent year adjustments was if the
10 project was large enough to have been eligible for
11 AFUDC?

12 And then the question you were asked in your
13 deposition was: It sounds like you are planning a
14 standard here, that if something improves efficiency,
15 that it's appropriate to include in the SYA. Am I
16 characterizing that correctly?

17 Can you please read your answer, lines six to
18 10?

19 A Yeah. So we -- so a couple of things. I
20 think, one, your -- the assertion that AFUDC was the --

21 Q Can you please read your answer in the --

22 A So on my page 47, six to 10 says: Lights in a
23 CRB as an asset, just like meters, along with
24 potentially EVs, PVs, and any kind of other edge type
25 devices.

1 MR. MEANS: Mr. Lukcic, are you looking at the
2 July 23rd deposition transcript?

3 CHAIRMAN LA ROSA: Yeah. Make sure we are on
4 the right one.

5 THE WITNESS: You are talking about the first
6 or the second deposition?

7 MR. WATROUS: July. My apologies.

8 MR. MEANS: The second deposition.

9 The second deposition. I apologize.

10 Okay. I am sorry. Can you give me the page
11 number again?

12 BY MR. WATROUS:

13 Q 47.

14 A Okay. Which line?

15 Q So the question I asked was: Isn't it true
16 that one of the criteria for seeking to recover the ADI
17 projects were if it was eligible enough for AFUDC. And
18 in this deposition, you were asked: I mean, it sounds
19 like you are planning a standard here that, if something
20 improves efficiency, that it's appropriate to include in
21 the SYA. Am I characterizing that correctly?

22 Can you please read your answer from line six
23 to line 10?

24 A Yes.

25 So to be clear, what determined to be put in

1 the SYA was, number one, the project going to be
2 completed in that year? And then the second criteria
3 was that the project large enough to have been eligible
4 for AFUDC?

5 Q Thank you for that.

6 With regards to the PLTE, isn't it meant to
7 replace the company's current obsolete radio system?

8 A It -- the other thing I want to do is add is
9 -- you cut me off reading lines six through 10, but I
10 also want to add too: Along with providing benefits to
11 customers.

12 Q Thank you.

13 A Okay.

14 Q So my next question is: With regards to the
15 PLTE, isn't it meant to replace the company's current
16 obsolete radio system? And that is not in the
17 deposition.

18 A No. No. I am -- ask the question again. I
19 am sorry.

20 Q With regards to the PLTE, isn't it meant to
21 replace the company's obsolete radion system?

22 A Yes.

23 Q And isn't the way the ADI has been stitched
24 together designed to gain a maximum amount of
25 efficiency?

1 A That's correct.

2 Q And if you start deviating from that plan,
3 doesn't that create problems?

4 A It we start deviating from plan, that creates
5 problems.

6 Q And didn't the company just file with the
7 Commission an adjustment to the ADI to estimate certain
8 elements of the SYA -- or eliminate elements to the SYA?

9 A The company filed to eliminate the recovery of
10 elements in an SYA, not to eliminate the elements.

11 Q Okay. How many of the 40 components were
12 removed from your original ask?

13 A As listed in my opening statement, there were
14 two components.

15 Q Thank you so much.

16 MR. WATROUS: Nothing further.

17 CHAIRMAN LA ROSA: Great. Thank you.

18 Go to Florida Rising/LULAC.

19 MS. LOCHAN: Sure. Thank you, Chairman.

20 EXAMINATION

21 BY MS. LOCHAN:

22 Q And good afternoon, slash, morning, Mr.
23 Lukcic.

24 A Good afternoon.

25 Q I am going to try to keep this short and not

1 duplicate efforts. So I will ask a few questions about
2 the private LTE network, but just making sure that
3 nothing that I am asking has already been asked.

4 When considering the -- I am going to just
5 call it the PLTE, because that might be easier -- TECO
6 also considered the costs of doing a public, slash,
7 fiber network?

8 A That's correct. Yes.

9 Q And through these considerations, TECO was
10 looking at other utilities that currently have a PLTE.

11 A That's correct.

12 Q In those considerations, are there any other
13 peer utilities that you, for TECO, that use a PLTE?

14 A I am sorry, ask that again.

15 Q Are there any other peer utilities in Florida
16 that use a private LTE network?

17 A FPL does up in the Panhandle, yes.

18 Q And it's only FPL?

19 A That's correct.

20 Q So the majority of the Florida peer utilities
21 do not use a private network?

22 A Uh-huh. That's correct.

23 Q Thank you.

24 And I would like to bring up -- this is
25 FLL-179, or master number F3.3-5842.

1 Do you recognize this document?

2 A I do. Yes.

3 Q And this is a document that a third-party,
4 Burns & McDonnell, used to look at the cost for the
5 private LTE network?

6 A Yes. They are responsible for entire
7 evaluation.

8 Q Thank you.

9 If you scroll down, I think, two or three
10 pages, you will see a piechart.

11 A I am sorry, there is lag here.

12 Q I was dealing with that earlier.

13 A Yeah. Oh, can I scroll? I guess that lag was
14 forever. Okay. Yes, I am there.

15 Q And this shows the breakdown of the estimate
16 of costs?

17 A Summary of the 10-year cost, yes.

18 Q Yeah.

19 And a huge chunk of it are the LTE devices?

20 A That is correct.

21 Q Followed by Spectrum?

22 A That is correct.

23 Q Thank you.

24 I am just making sure that some of the
25 questions were not asked.

1 Okay. The last document I would like to pull
2 up is FLL-189, which is master number F3.3-6365. And if
3 you can click the hyperlink to the Excel there?

4 A Okay.

5 Q So you see the sheet here. These -- this
6 represents different -- I am sorry. One second. This
7 represents different operations projects, correct, and
8 costs associated?

9 A I am sorry. Different what projects?

10 Q From operations spending costs.

11 A Uh-huh.

12 Q All right. And do you recognize this
13 document?

14 A I do.

15 Q Thank you so much.

16 Those are my questions, Mr. Lukcic. Thank
17 you.

18 CHAIRMAN LA ROSA: Thank you.

19 FIPUG.

20 MR. MOYLE: No questions.

21 CHAIRMAN LA ROSA: FEA.

22 CAPTAIN GEORGE: No questions.

23 CHAIRMAN LA ROSA: Thank you.

24 Sierra Club.

25 MR. SHRINATH: No questions.

1 CHAIRMAN LA ROSA: Thank you.

2 Florida Retail.

3 MR. WRIGHT: No questions. Thank you, Mr.

4 Chairman.

5 CHAIRMAN LA ROSA: Walmart.

6 MS. EATON: No questions. Thank you.

7 CHAIRMAN LA ROSA: Staff.

8 MR. SPARKS: No questions. Thank you.

9 CHAIRMAN LA ROSA: Commissioners, any
10 questions of the witness?

11 Seeing none, TECO, I give it back to you for
12 redirect.

13 MR. MEANS: Thank you, Mr. Chairman. Just a
14 few.

15 FURTHER EXAMINATION

16 BY MR. MEANS:

17 Q Mr. Lukcic, do you recall a minute ago when
18 Mr. Watrous asked you how many of the 40 projects were
19 removed, and you said two?

20 A Yes.

21 Q Is the company seeking cost recovery in this
22 case for 40 GRR projects?

23 A They are not.

24 Q How many projects -- GRR projects were
25 originally included in this case?

1 A For the subsequent year adjustment, there were
2 six, and there are currently four.

3 **Q Thank you.**

4 MR. MEANS: Just one second, Mr. Chairman.

5 BY MR. MEANS:

6 **Q Mr. Lukcic, do you recall earlier when Mr.**
7 **Watrous asked you about your deposition transcript?**

8 A I do.

9 **Q And you stated in your deposition that AFUDC**
10 **was a criteria for inclusion in the SYA, do you recall**
11 **that?**

12 A I do.

13 **Q Did you make a mistake when you said that?**

14 A In the deposition? Yes.

15 **Q Thank you.**

16 MR. MEANS: No further questions.

17 CHAIRMAN LA ROSA: Thank you.

18 Let's move exhibits into the record. TECO.

19 MR. MEANS: Thank you. We would move Exhibit
20 22 into the record.

21 CHAIRMAN LA ROSA: 22 into the record. Any
22 objection? Seeing none, show that entered into the
23 record.

24 (Whereupon, Exhibit No. 22 was received into
25 evidence.)

1 CHAIRMAN LA ROSA: OPC.

2 MR. WATROUS: No exhibits from OPC. Thank
3 you.

4 CHAIRMAN LA ROSA: Any others from any of the
5 parties?

6 MS. LOCHAN: Florida Rising and LULAC would
7 like to move Exhibits 639 and 649 into the record.

8 CHAIRMAN LA ROSA: Any opposition to move in
9 those?

10 MR. MEANS: No objection.

11 CHAIRMAN LA ROSA: No objections, show then
12 entered into the record.

13 (Whereupon, Exhibit Nos. 639 & 649 were
14 received into evidence.)

15 CHAIRMAN LA ROSA: Are there any other
16 exhibits to move into the record?

17 Okay. All right. Well, Mr. Lukcic, thank you
18 for being with us today, and you are excused.

19 THE WITNESS: Thank you.

20 (Witness excused.)

21 CHAIRMAN LA ROSA: So I think we are good for
22 a lunch break. It is a few minutes before 12:00,
23 so let's say -- let's say 1:05 -- let's say 1:05 we
24 will reconvene here. Okay, great. Thanks.

25 (Lunch recess.)

1 (Transcript continues in sequence in Volume
2 7.)

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER


STATE OF FLORIDA)
COUNTY OF LEON)

I, DEBRA KRICK, Court Reporter, do hereby
certify that the foregoing proceeding was heard at the
time and place herein stated.

IT IS FURTHER CERTIFIED that I
stenographically reported the said videotaped
proceedings; that the same has been transcribed under my
direct supervision; and that this transcript constitutes
a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative,
employee, attorney or counsel of any of the parties, nor
am I a relative or employee of any of the parties'
attorney or counsel connected with the action, nor am I
financially interested in the action.

DATED this 30th day of September, 2024.


DEBRA R. KRICK
NOTARY PUBLIC
COMMISSION #HH575054
EXPIRES AUGUST 13, 2028