

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:  
DOCKET NO. 20240026-EI  
Petition for rate increase  
by Tampa Electric Company.

\_\_\_\_\_/\_\_\_\_\_  
DOCKET NO. 20230139-EI  
Petition for approval of 2023  
depreciation and dismantlement  
study, by Tampa Electric Company.

\_\_\_\_\_/\_\_\_\_\_  
DOCKET NO. 20230090-EI  
In re: Petition to implement 2024  
generation base rate adjustment  
provisions in paragraph 4 of the  
2021 stipulation and settlement  
agreement, by Tampa Electric Company.

VOLUME 17 - PAGES 3644 - 3831

PROCEEDINGS: HEARING

COMMISSIONERS  
PARTICIPATING: CHAIRMAN MIKE LA ROSA  
COMMISSIONER ART GRAHAM  
COMMISSIONER GARY F. CLARK  
COMMISSIONER ANDREW GILES FAY  
COMMISSIONER GABRIELLA PASSIDOMO

DATE: Friday, August 30, 2024

TIME: Commenced: 9:00 a.m.  
Concluded: 11:57 a.m.

PLACE: Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida

TRANSCRIBED BY: DEBRA R. KRICK  
Court Reporter and  
Notary Public in and for  
the State of Florida at Large

APPEARANCES: (As heretofore noted.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## I N D E X

WITNESS:	PAGE
JORDAN WILLIAMS	
Examination by Mr. Means	3649
Prefiled Direct Testimony inserted	3651
Prefiled Rebuttal Testimony inserted	3701
Examination by Mr. Watrous	3726
Examination by Mr. Marshall	3727
Examination by Mr. Moyle	3776
Examination by Mr. Wright	3792
Examination by Ms. Eaton	3799
Examinaiton by Mr. Sparks	3805
Further Examination by Mr. Means	3814

1	EXHIBITS		
2	NUMBER :	ID	ADMITTED
3	34	As identified in the CEL	3814
4	152	As identified in the CEL	3814
5	546-548	As identified in the CEL	3815
6	550	As identified in the CEL	3815
7	654	As identified in the CEL	3815
8	673-675	As identified in the CEL	3815
9	688-692	As identified in the CEL	3815
10	694-695	As identified in the CEL	3815
11	743	As identified in the CEL	3815
12	3-15	As identified in the CEL	3816
13	243	As identified in the CEL	3823
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 P R O C E E D I N G S

2 (Transcript follows in sequence from Volume  
3 16.)

4 CHAIRMAN LA ROSA: Good morning. All right.  
5 Today is Friday, August 30th. Hopefully,  
6 potentially our last day of hearing on this case.

7 Before we get started, I just want to thank  
8 everybody. I know it's been a long week. We  
9 started the week by me saying, hey, I would love  
10 for this to be a one-week hearing. It looks like  
11 we are going to get to that possibility today.

12 I know that we walk in this room and maybe we  
13 don't all have the same thoughts and beliefs, and  
14 maybe have some disagreements, but I think we have  
15 all handled ourselves very well. There has  
16 certainly been some contentious issues, but I  
17 appreciate everyone's professionalism in getting us  
18 to this point. So I am excited. It's been an  
19 honor to work with you guys this week, and let's  
20 just keep on continuing the good work as we move  
21 through this day. So thank you all for being here.

22 Hopefully the extra hour today was helpful. I  
23 noticed a little bit more of a buzz around the  
24 eight o'clock hour, right? So it's nice to be here  
25 at 9:00. Absolutely. Well, I certainly appreciate

1           it. I thought that was a good decision when I got  
2           rolling this morning.

3                     So let's jump back in. We have one witness  
4           remaining for TECO, and so I will start today by  
5           tossing it over to them to introduce their next  
6           witness.

7                     MR. MEANS: Thank you, Mr. Chairman. Tampa  
8           Electric calls Jordan Williams.

9                     CHAIRMAN LA ROSA: Mr. Williams, before you  
10          have a seat, just remain standing and we will  
11          administer the oath. You brought lots of documents  
12          with you today.

13                    THE WITNESS: I do a lot of work.

14                    CHAIRMAN LA ROSA: Yes, sir.

15                    Please raise your right hand when you are  
16          ready.

17          Whereupon,

18                                     JORDAN WILLIAMS

19          was called as a witness, having been first duly sworn to  
20          speak the truth, the whole truth, and nothing but the  
21          truth, was examined and testified as follows:

22                    THE WITNESS: I do.

23                    CHAIRMAN LA ROSA: Excellent. Thank you.

24                    TECO, it's back in your hands once you are all  
25          ready.

1

## EXAMINATION

2 BY MR. MEANS:

3 Q Good morning, Mr. Williams.

4 A Good morning.

5 Q Can you please state your full name for the  
6 record?

7 A Jordan Michael Williams.

8 Q And you were just sworn in, correct?

9 A I was.

10 Q Who is your current employer and what is your  
11 business address?12 A Tampa Electric Company, 702 North Franklin  
13 Street, Tampa, Florida 33602.14 Q Did you prepare and cause to be filed in this  
15 docket, on April 2nd, 2024, prepared direct testimony  
16 consisting of 49 pages?

17 A Yes, I did.

18 Q Did you prepare and cause to be filed in this  
19 docket, on July 2nd, 2024, prepared rebuttal testimony  
20 consisting of 22 pages?

21 A Yes, I did.

22 Q And did you prepare and cause to be filed  
23 Exhibit No. TEC-13, Supplemental MFRs for the 2026 and  
24 2027 Subsequent Year Adjustment Rate Design on May 23rd,  
25 2024?

1           A     Yes, I did.

2           Q     Do you have any additions or corrections to  
3 your prepared direct or rebuttal testimony?

4           A     No, I do not.

5           Q     If I were to ask you the questions contained  
6 in your prepared direct and rebuttal testimony today,  
7 would your answers be the same?

8           A     Yes, they would.

9                   MR. MEANS: Mr. Chairman, Tampa Electric  
10 requests that the prepared direct and rebuttal  
11 testimony of Mr. Williams be inserted into the  
12 record as though read.

13                   CHAIRMAN LA ROSA: Okay.

14                   (Whereupon, prefiled direct testimony of  
15 Jordan Williams was inserted.)

16

17

18

19

20

21

22

23

24

25

1                                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2   **PREPARED DIRECT TESTIMONY**

3   **OF**

4   **JORDAN WILLIAMS**

5  
6   **Q.**   Please state your name, address, occupation and employer.

7  
8   **A.**   My name is Jordan Williams. My business address is 702 North  
9           Franklin Street, Tampa, Florida 33602. I am employed by Tampa  
10          Electric Company ("Tampa Electric" or the "company") in the  
11          Regulatory Affairs Department as Director Pricing & Financial  
12          Analysis.

13  
14   **Q.**   Please describe your duties and responsibilities in that  
15          position.

16  
17   **A.**   My present responsibilities include regulatory oversight of  
18          Tampa Electric's Cost-of-Service Study ("COSS"), retail base  
19          rate design, tariff administration, Federal Open Access  
20          Tariff formula rate updates, state and federal policy and  
21          compliance; regulatory filings and representation at the  
22          Florida Public Service Commission ("FPSC" or "Commission")  
23          and the Federal Energy Regulatory Commission ("FERC")  
24          regarding rates; service programs; and compliance-related  
25          matters.



1 Q. Please provide a brief outline of your educational background  
2 and business experience.

3  
4 A. In 2011, I received a Bachelor of Arts in Economics and a  
5 Bachelor of Science in Business Administration from Florida  
6 Southern College. In 2014, I received a Master of Arts in  
7 Economics from the University of South Florida.

8  
9 I joined Tampa Electric in 2011 as an Energy Accounting and  
10 Billing Analyst. In 2014, I joined Tampa Electric's  
11 Regulatory Affairs Department as a Forecast Analyst. In 2020,  
12 I transitioned to another Emera Inc. affiliate named Peoples  
13 Gas System Inc., formerly Peoples Gas System, as Manager,  
14 Regulatory Rates. In 2022, I rejoined Tampa Electric's  
15 Regulatory Affairs Department as Senior Manager, Pricing &  
16 Financial Analysis. In 2023, I was promoted to my current  
17 role as Director, Pricing and Financial Analysis. Each of the  
18 roles that I have held has been tied directly to COSS or  
19 rates.

20  
21 **OVERVIEW**

22 Q. What are the purposes of your prepared direct testimony in  
23 this proceeding?

24  
25 A. The first purpose of my direct testimony is to present and

1 explain Tampa Electric's filed COSS and proposed base rates  
2 and service charges that will produce the company's  
3 jurisdictional revenue requirement increase of \$296.611  
4 million. I also explain Tampa Electric's proposed  
5 miscellaneous tariff changes and a proposed new program  
6 offering.

7  
8 **Q.** Did you prepare any exhibits in support of your prepared  
9 direct testimony?

10  
11 **A.** Yes. Exhibit No. JW-1 was prepared under my direction and  
12 supervision. My exhibit consists of:

13  
14 Document No. 1 List of Minimum Filing Requirements  
15 Schedules Sponsored or Co-Sponsored  
16 By Jordan Williams

17  
18 **Q.** Are Tampa Electric's Jurisdictional Separation Study and COSS  
19 provided as part of the company's Minimum Filing Requirement  
20 ("MFR") Schedules?

21  
22 **A.** Yes. I have provided both studies in MFR Schedule E. Due to  
23 their size, the Jurisdictional Separation Study and COSS were  
24 provided as separate volumes under MFR Schedule E,  
25 respectively as Volume I and Volume II. Volume II contains

1 Tampa Electric's COSS under present and proposed rates, fully  
2 implementing the Minimum Distribution System ("MDS") cost  
3 classification methodology and the Four Coincident Peak ("4  
4 CP") cost allocation methodology. Volume III contains the  
5 FPSC required COSS using a Twelve Coincident Peak and One-  
6 Thirteenth Average Demand ("12 CP and 1/13<sup>th</sup> AD") cost  
7 allocation methodology and excludes the implementation of  
8 MDS. The COSS for Lighting is provided in Volume IV.

9  
10 **Q.** What are the primary goals reflected in Tampa Electric's  
11 proposed COSS?

12  
13 **A.** The primary goals of Tampa Electric's proposed COSS were to  
14 implement agreed upon changes to the COSS model and to fairly  
15 allocate costs. Paragraph 6d of the 2021 Stipulation and  
16 Settlement Agreement ("2021 Agreement"), approved by the FPSC  
17 in Order No. PSC-2021-0423-S-EI, requires Tampa Electric to  
18 make three changes to its proposed COSS Model for this base  
19 rate proceeding. These are:

20 (1) For retail-related costs, implement a full MDS cost  
21 classification methodology.

22 (2) For retail-related costs, implement a 4 CP cost allocation  
23 methodology.

24 (3) Substantially and materially improve the position of all  
25 above-parity customer classes toward parity, such that costs

1 are allocated and revenue is collected consistent with 4 CP  
2 and full MDS methods.

3  
4 The proposed Cost-of-Service Study meets each of the  
5 requirements and fairly allocates costs.

6

7 **JURISDICTIONAL SEPARATION STUDY**

8 **Q.** What is a Jurisdictional Separation Study?

9

10 **A.** A Jurisdictional Separation Study allocates costs between  
11 Tampa Electric's wholesale and retail customers or  
12 jurisdictions. While all costs are allocated, the allocation  
13 of joint costs is the focal point of the study. Joint or  
14 common costs are costs that are incurred to serve multiple  
15 customers at the same time. An example of a common cost is a  
16 generating plant that provides power to the aggregate load  
17 requirements of all customers served by the company's power  
18 system. The joint costs of the generating plant are recorded  
19 in the company's books and records in total, and the  
20 Jurisdictional Separation Study allocates the joint costs  
21 between retail and wholesale customers. Only the costs  
22 associated with retail customers are applicable in this  
23 proceeding.

24

25 The Jurisdictional Separation Study allocates revenue, rate

1 base, and operating expense items, whether jointly or  
2 specifically assigned to a single jurisdiction, to derive the  
3 company's retail jurisdiction cost of service for the test  
4 period. Costs are first functionalized, then classified, and  
5 finally allocated between wholesale and retail jurisdictions.  
6 These allocations utilize electric loads and other factors  
7 that best represent each jurisdiction's cost responsibility  
8 to achieve this purpose. A detailed description of how costs  
9 are functionalized, classified, and allocated is provided  
10 below. The overall methodology is the same in both the  
11 Jurisdictional Separation Study and the Retail COSS, which I  
12 will discuss later.

13  
14 **Q.** Why is it necessary to prepare a Jurisdictional Separation  
15 Study for Tampa Electric?

16  
17 **A.** Since early 1991, the company has provided wholesale power  
18 sales and transmission service to some wholesale power  
19 purchasers in Florida at rates that are under the jurisdiction  
20 of the FERC. Although the company operates in two regulatory  
21 jurisdictions, its investments, revenue, and expenses are  
22 maintained on a total company basis in accordance with the  
23 Uniform System of Accounts prescribed by the FERC and the  
24 FPSC. The Jurisdictional Separation Study is designed to  
25 assign or allocate total system costs to each jurisdiction

1 for reporting purposes.

2

3 **Q.** Is the Jurisdictional Separation Study provided in this  
4 proceeding consistent with Tampa Electric's previous  
5 Commission filings and industry practice?

6

7 **A.** Yes. The company provided a Jurisdictional Separation Study  
8 in its last base rate proceeding, in Docket 20210034-EI, that  
9 led to an approved methodology by the FPSC. The approved  
10 methodology has been used to produce separation factors for  
11 Tampa Electric's annual projected surveillance reports and is  
12 used in MFRs for this proceeding.

13

14 **Q.** What were the major steps followed in performing the  
15 Jurisdictional Separation Study?

16

17 **A.** There are several steps. First, the company's accounting cost  
18 information provided by FERC account, shown in the MFR  
19 Schedules B, C, and D, is adjusted for the 2025 test period.  
20 The accounts are then functionalized into production,  
21 transmission, distribution, and general functions. The  
22 functionalized accounts are then classified into demand,  
23 energy, or customer cost components. After classification,  
24 the cost components are allocated between the retail and  
25 wholesale jurisdictions using allocation factors. For the

1 Jurisdictional Separation Study, the allocation factors are  
2 predominantly based on demand data during the time of the  
3 company's projected system monthly peak loads, although other  
4 factors are used that directly allocate certain costs to the  
5 specific jurisdiction for which the costs are incurred. In  
6 addition, other metrics such as energy sales and number of  
7 customers are used in the allocation process.

8  
9 **Q.** Are any wholesale power sales customers included in the 2025  
10 test year?

11  
12 **A.** No. Currently, and as forecasted for the 2025 test year, Tampa  
13 Electric is not providing long-term firm requirements  
14 electric power service to any wholesale customers.

15  
16 **Q.** Does Tampa Electric currently provide transmission service to  
17 other Open Access Transmission Tariff ("OATT") customers?

18  
19 **A.** Yes. Tampa Electric is providing long-term firm transmission  
20 service in the test year under the company's OATT to Seminole  
21 Electric Cooperative, Inc. and Duke Energy Florida, LLC.

22  
23 **Q.** Please summarize the results of the Jurisdictional Separation  
24 Study.

25

1 **A.** In 2025, Tampa Electric's retail business represents the vast  
2 majority of the electric service provided by the company. As  
3 the results show in Volume I, Jurisdictional Separation  
4 Study, the retail business is responsible for 100 percent of  
5 production and distribution plant and 93.52 percent of  
6 transmission plant.

7

8 **COST OF SERVICE STUDY**

9 **Q.** What is a Cost-of-Service Study?

10

11 **A.** The COSS is an extension of the Jurisdictional Separation  
12 Study. The COSS applies to the company's retail costs, which  
13 are derived from Tampa Electric's Jurisdictional Separation  
14 Study. The COSS allocates and assigns costs to individual  
15 retail rate classes. These rate classes represent relatively  
16 homogeneous groups of customers having similar service  
17 requirements and usage characteristics. Allocations of costs  
18 to each rate class are based upon the results of a detailed  
19 cost analysis. The study provides class rates of return at  
20 present and proposed rates, class revenue surplus or  
21 deficiency from full cost of service, and functional unit  
22 cost information for use in rate design. Thus, the study  
23 serves as an important guide in determining the revenue  
24 requirement by rate class, as well as the specific charges  
25 for each rate schedule.



1 Q. What retail rate classes were used in the preparation of the  
2 Cost-of-Service Study?

3

4 A. Tampa Electric is not proposing any changes to its current  
5 rate class structure. Tampa Electric's current standard,  
6 time-of-day, and standby rate schedules are grouped under  
7 these major retail categories:

8 (1) Residential Service (RS)

9 (2) General Service - Non-Demand (GS)

10 (3) General Service - Demand (GSD)

11 (4) General Service - Large Demand - Primary (GSLDPR)

12 (5) General Service - Large Demand - Subtransmission (GSLDSU)

13 (6) Lighting Energy

14 (7) Lighting Facilities

15

16 Q. Why are Lighting rate classes separated by Lighting Energy  
17 and Lighting Facilities?

18

19 A. Dividing Lighting into two rate classes, Lighting Energy  
20 (power production and delivery) and Lighting Facilities  
21 (fixtures and associated items), provides better unit cost  
22 information for designing energy and facilities rates. The  
23 two services are distinct and are not always provided as a  
24 bundled service by Tampa Electric.

25

1 Q. After establishing the rate classes, what were the next steps  
2 in the Cost-of-Service Study process?

3

4 A. Similar to the Jurisdictional Separation Study, the  
5 development of a COSS consists of three major steps:

6 (1) Functionalization

7 (2) Classification

8 (3) Allocation

9

10 Q. How were Tampa Electric's retail costs functionalized?

11

12 A. Tampa Electric's costs were functionalized in accordance with  
13 the Uniform System of Accounts. Costs are categorized into  
14 the broad functions of production, transmission,  
15 distribution, and general. The distribution costs were  
16 further functionalized to the primary voltage level and the  
17 secondary voltage level.

18

19 Q. How were these functionalized costs then classified?

20

21 A. Tampa Electric's power system costs were classified into  
22 three cost-related components:

23 (1) Demand

24 (2) Energy

25 (3) Customer

1 Demand cost is a function of the capacity of plant, which in  
2 turn depends on the maximum kW for power demanded by  
3 customers. Demand cost occurs in each of the production,  
4 transmission, and distribution levels of the system. Energy  
5 cost occurs in the production level, and it is a function of  
6 the volume of kWh consumed by customers over time. Customer  
7 costs, however, are independent of kW and kWh usage. Customer  
8 costs generally vary with the number of customers on the  
9 system. Customer costs refer to the costs incurred by Tampa  
10 Electric to provide a customer with access to its system and  
11 include metering, service lines, a portion of the system known  
12 as the Minimum Distribution System, along with customer  
13 billing and certain administrative costs.

14  
15 The classification of demand, energy, and customer cost  
16 components is based on the principle of cost causation.

17  
18 **Q.** Are all of the company's production plant facilities  
19 classified as demand-related in the COSS?

20  
21 **A.** No. There are portions of two production facilities that are  
22 classified as energy-related for purposes of allocating the  
23 FPSC jurisdictional component of these facilities on an  
24 energy basis. These facilities consist of the gasifier train  
25 equipment ("gasifier") for Polk Unit 1 and the flue gas

1 desulfurization, or scrubber, portion of the environmental  
2 equipment for Big Bend Unit 4.

3  
4 Polk 1 is an Integrated Gasified Combined Cycle ("IGCC") plant  
5 which has two main sections: (1) the power block, which  
6 produces electric power by means of gas turbines and heat  
7 recovery steam generators and (2) the gasifier, which  
8 converts feedstock coal into combustible gas. The gasifier  
9 performs a fuel conversion function that is completely  
10 associated with the provision of fuel to the unit and not the  
11 supply of capacity. The classification of the gasifier as an  
12 energy-related cost component was applied and approved in  
13 Tampa Electric's last four COSS.

14  
15 The classification of the Big Bend Unit 4 scrubber as energy-  
16 related was applied and approved in the company's last five  
17 COSS. This treatment remains appropriate because the main  
18 purpose of the plant investment is related to energy output.  
19 Since the decision to classify the scrubber investment as  
20 energy-related, additional scrubber and Selective Catalytic  
21 Reduction ("SCR") investments made by the company have been  
22 recovered through the Environmental Cost Recovery Clause  
23 ("ECRC") where they have been classified and allocated on an  
24 energy basis.

25

1 It should be noted that, for purposes of the Jurisdictional  
2 Separation Study, all production plant facilities are  
3 classified as demand-related, which is consistent with prior  
4 jurisdictional separation practices.

5  
6 **Q.** What cost items were classified as customer-related?

7  
8 **A.** As noted previously, customer-related costs are independent  
9 of kW and kWh consumption. They include the basic costs of  
10 service lines, meters, meter reading, billing, customer  
11 information and a portion of the primary and secondary voltage  
12 distribution system known as the Minimum Distribution System,  
13 or MDS. As agreed upon in the 2021 Agreement, Tampa Electric  
14 fully implemented MDS in its proposed COSS.

15  
16 **Q.** Please describe what is meant by a Minimum Distribution System  
17 ("MDS")?

18  
19 **A.** MDS represents the readiness to serve a customer, not the  
20 capacity needed to meet a customer's peak demand  
21 requirements. MDS is only about providing an appropriate  
22 utilization voltage at the point at which a customer connects  
23 to the distribution system, and costs are incurred to provide  
24 a customer with such access. The readiness to serve costs are  
25 independent of how much electricity a customer consumes;

1           thus, MDS costs are classified as customer-related cost  
2           components. MDS does not represent the costs of capacity  
3           necessary to meet a customer's peak load requirements, which  
4           would be classified as demand-related cost components. An MDS  
5           study separates the costs of distribution facilities into  
6           their respective customer-related and demand-related  
7           components on the basis of cost causation.

8  
9   **Q.**   How is a Minimum Distribution System Study performed?

10  
11 **A.**   Quantifying the costs of MDS is accomplished by evaluating  
12       the cost causation aspects of all distribution system  
13       equipment and facilities, including the primary and secondary  
14       lines, line transformers, and other distribution line  
15       equipment. This approach requires an understanding of the  
16       functional application of each distribution item. In so  
17       doing, some items are found to be related directly to peak  
18       load requirements (100 percent demand-related), some items  
19       are found to be independent of peak load requirements (100  
20       percent customer-related), and other items are found to be  
21       functionally associated with both readiness to serve and  
22       capacity.

23  
24       The costs of items having attributes of both customer-related  
25       and demand-related functions must be analyzed in order to


1 separate the total item costs into these two cost components.  
2 These items include overhead line equipment, underground line  
3 equipment, poles, transformers, and other associated  
4 equipment.

5  
6 The underlying methodology of MDS is described as either the  
7 Minimum-Size Method or the Minimum-Intercept Method in the  
8 National Association of Regulatory Utility Commissioners'  
9 ("NARUC") Electric Utility Cost Allocation Manual. The  
10 Minimum-Intercept Method is also referred to as the Zero-  
11 Intercept Method.

12  
13 To accomplish this cost separation, Tampa Electric applies a  
14 zero-intercept cost analysis for each of these distribution  
15 items. The zero-intercept method is a linear regression  
16 analysis that relates a distribution item's unit costs  
17 (dependent variable) to its associated capacity values  
18 (independent variable). The regression formula includes  
19 weights (*i.e.*, the number of transformers for each kVa size)  
20 since the count of the assets may vary by size and are not a  
21 uniform distribution.

22  
23 An example of a regression analysis is illustrated below for  
24 overhead transformers.

25



10 The y-axis intercept defines the per unit customer-related  
11 cost. In the example, the y-axis intercept is at (0, 2,233.4),  
12 meaning the per unit customer-related cost is \$2,233.40. From  
13 this example, the per unit customer cost would be multiplied  
14 by the total number of overhead transformers; the result would  
15 be classified as customer-related costs. The difference  
16 between the total cost of overhead transformers and the  
17 customer-related costs of overhead transformers represents  
18 the demand-related costs of overhead transformers. The  
19 resulting customer-related costs and demand-related costs are  
20 represented as percentages, which are then applied to the  
21 embedded plant account total for overhead transformers to  
22 determine the embedded customer-related and demand-related  
23 cost components to be used in the COSS.

24  
25 Separate regression analyses were conducted on overhead



1 transformers, underground transformers and for primary and  
2 secondary overhead conductors, underground conductors, and  
3 distribution poles to separate the total costs of these items  
4 into their respective customer and demand components.

5  
6 **Q.** Please summarize the resultant classifications of  
7 distribution facilities that were derived under the MDS  
8 concept.

9  
10 **A.** Below, the MDS results are summarized by voltage level and  
11 cost component.

<u>FERC Account</u>	<u>Voltage Level</u>	<u>Customer</u>	<u>Demand</u>
364 Poles	Secondary	57%	43%
	Primary	54%	46%
365 OH Lines	Secondary	73%	27%
	Primary	43%	57%
366/367 UG Lines	Secondary	16%	84%
	Primary	47%	53%
368 Transformers	Secondary	65%	35%
	Primary	72%	28%

12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23 Supporting workpapers for the MDS analysis are provided in  
24 MFR Schedule E - Rate Schedules, Class Cost-of-Service  
25 Studies, Volume II.

1 Q. How were the MDS study results incorporated in the COSS?

2

3 A. As agreed upon in the 2021 Agreement, Tampa Electric fully  
4 implemented and incorporated the results of the MDS study  
5 into the COSS. This means the distribution costs deemed  
6 customer-related as a result of the MDS study were aggregated  
7 with customer-related costs like meter reading, billing, and  
8 customer services. The aggregated customer-related costs were  
9 used to derive Tampa Electric's proposed fixed daily customer  
10 charges.

11

12 Q. Aside from MDS-related equipment and facilities, how are the  
13 other distribution system equipment and facilities  
14 classified?

15

16 A. Distribution assets that are classified as 100 percent  
17 demand-related costs include voltage regulators and  
18 capacitors. This equipment is installed on the primary  
19 voltage lines and is utilized to maintain circuit voltages  
20 within an acceptable operating range during heavy loading  
21 conditions. If there was no load current flowing on the  
22 energized system, line voltage would not sag, and voltage  
23 regulation equipment would not be required. Thus, these  
24 devices are classified as demand-related costs.

25

1 Distribution assets that are independent of load are  
2 classified as 100 percent customer-related costs. These  
3 assets include reclosers, sectionalizers, and fused cutouts.  
4 The aforementioned equipment is installed on the primary  
5 voltage lines and functions together to provide distribution  
6 system protection under fault (short circuit) conditions.  
7 These devices work in a coordinated fashion to isolate a fault  
8 location and maintain a voltage connection to as many  
9 customers as possible during the fault event. Without their  
10 intended intervention during a fault, line conductors and  
11 equipment would be damaged from the fault current flows that  
12 occur and many, if not all, customers on the affected circuit  
13 could experience a major power outage. The protection  
14 equipment functions the same with or without load connected  
15 to the energized circuit because it responds to the severe  
16 overcurrent situation caused by a fault, which is why these  
17 assets are classified as customer-related costs.

18  
19 In addition, arresters are installed on primary lines to abate  
20 damaging overvoltage conditions that occur during electrical  
21 storms. These arresters function the same with or without  
22 load connected to the circuit, which is why they are  
23 classified as customer-related costs.

24  
25 While cutouts and arresters are utilized for line protection,

1 they are also applied to provide protection from overcurrent  
2 and overvoltage conditions for specific equipment, e.g., each  
3 overhead transformer. Cutouts and arresters used for this  
4 purpose are classified in the same manner as the assets they  
5 protect.

6  
7 **Q.** After costs were functionalized and classified, how were they  
8 allocated?

9  
10 **A.** After determining the functionalization and classification of  
11 costs based upon causation principles, the methodologies for  
12 cost apportionment to classes were determined by Tampa  
13 Electric. The resulting methodologies produce allocation  
14 factors, which were then used to apportion the demand, energy,  
15 and customer cost responsibilities to the rate classes. The  
16 derivation of the allocation factors used in the 2025 COSS  
17 are shown in MFR Schedule E-10.

18  
19 **Q.** What are the primary considerations when allocating demand  
20 costs?

21  
22 **A.** The primary considerations in allocating demand costs include  
23 (1) customers' demand usage characteristics and their related  
24 responsibility for system coincident peaks ("CP") and non-  
25 coincident peaks ("NCP"); (2) the design and configuration of

1 production, transmission, and distribution facilities; and  
2 (3) unique customer service or reliability requirements and  
3 system operating data. These considerations provide guidance  
4 in determining what components should be used to derive the  
5 demand allocation factors for each of the functional levels  
6 of the power system. Coincident peak demands, non-coincident  
7 peak demands, customer peak (maximum) demands, and  
8 percentages of energy have been used to best represent those  
9 considerations.

10  
11 **Q.** Please explain CP, NCP, and customer peak demand.

12  
13 **A.** CP demand reflects the contribution to the total system  
14 monthly peak demand for each of the rate classes. For example,  
15 at the hour of the system peak in a particular month, the CP  
16 demand for the residential class would be that class's  
17 proportion of that hour's system peak demand.

18  
19 NCP demand reflects the monthly peak demand of a rate class  
20 on its own, regardless of when the system peak occurs. For  
21 example, while the system may peak in the late afternoon, a  
22 class may peak during a nighttime hour. The class NCP would  
23 then be its demand during the nighttime hour.

24  
25 For each rate class, the customer peak demand is the maximum

1 aggregation of all individual customers' monthly maximum  
2 demands, regardless of when they occur.

3  
4 Each of these different measures of demand captures the unique  
5 load diversity characteristics of customers' usage throughout  
6 the power system. To produce a cost-causation based  
7 allocation of the cost elements at each functional level of  
8 the system, these different measurements of demand are  
9 applied objectively in accordance with the load diversity  
10 characteristics exhibited at each of those levels. The CP  
11 demand reflects a high load diversity, which is prevalent at  
12 the generators and the transmission voltage portion of the  
13 system. The NCP demand reflects a medium load diversity, which  
14 is prevalent at the primary distribution voltage level. The  
15 customer peak demand reflects a low load diversity, which is  
16 prevalent at the secondary distribution voltage level.

17  
18 **Q.** Please describe the company's proposed cost allocation  
19 methodology for its demand-related production facilities  
20 costs.

21  
22 **A.** As agreed upon in the 2021 Agreement, Tampa Electric proposes  
23 to use a 4 CP methodology to allocate the demand-related  
24 production costs. The proposed 4 CP methodology allocates  
25 costs to rate classes based on the rate classes' projected

1 average contribution to the system peak during the test year  
2 period months of January, June, July, and August. The selected  
3 months were agreed upon in the 2021 Agreement. The derivation  
4 of the 4 CP allocation methodology, alongside the other  
5 allocation factors, is in MFR Schedule E-10.

6  
7 **Q.** Please describe the company's proposed cost allocation  
8 methodology for its demand-related transmission facilities  
9 costs.

10  
11 **A.** As agreed upon in the 2021 Agreement, Tampa Electric proposes  
12 to use a 4 CP methodology to allocate the demand-related  
13 transmission costs. The proposed 4 CP methodology allocates  
14 costs to rate classes based on the rate classes' projected  
15 average contribution to the system peak during the test year  
16 period months of January, June, July, and August. The selected  
17 months were agreed upon in the 2021 Agreement. The derivation  
18 of the 4 CP allocation methodology, alongside the other  
19 allocation factors, is in MFR Schedule E-10.

20  
21 **Q.** Please explain why Tampa Electric is proposing that its  
22 demand-related production and demand-related transmission  
23 costs be allocated to rate classes using a 4 CP methodology.

24  
25 **A.** First, as I previously mentioned, use of the 4 CP methodology

1 was a requirement of the 2021 Agreement. Second, the 4 CP  
2 methodology is an accepted cost allocation methodology for  
3 several reasons. The parties to the 2021 Agreement identified  
4 some of these reasons in response to Staff's data requests in  
5 Tampa Electric's last base rate case. These included:

6 (1) The 4 CP methodology reflects cost causation in relation  
7 to Tampa Electric's peak demands. Tampa Electric's peaks are  
8 primarily a function of energy consumption associated with  
9 weather. There is a strong correlation between weather and  
10 residential and small commercial energy consumption. When it  
11 is hot, those rate classes tend to consume more energy through  
12 cooling, and when it is cold, those rate classes tend to  
13 consume more energy through heating. Tampa Electric's large  
14 commercial and industrial customers tend to be high load  
15 factor customers and are not as strongly correlated with  
16 weather, so their energy consumption stays fairly consistent  
17 throughout the year. Since the residential and small  
18 commercial rate classes are highly correlated with weather,  
19 they are the rate classes that cause Tampa Electric's peaks,  
20 so they are allocated costs based on cost causation.

21 (2) Tampa Electric's transition away from large, baseload,  
22 coal-fired generating units to cleaner generating resources  
23 like solar has diminished the importance of shoulder months  
24 for operational planning and cost attribution purposes.

25 (3) The 4 CP methodology can serve as a catalyst for economic



1 development, as it could make manufacturers and other large  
2 employers in Tampa Electric's service area more competitive  
3 than competing regions.

4  
5 **Q.** Please describe the company's proposed cost allocation  
6 methodology for demand-related distribution costs.

7  
8 **A.** Tampa Electric proposes to allocate demand-related  
9 distribution costs in the same manner as in the company's  
10 previous rate proceeding in Docket No. 20210034-EI. This  
11 allocation relies on a mixture of rate class NCP and customer  
12 maximum demands.

13  
14 **Q.** Please provide a summary of Tampa Electric's proposed COSS in  
15 this proceeding.

16  
17 **A.** In accordance with the 2021 Agreement, Tampa Electric  
18 successfully modified its Cost-of-Service Model to:

- 19 (1) Use the full MDS classification methodology  
20 (2) Use the 4 CP allocation methodology  
21 (3) Substantially and materially improve the position of all  
22 above-parity customer classes toward parity

23  
24 **BASE REVENUE AND SERVICE CHARGES**

25 **Q.** Did Tampa Electric prepare a forecast of base revenues from

1 the sale of electricity for 2025? If so, how was the forecast  
2 of base revenue derived?

3

4 **A.** Yes. The 2025 base revenue from the sale of electricity  
5 forecast for present and proposed rates is summarized in MFR  
6 Schedule E-8 and calculated in detail in MFR Schedules E-13c  
7 and E-13d. I applied the rates currently in effect to the  
8 forecasted billing determinants that I received from Tampa  
9 Electric witness Lori Cifuentes to derive projected total  
10 annual base revenues for the 2025 test year.

11

12 **Q.** What is the projected retail billed electric revenue for 2025?

13

14 **A.** The projected retail billed electric revenue shown in MFR  
15 Schedule E-8 for 2025 is \$1,480,725,000 under present rates  
16 and \$1,774,352,000 under proposed rates, an increase of  
17 \$293,627,000.

18

19 **Q.** Did Tampa Electric prepare a forecast of service charge  
20 revenues? If so, how was the forecast of service charge  
21 revenues derived?

22

23 **A.** Yes. The 2025 projected service charge revenues for present  
24 and proposed rates are presented in MFR Schedule E-13b. Tampa  
25 Electric conducted a Time-and-Motion Study to determine the

1 costs associated with Service Charges which are presented in  
2 MFR Schedule E-7. Tampa Electric is proposing a gradual  
3 increase to its current service charges, shown in MFR Schedule  
4 E-13b. MFR Schedule E-8 shows an increase of \$2,976,000 in  
5 service charge-related revenues.  
6

7 **Q.** What changes are being proposed to the company's service  
8 charges?  
9

10 **A.** Tampa Electric is only proposing to change the charge amount  
11 for its service charges. The company is not proposing to add  
12 or remove any service offerings.  
13

14 **Q.** What is the total amount of additional base revenue from the  
15 sale of electricity and service charges that are produced by  
16 the company's proposed rate design?  
17

18 **A.** Including unbilled revenue, MFR Schedule E-8 demonstrates the  
19 total increase is \$296.611 million, which is equivalent to  
20 MFR Schedule A-1.  
21

22 **RATE DESIGN PROPOSED CHANGE**

23 **Q.** What are good ratemaking practices?  
24

25 **A.** James C. Bonbright is one of the most, if not the most,

1 respected names in utility ratemaking; he is the author of  
2 Principles of Public Utility Rates, which laid the foundation  
3 for public utility pricing theories, policies, and the  
4 economic concepts supporting rate design. Bonbright's  
5 principles for rates are summarized as:

6  
7 Rates should have the attributes of simplicity,  
8 understandability, public acceptability, and stability. Rate  
9 design should effectively yield the total revenue  
10 requirements and the apportionment of costs should be fair to  
11 avoid any undue discrimination. Additionally, rate design  
12 should promote the efficient use of energy.

13  
14 **Q.** Is Tampa Electric proposing to make any changes to its current  
15 rate schedule structure?

16  
17 **A.** Yes. Tampa Electric proposes changing the company's Time-of-  
18 Day periods for each of its optional Time-of-Day rate  
19 schedules. Tampa Electric is proposing to add a Super Off-  
20 Peak period and to remove the seasonality of its Time-of-Day  
21 periods. Tampa Electric proposes changing its Time-of-Day  
22 periods from:

1	<b><u>Peak Hours:</u></b>	<b><u>April 1 - October 31</u></b>	<b><u>November 1 - March 31</u></b>
2	(Monday- Friday)	12:00 Noon - 9:00 PM	6:00 AM - 10:00 AM
3			and
4			6:00 PM - 10:00 PM
5			
6	<b><u>Off-Peak Hours:</u></b>	All other weekday hours, and all hours on	
7		Saturdays, Sundays, New Year's Day, Memorial	
8		Day, Independence Day, Labor Day, Thanksgiving	
9		Day and Christmas Day shall be off-peak.	
10	to:		
11			
12	<b><u>Category</u></b>	<b><u>January 1 - December 31</u></b>	<b><u>Days of the Week</u></b>
13	Super Off-Peak	10:00 AM - 5:00 PM	Monday - Sunday
14			
15	Off-Peak	12:00 AM - 6:00 AM	Monday - Friday
16		and	
17		9:00 PM - 12:00 AM	
18			
19	Off-Peak	12:00 AM - 10:00 AM	Saturday - Sunday
20		and	and
21		5:00 PM - 12:00 AM	Defined Holidays
22			
23	Peak	6:00 AM - 10:00 AM	Monday - Friday
24		and	
25		5:00 PM - 9:00 PM	

1 Defined Holidays: New Year's Day, Memorial Day, Independence Day,  
2 Labor Day, Thanksgiving Day and Christmas Day.

3  
4 **Q.** Why is Tampa Electric changing the company's Time-of-Day  
5 periods to add a Super Off-Peak period?

6  
7 **A.** Tampa Electric has not changed the time periods for the  
8 optional Time-of-Day rate schedules since the 1980s. With the  
9 company's recent and continued investment in renewable  
10 generation assets, Tampa Electric's hourly cost profile has  
11 changed. Tampa Electric is proposing this new structure to  
12 better align with the company's hourly cost profile.

13  
14 **Q.** How did Tampa Electric derive its proposed base rates for its  
15 optional Time-of-Day rate schedules?

16  
17 **A.** Tampa Electric used a marginal cost methodology to help  
18 determine its time periods and the rate differentials. Tampa  
19 Electric ensured that the rates were revenue neutral to 2024  
20 base rates. Tampa Electric then applied the rate  
21 differentials and scaled the 2024 revenue neutral rates to  
22 2025 requirements based upon the company's projected billing  
23 determinants and projected revenue requirement during the  
24 test year. This means that the average customer on a Time-  
25 of-Day rate schedule would not experience an increase or

1 decrease to their bill because of the time-period change; the  
2 increase to a customer's bill is a function of Tampa  
3 Electric's need to increase base rates.

4  
5 **Q.** Does the proposed change align with Bonbright's principles  
6 for rates?

7  
8 **A.** Yes. Tampa Electric recognizes there are seasonal components  
9 to its peaks. However, Tampa Electric is proposing to  
10 eliminate the seasonal change in its pricing periods to  
11 achieve simplicity and understandability. Tampa Electric  
12 believes that removing the seasonal time-period change makes  
13 it easier for customers to set their operations without the  
14 need to alter their operation schedule due to the month of  
15 the year. The rate structure change was designed with revenue  
16 neutrality in mind, meaning neutral bills should equate to  
17 public acceptance and stability. Fairness and cost  
18 apportionment are demonstrated in Tampa Electric's COSS.  
19 Revenue recovery is demonstrated in MFR Schedule E-13c.  
20 Additionally, by design, Time-of-Day rate structures promote  
21 the efficient use of energy by incentivizing customers to  
22 consume energy at times when it is cost-effective to do so.  
23 It also provides customers the opportunity to change their  
24 behavior to reduce their bills.

25

1 Q. Is Tampa Electric proposing any other changes to the company's  
2 rate schedule structure?

3  
4 A. No.

5  
6 **PROPOSED (TARGET) CLASS REVENUES**

7 Q. Please describe the procedure used to determine what portion  
8 of the company's proposed (target) base rate increase was  
9 assigned to each rate class.

10  
11 A. The basis for determining the proposed (target) base rate  
12 revenue increase to be assigned to each rate class is the  
13 company's proposed COSS, which has been provided under MFR  
14 Schedule E Vol II. The first step in the procedure is the  
15 determination of the company's revenue deficiency. From  
16 there, service charge revenues and other operating revenues  
17 are applied to offset the base rate revenue deficiency. The  
18 company proposes to collect the remaining balance via base  
19 rate increases and is produced out of the company's proposed  
20 COSS. As described earlier in my testimony, the proposed COSS  
21 assigns and allocates costs to each rate class based on a  
22 detailed analysis of cost causation. I then attempted to meet  
23 each rate class's targeted class revenue by adjusting the  
24 rate schedules' base rates.

25



1 Q. Is Tampa Electric proposing any changes to the company's LS-  
2 1 base rates?

3  
4 A. No.

5  
6 Q. Was Tampa Electric able to design proposed rates for each  
7 rate class to produce each class's targeted revenues and  
8 reflect the requested increase?

9  
10 A. Yes. MFR Schedule E-5 summarizes the targeted revenues by  
11 rate class. MFR Schedule E-8 reflects that rate setting is  
12 consistent with Tampa Electric's revenue deficiency shown in  
13 MFR Schedule A-1.

14  
15 Q. As required by the 2021 Agreement, did Tampa Electric  
16 substantially and materially improve the position of all  
17 above-parity customer classes toward parity, such that costs  
18 are allocated and revenue is collected consistent with 4 CP  
19 and full MDS methods?

20  
21 A. Yes. Tampa Electric's proposed COSS fully implemented MDS and  
22 used the agreed upon 4 CP allocation methodology.  
23 Additionally, MFR Schedule E-8 demonstrates all above-parity  
24 customer classes were substantially and materially moved  
25 towards parity.

1 Q. What is meant by parity?

2

3 A. "Parity" is the comparison of the rate of return of a class  
4 to the system average rate of return. The term is used  
5 interchangeably with the term "rate of return index." Since  
6 parity is calculated by dividing the rate of return for a  
7 particular class by the system average rate of return, a class  
8 with parity of 100 percent would be earning the same rate of  
9 return as the system average, and a class with parity below  
10 100 percent would be earning less than the system average.  
11 Parity is useful when determining the development of class  
12 revenue targets associated with the proposed base rate  
13 revenue increase. As reflected in MFR Schedule E-8, each rate  
14 class is reasonably close to parity. An index ratio of 1.00  
15 indicates rates are set exactly on the cost of service. A  
16 ratio of less than 1.00 indicates that class is served below  
17 cost, and a class ratio of more than 1.00 indicates that class  
18 is served above cost.

19

20 Q. Why is each rate class's parity not equal to 1.00 under the  
21 proposed rate designs?

22

23 A. Tampa Electric's COSS indicates its Lighting rate classes are  
24 earning above the system rate of return and should therefore  
25 be entitled to a revenue reduction. The Commission has

1 previously provided guidance that no class should receive a  
2 decrease. To adhere to this guidance, Tampa Electric proposes  
3 to keep Lighting's target class revenue flat, which will  
4 substantially and materially improve Lighting's parity  
5 position. However, without a decrease to Lighting's class  
6 revenue, a parity of 1.00 is not achievable at this time. The  
7 revenue reduction the COSS indicated for Lighting was spread  
8 to other rate classes.

9  
10 **Q.** Where can the company's proposed rate design be viewed in  
11 greater detail?

12  
13 **A.** MFR Schedule E-13a shows proposed base rate increases  
14 wholistically. MFR Schedule E-13c shows proposed base rate  
15 increases at the granular rate structure and rate schedule  
16 level. MFR Schedule E-13d shows proposed lighting facilities  
17 base revenue increases at the granular rate code level. MFR  
18 Schedule E-13b shows proposed service charges revenue  
19 increases.

20  
21 **Q.** Where can bill impacts of the proposed base revenue increases  
22 be viewed?

23  
24 **A.** The typical monthly bill impacts can be viewed in MFR Schedule  
25 A-2. The base rate differentials can be viewed in MFR Schedule

1 A-3.

2

3 **Q.** How do Tampa Electric's proposed rates impact the typical  
4 residential bill?

5

6 **A.** MFR Schedule A-2 reflects the proposed increase, assuming the  
7 clause and mechanism rates in effect on January 1, 2024, to  
8 the typical 1,000 kWh residential bill. The proposed increase  
9 is 12.2 percent. However, referring to the FPSC's March 2024  
10 data comparing typical bills, Tampa Electric would still have  
11 the 2<sup>nd</sup> lowest typical residential bill amongst the Investor-  
12 Owned Utilities ("IOU") in Florida and our 2025 typical  
13 residential bill will be slightly lower than in 2023.

14

15

**Florida Investor-Owned Electric Utilities Total Cost for 1,000 Kilowatt Hours - Residential Service**

**March 2024**

16

17

18

19

20

21

22

23

24

25

	Florida Power & Light Co.	Florida Power & Light Company (former Gulf Power)	Duke Energy Florida <sup>(1)</sup>	Tampa Electric Company <sup>(2)</sup>	Florida Public Utilities Company
Base Rate Charges	\$80.72	\$80.72	\$83.91	\$107.01	\$40.68
Fuel and Purchased Power Cost Recovery Clause	\$34.19	\$34.19	\$49.47	\$35.36	\$102.59
Energy Conservation Cost Recovery Clause	\$1.24	\$1.24	\$3.30	\$2.15	\$1.44
Environmental Cost Recovery Clause	\$3.32	\$3.32	\$0.46	\$0.89	N/A
Capacity Cost Recovery Clause	\$1.70	\$1.70	\$9.46	\$0.62	N/A
Storm Damage Cost Surcharge	\$6.65	\$6.65	\$5.09	\$0.00	\$12.80
Storm Protection Plan Cost Recovery	\$5.57	\$5.57	\$5.10	\$6.58	\$4.32
Asset Securitization Charge	N/A	N/A	\$2.36	N/A	N/A
Transition Rider/Credit	-\$1.19	\$12.64	N/A	N/A	N/A
Clean Energy Transition Mechanism	N/A	N/A	N/A	\$4.30	N/A
Gross Receipts Tax and Regulatory Assessment Fee	\$3.49	\$3.86	\$4.20	\$4.02	\$4.15
<b>Total</b>	<b><u>\$135.69</u></b>	<b><u>\$149.89</u></b>	<b><u>\$163.35</u></b>	<b><u>\$160.93</u></b>	<b><u>\$165.98</u></b>

(1) Duke's 2024 base rates for December - February bill is \$92.08; for the March - November bill is \$81.19. Weighted average: ((92.08x3)+(81.19x9))/12 = \$83.91

(2) Proposed 2025 base rates with 2024 clause rates

1 Q. How do Tampa Electric's proposed rates impact the typical  
2 small commercial bill?

3

4 A. For a 1,200 kWh typical bill, the proposed increase, assuming  
5 the clause and mechanism rates in effect on January 1, 2024,  
6 will be \$0.23 or 0.1 percent; Tampa Electric's proposed  
7 typical small commercial bill will be about 10% lower than in  
8 2023. Below shows a comparison to other IOUs in Florida.

9

10

Florida Investor-Owned Electric Utilities Sample Bill Calculations - Commercial and Industrial Service														
Effective March 1, 2024														
Utility/Rate Class	kW	kWh	Base Rate Charge	Fuel and Purchased Power Charge	Energy Conservation Charge	Environmental Cost Recovery Charge	Capacity Cost Recovery Charge	Storm Cost Restoration Surcharge	Storm Protection Plan Charge	Asset Securitization Charge (DEF)	Transition Rider/Credit (FPL)	Clean Energy Transition Mechanism (TECO)	Gross Receipts Tax and Regulatory Assessment Fee	Total
<b>Florida Power &amp; Light (FPL)</b>														
GS-1	-	1,200	\$100	\$45	\$1	\$4	\$2	\$ 7	\$6	N/A	(\$1)	N/A	\$4	\$167
<b>FPL Northwest FL (Formerly Gulf Power)</b>														
GS-1	-	1,200	\$100	\$45	\$1	\$4	\$2	\$7	\$0	N/A	\$17	N/A	\$5	\$180
<b>Duke Energy Florida (DEF)</b>														
GS-1*	-	1,200	\$104	\$63	\$3	\$1	\$10	\$ 5	\$6	\$2	N/A	N/A	\$5	\$200
<b>Tampa Electric Company (TECO) <sup>(1)</sup></b>														
GS	-	1,200	\$120	\$46	\$2	\$1	\$1	\$ -	\$9	N/A	N/A	\$5	\$5	\$189
<b>Florida Public Utilities Company (FPUC)</b>														
GS	-	1,200	\$63	\$128	\$2	N/A	N/A	\$17	N/A	N/A	N/A	N/A	\$5	\$215
Gross Receipts Tax for FPL and DEF includes Regulatory Assessment Fee. For TECO and FPUC, Regulatory Assessment Fee is included in base rates and clauses.														
*Closed to new customers as of 1/1/22														
(1) Tampa Electric proposed 2025 rates														

18

19

20

**CREDITS**

21

Q. Is Tampa Electric proposing to change the company's standby  
22 generator credit, commercial demand response credit, or the  
23 Contracted Credit Value?

24

25

A. No.

1 **MISCELLANEOUS PROPOSED TARIFF CHANGES**

2 **Q.** Is Tampa Electric proposing to make any miscellaneous tariff  
3 changes?

4  
5 **A.** Yes. Tampa Electric is proposing to make several changes to  
6 its tariff to provide additional clarity and to make it easier  
7 for customers to do business with us, when and how they want  
8 to.

9  
10 **Q.** Why is Tampa Electric proposing to change the company's tariff  
11 language regarding general liability?

12  
13 **A.** Tampa Electric is proposing to provide greater clarity  
14 regarding customer responsibilities and company  
15 responsibilities.

16  
17 **Q.** Why is Tampa Electric proposing to change the company's tariff  
18 language regarding the company's Budget Billing program?

19  
20 **A.** Tampa Electric's current Budget Billing program is backward-  
21 looking, meaning a participant's monthly payment is based on  
22 historical consumption and rates. As a result, the program  
23 works well when a participant's consumption and the company's  
24 rates remain relatively stable. Changes in consumption or the  
25 company's rates, however, can result in high deferred

1 balances. In recent years, fuel price volatility, storm  
2 restoration costs, and base rate adjustments have caused  
3 problems for the backward-looking program. In this  
4 proceeding, Tampa Electric proposes changes to the Budget  
5 Billing program to allow the company to make adjustments to  
6 a customer's monthly payment to reflect any known changes in  
7 either consumption or rates, such as a change in fuel charges  
8 or changes at the customer's premise (e.g., pool installation  
9 or electric vehicle installation). The company will perform  
10 periodic reviews quarterly. The proposed changes will help  
11 smooth out any increases or decreases to the predetermined  
12 and company-calculated monthly payment amounts, and thereby  
13 enhance bill stability, which is the reason for the program's  
14 existence.

15  
16 **Q.** Why is Tampa Electric proposing to change the company's tariff  
17 language regarding the company's Economic Development Rider?

18  
19 **A.** Tampa Electric wants to remain competitive in attracting new  
20 business to its service area. The company recognizes,  
21 however, that companies are becoming more efficient in their  
22 electric consumption and labor usage. As a result, Tampa  
23 Electric proposes lowering the kW and labor thresholds for  
24 eligibility for the Rider, while providing a dollar  
25 investment threshold gives Tampa Electric opportunity to

1 compete for business for the betterment of the local economy  
2 and customers that Tampa Electric serves.

3  
4 **Q.** Why is Tampa Electric proposing to change the company's tariff  
5 language regarding Contribution in Aid of Construction  
6 ("CIAC")?

7  
8 **A.** Tampa Electric has historically collected CIAC prior to  
9 commencing construction, a practice which protects the  
10 general body of rate payers from the risk of nonpayment. In  
11 some circumstances, however, it is not practical or possible  
12 to collect upfront payment. This is usually the case for  
13 governmental customers, who also generally have a lower risk  
14 of nonpayment. In fact, requiring governmental customers to  
15 pay CIAC upfront can sometimes be harmful. In one instance,  
16 a governmental customer had to pay over \$15,000 a month to  
17 manually pump residential septic systems because the  
18 governmental payment processing schedule did not align with  
19 Tampa Electric's tariff requirements. In another instance,  
20 Tampa Electric almost lost a large governmental Lighting  
21 contract because of the need to collect payment upfront, which  
22 did not align with the customer's standard way of doing  
23 business. To address these and similar situations, Tampa  
24 Electric proposes a modification to its tariff that would  
25 allow customers to enter into alternative payment



1 arrangements for Contributions in Aid of Construction. This  
2 would make it easier for customers to do business with Tampa  
3 Electric.

4  
5 If this tariff change is approved, the company would put  
6 procedures in place to monitor and mitigate risk associated  
7 with alternative payment arrangements to the general body of  
8 ratepayers. First, the company will establish a four-Director  
9 committee to review any requests for alternative payment  
10 arrangements, with great emphasis being placed on customers  
11 who are able to provide a purchase order. A purchase order  
12 mitigates risk because it is a legally binding offer by the  
13 Government to buy supplies or services. Second, the company  
14 will generate a monthly report monitoring outstanding  
15 payments that will be reviewed by the Directors and by  
16 assigned team members. These team members will be tasked with  
17 ensuring any outstanding Contribution in Aid of Construction  
18 payments are collected.

19  
20 **Q.** Why is Tampa Electric proposing to change the company's tariff  
21 language regarding deposits?

22  
23 **A.** Tampa Electric would like the authority to refund deposits  
24 back to agencies which may have paid the required deposit for  
25 a customer. Under Tampa Electric's current tariff, deposits

1 are to be refunded to customers. However, there are instances  
2 when an agency pays the deposit for a customer. When the  
3 customer moves out, the agency would like that money back  
4 rather than the deposit being refunded directly to the  
5 customer.

6  
7 **Q.** Why is Tampa Electric requesting changes to the Bright Choices  
8 Outdoor Lighting Agreement?

9  
10 **A.** Tampa Electric is requesting to correct a clerical error. The  
11 Bright Choices Outdoor Lighting Agreement was intended to be  
12 available for LS-1 and LS-2 rate schedules. Tampa Electric is  
13 requesting to allow the company to fill in the blank with  
14 either "LS-1" or "LS-2", based on the type of assets the  
15 customer desires.

16  
17 **Q.** Why is Tampa Electric requesting changes to its LS-2 Monthly  
18 Rental Factors?

19  
20 **A.** Tampa Electric's LS-2 customized lighting tariff opened to  
21 customers in 2022. The LS-2 tariff currently requires  
22 customers to sign a 20-year agreement. The monthly charge is  
23 derived from the In Place Value of the customer specific  
24 lighting facilities being multiplied by a monthly rate (or  
25 "rental factor"). The current monthly rental factor is

1 created using the net present value of an asset over a 20-  
2 year period, meaning the value of the asset will be recovered  
3 through the charge over a 20-year period. Over the last two  
4 years of offering LS-2 service, the company has learned that  
5 customers are interested in more flexibility regarding the  
6 term of the agreement. To address this customer preference,  
7 Tampa Electric is proposing to modify the tariff to allow the  
8 company and the customer to agree on terms between 1 and 25  
9 years, rather than the current, static 20-year period. The  
10 proposed Rental Factor matrix has rental factors from 1 to 25  
11 years. The model's outputs are consistent with how a 20-year  
12 fixed charge rate is determined; the monthly rental factor is  
13 simply calculated for each other term-year length as well.  
14 Increasing the term length range does not create additional  
15 risk for the general body of rate payers as the rental factors  
16 are designed to recover the costs of the asset over the term  
17 length. Tampa Electric's Early Termination Fee further  
18 protects the general body of rate payers by charging  
19 participating customers for the remaining balance of the  
20 asset should they choose to end the agreement early.

21  
22 **Q.** Why is Tampa Electric proposing to change its LS-1 wattage  
23 variance from +/- ten percent to +/- twenty-five percent?  
24

25 **A.** LED technology is continuing to develop, and the manufactured

1 products continue to become more efficient, reducing the  
2 wattage while increasing the lumen output. This rapid  
3 development, coupled with lack of standardization, becomes an  
4 obstacle when calculating the energy consumption of  
5 interchangeable fixtures. Tampa Electric attempted to  
6 minimize the impact to customers by incorporating a +/- ten  
7 percent variance into the wattage used in calculating the  
8 monthly energy consumption of each fixture for billing  
9 purposes. This range has proven to be too narrow, which is  
10 why Tampa Electric is requesting a +/- twenty-five percent  
11 variance.

12  
13 **Q.** Why is Tampa Electric proposing to change its tariff language  
14 regarding the Standard Offer Contract?

15  
16 **A.** Tampa Electric is proposing to align the Standard Offer  
17 Contract with its proposed Time of Day periods.

18  
19 **Q.** Why is Tampa Electric proposing to change its tariff language  
20 regarding Vaults?

21  
22 **A.** Tampa Electric is planning to streamline its current process.  
23 Tampa Electric's tariff requires a separate vault contract  
24 that offers the same protections as the tariff. Tampa Electric  
25 believes this to be unnecessary as the tariff is a contract

1 between the company and its customers. Therefore, Tampa  
2 Electric is requesting to do away with a separate vault  
3 agreement.

4  
5 **PROPOSED NEW PROGRAM OFFERINGS**

6 **Q.** Is Tampa Electric proposing any new programs?  
7

8 **A.** Yes. Tampa Electric is proposing a senior citizen low-income  
9 program ("Senior Care Program").  
10

11 **Q.** What is the proposed Senior Care Program?  
12

13 **A.** The Senior Care Program is a proposed program that offers a  
14 fixed \$10 monthly bill credit to Tampa Electric's low-income  
15 customers sixty-five and older.  
16

17 **Q.** How does someone qualify for the proposed Senior Care Program?  
18

19 **A.** To qualify for the proposed Senior Care Program, a Tampa  
20 Electric customer of record must provide a copy of their State  
21 of Florida Agency of Healthcare Administration's Medicaid  
22 Program enrollment letter ("Medicaid Eligibility Letter"), or  
23 an alternative form of proof of enrollment acceptable to the  
24 company, and proof of their date of birth. Since Medicaid is  
25 only open to low-income Florida residents, enrollment in

1 Medicaid serves as proof of low-income status. Using the  
2 Medicaid Eligibility Letter and Medicaid income thresholds as  
3 eligibility criteria for the Senior Care Program avoids the  
4 need for Tampa Electric to income-qualify customers in-house.  
5 Tampa Electric can use its existing Doc Upload system to  
6 receive Medicaid enrollment letters and proof of birthdate,  
7 if necessary.

8  
9 **Q.** Why is the company proposing that a customer must be 65 years  
10 old or older to qualify?

11  
12 **A.** Tampa Electric needed an accurate metric for the potentially  
13 eligible population to forecast the number of potential  
14 participants and design the program. U.S. Census Bureau data  
15 is available for the percentage of the population in  
16 Hillsborough County that is 65 years old or older. Other  
17 senior citizen age data was not available; therefore, Tampa  
18 Electric is proposing the minimum age requirement be 65 as  
19 Tampa Electric is reliant upon available data for  
20 projections.

21  
22 **Q.** How did Tampa Electric forecast the number of customers who  
23 would be eligible for the program?

24  
25 **A.** Tampa Electric used the company's test-year projected

1 residential customers multiplied by the percentage of people  
2 in Hillsborough County who receive Medicaid multiplied by the  
3 percentage of people in Hillsborough County who are 65 years  
4 or older. Tampa Electric used the best available data from  
5 FLHealthCharts for Medicaid data and the U.S. Census Bureau  
6 for senior citizen data.

7  
8 **Q.** How is Tampa Electric proposing to fund the Senior Care  
9 Program?

10  
11 **A.** Tampa Electric is proposing to fund the program via base  
12 rates. MFR Schedule E-13c demonstrates the proposed program  
13 funding.

14  
15 **SUMMARY**

16 **Q.** Please summarize your prepared direct testimony.

17  
18 **A.** In line with the cost-of-service goals previously stated, the  
19 company successfully modified the COSS model to fully  
20 implement MDS and 4 CP, alongside moving all-above parity  
21 rate classes substantially and materially closer to parity.  
22 This resulted in fair and practical results to support the  
23 rate design process.

24  
25 The support for, and design of, the proposed rates in the

1 case as presented in the MFRs and proposed tariffs meets the  
2 company's primary goals. The proposed rate design aligns with  
3 Bonbright's principles for rates.

4  
5 The proposed changes to Tampa Electric's tariff offer greater  
6 clarity and flexibility to customers.

7  
8 **Q.** Does this conclude your prepared direct testimony?

9  
10 **A.** Yes it does.

11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



1                   (Whereupon, prefiled rebuttal testimony of  
2   Jordan Williams was inserted.)

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



**TECO**<sup>®</sup>  
**TAMPA ELECTRIC**  
AN EMERA COMPANY

**BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION**

**DOCKET NO. 20240026-EI**

**PETITION FOR RATE INCREASE  
BY TAMPA ELECTRIC COMPANY**

**REBUTTAL TESTIMONY AND EXHIBIT  
OF  
JORDAN WILLIAMS**

TAMPA ELECTRIC COMPANY  
DOCKET NO. 20240026-EI  
FILED: 07/02/2024

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

REBUTTAL TESTIMONY

OF

JORDAN WILLIAMS

1  
2  
3  
4  
5  
6 Q. Please state your name, address, occupation and employer.

7  
8 A. My name is Jordan Williams. My business address is 702  
9 North Franklin Street, Tampa, Florida 33602. I am employed  
10 by Tampa Electric Company ("Tampa Electric" or the  
11 "company") as Director Pricing & Financial Analysis.

12  
13 Q. Are you the same Jordan Williams who filed direct  
14 testimony in this proceeding?

15  
16 A. Yes.

17  
18 Q. Have your title and duties and responsibilities changed  
19 since the company filed your prepared direct testimony on  
20 April 2, 2024?

21  
22 A. No.

23  
24 Q. What are the purposes of your rebuttal testimony?  
25

1     **A.**    My rebuttal testimony serves four general purposes.  
2  
3     First, I will respond to the direct testimony of Jeff  
4     Pollock, filed on behalf of the Florida Industrial Power  
5     Users Group ("FIPUG"), and his recommendations regarding:  
6     (1) cost allocation for the company's Production Tax  
7     Credits ("PTC"), the Polk Unit 1 gasifier, and Big Bend  
8     scrubbers; (2) his proposed class revenue allocation; (3)  
9     the company's proposal to eliminate seasonal rates; and  
10    (4) the company's Super Off Peak Time-of-Day rate.  
11  
12    Second, I will comment on proposals in the direct  
13    testimony of Michael Gorman, filed on behalf of the  
14    Federal Executive Agencies ("FEA"), to increase the  
15    demand charge and decrease the energy charge for customers  
16    on the company's GSLDTPR rate schedule.  
17  
18    Third, I will address some misconceptions and  
19    mischaracterizations regarding Tampa Electric's  
20    residential rates and bills contained in the direct  
21    testimony of Mackenzie Marcelin, filed on behalf of  
22    Florida Rising and the League of United Latin American  
23    Citizens ("LULAC").  
24  
25    Finally, I will respond to the direct testimony of Karl  
   Rábago, filed on behalf of Florida Rising and LULAC,

1 including (1) his assertion that the company's initial  
2 service connection charge is too high; and (2) his  
3 comments on Tampa Electric's residential rates and bills.  
4

5 **Q.** Have you prepared an exhibit supporting your rebuttal  
6 testimony?  
7

8 **A.** Yes. Rebuttal Exhibit No. JW-2, entitled "Rebuttal  
9 Exhibit of Jordan Williams", was prepared by me or under  
10 my direction and supervision. The contents of this  
11 rebuttal exhibit were derived from the business records  
12 of the company and are true and correct to the best of my  
13 information and belief. My rebuttal exhibit consists of  
14 the following eight documents:  
15

- |    |                |                                     |
|----|----------------|-------------------------------------|
| 16 | Document No. 1 | TECO_TOD_Workpapers Marginal Energy |
| 17 |                | Costs                               |
| 18 | Document No. 2 | 2024 Ten Year Site Plan Marginal    |
| 19 |                | Energy Costs                        |
| 20 | Document No. 3 | GSLDTPR Demand Percentage           |
| 21 | Document No. 4 | EIA Home Heating Source             |
| 22 | Document No. 5 | EIA Whole Home Energy Costs         |
| 23 | Document No. 6 | EIA State Data                      |
| 24 | Document No. 7 | Energy Burden Chart                 |
| 25 | Document No. 8 | Composite Notice                    |

1 **I. TAMPA ELECTRIC CORRECTLY ALLOCATED THE PTC, THE POLK**  
2 **UNIT 1 GASIFIER COST, AND THE BIG BEND UNIT 4 SCRUBBER**  
3 **COST**

4 **Q.** Mr. Pollock argues that PTC should be allocated on an  
5 energy basis because they are earned on megawatt-hours  
6 ("MWh") generated by the company's solar facilities. Do  
7 you agree with this proposed allocation?

8  
9 **A.** No. Allocating the benefits of the PTC solely on an energy  
10 basis does not align with the company's proposed  
11 allocation of costs of the solar assets that produce the  
12 PTC. This is best illustrated using an example based on  
13 Tampa Electric's proposed Cost of Service Model. If the  
14 PTC were allocated solely based on energy consumption  
15 through that model, the residential rate class would pay  
16 for 59.84 percent of the costs of Tampa Electric's solar  
17 assets, yet only receive 50.46 percent of the PTC benefit  
18 as a reduction to the residential rate class's revenue  
19 requirement. Additionally, allocating the PTC on an  
20 energy-only basis provides incentives to rate classes  
21 that consume energy even when solar assets are not  
22 producing energy at night.

23  
24 **Q.** Mr. Pollock also asserts that allocating PTC on an energy  
25 basis better reflects cost causation. Do you agree with

1           this position?

2

3   **A.**   No. Allocating the PTC solely on an energy basis would  
4           provide unwarranted credit to rate classes that consume  
5           energy at night, when solar assets are not producing  
6           energy.

7

8   **Q.**   Mr. Pollock argues that the Polk Unit 1 gasifier and the  
9           Big Bend Unit 4 scrubber should be allocated on a demand  
10          basis because they are necessary components for those  
11          units to operate. Do you agree with this proposed  
12          allocation?

13

14   **A.**   No. This is not a new argument. Mr. Pollock has made this  
15          same argument since Tampa Electric's 2008 rate case; this  
16          can be seen on page 85 of Order No. PSC-09-0283-FOF-EI in  
17          Docket No. 20080317-EI. In his direct testimony in that  
18          rate case, Mr. Pollock argued that "the entire plant  
19          (including the gasifier) is needed to meet projected peak  
20          load growth..." With respect to the Big Bend scrubbers,  
21          Mr. Pollock similarly argued that they were necessary for  
22          the Big Bend units to operate.

23

24           In Order No. PSC-09-0283-FOF-EI, the Commission rejected  
25           these arguments and stated: "We agree with TECO that the

1 Polk Unit 1 gasifier and the Big Bend Units 3 and 4  
2 scrubber should be classified as energy, as opposed to  
3 demand, and thus allocated to the rate classes on an  
4 energy basis." The Commission observed that scrubber  
5 units at Big Bend were classified as energy-related as  
6 far back as the company's 1992 rate case and that  
7 scrubbers allowed the company to burn lower cost varieties  
8 of coal, "thereby reducing fuel costs which are allocated  
9 on an energy basis." Similarly, the Commission found that  
10 the gasifier "performs a fuel conversion function,  
11 converting solid coal into gas," making it "appropriate  
12 to allocate the cost of the gasifier on an energy  
13 basis..."

14  
15 Mr. Pollock's arguments here are effectively the same as  
16 they were in 2008. On page 24 of his testimony, he argues  
17 that "a generator needs all pieces to deliver firm  
18 capacity and energy" and therefore all plant components  
19 should be allocated in the same manner. Since Mr. Pollock  
20 has not identified any new or different rationales for  
21 changing the Commission's long-standing allocation, I  
22 recommend that the Commission reject his proposed  
23 allocation.

24  
25 Q. Do you agree with Mr. Pollock's proposed class revenue



1 allocation that incorporates these proposed changes?

2

3 **A.** No. Classifying the Polk Unit 1 gasifier and the Big Bend  
4 scrubbers as demand-related conflicts with the purpose of  
5 the assets, so they should continue to be treated as  
6 energy-related. Additionally, I do not agree with  
7 allocating the PTC solely on an energy-basis, especially  
8 if the allocator is using total energy rather than  
9 daylight energy consumed.

10

11 **II. TAMPA ELECTRIC'S PROPOSED ELIMINATION OF SEASONAL RATES**  
12 **AND CREATION OF A SUPER OFF-PEAK PERIOD ARE REASONABLE,**  
13 **APPROPRIATE, AND SHOULD BE APPROVED**

14 **Q.** Mr. Pollock asserts that Tampa Electric's proposed  
15 elimination of seasonal rates runs contrary to the four  
16 coincident peak method of allocating costs. Do you agree  
17 with this assessment?

18

19 **A.** No. The elimination of seasonal rates does not run  
20 contrary to the four coincident peak ("4 CP") method of  
21 allocating costs. Tampa Electric used the 4 CP method to  
22 allocate production-demand and transmission costs to each  
23 rate class as approved in Docket No. 20210034-EI, Order  
24 No. PSC-2021-0423-S-EI on November 10, 2021 ("2021  
25 Stipulation and Settlement Agreement"). Tampa Electric is

1 simply proposing a different way of collecting such costs  
2 via an optional rate. To say that the elimination of  
3 seasonality from an optional rate is contrary to 4 CP is  
4 equivalent to saying that all of Tampa Electric's standard  
5 rates, which have no seasonal component, are contrary to  
6 4 CP. I do not believe all of Tampa Electric's Commission-  
7 approved standard rates are contrary to 4 CP.

8  
9 Tampa Electric's current Time-of-Day rate time periods  
10 were established in the 1980s, long before Tampa Electric  
11 proposed to allocate production-demand and transmission  
12 costs on a four coincident peak basis. Tampa Electric is  
13 attempting to make this optional rate easier for  
14 customers' operations and to incentivize customers to  
15 consume energy when it is cheaper, on average, for Tampa  
16 Electric to produce. This will, in turn, provide customers  
17 with the opportunity to reduce their electric bills.

18  
19 **Q.** Do you agree with Mr. Pollock's assessment that  
20 eliminating seasonal rates would not create simplicity  
21 for customers, but would instead "force customers to  
22 change long-established operating practices" and create  
23 "drastic operational changes"?

24  
25 **A.** No. While it is true that Tampa Electric's current Time-

1 of-Day time periods were established more than four  
2 decades ago, customers will only need to reset their  
3 operations once to reflect the new time periods, instead  
4 of adjusting them seasonally. Tampa Electric's proposal  
5 will therefore immediately create simplicity for its  
6 customers. In short, customers will no longer need to  
7 worry about what month of the year it is, but instead can  
8 set their operations based on specific hours for the  
9 entirety of the year and for years to come. Furthermore,  
10 Tampa Electric's business and industrial customers taking  
11 service under an optional Time-of-Day rate are generally  
12 high load factor customers, meaning their energy  
13 consumption level does not vary substantially, relative  
14 to their demand, over time. Mr. Pollock's  
15 characterization of the necessary operational changes to  
16 accommodate the new time periods as being "drastic" may  
17 be hyperbolic.

18  
19 **Q.** Do you agree with Mr. Pollock's analysis showing that  
20 "marginal energy costs are not consistently low" during  
21 the proposed Super Off-Peak period?

22  
23 **A.** No. Mr. Pollock presents a heat map of the average  
24 marginal cost by hour within each month but fails to show  
25 the average marginal energy cost over the course of a

1 year. While Mr. Pollock is correct that there are hourly  
2 variations in marginal pricing, Tampa Electric is not  
3 proposing real-time pricing or different rates for each  
4 day and/or hour of the year in this rate case. Instead,  
5 Tampa Electric is proposing three Time-of-Day time  
6 periods; the proposed Super Off-Peak period has an average  
7 marginal energy cost that is cheaper than the proposed  
8 Off-Peak and Peak periods over the course of a year. Tampa  
9 Electric's proposed cheaper rate during the Super Off-  
10 Peak period will incentivize customers to consume energy  
11 when it is cheaper, on average, for Tampa Electric to  
12 produce.

13  
14 **Q.** Mr. Pollock claims that Tampa Electric's changes to the  
15 time of use period are premature. Do you agree that the  
16 changes are premature?

17  
18 **A.** No. They are overdue. Rebuttal Exhibit JW-2, Document No.  
19 1 demonstrates Tampa Electric's average marginal energy  
20 cost during the middle of the day, Tampa Electric's  
21 proposed Super Off-Peak time period, is cheaper than the  
22 other proposed time periods. Document No. 2 of my rebuttal  
23 exhibit reinforces this concept by using Tampa Electric's  
24 most recent 8760 projection of marginal energy costs which  
25 were used for Tampa Electric's most recent 2024 Ten Year

1 Site Plan. When Tampa Electric was solely reliant upon  
2 fossil fuel generation, the marginal energy costs during  
3 the middle of the day were not cheaper. However, the  
4 company's generation mix has changed, and is continuing  
5 to change, which is why Tampa Electric is proposing to  
6 implement new time periods that better align with Tampa  
7 Electric's current generation mix and costs.

8  
9 **III. TAMPA ELECTRIC'S GSLDPR DEMAND AND ENERGY CHARGES ARE**  
10 **REASONABLE AND APPROPRIATE**

11 **Q.** Mr. Gorman asserts that the proposed demand charge for  
12 the company's GSLDPR rate schedule should be increased,  
13 and the energy charge should be decreased. Do you support  
14 this recommended change?

15  
16 **A.** No. Mr. Gorman is correct in that Tampa Electric's Cost  
17 of Service Study's unit costs for GSLDPR does demonstrate  
18 a higher demand charge than what Tampa Electric proposed.  
19 However, Rebuttal Exhibit JW-2, Document No. 3 shows that  
20 Tampa Electric's proposed demand-to-energy charge ratio  
21 is close to what FEA agreed to and what the Commission  
22 approved in the 2021 Stipulation and Settlement  
23 Agreement. Additionally, I do not support the GSLDPR  
24 energy charge being lower than it is today, which is what  
25 would happen if I used the unit cost.

1 **IV. FLORIDA RISING AND LULAC'S "AVERAGE BILL" ANALYSIS IS**  
2 **INACCURATE AND MISLEADING**

3 **Q.** Mr. Marcelin presents an analysis of Tampa Electric's  
4 "average residential bill" and makes several comparisons  
5 of that bill to other utilities. Are there any issues  
6 with his analysis?

7  
8 **A.** Yes. There are several.

9  
10 First, Mr. Marcelin's presented data is not current and  
11 does not represent whole home energy needs. Mr. Marcelin  
12 fails to acknowledge that electricity is the dominant  
13 source for heating, cooling, and appliances in Florida;  
14 this is not the case for many other states with large  
15 amounts of natural gas, heating oil, and/or propane  
16 consumption.

17  
18 Rebuttal Exhibit JW-2, Document No. 4 demonstrates  
19 electricity is the dominant source for heating in Florida.  
20 Electricity is consumed for 90.2 percent of residential  
21 heating in Florida. The next closest state is South  
22 Carolina with electricity consumption representing 71.1  
23 percent of home heating consumption. This information  
24 further demonstrates that Mr. Marcelin simply pointing to  
25 Tampa Electric bills compared to electric utilities in

1 other states is an unfair comparison. Electric bills in  
2 Florida are primarily higher than other states because  
3 electric consumption in Florida is higher than other  
4 states.

5  
6 There is a limited amount of state-by-state consumption  
7 data available regarding heating oil and propane  
8 consumption, so I cannot provide an analysis including  
9 those two energy sources. However, I compiled data for  
10 electric and natural gas consumption to provide a better  
11 indication of whole-home energy needs than what Mr.  
12 Marcelin has provided. The most recent Energy Information  
13 Administration data, as provided in Rebuttal Exhibit JW-  
14 2, Document No. 5, demonstrates whole-home energy costs  
15 in Florida are fairly inexpensive relative to the rest of  
16 the country, with Florida ranking 35<sup>th</sup> cheapest in the  
17 United States. This means that even when considering only  
18 electricity and natural gas usage, the total energy bill  
19 for residents of Florida is less than 34 of the other  
20 states' residents.

21  
22 Second, Mr. Marcelin fails to properly address the weather  
23 disparity between Florida and numerous other states.  
24 Tampa Electric's service area has experienced record  
25 breaking heat over the past few years, which caused higher

1 consumption. A comparison of what Mr. Marcelin is  
2 considering to be an "average bill" between Tampa Electric  
3 and utilities in other states is an unfair comparison  
4 because Tampa Electric's "high bills" are a function of  
5 (1) higher consumption due to weather and (2) electricity  
6 in Florida being the dominant source for cooling, heating,  
7 and appliance needs and not Tampa Electric's rates.

8  
9 Third, a better comparison approach, provided in Rebuttal  
10 Exhibit JW-2, Document No. 6, is to look at the  
11 residential all-in price per kilo Watt hour ("kWh"). Based  
12 on the Energy Information Administration's Electric Power  
13 Monthly data by state for residential customers, with  
14 Tampa Electric's most recent fuel projection and assuming  
15 1,000 kWh of usage, the company's proposed residential  
16 price is 15.14 cents per kWh. This puts Tampa Electric's  
17 price per residential kWh as being less than 22 other  
18 states and less than the national average of 16.68 cents  
19 per kWh. Even if I make the same comparison using the  
20 proposed residential price per kWh that was provided in  
21 MFR Schedule A-2, which assumed Tampa Electric's higher-  
22 than-current January 2024 fuel rate, Tampa Electric's  
23 proposed residential price per kWh is less than the  
24 national average and less than 19 other states.



1 In short, Mr. Marcelin's analysis is misleading.

2

3 **V. TAMPA ELECTRIC'S PROPOSED SERVICE CONNECTION CHARGES ARE**  
4 **REASONABLE AND APPROPRIATE**

5 **Q.** Do you agree with Mr. Rábago's assessment that the  
6 company's proposed service connection charge is too high?

7

8 **A.** No. MFR Schedules E-7 and E-13b demonstrate that Tampa  
9 Electric's proposed service connection fee is already  
10 significantly below Tampa Electric's actual cost to  
11 provide that service. Tampa Electric is proposing a charge  
12 of \$168.00 while its unit cost to perform such a service  
13 is \$330.73. The updated unit cost is based on a detailed  
14 Time-and-Motion Study of the actual cost to establish the  
15 connection. Tampa Electric is proposing a service  
16 connection charge below the unit cost to employ  
17 gradualism.

18

19 **VI. TAMPA ELECTRIC'S PROPOSED RESIDENTIAL BILLS ARE**  
20 **REASONABLE**

21 **Q.** Mr. Rábago and Mr. Marcelin both raise concerns related  
22 to affordability for customers. What is your assessment  
23 of the affordability of Tampa Electric bills?

24

25 **A.** First, Tampa Electric empathizes with customers that find

1 it difficult to pay their bills. Tampa Electric employs  
2 cost-control and efficiency efforts throughout its  
3 business, but we are not immune from the inflationary  
4 environment, and we incur costs to serve our customers.  
5 Tampa Electric remains committed to providing safe and  
6 reliable electric service to its customers in a prudent  
7 and cost-effective manner.

8  
9 Second, it is difficult to assess whether a good or  
10 service is "affordable." As an economist, I can state  
11 that there is no universally accepted metric for  
12 "affordability." Instead, affordability is often a  
13 relative term. Two customers may have the same income,  
14 but each customer will have a different perspective on  
15 what is "affordable" based on their circumstances and  
16 choices. One customer may have numerous children, a lot  
17 of student debt, and family members that they are  
18 assisting financially. Their definition of an  
19 "affordable" electric bill will be very different than  
20 someone who has the same income but does not have the  
21 same financial obligations as they do.

22  
23 To the extent "affordability" can be defined and tracked,  
24 it is dependent on multiple factors beyond the control of  
25 Tampa Electric and the company's customers, including

1 fuel prices; storm restoration costs; inflation in  
2 pricing for necessary utility equipment like  
3 transformers; the prices of services like healthcare and  
4 insurance; and labor cost increases.

5  
6 Mr. Rábago and Mr. Marcelin refer to the "outsized  
7 electric bills and energy burdens faced by TECO's  
8 residential customers" and the "extraordinary energy  
9 burden TECO is proposing to place on [residential  
10 customers]," respectively, but they do not identify any  
11 facts that would support these characterizations of Tampa  
12 Electric's bills. As a result, I performed my own analysis  
13 of the energy burdens faced by Tampa Electric's low-income  
14 residential customers.

15  
16 **Q.** Please explain your analysis.

17  
18 **A.** I began my analysis by defining the term "energy burden"  
19 and identifying when an energy burden is considered  
20 "high." The Department of Energy defines energy burden as  
21 "the percentage of gross household income spent on energy  
22 costs." The Department of Energy then states, "A household  
23 with 6% or greater energy burden is considered to be a  
24 high energy burden household." These statements can be  
25 found at <https://www.energy.gov/scep/low-income-energy->

1           affordability-data-lead-tool-and-community-energy-  
2           solutions.

3  
4           To determine a threshold for which customers would be  
5           considered "low income," I used the eligibility standard  
6           for the Low-Income Home Energy Assistance Program  
7           ("LIHEAP"), which is a federally funded program that helps  
8           income-qualified families with home heating and cooling  
9           costs. Households with income no greater than 60 percent  
10          of the Florida State Median Income are eligible for the  
11          program. Hillsborough County, which constitutes the large  
12          majority of Tampa Electric's service area, follows this  
13          same guideline to determine LIHEAP eligibility.

14  
15          Using these criteria, I compared the threshold level of  
16          household income for what LIHEAP would consider a low-  
17          income two person household over the last 21 years and  
18          for the 2025 test year relative to a Tampa Electric 1,000  
19          kWh residential bill. I used a 1,000 kWh bill because  
20          that is what is generally used for comparison and is close  
21          to the average. The 2025 test year average use per  
22          residential service customer is 1,113 kWh per month. Mr.  
23          Rábago also indicates that low-income households consume  
24          less than higher income households, so 1,000 kWh per month  
25          seemed reasonable from that perspective. I also assumed

1           there are two working adults per household. The results  
2           of this analysis are presented in Rebuttal Exhibit JW-2,  
3           Document No. 7.

4  
5           **Q.**    What does your analysis show?

6  
7           **A.**    My analysis shows that Tampa Electric's historical and  
8           proposed bills are not "outsized" or "ridiculous" as Mr.  
9           Rabago and Mr. Marcelin claim. In fact, Tampa Electric's  
10          historical and proposed residential bills result in an  
11          energy burden well below the six percent defined level of  
12          a "high energy burden" at LIHEAP's low-income threshold  
13          and have had a downward linear trend over time. In the  
14          2025 test year, the energy burden at the LIHEAP low-income  
15          threshold for a two person household is 4.54 percent. Mr.  
16          Rábago submitted testimony stating energy burden is a "key  
17          indicator of fairness, reasonableness, and justice." The  
18          result of my analysis indicates Tampa Electric's proposed  
19          rates are fair, just, and reasonable.

20  
21          **Q.**    Does Tampa Electric offer assistance to customers that  
22          are struggling to pay their energy bills?

23  
24          **A.**    Yes. Tampa Electric cares about its more vulnerable  
25          customers. In this rate proceeding, the company proposed

1 a \$10 monthly bill credit for low-income senior citizens.

2

3 Tampa Electric also offers a variety of other programs to  
4 assist customers, regardless of age, in need of financial  
5 or energy assistance. While Tampa Electric has numerous  
6 programs to offer customers, three of the most noteworthy  
7 are Share, weatherization, and Prime Time Plus.

8

9 1. Share Program - a donation program funded by Tampa  
10 Electric, Tampa Electric team members, and customers  
11 willing to donate. Customers in need of financial  
12 assistance can apply for help through one of Tampa  
13 Electric's external Share Administrators. The Share  
14 Administrators are the Salvation Army or Catholic  
15 Charities Diocese of St. Petersburg. The maximum amount  
16 provided per customer is \$450 per year.

17

18 2. Neighborhood Weatherization - Participation is  
19 available to any qualified residential customer living  
20 within a residential block deemed low-income based on  
21 Census data. Participating customers receive a  
22 Residential Walk-Through Audit, duct sealing, ceiling  
23 insulation, and an Energy Efficiency Kit.

24

25 3. Prime Time Plus - a free and easy way for participating

1 customers to earn credits on their electric bill. The  
2 average customer earns \$144 per year, and a free smart  
3 thermostat is installed. Customers allow Tampa Electric  
4 to temporarily turn off the heating and cooling, electric  
5 water heater, and/or pool pump (if applicable) during  
6 periods of extremely high demand for electricity. In  
7 exchange, customers earn monthly bill credits.

8  
9 **VII. TAMPA ELECTRIC'S COMPLIANCE WITH RULE 25-22.0406, FLORIDA**  
10 **ADMINISTRATIVE CODE**

11 **Q.** Did Tampa Electric prepare an exhibit to demonstrate the  
12 company's compliance with the public notice requirements  
13 for this proceeding set out in Rule 25-22.0406 of the  
14 Florida Administrative Code?

15  
16 **A.** Yes. This is included as Document No. 8 of my Rebuttal  
17 Exhibit No. JW-2.

18  
19 **SUMMARY**

20 **Q.** Please summarize your rebuttal testimony.

21  
22 **A.** My rebuttal testimony addressed the statements made by  
23 witnesses Pollock, Gorman, Marcelin, and Rábago. I  
24 demonstrated (1) Mr. Pollock's proposed treatment of the  
25 PTC, gasifier, and scrubber does not align with their

1 purpose and should not be approved; (2) Tampa Electric's  
2 proposed Super Off-Peak period is reasonable, better  
3 reflects costs, and should be approved; (3) Tampa  
4 Electric's proposed GLSDTPR demand to energy charge ratio  
5 is reasonable and should be approved; (4) Mr. Marcelin's  
6 statements about Tampa Electric bills are biased and  
7 misleading; (5) Tampa Electric's proposed initial service  
8 connection charge is reasonable and should not be reduced;  
9 (6) Tampa Electric's proposed base rates are fair, just,  
10 and reasonable.

11

12 **Q.** Does this conclude your rebuttal testimony?

13

14 **A.** Yes, it does.

15

16

17

18

19

20

21

22

23

24

25



1 BY MR. MEANS:

2 Q Mr. Williams, did you also prepare and cause  
3 to be filed with your direct testimony an Exhibit marked  
4 JW-1, consisting of one document?

5 A Yes, I did.

6 Q Did you also prepare and cause to be filed  
7 with your rebuttal testimony an Exhibit marked JW-2,  
8 consisting of eight documents?

9 A Yes, I did.

10 Q And did you prepare and cause to be filed  
11 revisions to Exhibit JW-1, Document No. 1, on May 3rd,  
12 2024?

13 A Yes.

14 MR. MEANS: Mr. Chairman, Tampa Electric would  
15 note for the record that Exhibit JW-1 and JW-2 have  
16 been identified on the CEL as Exhibits 34 and 152.

17 CHAIRMAN LA ROSA: Okay.

18 BY MR. MEANS:

19 Q Mr. Williams, did you prepare a summary of  
20 your testimony?

21 A Yes, I did.

22 Q Will you please give that now?

23 A Yes.

24 Good morning, Commissioners. I am the  
25 Director of Pricing and Financial Analysis at Tampa

1 Electric Company. In my direct testimony, I present  
2 Tampa Electric's proposed jurisdictional separation  
3 study, cost of service studies, and base rates and  
4 service charges that produce the company's requested  
5 revenue requirement.

6 I prepared and filed the company's proposed  
7 cost of service study using the four coincident peak and  
8 full minimum distribution system methodology, which we  
9 agreed to file as part of our 2021 stipulation and  
10 settlement agreement.

11 For the Commission's consideration, I also  
12 provided the 12 coincident peak and 1/13th average  
13 demand cost of service study, which does not include the  
14 minimum distribution system cost classification method.

15 Additionally, my direct testimony describes  
16 Tampa Electric's proposed miscellaneous tariff changes  
17 and a new program called Senior Care, that will offer a  
18 \$10 monthly bill credit to low-income customers that are  
19 65 years old or older.

20 In my rebuttal testimony, I respond to the  
21 recommendations of witness Jeff Pollock regarding  
22 various issues including cost classification for Tampa  
23 Electric's gasifier and scrubbers, the allocation of  
24 production tax credits, and Tampa Electric's proposed  
25 time-of-day structure.

1 I then respond to FEA's witness Michael Gorman  
2 regarding the demand to energy charge ratio for an  
3 optional time-of-day rate schedule. I also address  
4 misleading information in LULAC's witness MacKenzie  
5 Marcelin's testimony regarding Tampa Electric's bills.  
6 I address LULAC's witness, Karl Rabago and his assertion  
7 that Tampa Electric's initial service connection charge  
8 is too high. Lastly, I respond to both of LULAC's  
9 witnesses regarding their comments on Tampa Electric's  
10 residential rates, bills and energy burden.

11 This concludes my summary, and thank you for  
12 your time.

13 MR. MEANS: We tender the witness for  
14 cross-examination.

15 CHAIRMAN LA ROSA: OPC, you are recognized  
16 when you are ready.

17 MR. WATROUS: Thank you, Mr. Chairman.

18 EXAMINATION

19 BY MR. WATROUS:

20 Q And good morning, Mr. Williams.

21 A Good morning to you as well.

22 Q I only have a couple of questions for you  
23 today regarding the CIAC installment payments in your  
24 miscellaneous tariff charges.

25 All CIAC associated with a specific plant

1 investment will reduce plant amount when it is placed  
2 into service?

3 A As it sits today, yes.

4 Q Okay. And that's regardless of whether there  
5 are outstanding installment payments?

6 A I am not exactly sure how the accounting for  
7 it works down the line.

8 Q Okay. Thank you so much for your time today.

9 MR. WATROUS: OPC has no more questions.

10 CHAIRMAN LA ROSA: Great. Thank you.

11 Florida Rising/LULAC.

12 MR. MARSHALL: Thank you, Mr. Chairman.

13 EXAMINATION

14 BY MR. MARSHALL:

15 Q Good morning, Mr. Williams. I am afraid my  
16 cross is going to be a little longer than that one.

17 If I could bring up staff Exhibit 831. This  
18 is going to be master F16-102. If you could let me know  
19 when it's on your screen.

20 A It is on my screen.

21 Q And this is one of your work papers as part of  
22 the Senior Care Program?

23 A That's correct.

24 Q And it shows income qualified customers  
25 continuing to grow in Hillsborough County?

1           A     It does. I would imagine that's associated to  
2 population growing as well.

3           Q     And so it shows that currently over 26 percent  
4 are on Medicaid?

5           A     That was the best available data, yes.

6           Q     And 15 percent are seniors over 65?

7           A     Yes, that was census data.

8           Q     And for the purposes of what you are  
9 projecting forward, you don't expect those percents to  
10 change relative to the overall population?

11          A     I used the best available data.

12          Q     And so here, the percents stayed the same  
13 through the projection?

14          A     Yes, it did.

15          Q     If I could next direct your attention to  
16 Exhibit 550 on the CEL. This is going to be master  
17 number F3.1-2882, Exhibit FLL-90.

18                   This first page shows the 2021 service cost  
19 model?

20          A     Yes, that's what appears on the -- appears to  
21 be.

22          Q     And under the approved service cost model in  
23 2021, the cost for reconnecting at the meter was \$11.75?

24          A     That's what this -- yes, that's what this  
25 shows.

1 Q And the fee charged was \$12?

2 A Yes, that's what this shows.

3 Q And if you could scroll down to the next page.  
4 This is the 2024 proposed service charge model results?

5 A Yes, these are the results.

6 Q And under TECO's new model, that goes up to  
7 \$20.42 with the proposed fee of \$18?

8 A Yes, that's what this reflects.

9 Q And so that's a 50-percent increase in the  
10 proposed fee?

11 A Yes. That's correct.

12 Q If I could next direct your attention to  
13 Exhibit 695. This is going to be master page  
14 F3.4-14771. This is going to be Exhibit FLL-235.

15 Do you have it on your screen?

16 A It's available on my screen, yes.

17 Q And this the work papers to support the  
18 service cost model?

19 A Yes. This is a time in motion study that was  
20 conducted under my oversight to collect the cost  
21 associated to each of Tampa Electric's proposed service  
22 charges. So through a time in motion study, we go out  
23 and work with each of the team members involved in  
24 actually administering these services and collect their  
25 time, as well as an average labor cost.

1           Q     And so this first tab, Proposed SC Cost  
2     Support, would be sort of a summary of it all?

3           A     Yes, this is a summary of it all over time.

4           Q     And that includes a proposed rate of \$168 for  
5     an initial service connection?

6           A     Yes, which is significantly below the cost to  
7     actually administer that service.

8           Q     And if you go over to increase the column M,  
9     percentage change in rate, would you agree that most of  
10    the service charges are proposed to increase by about 50  
11    percent?

12          A     Yes. Tampa Electrics proposes to employ  
13    gradualism.

14          Q     If I could direct your attention next to the  
15    tab, Historical Tariff Rates.

16          A     I can see it.

17          Q     And this tab contains sort of a history of  
18    some of these service charges?

19          A     Yes, it does.

20          Q     And the service charges have dropped before,  
21    such as the initial service, connection from 2009 to  
22    2013?

23          A     Yes, it has.

24          Q     And then some of these other reductions more  
25    recently reflect the implementation of AMI metering?

1 A That would be correct. Yes.

2 Q And so the reconnect after disconnect at meter  
3 for cause dropped from \$55 in 2013 to \$12 in 2022?

4 A Yes, that's what this demonstrates.

5 Q If I could next direct your attention to tab  
6 SC3.

7 A Okay. I am on the tab.

8 Q And this would be the calculation for  
9 reconnecting after disconnect at meter for cause for  
10 nonpayment?

11 A Yes, that's what this is.

12 Q And it shows that, on line eight, that 95  
13 percent of successful disconnects are automated and not  
14 manually monitored?

15 A That's what this demonstrates. Yes.

16 Q And so is what's going to be driving up some  
17 of that cost of this service charge is when the AMI  
18 process fails?

19 A Seems to be very minimal. Realistically,  
20 what's driving these costs are associated to labor.

21 Additionally, the last time that this model  
22 was done, it was done kind of outside of the -- outside  
23 of this group. So I took it back on and came to the  
24 realization that there were components of actually doing  
25 these -- or conducting these services that were missing



1 from the model, you know, complete people missing from  
2 the model, and their time associated to it.

3 **Q And so I guess my question is, though, is that**  
4 **when the AMI process fails, there would be more human**  
5 **labor involved in getting the disconnect done, correct?**

6 **A** If the AMI process fails, yeah, that would  
7 require a truck roll.

8 **Q All right. Switching topics now to cost of**  
9 **service. The purpose of conducting cost of service is**  
10 **to properly collect costs from the folks that caused**  
11 **those costs to be incurred?**

12 **A** That's correct. And this is one of my  
13 favorite topics, so that's why I am smiling.

14 **Q And the cost of service studies at issue in**  
15 **this case all have various numbers of CPs, is that**  
16 **right?**

17 **A** There -- that we filed two, two models. One  
18 of them was required by the Tampa Electric's 2021  
19 Settlement Agreement, which includes four coincident  
20 peaks. And then the other one is a requirement in MFR  
21 E-1, which includes 12 coincident peaks.

22 **Q AND coincident peak, that's the highest peak**  
23 **in the entire month with the contribution of each rate**  
24 **class to that peak?**

25 **A** That's correct.

1 Q And all the cost of service studies in this  
2 case account for the various rate classes?

3 A Both cost of service studies filed in this  
4 rate proceeding do account for the various rate classes.  
5 That's correct. Yes.

6 Q And the reason for rate classes is to attempt  
7 to allocate costs to customers that are like?

8 A Yes, those with like characteristics. I  
9 think, in the industry, we call that homogeneous.

10 Q So a large industrial customer that's served  
11 at the primary or subtransmission level isn't going to  
12 be using the secondary distribution system, for example?

13 A Yes, that's correct.

14 Q And both the, you know, both the cost of  
15 service studies that you filed in this case recognize  
16 that?

17 A Yes, that is correct.

18 Q And so is the primary difference in the cost  
19 of service studies that you filed in this case is, one,  
20 whether to include the minimum distribution system  
21 methodology; second, the number of coincident peaks to  
22 include in allocating generation and transmission plant;  
23 and three, the amount, if any, to include an average  
24 demand in allocating generation plant?

25 A Yes, that would summarize the difference

1 between the two filed cost of service studies.

2 Q Average demand is really a form of measuring  
3 energy, is that right?

4 A Yeah, it really is an energy allocator. It's  
5 just called average demand.

6 Q And for example, in your cost of service  
7 study, you allocate the gasifier to energy because its  
8 use is directly proportional to fuel use, which is an  
9 energy?

10 A Yes. This commission has considered the  
11 gasifier to be fuel related, thus energy related, since  
12 at least Tampa Electric's last four rate cases.

13 Q And so, the 12 CP and 1/13th AD methodology  
14 looks at the coincident peak for each month of the year,  
15 and also recognizes that there is an energy component in  
16 generation plant?

17 A The 1/13th piece of it, or known as 1/13th  
18 average demand, recognizes that there is an energy  
19 component associated to production assets, or  
20 generation.

21 Q And that 1/13th component means it's given a  
22 1/13th weight in relation to the 12 CP component, is  
23 that right?

24 A Yes, so roughly eight percent.

25 Q And the 12 CP and 1/13th AD is the cost of

1 service study required to be filed with the MFRs?

2 A Yes. MFR E-1 is fairly prescriptive as to  
3 what needs to be supplied.

4 Q And so a 12 CP and 50 percent AD cost of  
5 service study would equally weight coincident peaks and  
6 energy valuing equally the capacity demands on the  
7 generation system and the energy demands on the system?

8 A That is what a 12 CP in a 50 percent AD  
9 methodology would do. Yeah.

10 Q And you would agree that one of the advantages  
11 of the 12 CP methodology is that it recognizes that TECO  
12 is required to serve load all throughout the year,  
13 including the shoulder months?

14 A That is what proponents of 12 CP recognize,  
15 yes.

16 Q And another one that -- and you would agree  
17 that the 12 CP and AD methodologies would be -- another  
18 pro of that would be taking into consideration  
19 residential affordability and policy?

20 A I would imagine that's what proponents of that  
21 methodology would consider.

22 Q And if you put more weight on the peak part of  
23 that formula, that would be to recognize that generation  
24 investments are being built in order to make sure that  
25 enough is available to serve a peak?

1           A     Yes, that's how NARUC's cost allocation manual  
2     kind of weights peaks in generation.

3           Q     Whereas, if you weight more towards the AD  
4     component, that would recognize that generation is being  
5     built and maintained for energy generation?

6           A     Yes, that's what it would do.

7           Q     And you would agree, of course, that energy is  
8     consumed by TECO's customers throughout the entire month  
9     and not just during the system peak?

10          A     That would be correct. Energy is consumed by  
11     rate classes and Tampa Electric's customers throughout  
12     the entirety of the month.

13          Q     And you would also agree that energy can play  
14     a factor in production?

15          A     Can you clarify that for me?

16          Q     Sure. That, you know, power plants -- that  
17     energy can be a reason to invest in generation  
18     production plants?

19          A     Yes, that's -- that would be recognized  
20     through the 1/13th AD.

21          Q     And you don't have an opinion, not having  
22     conducted a deep analysis, as to whether the 1/13th  
23     weight to the AD component is too high or too low for  
24     TECO?

25          A     No, I did not conduct an in-depth analysis on

1 the AD component that was proposed and -- or that was  
2 filed.

3 Q And one of the reasons that you believe 12 CP  
4 and an AD cost of service methodology doesn't fully  
5 align with TECO's system is that TECO has a peaky type  
6 of service area in which the shoulder months have lower  
7 peaks than the summer and winter months?

8 A I do believe that I indicated that in my  
9 direct testimony. Additionally, it aligns more closely  
10 with NARUC's cost allocation manual's description of  
11 when to use a 12 CP.

12 Q That assumes, doesn't it, that those winter  
13 peak -- I'm sorry -- that those winter peaks and summer  
14 peaks are, in fact, higher than the peaks in the  
15 shoulder months?

16 A Yes, that would be true.

17 Q And that genera -- it also assumes that  
18 generation investments that TECO is making are being  
19 made to address those winter and summer peaks?

20 A I think that's a reasonable assumption.

21 Q And the cost of service study that TECO is  
22 supporting in this case is the 4 CP with MDS  
23 methodology?

24 A Tampa Electric supports it to the extent of  
25 the settlement agreement in which required Tampa

1 Electric to file and propose this cost of service study  
2 and then either support or not oppose it.

3 Q And that settlement agreement that you just  
4 referenced actually specified the months to be used as  
5 part of the 4 CP methodology?

6 A Yes, the settlement agreement states that  
7 January, June, July and August need to be used when  
8 calculating the four coincident peaks.

9 Q And that's true for both generation plant and  
10 transmission for that 4 CP component?

11 A Yes, that's correct.

12 Q And would you agree that the reasonableness of  
13 the 4 CP methodology would be dependent on whether the  
14 projected peaks for those months were reasonable?

15 A Yeah, I think that's -- yes, that's accurate.

16 Q If I could next direct your attention to  
17 Exhibit FLL-230. This is going to be master page  
18 F3.4-13130.

19 A This is my beautiful model.

20 Q I agree. Could you say a little bit more  
21 about what this is?

22 A This is Tampa Electric's cost of service  
23 model. It's roughly 133 tabs or so. And it goes  
24 through and functionalizes each of Tampa Electric's  
25 assets, then classifies them as either energy demand or

1 customer, and then ultimately allocates them amongst the  
2 various rate classes based on numerous different  
3 allocation methodologies.

4 Q And this specific one is the 4 CP with MDS  
5 cost of service model under the proposed rates?

6 A Based on the name of it, yes.

7 Q And if I could direct your attention to the  
8 tab Load Research. There should be a specific tab that  
9 is specifically named Load Re -- I know there is a lot  
10 of load research and have other --

11 A Don't worry. I know how to navigate this  
12 model.

13 Q And this shows some of the actual split  
14 between the -- well, let me just ask you. What is this  
15 page?

16 A This is a summary of the allocators that are  
17 used in the model. So this is where we are deriving out  
18 what the percentage for 4 CP is, what it would be for 12  
19 CP, and then some of the customer-related allocators as  
20 well, down at the lower -- low diversity levels.

21 Q And so line -- well, Excel line 13 shows that  
22 weighted 4 CP that you were just referencing, the  
23 percent that's being allocated to the different classes?

24 A Excel row 13 does show that, yes.

25 Q And so under the weighted 4 CP, just under 60



1 **percent is allocated to residential customers?**

2 A Yes, that's correct. I see 59.839.

3 Q **About 59.839, could that be right?**

4 A Yes, that's what I see.

5 Q **And if I could direct your attention to the**  
6 **tab Coincident Peak Formula.**

7 A Okay. I am there.

8 Q **And this shows the -- this is where the**  
9 **coincident peak calculations are derived from?**

10 A Yes, this is where it would be derived from.

11 Q **And this data, you would get that from Ms.**  
12 **Cifuentes and her group?**

13 A Yes, Ms. Cifuentes, in Load Research and  
14 Forecasting, would provide this information to my team.

15 Q **And this shows the projected coincident peaks**  
16 **by class for each month?**

17 A Yes, it demonstrates it by class. And then it  
18 looks like it breaks it down between primary and  
19 secondary as well, and subtransmission.

20 Q **And for January, it projects that residential**  
21 **customers are responsible for over 67 percent of the**  
22 **January peak?**

23 A I don't see the actual amount.

24 Q **And you would divide -- to derive that, you**  
25 **would divide January RS secondary, which would be**

1 3,038,489, by the total, which is 4,513,000?

2 A That's how it would be derived. That's  
3 correct. But I am not -- I don't see it on here.

4 Q Fair enough. But subject to check, would you  
5 agree that if you divide those two numbers, that would  
6 be just over 67 percent?

7 A Subject to check, yes, it looks about right,  
8 just off my quick math.

9 Q And if you did the same calculation for June,  
10 July and August, subject to check, would you agree that  
11 that's all below 58 percent?

12 A Subject to check, I would agree to that.

13 Q And so the cost of 60 percent being allocated  
14 to residential customers, it's being -- that's being  
15 part -- in part, driven by that projected January 2025  
16 peak?

17 A Yes, because January is included in the 4 CP  
18 -- or included in those months that are used for 4 CP,  
19 yeah, that is -- that's correct.

20 Q You would agree that under the cost of service  
21 model here, this cost of service model, no AD component  
22 would be assigned to TECO solar power plants?

23 A Under this cost of service model, there is no  
24 energy component assigned to Tampa Electric's solar  
25 plants, which is a part of Tampa Electric's settlement

1 agreement. It specifically calls out that the solar  
2 plants be allocated the same way as the rest of the  
3 production plant, which would be 4 CP, with the  
4 exception of the gasifier and scrubbers.

5 **Q And you would agree that Mr. Aponte would be**  
6 **the expert for TECO on the energy versus capacity value**  
7 **that the solar power plants provide TECO's system?**

8 A Yes, he would be.

9 **Q In 2021, before there was a settlement**  
10 **agreement, TECO actually proposed allocating its solar**  
11 **assets as 50 percent demand related and 50 percent**  
12 **energy related.**

13 A Yes, Tampa Electric did propose that. I will  
14 state, at that point, I was actually working at PGS, so  
15 I wasn't with Tampa Electric in 2021 when that was  
16 proposed, nor was I here when the settlement agreement  
17 was negotiated. And it was -- I also wasn't a part of  
18 the company when it was approved.

19 **Q And that would be the same as 50 percent AD**  
20 **for that solar component?**

21 A For that solar component, yes, that would be  
22 considered 50 percent AD.

23 **Q And, in fact, you are aware that TECO proposed**  
24 **using a 12 CP and 50 percent AD methodology for**  
25 **assigning all of its generation costs in 2013?**

1           A     I am aware that -- I am aware that Tampa  
2     Electric, at one point in time, did propose 12 CP and 50  
3     percent AD. I do not believe that that was approved.

4           **Q     And you don't actually have an opinion as to**  
5     **whether a 12 CP and 50 percent AD methodology would be**  
6     **crazy for use for TECO today?**

7           A     It has been proposed in the past, so I don't  
8     have an opinion as to whether it's, like, it's crazy to  
9     use. I can just say that under the settlement  
10    agreement, we were required to file and propose 4 CP,  
11    and that's -- I executed the settlement agreement.

12          **Q     Are you aware of whether Duke uses a 12 CP and**  
13    **25 percent AD cost of service methodology partially on**  
14    **the basis of their solar expansions?**

15          A     I am aware that -- yes, I am aware of that.

16          **Q     And did you hear Mr. Collins testify that TECO**  
17    **has more solar per customer than Duke?**

18          A     I did hear him say that.

19          **Q     You are familiar a bit with the carbon capture**  
20    **sequestration, the CCS project, which is looking at**  
21    **capturing carbon and sequestering it as fuel is burned?**

22          A     Yes. And you have just exhausted as much as I  
23    know about that, so...

24          **Q     Well, one follow-up to that. That project,**  
25    **it's proposed to be allocated using the 4 CP methodology**

1 **based on classes' projected coincident peaks in 2025?**

2 A Yes. Per the terms of the settlement  
3 agreement, all production-related assets needed to be  
4 allocated on a 4 CP basis, so, again, I executed the  
5 settlement agreement in this cost of service study.

6 Q **And other than the fact that the settlement**  
7 **agreement required you to allocate it that way, you**  
8 **don't know of any other reason to allocate it on that**  
9 **basis?**

10 A No, I simply executed what the settlement  
11 agreement asked -- or what I had to do under the  
12 settlement agreement.

13 Q **If I could next direct your attention to**  
14 **FLL-86. This is going to be master number F3.1-2693.**

15 A Okay. I can see it.

16 Q **And this is an interrogatory regarding how the**  
17 **allocation for building improvements at some of the TECO**  
18 **power plants?**

19 A Yes, it is.

20 Q **And the total amount of that is \$4.3 million**  
21 **in this case?**

22 A Yes, that's correct.

23 Q **And that is also being allocated on a 4 CP**  
24 **basis?**

25 A Yes, there -- these are functionalized as

1 production. And again, I executed the settlement  
2 agreement.

3 Q So that means that the buildings to support  
4 the power plants, TECO's generation plants, are being  
5 allocated to the classes based on how much each class  
6 contributes to projected peaks in 2025, in January,  
7 June, July and August?

8 A Yes, that's correct.

9 Q If I could next direct your attention to  
10 FLL-86. This is going to be master number F3.1-2716.

11 A Okay. I can see it on my screen.

12 Q And this is in regards to the dismantlement  
13 costs for Big Bend, is that right?

14 A The CETM would include Big Bend and the AMR  
15 meters.

16 Q And specifically, the Big Bend portion of the  
17 CETM is being allocated on the 4 CP basis of methodology  
18 as well?

19 A Yes. That's correct. Big Bend is  
20 functionalized as a production asset, so per the terms  
21 of the settlement agreement, they are being allocated on  
22 a 4 CP basis.

23 Q Meaning that who is paying for the cost of Big  
24 Bend to be dismantled is being based on their classes'  
25 projected contribution to system peaks in January, June,

1 **July and August in 2023?**

2 A Yes, that --

3 **Q 2025. I am sorry.**

4 A Yes. That aligns with NARUC's cost allocation  
5 manual.

6 **Q And TECO had no supporting documents for this**  
7 **explanation beyond the 2021 stipulation and settlement**  
8 **agreement?**

9 A That's correct.

10 **Q If I could next direct your attention to**  
11 **FLL-88. This is Exhibit 548 on the CEL. This is going**  
12 **to be master number F3.1-2832.**

13 A I can see it on my screen.

14 **Q I believe this is one of your work papers?**

15 A It doesn't look familiar, but I recognize what  
16 it is.

17 **Q This shows the number of monthly bills per**  
18 **customer class and average use through the course of the**  
19 **year.**

20 A Yes, it does.

21 **Q And so you would divide by 12 to get the**  
22 **number of customers?**

23 A Yeah, that's one way you could do it.

24 **Q You would agree that RS is the biggest class?**

25 A Yes, it is.

1 Q And you would agree that GS would be the  
2 second biggest?

3 A On a customer count basis, yes.

4 Q And GSLDTSU, that's going to be four customers  
5 based on that customer count there?

6 A You are testing my mental math here, but,  
7 yeah, that -- yes.

8 Q And you would agree that they are, certainly  
9 on a per customer basis, one of the biggest users of  
10 energy?

11 A Yes. These are our time-of-use  
12 subtransmission customers.

13 Q If I could next direct your attention to  
14 FLL-231. This is master page F3.4-14398.

15 Do you recognize this document?

16 A Yes, it's my beautiful model.

17 Q This one is a little bit -- slightly different  
18 from your -- the previous version of the model that we  
19 looked at?

20 A It may be. I am not -- I am not sure what the  
21 difference is.

22 Q Does the title give you a -- sorry, it's kind  
23 of hard to -- the title kind of gets --

24 A So the title indicates that something was  
25 revised, but I don't recall exactly what it was.



1 Q Okay. If we go to the tab General Plant.

2 A Okay. I am on the tab.

3 Q General plant, what does that refer to?

4 A It would be just kind of -- it would be  
5 various buildings, supplies, intangible assets.

6 Q And that would include projects like the new  
7 headquarters?

8 A Yes.

9 Q And so this tab shows that 33 percent of the  
10 new headquarters is being allocated as production  
11 demand?

12 A Yes. This is a historically accepted way to  
13 allocate general plant, is to base it on rate base.

14 Q And so that means that 33 percent of the cost  
15 of the new headquarters are being allocated to the  
16 classes based on their projected coincident peaks in  
17 January, June, July and August of 2025?

18 A Yeah, it would be -- I mean, it's in -- for 4  
19 CP, it's an average of those months, but generally  
20 speaking, the answer to your question is yes.

21 Q And the projected residential coincident peak  
22 of January 2025 doesn't change the cost of the new  
23 headquarters, does it?

24 A No, it doesn't change the cost of the new  
25 headquarters. It changes the allocation.

1           Q     If I could next direct your attention to  
2     FLL-194. This is going to be master number F3.3-6385.

3           A     Okay. I can see it on my screen.

4           Q     And this shows how the costs of the Bearss  
5     Operations Center are being allocated?

6           A     Yes, this does.

7           Q     And again, this is using that general plant  
8     allocator, so a little over 33 percent is being  
9     allocated via production demand and the 4 CP method?

10          A     Yes, that's correct.

11          Q     And if you scroll to the next page, this  
12     indicates that this project is expected to add \$1.55 to  
13     a monthly residential bill based on 1,000 kilowatt  
14     hours?

15          A     This was done -- so, yes, but this was done on  
16     just an energy basis. I think that we pointed out that  
17     completely separating a project out of the cost of  
18     service model is darn near impossible to do. So we made  
19     a few assumptions, and we are able to supply the bill  
20     impacts just strictly on an energy basis. It doesn't  
21     take into account how this could potentially impact the  
22     customer charge. This is just our -- this was our best  
23     guess.

24          Q     Fair enough.

25                     If I could next direct your attention to

1 **FLL-232. This is going to be master number F3.4-14637.**

2 A Okay. It's available on my screen.

3 **Q Do you recognize this document?**

4 A Yes, I do.

5 **Q And what is it?**

6 A Looks to be where rates would be derived.

7 **Q And that would include the proposed rates for**  
8 **this case?**

9 A That's correct.

10 **Q And if I could direct your attention to tab**  
11 **E-8?**

12 A Okay. I am on E-8.

13 **Q This shows the overall revenue increase, and**  
14 **also the revenue increase by class that's proposed?**

15 A Yes, it does.

16 **Q And this is under the 4 CP with MDS**  
17 **methodology?**

18 A That's what it looks to be, yes.

19 **Q And would you agree that under these proposed**  
20 **rates, customer class GSLDSU is further behind parity**  
21 **than the other classes?**

22 A Yes, but that's primarily because it's not  
23 really a robust rate class. And the numbers for GSLDPR,  
24 for their demand charges, were coming out higher than  
25 that of GSLDSU, and that just didn't really make sense.

1 So because it's not really a robust rate class, the  
2 parity had to be lowered a little bit.

3 **Q And GSLDSU would include some of those bigger**  
4 **industrial customers?**

5 A Yes, it would.

6 **Q And residential customers get a 19.42-percent**  
7 **increase as proposed?**

8 A Yes, that's what this indicates.

9 **Q If I could next direct your attention to**  
10 **master page F3.4-14668. It's going to be Exhibit**  
11 **FLL-234.**

12 A Okay. It's available on my screen as well.

13 **Q And this shows TECO's proposed rates in this**  
14 **case compared to the other investor-owned utilities in**  
15 **Florida as of March 2024 on a 1,000 kilowatt hour basis?**

16 A Yes, it's a snapshot in time. It's a  
17 comparison of what Tampa Electric proposed originally in  
18 the -- at the filing of the rate proceeding versus what  
19 the other utilities' rates were at that time.

20 **Q And under base rates, TECO is more than \$20**  
21 **above the others?**

22 A That's what this shows, but I don't believe  
23 that a base rate comparison is truly an apples to apples  
24 comparison. I think that it's more so looking at the  
25 total bill considering I am not sure if Tampa Electric's

1 clause accounting is done the exact same way as the  
2 other utilities.

3           Additionally, there are riders that Tampa  
4 Electric has that the other utilities don't, and there  
5 are riders that the other utilities have that Tampa  
6 Electric doesn't, such as the asset securitization  
7 mechanism with Duke and the CETM with Tampa Electric.

8           So I don't believe that a base rate comparison  
9 is truly apples to apples. I think that it's more --  
10 that comparisons should be done at the total bill level.

11           **Q     You would agree that this is a base rate**  
12 **proceeding?**

13           A     This is a base rate proceeding. Yes.

14           **Q     Next, I would like to talk to you about the**  
15 **minimum distribution system methodology. That assigns a**  
16 **portion of distribution costs as customer costs?**

17           A     Yes. The MDS is a cost classification  
18 methodology geared towards recognizing the duality of  
19 distribution assets. Meaning that, essentially, there  
20 is a cost to be connected to the grid, and then that  
21 distribution assets serve as reliability -- or they have  
22 reliability purposes as well as capacity purposes.

23           **Q     And so, for example, what you do is create a**  
24 **scatter plot to try to figure out what a, for example, a**  
25 **zero-load transformer would cost using a minimum**

1 **intercept methodology?**

2 A Yes. So we use the minimum -- or we use the  
3 minimum intercept methodology, which is outlined in  
4 NARUC's cost allocation manual. So we create a scatter  
5 plot for these distribution assets that are in accounts  
6 -- or FERC accounts 364 through 368, and run a linear  
7 line through it, a trend line, and then determine what  
8 the intercept is. And at that intercept, that would be  
9 considered the customer cost because there is no load on  
10 the asset.

11 **Q And TECO, of course, does not have**  
12 **transformers designed for zero load?**

13 A No, Tampa Electric does not have transformers  
14 designed for zero load. However, you know, the --  
15 that's not what MDS is particularly for. It's to  
16 recognize that there is a cost to be connected to the  
17 grid.

18 **Q Would you agree that in order to be a customer**  
19 **of TECO, you need to have a meter and a service drop?**

20 A Yeah, that sounds correct.

21 **Q And those are, of course, assigned as customer**  
22 **costs?**

23 A Those are assigned as customer costs, as well  
24 as some labor and stuff associated to the billing  
25 system. And under the MDS method, there would be other

1 distribution assets that are assigned -- or a portion of  
2 distribution assets that are assigned as customer  
3 related cost.

4 Q And you would agree that that, you know, that  
5 meter and that surface drop are real items that are on  
6 TECO's system?

7 A Yes, I would agree with that.

8 Q And just because a new customer is added to  
9 the system doesn't necessarily mean that the  
10 transformers in the area need to be upgraded if they are  
11 of sufficient size to handle the new load?

12 A Yes, that would be correct. As it works from  
13 just a factual standpoint, is when new customers are  
14 added to the system, Tampa Electric may not need to add  
15 additional transformers, but the cost of those  
16 transformers get divided by potentially a bigger -- by a  
17 bigger number.

18 Q If I could direct your attention now to part  
19 of staff Exhibit 831. This is going to be master number  
20 F16-103.

21 A It's available on my screen.

22 Q Do you recognize this document?

23 A I do. These are my beautiful regressions.

24 Q And this is the regressions for calculating  
25 how to, you know, allocate the minimum distribution

1 **system?**

2 A Yes, they are.

3 Q **And if you go to the tab Summary.**

4 A I am on the tab.

5 Q **Would you agree that the majority of**  
6 **transformers, poles and conductors on the secondary**  
7 **system are assigned as customer costs?**

8 A Yes, that's correct.

9 Q **And this was the document used to support the**  
10 **4 CP with MDS cost of service methodology that you**  
11 **filed?**

12 A This was the document to support the MDS  
13 piece.

14 Q **If I could next direct your attention to**  
15 **FLL-87. This is going to be master page 43.1-2737.**  
16 **Sorry, that's probably F -- I think that's F3. I am**  
17 **sorry, my notes are wrong. F-3.1-2737.**

18 A It's available on my screen.

19 Q **And did you provide this in response to a**  
20 **staff request asking for the cost of service breakdown**  
21 **of 4 CP without MDS?**

22 A Yes, that's what this looks to be.

23 Q **If I could direct your attention next to part**  
24 **of staff Exhibit 165. This is going to be master number**  
25 **E2166.**



1           A     It's available on my screen.

2           Q     And would you agree that basically this says  
3     that other than the meter and the service drop, that  
4     poles, wires, transformers, you know, it varies and  
5     doesn't necessarily go one-to-one for new customers?

6           A     Yes, they are not necessarily a one-to-one for  
7     customers.

8           Q     You would agree that you are not aware of any  
9     role MDS has in the sizing of the actual equipment used  
10    in the distribution system?

11          A     No, I am not aware of how MDS impacts the  
12    actual sizing of the equipment in the field.

13          Q     You would agree that not using the MDS  
14    methodology is an accepted methodology?

15          A     Yes, that's been an accepted methodology.

16          Q     You are not aware of any other utilities in  
17    Florida that use the MDS methodology?

18          A     I am not aware of any other utilities in  
19    Florida that currently use the MDS methodology. I do  
20    know that, at one point in time, Gulf Power used it, but  
21    no, today I am not aware of any other utilities in  
22    Florida that use MDS.

23          Q     You would agree that generally speaking, that  
24    the 4 CP with MDS cost of service methodology allocates  
25    less costs onto the large commercial and industrial

1 users, and more costs on the residential and small  
2 commercial users as compared to the other cost of  
3 service study filed in this case?

4 A As compared to 12 CP and 1/13th AD without  
5 MDS, that would be correct.

6 Q And 4 CP with MDS was deemed cost causative in  
7 the 2021 settlement agreement, is that right?

8 A That is what I read; but again, I wasn't -- I  
9 wasn't here at that time. I was working for Peoples Gas  
10 Company.

11 Q You are not aware of any groups specifically  
12 representing residential customers that signed onto that  
13 settlement agreement?

14 A I am not exactly sure who represents who.

15 Q Fair enough.

16 If I could next direct your attention to  
17 master page E2163.

18 And this shows how much cost would be  
19 allocated to the residential customers using the two  
20 cost of service studies included in TECO's initial  
21 filing?

22 A That's what this seems to indicate. Yes.

23 Q And \$70 million more per year is allocated to  
24 the residential class of customers under the 4 CP with  
25 full MDS, as compared to the 12 CP and 1/13th AD without

1 MDS?

2 A Subject to check, but, yes, roughly, that's  
3 about right, 70 million.

4 Q And just to confirm, as part of your work in  
5 this case, you did file a complete 12 CP and 1/13th AD  
6 cost of service study?

7 A Yes, I did as a requirement of MFR E-1.

8 Q If I could next direct your attention to  
9 master number F3.4-11598. This is going to be Exhibit  
10 FLL-229.

11 This would be your model for the 12 CP and  
12 1/13th AD based on current rates?

13 A Yes. Another one of my gorgeous models.

14 Q It is.

15 If I could direct your attention to the tab  
16 Reports.

17 A Okay. I am on the tab.

18 Q And if you scroll down a bit, it compares the  
19 various classes under this cost of service methodology  
20 with the system average rate of return?

21 A Yes, that's correct.

22 Q And it shows residential customers, GS  
23 customers and the lighting classes above the system  
24 average rate of return?

25 A That would be correct, compared to current

1 rates.

2 Q And it would show the GSD and the industrial  
3 classes below?

4 A Compared to current rates, that's correct. As  
5 part of the settlement agreement, I was instructed to  
6 bring each of these rate classes closer to parity, and  
7 that's what I did.

8 Q And under current rates, GSD is at 0.55 of the  
9 rate of return index under this cost of service  
10 methodology?

11 A Under current rates relative to this cost of  
12 service methodology, which would be the 12 CP, yes, they  
13 are at 0.55. However, under the proposed rates, they  
14 would be much closer to one.

15 Q And if you could scroll down a little bit more  
16 to the row labeled row 47, Excel row 89. This shows the  
17 revenue deficiency surplus by class using this cost of  
18 service methodology?

19 A Yes, that's correct.

20 Q And it shows that -- well, class GS, that's  
21 going to be -- that's going to include small businesses?

22 A Yes, GS would include small businesses.

23 Q And is this showing that class GS, even with  
24 TECO's full revenue requirement, actually has a surplus?

25 A Relative to -- the current rates relative to

1 this, the 12 CP methodology, yes, that is what this is  
2 indicating.

3 Q And if you can go to the tab Coincident Peak  
4 Formula.

5 A Okay. I am on that tab.

6 Q And this would be the same data used as for  
7 the 4 CP, except now it would be using all 12 months?

8 A Yes, it would be the same formula, except it's  
9 an average of each of -- or an average of the 12 months  
10 rather than the four months.

11 Q And so that January peak that we talked about  
12 is still there, but that would be smoothed out and given  
13 less weight, essentially, under the 12 CP method?

14 A Yes, it would be given less weight under this  
15 method.

16 Q If I could next direct your attention to  
17 Exhibit FLL-228. This is going to be master number  
18 F3.4-10109.

19 A It's available on my screen.

20 Q And this would be the 12 CP and 1/13th AD  
21 methodology that you -- cost of service methodology that  
22 you filed based on proposed rates?

23 A Yes. And I have run out of adjectives, so,  
24 yes.

25 Q Give me one second.

1                   And if you go to the tab Functionalized  
2 Revenues.

3           A       Okay. I am on the tab.

4           Q       And if you go down to the table starting at  
5 Excel line 36. This shows the revenue deficiency being  
6 allocated to the various rate classes?

7           A       Yes, this would show the revenue deficiency to  
8 each of the rate classes.

9           Q       And class GS gets essentially no revenue  
10 increase because of that surplus that we discussed?

11          A       That's correct, yes.

12          Q       And if you go to the tab Reports, and go to  
13 Excel line 98, line 56.

14          A       Sorry, you confused me. Which line?

15          Q       Excel line 98, with a -- it has 56 sales  
16 revenue requirements index.

17          A       Yes, I am there.

18          Q       And, you know, for the system, that's going to  
19 be 1.0?

20          A       That's correct.

21          Q       And under these proposed allocation and rates  
22 as contained in this cost of service study, you would  
23 agree that LS energy and GSLDSU are still furthest below  
24 parity?

25          A       Did you say that I agreed that they are still

1 the furthest below?

2 Q Yeah, under -- yes, they would still be the  
3 furthest below parity there?

4 A So LS energy under the other methodology would  
5 be well above parity. So I don't agree with that.

6 Q Under this methodology?

7 A Under this methodology, yes, LS energy is the  
8 lowest, and then GSLDSU would be the second lowest.

9 Q If I could next direct your attention to  
10 Exhibit FLL-283. This is master number F3.5-25100A, A  
11 as in alpha.

12 As part of a staff request -- did you create  
13 this document as part of a staff request?

14 A Yes, I believe so.

15 Q And this shows, you know, proposed rates based  
16 on the 12 CP and 1/13th AD methodology without MDS?

17 A Yes, that's what this shows.

18 Q And so it shows that same -- you know, if you  
19 go to the row Total Retail, that 19 point, you know,  
20 that's just under 20 percent, that 19.78 percent  
21 increase. That's the same as the E-8 we saw before?

22 A Yes, this would be the E-8, same formulas as  
23 we saw, just under a different methodology.

24 Q And by contrast to the class increases that we  
25 saw before, residential customers would get a just over

1 **12-percent increase?**

2 A Under this methodology, yes, that would be  
3 correct.

4 Q And GS would get -- small businesses would get  
5 **0.27 percent?**

6 A Yes, that's correct.

7 Q And the lighting classes would be close to  
8 **zero?**

9 A Yes, that's correct.

10 Q And others, like GSD, would get an over  
11 **50-percent increase?**

12 A Yes, GSD shows over 50 percent.

13 Q And then the GSLDPR, then that gets a  
14 **26.8-percent?**

15 A Yes, that's what this shows.

16 Q And GSLDSU would get 39 percent?

17 A Yes.

18 Q And that would still be -- for class GSLDSU,  
19 **they would still be at 0.92 compared to the 1.0 index?**

20 A Yes, that's correct. And again, it's because  
21 they -- that's not a really robust rate class, and the  
22 demand charge was coming out higher than expected. It  
23 didn't make sense that the subtransmission demand charge  
24 was higher than that of the -- or was lower than the --  
25 sorry -- higher than that of the primary class, so the



1 parity is a bit lower.

2 Q And these increases would reflect revenue from  
3 those classes before they get any interruptible credits?

4 A Yes, that's correct.

5 Q As you move to even a higher weight on the  
6 average demand component, reflecting a judgment that  
7 more than 1/13th of TECO's generation plant is  
8 appropriately reflected as an energy cost, the  
9 residential increase would go further down, and some of  
10 the others would go up to try to get closer to parity?

11 A So I haven't conducted that analysis, but  
12 knowing what I know about the cost of service, I would  
13 imagine that's what would happen.

14 Q And if the overall revenue requirement, you  
15 know, that 19.78-percent total increase, if that went  
16 down, you know, to get classes closer to parity, the  
17 differential between the residential class and the  
18 industrial classes would necessarily increase?

19 A I am not sure that I understand that question.

20 Q Let me ask it this way: You know, part of  
21 what you are trying to do is, in your design here under  
22 this methodology, the 12 CP and 1/13th AD, was get the  
23 classes closer to parity under that methodology?

24 A I mean, part of what I try to do with any  
25 methodology would be to get the classes close to parity.

1 Q And so to do that, there is a diff -- the  
2 different classes get different size increases?

3 A Yes, that would be correct.

4 Q And in some ways, the larger the overall  
5 revenue requirement increase, the bigger the percent,  
6 the smaller the difference between the classes would be  
7 in order to get to that parity?

8 A I don't necessarily agree with that.

9 Q Okay. And if I could direct your attention on  
10 this document to tab 2025 RS Rate Class E13C?

11 A Okay. I am there.

12 Q And under this cost of service methodology,  
13 the residential basic service charge would not increase?

14 A Under this methodology, from a rate design  
15 perspective, the residential service charge would be the  
16 same.

17 Q In fact, if it was not for not applying any  
18 decreases, it would go down?

19 A Can you repeat that?

20 Q Yeah. If it was for not applying any  
21 decreases in your rate design, that service charge would  
22 go down?

23 A I am still not grasping how -- why it would go  
24 down.

25 Q The basic service charge for residential

1 **customers.**

2 A I hear -- I mean, I hear what you are saying,  
3 but I am not -- I am still not grasping what it is you  
4 are asking.

5 Q So if you just were starting afresh with rate  
6 design, you had no previous rates and you used the 12 CP  
7 and 1/13th AD cost of service methodology to derive a  
8 basic service charge, the customer charge, the customer  
9 charge would be less than what's shown here?

10 A Yes, the cost of service unit -- the unit cost  
11 shown in the cost of service study for the basic service  
12 charge is lower than what is shown here.

13 Q And just to be clear, holistically speaking,  
14 you are not offering an opinion as to which cost of  
15 service methodology is superior for TECO's customers?

16 A Tampa Electric's settlement agreement  
17 indicates that I am to support, or not oppose the 4 CP  
18 methodology.

19 Q So you are not offering an opinion?

20 A I am not offering a personal opinion.

21 Q Turning to your rebuttal testimony now. In  
22 your rebuttal testimony, you did not rebut the 12 CP and  
23 50 percent AD cost of service study methodology filed by  
24 Karl Rabago?

25 A No, I didn't rebut it in my rebuttal testimony

1 because I didn't run an analysis on it.

2 **Q And so you did not rebut his reasons for**  
3 **supporting the 12 CP and 50 percent AD cost of service**  
4 **study?**

5 A I don't recall -- no, I don't recall rebutting  
6 anything associated to 12 CP and 50 percent AD.

7 **Q In your rebuttal to Mr. Marcelin's annual**  
8 **average monthly bill data, you argued that the**  
9 **information is not current, is that right?**

10 A I believe that I argued that, yes, it was not  
11 current, and also misleading, in that Mr. Marcelin  
12 didn't take into account that Tampa Electric's bills may  
13 be higher relative to other electric companies simply  
14 because usage here in Florida is higher.

15 Electricity is the dominant energy source here  
16 in Florida, whereas, that's not the case for numerous  
17 states throughout the -- or throughout the country. If  
18 you were to take natural gas or heating oil into  
19 consideration, energy in Florida is actually pretty  
20 cheap.

21 **Q But you would agree that 2023 is the most**  
22 **recent completed calendar year?**

23 A 2023 is the most recent completed calendar  
24 year. However, in 2023, Tampa Electric had a large fuel  
25 under-recovery within its rates, as well as a storm

1 surcharge within its rates. That's not the case today,  
2 or -- well, it's not as large today, and the storm  
3 surcharge will not be there in 2025.

4 **Q And that's hoping, as I think we all do, that**  
5 **there is not going to be a storm that is going to impact**  
6 **us and require another storm charge?**

7 A Yeah, hopefully not, because working out in  
8 the field is pretty tough on me.

9 **Q And although you find Mr. Marcelin's**  
10 **presentation of his data misleading, you don't disagree**  
11 **with his calculation that looking solely at electricity**  
12 **bill data for 2023, TECO had the third highest average**  
13 **residential electricity bills in the nation for electric**  
14 **utilities with more than 100,000 residential customers?**

15 A I don't disagree with -- no, I don't disagree  
16 with Mr. Marcelin from a factual standpoint, but I do  
17 believe that it is highly misleading. I can think of  
18 numerous things that are factually correct, but they  
19 are, you know, highly misleading.

20 **Q And part of your argument is that Mr.**  
21 **Marcelin's presentation is that he doesn't look at whole**  
22 **house energy usage?**

23 A No, it does not -- it didn't seem to indicate  
24 that he looked at whole home house energy usage, in  
25 which I provided an analysis in my rebuttal testimony

1 that I believe indicates that when taking into  
2 consideration whole home energy, Florida is the 35th  
3 cheapest.

4 **Q You would agree that northern states face**  
5 **harsher winters than here?**

6 A I would agree that they face -- yes, they do  
7 face harsher winters than here, but they do not face the  
8 summers that we face here, in which no one wants to go  
9 outside in the summer here.

10 **Q And for those northern states, you would agree**  
11 **that heating can drive a lot of that whole home energy**  
12 **usage?**

13 A Yes, I agree that heating can drive that in  
14 the northern states, just as cooling drives things here  
15 in Florida.

16 **Q And you would agree that Arizona can have some**  
17 **pretty hot summers?**

18 A Yes, my brother lives in Tucson, so I have  
19 been there. It's hot, but it's not -- it's not humid  
20 like it is here. It's a dry heat. I grew up in  
21 southern California, so it's a different type of heat.

22 **Q And Arizona is actually ranked lower on your**  
23 **Document No. 5 attached to your rebuttal testimony when**  
24 **it comes to whole home energy use?**

25 A Yeah, they would be ranked lower, but again,

1 it's a different type of heat.

2 Q If I could next direct your attention to  
3 Exhibit FLL-214. This is going to be master F3.4-6948.

4 A Okay. It's available on my screen.

5 Q This was included as part of your work papers  
6 for your rebuttal testimony?

7 A Yes, that's correct.

8 Q And it shows Tampa Electric Company compared  
9 to use per residential customer kilowatt hour usage as  
10 compared to other states?

11 A Yes, it does.

12 Q And it shows that Mississippi and Louisiana  
13 both had higher average usage per customer than TECO's  
14 residential customers?

15 A Yes, but it also indicates that states like  
16 Tennessee, Alabama, Georgia are lower than that of  
17 Florida.

18 Q And the average residential electricity bill  
19 in Louisiana and Mississippi was lower than that for --  
20 than TECO's residential customers?

21 A I don't recall.

22 Q Would it help refresh your recollection if I  
23 showed you your deposition transcript?

24 A Probably.

25 MR. MARSHALL: Could have one moment, Mr.

1 Chairman?

2 CHAIRMAN LA ROSA: Sure.

3 BY MR. MARSHALL:

4 Q If I could direct you to page 25 of the  
5 deposition transcript just to see if that could refresh  
6 your recollection.

7 A I actually found the document in my rebuttal  
8 testimony too.

9 Q Okay. Oh, great. And did that refresh your  
10 memory?

11 A It does. I just need to find the two states  
12 that we are referring to. If you give me one moment,  
13 please.

14 Q Sure.

15 A Okay. I found the two states.

16 Q And so the average residential electricity  
17 bill was lower in Mississippi and Louisiana than it was  
18 for TECO's customers?

19 A Yes, it was in those particular states. But I  
20 would also point out that if we are looking strictly at  
21 Tampa Electric, we are lower than Alabama, North  
22 Carolina, West Virginia, and numerous other states  
23 throughout the country.

24 Q If I could direct your attention to another  
25 one of your rebuttal work papers. This is going to be



1 FLL-213, tab -- well, we will do that first -- master  
2 F3.4-6846.

3 A Okay. It's available on my screen.

4 Q And this was one of your work papers to  
5 support your rebuttal testimony?

6 A Yes, I believe so.

7 Q And on this particular page, it shows the  
8 history of residential rates for TECO?

9 A Yes, it does on this particular page.

10 Q And in 2008, the residential customer charge  
11 was \$8.50?

12 A Yes, that's what this indicates.

13 Q And what TECO has proposed here is \$32.10?

14 A Yes, that would be correct.

15 Q And that's almost quadrupling?

16 A I think there are numerous factors to consider  
17 in that. A few of those would be -- or one of them  
18 would be inflation. The other one would be the  
19 consideration of the MDS methodology. I believe that  
20 Archie mentioned that, on an inflation adjusted basis,  
21 Tampa Electric's bills are pretty much unchanged in the  
22 past, you know, 10 years or so.

23 Q But you would agree, that's almost quadruple?

24 A I would agree that that's the case for the  
25 customer charge component.

1           Q     And looking at the base energy charge, the  
2     base rate was a little over four cents in 2008 per  
3     kilowatt hour, and this is for both less than and over  
4     1,000 kilowatt hours of usage?

5           A     Yes, I see that on here.

6           Q     And proposed here is about 7.5 cents per  
7     kilowatt hour for under 1,000 kilowatt hours, and about  
8     eight-and-a-half cents per kilowatt hour for over 1,000  
9     kilowatt hours?

10          A     Yes, that's what this indicates.

11          Q     In your rebuttal testimony, you include the  
12     Department of Energy's definition of energy burden of --  
13     is that right?

14          A     Yes. So energy burden, according to the  
15     Department of Energy, is taking the month -- or what a  
16     customer pays on their monthly utility bill and dividing  
17     it by their gross annual income.

18                   I would also indicate that over the past 21  
19     years, if you took Tampa Electric's monthly bill and  
20     divided it by household income, it's actually showing a  
21     linear decline within the trend. So there has been a  
22     downward trend in the bill over the past 21 years  
23     relative to household income.

24          Q     And that includes the definition that a  
25     household with six percent or greater energy burden is

1 **considered to be a high energy burden household?**

2 A Yes. That's correct. And I did do an  
3 analysis on both the median income -- household income  
4 in Florida, and an analysis on the -- on low-income  
5 households within Florida. And Tampa Electric's energy  
6 -- as defined by the Department of Energy, Tampa  
7 Electric's energy burden is roughly 2.5 percent for  
8 Tampa -- or Florida's median income, and about 4.5  
9 percent for low-income households, so well below that of  
10 the six percent threshold for the Department of Energy.

11 **Q And your low-income household analysis, in**  
12 **your testimony, that's based on the LIHEAP threshold**  
13 **amount?**

14 A Yes, it's based on what LIHEAP would consider  
15 to be a low-income household.

16 **Q And it's based on the top threshold level of**  
17 **household income in your analysis for that threshold?**

18 A Yes, it's based on the numbers stated by  
19 LIHEAP. It was the best available information.

20 **Q And if I could next direct your attention to**  
21 **Exhibit FLL-215. This is going to be master number**  
22 **F3.4-6954.**

23 **And you also did the same analysis in response**  
24 **to a discovery request based on one income, whereas, the**  
25 **one included in your rebuttal testimony was based on two**

1 **incomes?**

2 A The one included in my rebuttal testimony was  
3 based on two incomes. With that said, doing the same  
4 analysis on a one-income household, it still  
5 demonstrated that Tampa Electric has a downward linear  
6 trend, and was also below the six-percent threshold.

7 I also like to indicate that a one-income  
8 household, you know, I am not really sure is going to be  
9 using 1,000 KWH. They may be using less. So that would  
10 change that -- the energy burden and lower it even more.

11 **Q And this is the analysis based on -- it's**  
12 **based on -- not on a one-person household, but on a**  
13 **one-income household, is that right?**

14 A It is a one-income household.

15 **Q And I believe you were alluding to this, but**  
16 **both of your analyses were based on 1,000 kilowatt hours**  
17 **of usage?**

18 A Yes. That's the typical amount that this  
19 commission is accustomed to seeing.

20 **Q You would agree that average residential usage**  
21 **for TECO customers was higher in 2023, at 1,157 kilowatt**  
22 **hours per month?**

23 A That would be correct for 2023, which I  
24 believe Lori indicated was a really hot year. It's not  
25 significantly higher than that of 1,000 kWh.

1           **Q     And TECO has higher rates that kick in after**  
2 **1,000 kilowatt hours of usage?**

3           **A     Yes, there is a penny differential.**

4           **Q     And just to be clear, your analysis does not**  
5 **estimate how many people in Hillsborough County are**  
6 **going to meet that energy burden definition?**

7           **A     No, it doesn't. I am not sure where that**  
8 **information is available for the year 2025.**

9           **Q     Thank you for bearing with me, Mr. Williams.**  
10 **That's all my questions.**

11          **A     I appreciate it.**

12                   **CHAIRMAN LA ROSA:** Thank you, guys. You  
13 caught me right as I decided to eat something.  
14 Great timing.

15                   All right. Let's move to FIPUG.

16                   **MR. MOYLE:** Thank you, Mr. Chair.

17                                   **EXAMINATION**

18 **BY MR. MOYLE:**

19           **Q     Good morning, Mr. Williams. How are you?**

20           **A     I am doing fantastic. How about yourself?**

21           **Q     I am good. Thank you.**

22           **A     An opportunity to talk about rate design, so**  
23 **scintillating conversation, so thank you.**

24           **Q     Well, I assume there is others that share that**  
25 **opinion.**

1 A No, not really.

2 Q I am going to walk you through a few things  
3 and have a little bit of follow-up on some questions  
4 that you were asked, and then want to talk to you about  
5 some of your testimony.

6 So the 50-percent AD, I thought I heard you  
7 say that that has never -- that that's been rejected  
8 every time it's been put forward, is that right?

9 A I am only aware of it being put forward one  
10 time, and I do not believe that was approved, so I  
11 believe the answer to your question is yes.

12 Q All right. And on the minimum distribution  
13 system, it's called MDS, but the D obviously is for  
14 distribution, correct?

15 A Yes.

16 Q Okay. And it's an accepted methodology, is it  
17 not?

18 MR. MARSHALL: I am going to object to  
19 friendly cross, if I may be heard.

20 CHAIRMAN LA ROSA: Go ahead.

21 MR. MARSHALL: Mr. Moyle's position, and the  
22 company's position on this, are aligned, and this  
23 is starting to sound a lot like redirect. So I do  
24 believe this is friendly cross.

25 MR. MOYLE: I -- you know, there is two cost

1 of service studies at issue. Mr. Marshall's client  
2 is supporting one. We are supporting the other.  
3 This is the witness who has all of this  
4 information. I think it's pertinent and allowable  
5 to allow us to explore this issue. We have said at  
6 the very beginning this was a big issue on this, so  
7 we would ask to be able to ask these questions.

8 CHAIRMAN LA ROSA: Sure. I am going to turn  
9 to my advisors. I have got a gut on this, but I  
10 will --

11 MS. CIBULA: I don't think it's friendly  
12 cross. I think he should be allowed to ask these  
13 questions.

14 CHAIRMAN LA ROSA: I agree. Let's allow this  
15 to continue. And obviously, you have got the right  
16 to chime back in if you think it continues too  
17 much.

18 So please go ahead, Mr. Moyle.

19 BY MR. MOYLE:

20 **Q So with respect to minimum distribution**  
21 **system, I think my question was, it's an accepted**  
22 **methodology, is it not?**

23 **A** In Florida, I am aware that it's been approved  
24 through settlement, but it is an accepted methodology in  
25 Florida and other states throughout the country.

1 Q And there are a lot of details associated with  
2 it. I remember when I was first asking about it, it was  
3 explained to me in a certain way, and I want to tell you  
4 how it was explained and see if you generally agree with  
5 this, is that okay?

6 A Yes, that's probably preferable.

7 Q So what I understand it helps do is that it  
8 focuses on distribution costs, correct?

9 A Yes, it does.

10 Q And if you have a large commercial or  
11 industrial user that is close to a transmission line,  
12 they put in a site, it's a relatively simple connection  
13 to make from a transmission line to a large user. You  
14 step down some power and say it's within, you know, a  
15 quarter mile, you hook them up to your system and you  
16 are good to go. Does that make sense?

17 A Yes, that makes sense, but that doesn't really  
18 impact the minimum distribution study or system  
19 analysis. That would be handled just within the cost of  
20 service, and indicating that primary and subtransmission  
21 customers don't use the secondary distribution system.

22 Q The point, the compare/contrast for me was,  
23 with respect to that scenario, compared to, let's say, a  
24 residential development -- Florida is having a lot of  
25 residential development right now, correct?



1           A     I believe that to be true.

2           Q     And just for the conversation, a 500-unit --  
3     500 new homes, you know, going in somewhere, that's a  
4     new area, used to be ag land and it's being developed,  
5     that is going to require a lot of distribution costs  
6     because you are going to -- if you don't have lines  
7     there, you are going to have to run lines there. Then  
8     you are going to have to trench and put in distribution  
9     lines to each house. You are going to have to put  
10    meters, and those costs are quite significant, is that  
11    right?

12          A     I actually don't know the answer to that. I  
13    don't do our cost estimation, so I couldn't give you an  
14    answer as to whether that's a lot of money or not.

15          Q     Yeah. Assume it is for the purposes of our  
16    conversation.

17          A     Sure.

18          Q     The minimum distribution system more properly  
19    looks at how costs are allocated in what I was told, but  
20    would you agree with that?

21                MR. MARSHALL: I am going to object that this  
22    is friendly cross. Mr. Moyle supports the MDS  
23    service methodology, as does the company, as does  
24    the witness.

25                CHAIRMAN LA ROSA: Yeah, I will go to Mr.

1 Moyle. I'm -- are you turning the corner on this  
2 or --

3 MR. MOYLE: Yes, I am. I am moving on to  
4 something else.

5 CHAIRMAN LA ROSA: Okay. Yeah, let -- I am  
6 going to allow it, again, to continue.

7 MR. MOYLE: Yeah. Thank you.

8 CHAIRMAN LA ROSA: Obviously, the direction is  
9 important.

10 BY MR. MOYLE:

11 **Q You can answer that question.**

12 A Proponents of MDS would agree with what Mr.  
13 Moyle has just stated.

14 **Q And you are a proponent of MDS, I guess, as**  
15 **Mr. Bradley noted?**

16 A Per the terms of the settlement agreement,  
17 Tampa Electric is to support or not oppose the  
18 implementation of MDS.

19 **Q Okay. A couple of other just follow-up**  
20 **questions. And you were shown a lot of information**  
21 **about, you know, residential and commercial classes.**  
22 **Your biggest customer class in terms of load is**  
23 **residential, correct?**

24 A I don't recall.

25 **Q So in terms of a lot of, you know, a**

1 utilities, I have been told 85, 80, 90 percent  
2 residential. You are not aware of as far as Electric's  
3 residential load?

4 A I know that it's significant, but I am not --  
5 I don't recall how it compares to that of our  
6 subtransmission customers. I know that they also have a  
7 lot of energy usage as well.

8 Q Assume it's significant, just for the purposes  
9 of the question. In terms of allocating dollars, if you  
10 say, oh, here's, you know, a bigger dollar, it follows  
11 that the customer classes that are taking the most  
12 energy would have a higher dollar allocation, correct?

13 A If allocated on an energy basis, yes, that  
14 would be correct.

15 Q Let's look at your testimony, if we could. I  
16 would like to go to C18-1763.

17 A Okay. It's appeared on my screen.

18 Q Okay. If we could go down toward the end of  
19 the page. The question there, you are asked to explain  
20 why Tampa Electric is proposing that its demand-related  
21 production and demand-related transmission costs be  
22 allocated to rate cases -- rate classes using a 4 CP  
23 methodology, right?

24 A Yes. This is indicating that Tampa Electric  
25 entered into a settlement agreement, and that's --

1           **Q**    Well, let me just ask you this:  Would you  
2   **read your answer, please?**

3           MR. MARSHALL:  I am going to object as  
4   friendly cross.  I mean, this is really getting  
5   into redirect territory, where Mr. Moyle is using  
6   the wit -- I mean, he is trying to support the  
7   witness' position to support his position.

8           MR. MOYLE:  I mean, it's been objected.  You  
9   have ruled on it.  I am going to walk him through  
10  this one page and --

11          CHAIRMAN LA ROSA:  I don't know that he has  
12  fully gotten there yet.

13          MR. MARSHALL:  Okay.

14          MR. MOYLE:  I'm sorry?

15          CHAIRMAN LA ROSA:  I don't believe that you  
16  have fully gotten to that point yet.

17          MR. MOYLE:  Right.  Right.

18  BY MR. MOYLE:

19          **Q**    So, Mr. Williams, would you just read your  
20  **answer to the question that I just read from the record?**

21          A    Yes.  Starting on line 25?

22          MR. MARSHALL:  I would also have to point out  
23  and object to literally asked and answered.  This  
24  has been entered into the record as though read,  
25  and he is actually being asked and answered the

1 same question he was asked on direct.

2 CHAIRMAN LA ROSA: Okay. Can we maybe specify  
3 the question, if there is a question there -- or  
4 maybe just specify a portion of what you are asking  
5 him to read rather than asking him to read this  
6 entire question.

7 BY MR. MOYLE:

8 Q You would agree, would you not, that the 4 CP  
9 methodology is an accepted cost allocation for several  
10 reasons?

11 A Yes, it was approved in the 2021 settlement  
12 agreement, and numerous reasons were given during that,  
13 but, again, I wasn't here during that time.

14 Q Right. But you also, in your testimony, say  
15 it's a fair approach to allocating costs, do you not?

16 A Can you point me to exactly where I say fair  
17 approach?

18 Q Sure. Page five, line four.

19 A Yes. That's correct.

20 Q And just for the record, it says: The  
21 proposed cost of service study meets each of the  
22 requirements and fairly allocates cost, correct?

23 A Yes, that's what it states.

24 Q And that's your view today as you sit here,  
25 correct?

1           A     So Tampa Electric entered into a settlement  
2 agreement in which we were required to either --

3           Q     Right. And you just took -- you are under  
4 oath, are you not?

5           A     I am.

6           Q     And you said you didn't have any changes to  
7 this testimony?

8           A     That's correct. I also don't -- I think I  
9 mentioned I wouldn't be offering a personal opinion. I  
10 am offering the opinion of the company here.

11          Q     Right. And is this consistent with that?

12          A     Yes. It says that it fairly allocates costs.

13          Q     On your testimony with respect to -- this is  
14 back on page 25. You say: The 4 CP methodology  
15 reflects cost causation in relation to Tampa Electric's  
16 peaks, and that those peaks are primarily a function of  
17 energy consumption associated with weather.

18                 You also go on and say that there is a strong  
19 correlation between weather in residential and small  
20 commercial energy consumption. And when it's hot, those  
21 classes can tend to consume more energy through cooling,  
22 and when it's cold, these classes tend to consume more  
23 energy through heating --

24          A     Yes.

25          Q     -- is that right?

1           A     Yes.

2           Q     And when you talk about strong correlation, is  
3     that another way of saying, in effect, that the people  
4     who are, on a hot day or a cold day, they are the ones  
5     that are causing the cost?

6           A     Yes, that would be correct.

7           Q     Right. And you agree that with respect to  
8     rate design and allocation, that those who cause the  
9     cost should pay for the cost, correct?

10          A     Generally speaking, yes, that's correct. Rate  
11     design is a little more artistic than the cost of  
12     service model. The cost of service model is very  
13     scientific; but generally speaking, yes, I agree with  
14     that statement.

15          Q     Okay. You also have said -- this is on line  
16     21, and these are reasons why 4 CP is appropriate. You  
17     say that Tampa Electric's transition away from large  
18     baseload coal-fired generating units to cleaner  
19     generating resources like solar has diminished the  
20     importance of shoulder months for operational planning  
21     and cost attribution purposes. Could you explain that,  
22     please?

23          A     So in the -- yes. In the shoulder months,  
24     back when Tampa Electric had coal units, they  
25     continuously needed to be operated on and shut down;

1    whereas, the generation fleet has significantly changed  
2    since then. Tampa Electric is -- doesn't have much of  
3    an issue meeting its shoulder months peaks today as it  
4    would relative -- or compared to previous years, simply  
5    because we don't have those units that need continuous  
6    maintenance, or, you know, significant maintenance and  
7    shutdowns.

8           **Q     And that's another reason why the 4 CP**  
9    **methodology is supported, correct?**

10          A     That is a reas -- that is a reason why it  
11    it's -- yes.

12          **Q     Then you start on line 25. You say: The 4 CP**  
13    **methodology can serve as a catalyst for economic**  
14    **development, as it would make manufacturers and other**  
15    **large employers in Tampa Electric's service area more**  
16    **competitive than competing regions. That is also a**  
17    **benefit of 4 CP, correct?**

18          A     Yes, that's stated in here. I think it's more  
19    so a byproduct of 4 CP, but that's correct.

20          **Q     And we have had a few conversations with**  
21    **respect to the Florida Legislature's recent articulation**  
22    **of energy policy in the state.**

23          A     Yes, I remember those conversations.

24          **Q     Would you agree that with respect to your**  
25    **testimony here and the use of the 4 CP, that consistent**



1 with section -- I will just, for the record, cite it --  
2 377.601(2)(f) -- that the 4 CP approach supports  
3 economic growth?

4 A I am not really aware of that specific  
5 section, but based on my testimony and what I have  
6 stated here, it does support economic growth.

7 Q Okay. And I will just represent, paragraph F  
8 says, supporting economic growth, so save you --

9 A Okay.

10 Q -- having to check it.

11 A Then sure.

12 Q So at the -- back at the top of your  
13 testimony, on line 25, you say that the 4 CP methodology  
14 is an accepted cost allocation methodology for several  
15 reasons. And then you say that the parties to the 2021  
16 settlement agreement identified some of these reasons --

17 A Yes.

18 Q -- and you list them. That leads me to ask --  
19 to say, well, if these aren't all of the reasons, what  
20 are some of the additional reasons that support the 4 CP  
21 approach?

22 MR. MARSHALL: I am just going to renew my  
23 objection at this time regarding friendly cross,  
24 since I believe Mr. Moyle's position is in support  
25 of the 4 CP with MDS, and that is also the

1 company's position, as said through his testimony.

2 CHAIRMAN LA ROSA: Yeah. I think we have been  
3 toting the line, and I have been kind of waiting to  
4 see kind of what the direction of the question is.  
5 I think we are crossing over. So if there is a  
6 more direct question that's not, you know, based  
7 specifically in reading back his testimony, then I  
8 would allow that.

9 MR. MOYLE: All right. Can I have a second  
10 please?

11 CHAIRMAN LA ROSA: Sure. In fact, Mr. Moyle  
12 -- so it's a few minutes before 11:00. I wouldn't  
13 mind giving the court reporter and the witness  
14 maybe a break.

15 My anticipation is, is that we will come back,  
16 obviously, and pick up where we left off, and then  
17 start to wrap things up. I will allow a closing  
18 statement of some sort by the parties. You don't  
19 have to, of course, take me up on that, but I do  
20 want to offer that up.

21 MR. WAHLEN: Is that in lieu of briefs so we  
22 can get a bench decision or --

23 CHAIRMAN LA ROSA: No, that's not, but just as  
24 a wrapping up, you know, maybe kind of the  
25 proceedings from this week. So, yeah, if that's

1           okay with everyone, of course, we will come back to  
2           that officially.

3           MR. MOYLE: Thank you.

4           MR. WAHLEN: Of course, it's whatever the  
5           Commission wants. It was not in the Prehearing  
6           Order. We didn't come prepared to do that. If you  
7           want me to make something up in a hurry, I can, but  
8           I really was not anticipating making a closing  
9           statement.

10          CHAIRMAN LA ROSA: Okay.

11          MR. WRIGHT: I am in the same boat as my  
12          friend Mr. Wahlen.

13          MR. WAHLEN: I would prefer that we just  
14          brief.

15          CHAIRMAN LA ROSA: Okay.

16          MR. WRIGHT: I thought we would just brief,  
17          but if you want a closing statement, I can do one.

18          CHAIRMAN LA ROSA: Okay. How about --

19          MR. MOYLE: I think it's a great idea.

20          CHAIRMAN LA ROSA: Yeah. Yeah. We will come  
21          back to that after the break and I will give you  
22          time if it's necessary. Yeah, and I didn't  
23          actually tell you how long. Let's say 10 minutes.

24          (Brief recess.)

25          CHAIRMAN LA ROSA: All right. If you don't

1 mind maybe jumping back in your seats and we will  
2 get going.

3 Before the break, my intentions were to maybe  
4 just have a few brief comments. I have been  
5 advised otherwise, but I will let my advisors  
6 explain.

7 MS. HELTON: I appreciate your sentiments, Mr.  
8 Chairman, about wanting to hear from all the  
9 parties at the end, but unfortunately, we have not  
10 noticed the opportunity for closing arguments to  
11 the parties. They didn't -- that was not set out  
12 in the Order Establishing Procedure or the  
13 Prehearing Order, and that is not our typical  
14 process.

15 So if parties, when they file their briefs,  
16 they could, you know, take up some of their pages  
17 and do a short summary closing argument there if  
18 they wanted to have one place to kind of put  
19 everything together. But I do not believe that  
20 it's appropriate today to hear closing arguments  
21 from the parties.

22 CHAIRMAN LA ROSA: Okay. Perfect. Thank you.  
23 So we will stick to the Prehearing Order.

24 And then let's pick up where we left off with  
25 FIPUG and questions.



1           Your -- I am going to ask you a few questions  
2 about your testimony at page 37 of your testimony. And  
3 you can look at it if you want to. It's the one where  
4 you have included a slightly modified version of the  
5 PSC's electric bill comparison table at the bottom of  
6 the page.

7           A     Okay. I am --

8           Q     Okay. You are there. Great.

9                     So there, you testified that based on the  
10 information shown in your table, Tampa Electric would  
11 still have the second lowest rates residential 1,000 kWh  
12 bill amongst the IOUs, assuming the numbers on this  
13 table, is that accurate?

14          A     Yes, in combining Florida Power & Light as one  
15 company.

16          Q     Thanks, that got my next question.

17                     You don't provide any testimony regarding the  
18 relationship of Tampa Electric's rates to either rates  
19 of municipal utilities or cooperative utilities in  
20 Florida, do you?

21          A     No, I do not.

22          Q     Thank you.

23                     This exhibit is based on March 24, with the  
24 update of your projected 1,000 kWh residential bill at  
25 \$160.93 for January of '25, correct?

1           A     Yes.  It's a snapshot in time.

2           Q     Thank you.

3                     I understand that with the company's reduced  
4 revenue requirements adjustment that I think you filed  
5 last week, I think it was August 22nd, that doesn't --  
6 recently, that that number, that \$160 number is  
7 something more like 158, \$159, do you think?

8           A     It will come down a bit.  I don't know the  
9 exact number.

10          Q     Okay.  Thank you.

11                    Do you stay abreast of other utilities, the  
12 other IOUs -- we will stick with the IOUs.  Do you stay  
13 abreast of the other IOUs' typical bills?

14          A     Occasionally.  I have looked at their Schedule  
15 A-2 and some of their more recent rate proceeding  
16 filings, but I check it every few months.

17          Q     Do you look at the PSC's electric bill  
18 comparison table that you have included in your  
19 testimony here as it is updated monthly -- well, as it  
20 is updated periodically, I should say?

21          A     I can't claim that I check -- no, I can't  
22 claim that I check it every month, but I do look at it  
23 occasionally.

24          Q     As of August, will you accept, subject to  
25 check, that the PSC's report shows that FPL legacy, what

1 I am going to call the main FPL, shows a bill of \$121.19  
2 per thousand?

3 A I would have to take you at your word.

4 Q And FPL Northwest Gulf Power is \$135.39?

5 A Again, I would have to take you at your word.

6 Q Duke Energy Florida is currently, as of  
7 August, 157.47?

8 A I would imagine that reflects a decrease in  
9 fuel, but again, I will take you at your word.

10 Q And I believe Tampa Electric's current bill is  
11 \$136.44. Does that sound right?

12 A Yes, that sounds correct.

13 Q Okay. And I think FPUC is still \$165.98,  
14 correct --

15 A Again, I will take you at your word.

16 Q -- or subject to check?

17 A Yeah, subject to check.

18 Q Okay. With respect to next year, do you have  
19 any different expectation as to what FPL's, Duke Energy  
20 Florida's or FPUC's bills will be as of January of 2025,  
21 other than what you have talked about in your testimony?

22 A Only what I have seen in their schedule -- or  
23 MFR Schedule A-2, but I don't recall the exact numbers.  
24 I just remember they being -- they were higher than that  
25 of Tampa Electric's.



1           Q     Well, if DEF is at 140 -- 157.47, then it will  
2     be probably a little less than Tampa Electric's,  
3     correct?

4           A     I am not sure if their 157 is inclusive of  
5     their more recent base rate settlement agreement.

6           MR. WRIGHT: Mr. Chairman, I am going to ask  
7     y'all to take notice of your document, the current  
8     August 2024 electric bill comparison that's on your  
9     website. It's something that's readily available.  
10    It is your information. We have talked about  
11    current information. He has criticized Mr.  
12    Marcelin for not using current information, and I  
13    simply want you to have the most current  
14    information available as of today.

15           CHAIRMAN LA ROSA: Okay.

16           MR. WRIGHT: Thank you.

17           MR. WAHLEN: I am a little concerned. Public  
18    Counsel went to great lengths to file a request for  
19    official recognition before the hearing. We  
20    responded to it. We had time to think about what  
21    we would do to supplement that request, and we did,  
22    and that was taken up at the beginning of the  
23    hearing.

24                   Now, in the closing hours of the hearing, we  
25    are being asked about another request for official

1 recognition. I think it's untimely, and we haven't  
2 really had a chance to think about what we would do  
3 to supplement it, if anything.

4 So I don't like the feel of telling the  
5 Commission that you shouldn't look at stuff on your  
6 own website. We just haven't had a chance to think  
7 about how we would supplement it the way Public  
8 Counsel gave us that opportunity by filing before  
9 the hearing, so, thank you.

10 CHAIRMAN LA ROSA: Sure.

11 MR. WAHLEN: I guess we object.

12 MR. WRIGHT: Yeah, I would simply say, I don't  
13 think there is anything to supplement. It's your  
14 information on your website today.

15 CHAIRMAN LA ROSA: I will go to my advisors on  
16 this.

17 MS. HELTON: Mr. Chairman, we always  
18 officially recognize our orders, and you are not  
19 necessarily required to ask for official  
20 recognition as such, because we do.

21 I just checked with Ms. Draper, and that bill  
22 information that I think Mr. Wright is alluding to  
23 is available on our orders. So if he wants to use  
24 that as part of his arguments before the  
25 Commission, maybe Mr. Wright could cite to our

1 orders and where he got the information.

2 CHAIRMAN LA ROSA: Sure. Can we do that?

3 MR. WRIGHT: Sure. I can pull the updating  
4 orders.

5 My proffer is very simple. The numbers on  
6 your website, to the very best of my knowledge,  
7 reflect the rates as currently approved pursuant to  
8 your orders, several of them, including Tampa  
9 Electric's much lower rate, \$136, and Duke Energy's  
10 slightly lower rate, are the result of midcourse  
11 corrections that were approved, I think, around the  
12 end of May or the beginning of June.

13 I appreciate Ms. Helton's comments and  
14 suggestion, and I am perfectly happy to use your  
15 orders to get the numbers that I am talking about.

16 CHAIRMAN LA ROSA: Okay.

17 MR. WRIGHT: Okay. Just, I think, a few  
18 seconds, if I could.

19 CHAIRMAN LA ROSA: Sure.

20 MR. WRIGHT: Thank you.

21 BY MR. WRIGHT:

22 **Q Mr. Williams, you may have answered this**  
23 **question. If you did, I apologize, and I don't remember**  
24 **it. But I asked you: Do you have an expectation -- or**  
25 **in your frame of knowledge, an expectation of what the**

1 other utilities' bills will be in January. I think you  
2 said no, but if you could just confirm that, that would  
3 be great.

4 A No, I do not know exactly what their bills  
5 will be in January of 2025.

6 MR. WRIGHT: Thank you. That's all I have.

7 CHAIRMAN LA ROSA: Great. Thank you.

8 Walmart.

9 EXAMINATION

10 BY MS. EATON:

11 Q Good morning, Mr. Williams.

12 A Good morning.

13 Q You have discussed some cost causation  
14 principles today, and I just have a couple of general  
15 questions to begin.

16 Do you agree that transmission and  
17 distribution infrastructure costs are fixed costs that  
18 do not change with the amount of energy consumed by  
19 customers?

20 A The cost of the assets, yes, I do agree with  
21 that, associate -- but that's with the cost of the asset  
22 itself.

23 Q That's what I am speaking of, the transmission  
24 and distribution infrastructure cost of the asset.

25 A Of the asset, yes.

1 Q And would you agree that recovering  
2 demand-related fixed costs through an energy or variable  
3 charge would violate cost causation principles because  
4 it results in a shift in demand cost responsibility from  
5 lower load factor customers to higher load factor  
6 customers?

7 A Not necessarily. That's a rate design. And  
8 rate design is -- there is a bit more discretion in rate  
9 design.

10 Q I want to ask you a little bit about -- well,  
11 I will start off saying, yesterday, I was asking Mr.  
12 Chronister regarding TECO's proposal to collect via the  
13 method presented in Section 8 of the settlement  
14 agreement in the 2021 rate case, the storm cost -- or  
15 for the storm cost recovery, and he said to ask you some  
16 questions, so you can blame him later for these few  
17 questions.

18 A Can I say thanks, Jeff?

19 Q Yes.

20 Are you generally familiar with the storm cost  
21 recovery part of this 2021 settlement agreement?

22 A At a very, very high level.

23 Q If we need to pull it up, it's CEL Exhibit  
24 830, but I think I can ask the questions without you  
25 reading what it says.

1           Would you agree that in TECO's most recent  
2 storm cost recovery docket, which was 2023-0019-EI, for  
3 its true-up, TECO agreed to refund any over-collected  
4 storm costs to customers the same way those costs were  
5 originally collected?

6           A     Yes, that sounds familiar.

7           Q     And do you agree that in TECO's most recent  
8 storm cost recovery docket, with respect to the  
9 under-collected storm cost, for its true-up, TECO agreed  
10 that it would collect any remaining amounts owed from  
11 demand-metered customers through demand charges via an  
12 adjustment to the energy conservation clause?

13          A     Yes, that sounds familiar as well.

14          Q     And subject to check, would you agree that the  
15 stipulation that was entered between TECO and Walmart  
16 regarding how the TECO -- how TECO would handle the  
17 true-up of its storm costs was memorialized in Order No.  
18 PSC-2024-0190-FOF-EI, which was entered June 13th, 2024?

19          A     Subject to check, I will agree with that.

20          Q     And would you agree that it is physically  
21 possible for TECO to collect storm costs from  
22 demand-metered customers via a demand charge?

23          A     For clarity sake, are you talking about on a  
24 forward basis or --

25          Q     Yes.

1           A     Physically, yes, it's possible. I do believe  
2     that it would require some upgrades to the billing  
3     system, but it's possible, so, yes.

4           Q     And the collection of demand -- of the storm  
5     costs from demand-metered customers through demand  
6     charge is what TECO is doing for its true-up when it  
7     collects that money, the under-collected money, through  
8     the energy conservation clause, correct?

9           A     Yes, that would be correct, considering the  
10    energy conservation charge as a demand component for the  
11    larger rate classes.

12          Q     Do you have any understanding about what the  
13    proposal is for storm costs on a going -- the collection  
14    of the storm costs on a going-forward basis?

15          A     No, not a strong one.

16          Q     I want to ask you about your Exhibit JW-2,  
17    which is in your rebuttal, and it's CEL Exhibit 152.  
18    And you have a bunch of documents attached to JW-2. And  
19    I am going to ask you about Document 8, and page 86 of  
20    211 in that document, which is master page D14-1137. I  
21    think you have to rotate the page though, yeah, and  
22    definitely have to make it larger. It's very, very,  
23    very hard to read.

24                   Was this a beautiful spreadsheet that you  
25    created?

1           A     You will have to give me a second to see what  
2     it is.

3                     This is a spreadsheet that I created. I don't  
4     know that I will classify this, or categorize this one  
5     as beautiful.

6           Q     Okay. Fair.

7                     This is the -- the header is just the full  
8     bill comparison for GSD. Do you see that?

9           A     Yes, I do.

10          Q     And at the bottom of the page, there is some  
11     headings that say, present and proposed. Do you see  
12     those headings?

13          A     Yes, I do.

14          Q     And I was looking at the column for GSDT.  
15     Would you agree that's a demand rate?

16          A     GSDT is a demand rate for time-of-use  
17     customers.

18          Q     Okay. And under those columns, there is a  
19     list. It says, demand charges, and those charges are in  
20     dollars per kilowatt. And then there is energy charges.  
21     Those are in cents per kilowatt hour. And then it goes  
22     through fuel charge, conservation cost, capacity charge,  
23     CETM, and then an environmental. All those charges are  
24     listed. Then there is a charge for SPP, which looks  
25     like it is -- and that's the storm protection plan



1 charge, is that correct?

2 A Yes, that is the storm protection plan charge.

3 Q And that's staying at a dollar per kilowatt  
4 hour, is that correct?

5 A Yes, it's on a dollar per kilowatt basis.

6 Q And then at the bottom of the headings, it  
7 says, storm surcharge. Is that the monies collected  
8 pursuant to the storm cost recovery dockets?

9 A Yes, which is on a cents per kilowatt hour  
10 basis.

11 Q And that's currently on a cents per kilowatt  
12 hour basis, but then there is no proposed amount on the  
13 other side. Do you see that? It's the only column that  
14 doesn't have a corresponding proposed.

15 A Yes, that's because in 2025, under the  
16 proposed rates, to the best of my knowledge, there is  
17 not a storm surcharge at this time, so I left that  
18 column blank.

19 Q Okay. And so I guess what I am trying to get  
20 at is if TECO's plan is to, with this rate case, is to  
21 have this commission approve the methodology for  
22 handling storm cost recovery charges, whether those  
23 charges would be collected from demand-metered customers  
24 going forward on an energy basis versus on a demand  
25 basis?

1           A     I don't know the answer to that.

2           **Q     Is there anybody else that has that answer?**  
3     **Because I couldn't find it in the testimony, and Mr.**  
4     **Chronister told me to ask you.**

5           A     Thanks, Jeff, if you are watching.

6                     I don't know. I am not sure who would know  
7     the specific answers to that. I think that the team  
8     would have to chat and come up with a decision.

9           **Q     Okay. But I think you agree that it's**  
10    **physically possible, with some adjustments on the**  
11    **billing system side, to collect storm cost from**  
12    **demand-metered customers on a demand basis, is that**  
13    **right?**

14          A     It is physically possible to collect that. I  
15    mean, I believe that there would need to be upgrades to  
16    the billing system, but it is -- yes, it is physically  
17    possible to do.

18          **Q     Okay. Thank you.**

19                     MS. EATON: That's all I have.

20                     CHAIRMAN LA ROSA: Great. Thank you.

21                     Staff.

22                     MR. SPARKS: Yes, Mr. Chairman, just a few  
23    questions.

24                     CHAIRMAN LA ROSA: Sure.

25                                     EXAMINATION

1 BY MR. SPARKS:

2 Q Unfortunately, I don't think we will get to  
3 look at any of the beautiful spreadsheets in my  
4 questions.

5 I just want to briefly touch on something that  
6 was touched on earlier. In your direct, you state that  
7 the 4 CP methodology could make manufacturers and other  
8 large employers in TECO's service area more competitive,  
9 is that correct?

10 A I did state that in my testimony, yes.

11 Q And this is simply because that the  
12 commercial/industrial rates would be lower under 4 CP  
13 than under 12 CP?

14 A Yes.

15 Q But TECO already has an economic development  
16 tariff available to help attract new businesses, is that  
17 correct?

18 A That is correct. Tampa Electric has an  
19 economic development rider as well as a  
20 commercial/industrial service rider. So, yes, that's  
21 correct.

22 Q And your testimony, in fact, discusses changes  
23 that TECO is proposing to that rider to attract new  
24 business?

25 A Yes, that's correct.

1           **Q     Thank you very much.**

2           MR. SPARKS:  That's all the questions I have.

3           CHAIRMAN LA ROSA:  Thank you.

4           Commissioners, do we have any questions?

5           Commissioner Clark, you are recognized.

6           COMMISSIONER CLARK:  Thank you, Mr. Chairman.

7           I don't anticipate my questions lasting more than  
8           an hour or two, so...

9           CHAIRMAN LA ROSA:  Plenty of time.

10          THE WITNESS:  I am a patient man.

11          COMMISSIONER CLARK:  No, I just have a couple  
12          of questions, and they are kind of related to  
13          residential energy consumption.  Some of the  
14          questions I believe that Mr. Marshall were asking,  
15          I just wanted to follow up and see if I could get a  
16          little better understanding.

17                 When you look at the charts that you  
18          presented, they showed the average kilowatt hour  
19          consumption for a TECO customer, and they showed  
20          that average kilowatt hour consumption for  
21          customers in other states, Louisiana, Mississippi,  
22          I believe, if I remember from the chart right, were  
23          the two highest states that had the highest  
24          kilowatt hour consumption.

25                 Are there things that would make kilowatt hour

1 consumption in those states, outside of weather,  
2 higher than, let's say, we have in Florida?  
3 Because I would think anyone would agree, the  
4 weather would be probably a bigger impact in  
5 Florida, but you saw a higher kilowatt hour  
6 consumption in those two states. Are there things  
7 that would drive that kilowatt hour consumption up  
8 relative to Florida?

9 THE WITNESS: Nothing that I could state  
10 definitively.

11 COMMISSIONER CLARK: Are you aware that the  
12 average retail -- let me ask this question: Are  
13 you aware of the average retail price of  
14 residential kilowatt hours in Louisiana and  
15 Mississippi compared to Florida?

16 THE WITNESS: I do have that information  
17 available.

18 COMMISSIONER CLARK: Could you look at that?

19 THE WITNESS: Yes.

20 COMMISSIONER CLARK: And just simply, would it  
21 be lower or higher, is the only answer I am looking  
22 for?

23 THE WITNESS: For those two specific states,  
24 it was lower.

25 COMMISSIONER CLARK: It is lower.

1           Are there any economic principles that come  
2           into play when you have a lower price concerning  
3           the purchase of goods?

4           THE WITNESS: Yes, there are. When you have a  
5           lower price, you may not conserve as much.

6           COMMISSIONER CLARK: So it is fair to say that  
7           the higher kilowatt hour consumption in those areas  
8           might be relative to the lower price in those  
9           specific states?

10          THE WITNESS: Yes, that could be --

11          COMMISSIONER CLARK: Okay.

12          THE WITNESS: -- a possibility.

13          COMMISSIONER CLARK: When you look at the  
14          average kilowatt hour consumption that you  
15          calculate, my understanding from ratemaking was  
16          that you take the entire residential class, the  
17          kilowatt hours that are consumed in that class, and  
18          divide by the number of customers in that class.  
19          Is that a very simplistic way of looking at it?

20          THE WITNESS: Very simplistic way, yes.

21          COMMISSIONER CLARK: What do you do with the  
22          outliers? Let's assume that, for example, that you  
23          had 10, 15 percent -- and I would assume that's  
24          probably a fair accurate number from my memory --  
25          that 10, 15 percent of that particular class that

1 had zero kilowatt hour consumption, would that be  
2 possible or normal?

3 THE WITNESS: That is -- well, that seems like  
4 that's a high amount, but I don't do anything with  
5 the outliers. They are all embedded in those  
6 numbers.

7 COMMISSIONER CLARK: So what does that do --  
8 what would that typically do to your average  
9 kilowatt hour consumption?

10 THE WITNESS: That would drag it downwards.

11 COMMISSIONER CLARK: Would lower it? Okay.

12 THE WITNESS: Yeah.

13 COMMISSIONER CLARK: And my last question has  
14 to do with the concept or, I guess, the idea of  
15 doing bill credits. In your cost of service study,  
16 is there any place where you look at or you make  
17 adjustments in the cost of service study for  
18 customers based on income?

19 THE WITNESS: No, not within the cost of  
20 service study.

21 COMMISSIONER CLARK: So that is strictly on  
22 the ratemaking aspect of it. If you looked at  
23 doing -- so there is nothing that is in a cost of  
24 service, nothing that has to do with the cost of  
25 that consumer, that has to do with their income,

1           how much money they make, or whether they are  
2           eligible for Medicare or Medicaid?

3           THE WITNESS: Not within Tampa Electric's cost  
4           of service study. It's -- we did all -- or I did  
5           all of that on the rate design side.

6           COMMISSIONER CLARK: Okay. And I think you  
7           answered this question for me. But when we look at  
8           the term average kilowatt hour consumption, that is  
9           a mean calculation, not a median calculation. I  
10          think your answer -- or answered that for me,  
11          but --

12          THE WITNESS: Yes, that's correct. It's a  
13          mean.

14          COMMISSIONER CLARK: Okay. Thank you.  
15          That's all I have, Mr. Chairman. Thank you.

16          CHAIRMAN LA ROSA: Thank you.

17          Commissioner Fay.

18          COMMISSIONER FAY: Thank you, Mr. Chairman. I  
19          will try to be brief with my questions.

20          Thank you, Mr. Williams. I, too, enjoy  
21          talking about rate design, so you, me and Mr.  
22          Wright could have a pretty awesome party, I think.  
23          No one would attend.

24          I want to ask you about a rate design  
25          component that I don't think has been focused on.



1           So obviously, within the customer classes in your  
2           documentation, we have heard a lot about the CP 4  
3           method -- all the various methods for allocation.

4           So when you are structuring that rate design  
5           on the residential customer side, there is that,  
6           typically that under 1,000 kilowatt and over  
7           threshold where I think you testified and your  
8           material had about a penny difference for that over  
9           1,000 kilowatt hour charge. And from what I  
10          understand, that similar to it, maybe, like, a tax  
11          structure, and that only the amount that exceeds  
12          that thousand is charged at that higher rate, is  
13          that accurate?

14          THE WITNESS: Yes, that's correct.

15          COMMISSIONER FAY: Okay. And so then I did  
16          not see anything within the evidence you provided,  
17          but do you or any of your models review either a, I  
18          guess a different tier for that separation, or  
19          maybe even an additional tier?

20          And why I am asking is, when you looked at  
21          your evidence that you provided, it does seem like  
22          that kilowatt hour usage is on average lowering  
23          over time. And so the users who may exceed  
24          whatever number that would be currently pay that  
25          different charge; but beyond that, it doesn't seem

1           that there is any sort of distinction under the  
2           residential customer mark.

3           THE WITNESS: No, we didn't look at anything  
4           else other than -- we didn't do anything in the  
5           modeling associated to it. We know that the penny  
6           has been historically accepted, and so we left it  
7           at that.

8           COMMISSIONER FAY: Okay. And it's probably  
9           the same answer, but have you ever given  
10          consideration to an additional tier to allocate?

11          THE WITNESS: I have thought about it, but I  
12          can't say that I have done a comprehensive analysis  
13          on it.

14          COMMISSIONER FAY: Okay. Anything that you  
15          could think of, other than maybe some arguments  
16          about usage -- I know it's done on the water side,  
17          but are arguments about maybe deterrence of usage,  
18          or that sort of thing, that would be a reason not  
19          to do it on the rate design side?

20          THE WITNESS: Not one that I can really think  
21          of off the top of my head.

22          COMMISSIONER FAY: Okay. Great.

23          Thank you, Mr. Chairman.

24          CHAIRMAN LA ROSA: Great. Thank you.

25          Seeing no further questions, I will send it

1 back to TECO for redirect.

2 MR. MEANS: Thank you, Mr. Chairman.

3 FURTHER EXAMINATION

4 BY MR. MEANS:

5 Q Mr. Williams, while you were testifying  
6 earlier, we did a little checking. And would you agree,  
7 subject to check, that the amount of CIAC is credited as  
8 a reduction of rate base immediately when the agreement  
9 to pay CIC is made and not later when the money is  
10 actually received?

11 A Yes.

12 MR. MEANS: Okay. No further questions.

13 CHAIRMAN LA ROSA: All right. Let's move into  
14 exhibits. Are there exhibits that need to be moved  
15 into the record?

16 MR. MEANS: Yes. We would move Exhibits 34  
17 and 152.

18 CHAIRMAN LA ROSA: Okay. Is there objection?

19 Seeing no objections, allow the record to show  
20 that they are entered into the record.

21 (Whereupon, Exhibit Nos. 34 & 152 were  
22 received into evidence.)

23 CHAIRMAN LA ROSA: Further exhibits by the  
24 other parties?

25 MR. MARSHALL: Yes, Mr. Chairman. We have a

1 list.

2 CHAIRMAN LA ROSA: Yep. Sure. Just say them  
3 slowly.

4 MR. MARSHALL: Exhibits 546 through 548, 550,  
5 654, 673 through 675, 688 through 692, 694, 695,  
6 743 and 831 -- although, I believe 831 was already  
7 admitted. This was a different portion we used  
8 today. I just wanted to double check on that.

9 CHAIRMAN LA ROSA: Okay. Is there objection,  
10 and do we need to double check on that exhibit?

11 MS. HELTON: I am showing that 831 has been  
12 admitted, Mr. Chairman.

13 CHAIRMAN LA ROSA: Okay. Are there objections  
14 to the others?

15 MR. MARSHALL: No objection.

16 CHAIRMAN LA ROSA: Okay. Seeing no  
17 objections, show them entered into the record.

18 (Whereupon, Exhibit Nos. 546-548, 550, 654,  
19 673-675, 688-692, 694-695 & 743 were received into  
20 evidence.)

21 CHAIRMAN LA ROSA: Any other exhibits by any  
22 other parties?

23 MR. MEANS: Yes, Mr. Chairman. Mr. Williams  
24 is our last witness, so at this time, we would we'd  
25 like to move in Exhibits 3 through 15, which are

1 the minimum filing requirement schedules.

2 CHAIRMAN LA ROSA: Okay. I am going to look  
3 over at staff.

4 Any objections?

5 Seeing none, show them entered into the  
6 record.

7 MR. MEANS: Thank you, Mr. Chairman.

8 (Whereupon, Exhibit Nos. 3-15 were received  
9 into evidence.)

10 MR. WAHLEN: Just in an abundance of caution,  
11 could we double check to make sure that 217, 218  
12 and 835 are in the record? Those are the revenue  
13 requirement updates and reconciliations that we  
14 filed. I believe they are, but I am a nervous  
15 lawyer.

16 MS. HELTON: I am showing 217 has been  
17 admitted. What was the next number?

18 MR. WAHLEN: 218.

19 MS. HELTON: I am showing 218 has been  
20 admitted.

21 MR. WAHLEN: And 835, please.

22 MS. HELTON: And I am showing that 835 was  
23 also admitted.

24 MR. WAHLEN: Thank you.

25 CHAIRMAN LA ROSA: Well, seeing no other

1 exhibits, I will thank Mr. Williams.

2 Thank you for your testimony today. You shall  
3 be excused.

4 THE WITNESS: Thank you.

5 CHAIRMAN LA ROSA: Thank you.

6 (Witness excused.)

7 CHAIRMAN LA ROSA: Let me throw it back to  
8 staff. Any additional matters that need to be  
9 addressed today?

10 MR. SPARKS: Staff is not aware of any  
11 additional matters at this time.

12 CHAIRMAN LA ROSA: Do parties wish to file  
13 post hearing briefs?

14 MR. REHWINKEL: Mr. Chairman?

15 CHAIRMAN LA ROSA: Yes, sir.

16 MR. REHWINKEL: Before the record closes, I  
17 need to make some statements for the record.

18 CHAIRMAN LA ROSA: Okay.

19 MR. REHWINKEL: Thank you.

20 Now that the hearing has concluded and the  
21 record complete, the Public Counsel renews and  
22 continues its objections contained in the Office of  
23 Public Counsel's motions that we enumerated on  
24 August 26th at the beginning of this hearing as a  
25 preliminary matter. We renew and continue our

1 objections to the case schedule --

2 CHAIRMAN LA ROSA: Thank you.

3 MR. REHWINKEL: -- as having been inadequate  
4 to protect the property interests of the customers  
5 of Tampa Electric Company.

6 The Office of Public Counsel renews and  
7 continues its objection to the amount of time  
8 allocated to the hearing, but I must note that  
9 although the hearing proceeded smoothly and was  
10 exceedingly well run within the allotted time under  
11 the guidance of the Chair, the designated time  
12 required the Public Counsel to compromise and  
13 curtail the presentation of its evidence.

14 The Office of Public Counsel renews and  
15 continues its objection to the Commission requiring  
16 the advanced delivery of documents in the form of  
17 cross-examination exhibits already in the  
18 possession of the company in a manner that  
19 discloses privileged work product, mental  
20 impressions and legal strategy.

21 The Public Counsel also must state this  
22 objection. We need to note for the record that the  
23 persistent and nearly consistent effort to exclude  
24 consideration of evidence related to the Duke  
25 Energy Florida settlement agreement, filed July

1 15th, and approved by vote of the Commission on  
2 August 21, 2024, the Public Counsel was never sure  
3 exactly what the rationale was for refusal to hear  
4 evidence related to the approved DEF agreement. At  
5 times, the fact that it was not codified in an  
6 order seemed to be an objection; that it was a  
7 settlement seemed to be an objection; or that it  
8 was improper to compare it to Tampa Electric's case  
9 was also mentioned.

10 To the extent the intervening parties were  
11 prohibited from undertaking a comparative  
12 exploration of the ability of Tampa Electric to  
13 finance its electric operations in the very same  
14 geographic region as where DEF operates with an ROE  
15 of less than 11.5 percent, that amounted to a  
16 violation of our rights guaranteed under chapter  
17 120, and specifically Section 120.57(1)b, among  
18 others, as well as the access to courts equal  
19 protection and due process clauses of the Florida  
20 and United States constitutions.

21 Mr. Chairman, in light of this objection, and  
22 although the Public Counsel committed to counsel  
23 for Tampa Electric prior to hearing not to seek to  
24 move the DEF agreement into the record, the Public  
25 Counsel, nevertheless, requests that the Commission



1 include the DEF agreement in the record only for  
2 the purpose of appellate review pursuant to proffer  
3 of evidence.

4 To be clear, we are not asking that it go into  
5 the record for you to base your decision on since  
6 you have already ruled on its admissibility, in  
7 essence.

8 The Public Counsel also objects on behalf of  
9 all customers of Tampa Electric Company to the  
10 ruling disallowing cross-examination of Tampa  
11 Electric's Vice-President of Finance on whether the  
12 company could finance its operations if all revenue  
13 requirements, other than the incremental ROE above  
14 its current 10.2 percent authorized ROE, were  
15 awarded to the company. The denial of the ability  
16 to cross-examine on perhaps one of the most central  
17 issues of the case amounts to a violation of our  
18 rights guaranteed under Chapter 120, and  
19 specifically Section 120.57(1)b, among others, and  
20 the access to courts equal protection and due  
21 process clauses of the Florida and United States  
22 Constitutions.

23 Now, having said all that, Mr. Chairman, those  
24 were for preservation of our rights under the --  
25 for appellate review. But I want to say, as a

1 matter totally unrelated to these objections that  
2 we were required to make, I am very pleased to  
3 state that on behalf of the entire office, I would  
4 like to especially thank you, Chairman La Rosa, for  
5 the way you have conducted this hearing. All  
6 witnesses for all parties were afforded the utmost  
7 consideration, courtesy and respect. For the time  
8 allotted to this hearing, it proceeded very, very  
9 smoothly, and I think that's to your credit.

10 And I want to extend a special thanks to Mr.  
11 Schultz, who was very helpful to the witnesses, and  
12 to the attorneys who were new to this process, his  
13 diligence. Let the lawyers and the experts focus  
14 on asking and answering questions, and I will be  
15 forever grateful for that. So thank you, Mr.  
16 Chairman.

17 CHAIRMAN LA ROSA: Thank you. And I  
18 appreciate those kind of words. And I have tried  
19 to be as fair as I possibly could as we, you know,  
20 went throughout the week.

21 Yes, sir.

22 MR. MARSHALL: Thank you, Mr. Chairman.

23 Just for the record, Florida Rising and LULAC  
24 join the Office of Public Counsel's continuing  
25 objection.

1           But on a better note, I would also like to  
2           extend my thanks to our Clerk because you have seen  
3           the number of exhibits that we were planning to use  
4           in this hearing, and I do not believe we could have  
5           gotten it done in the time allotted without Case  
6           Center, and without our clerk helping us through  
7           this process. And so I just wanted to extend my  
8           personal thanks on that.

9           And I did have an inquiry regarding the due  
10          date for the briefs on when we are going to get the  
11          transcript, just to ensure that we are going to  
12          have enough time for brief writing --

13          CHAIRMAN LA ROSA: Sure.

14          MR. MARSHALL: -- and regarding the length of  
15          the briefs. I don't know.

16          CHAIRMAN LA ROSA: We will go to that in a  
17          second here.

18          MR. MARSHALL: Okay.

19          CHAIRMAN LA ROSA: So I am going to go to my  
20          advisors. Is there anything I need to do on what's  
21          just been stated? Then we will pick back up with  
22          the briefs.

23          MS. HELTON: I think you can note the  
24          objections to the rec -- for the purposes of the  
25          record, Mr. Chairman. And I also think that we

1           should accept as a proffered exhibit the Duke  
2           settlement.

3           CHAIRMAN LA ROSA:   Okay.

4           MR. WAHLEN:   No objection to the proffer.

5           CHAIRMAN LA ROSA:   Okay.   So allow the record  
6           to reflect that accordingly.

7           MR. REHWINKEL:   I need to state -- I should  
8           have done this.   It is OPC 18, and it is 243 in the  
9           CEL.   So -- and that would be separately housed as  
10          a proffer.   Thank you.

11          Thank you, Mr. Chairman.

12          CHAIRMAN LA ROSA:   Thank you.   And allow the  
13          record to reflect that, not seeing any objection.

14          (Whereupon, Exhibit No. 243 was received into  
15          evidence.)

16          CHAIRMAN LA ROSA:   Okay.   Let's just make sure  
17          we close up loose ends on post hearing briefs.   I  
18          am not sure we got the dates and page limits on  
19          there, at least out in the open.

20          MS. HELTON:   Let me -- I know the transcript  
21          date.   I have talked to our Clerk, Mr. Teitzman,  
22          and he says -- he promises that the transcripts  
23          should be in the docket files by next Friday,  
24          September the 6th.

25          CHAIRMAN LA ROSA:   Okay.   Great.   And post

1 hearing briefs are due?

2 MR. SPARKS: September 23rd, I believe is the  
3 current date.

4 CHAIRMAN LA ROSA: Not to exceed 75 pages?

5 MR. SPARKS: Correct.

6 MR. MARSHALL: Mr. Chairman.

7 CHAIRMAN LA ROSA: Sure.

8 MR. MARSHALL: Based on that -- this is going  
9 to be a lengthy brief, complicated issues. And  
10 given the date of the transcript, we would ask for  
11 three weeks from when the transcript comes in. So  
12 we would ask, based on when the transcript comes  
13 in, on September 6th, for an extension to the end  
14 of the week of the 23rd, to September 27th.

15 CHAIRMAN LA ROSA: September 23rd is a Monday.  
16 27th, staff?

17 MS. HELTON: Mr. Futrell is not down here who,  
18 you know, coordinates the staff. Can we let  
19 everyone know by the end of the day today what we  
20 can work out? I really hate to make that kind of a  
21 commitment without -- I feel like I would be  
22 failing in my duties and responsibilities to him if  
23 I were -- we were to offer up something that the  
24 staff can't do. So we will commit to emailing out  
25 a date by the end of the day.

1 CHAIRMAN LA ROSA: That's fair.

2 MR. REHWINKEL: Mr. Chairman --

3 CHAIRMAN LA ROSA: Yes, sir.

4 MR. REHWINKEL: -- with respect to the length  
5 of the brief, we think that the record, even from  
6 those of us who are just doing the size of the pie,  
7 not slicing the pie, that probably something in the  
8 neighborhood of 150 pages might be required. We  
9 would ask your consideration.

10 CHAIRMAN LA ROSA: So doubling the size. We  
11 will do -- can we do the same and offer that before  
12 the end of the -- before the end of the day?

13 MR. WAHLEN: Just for the record, Tampa  
14 Electric doesn't think we need 150 pages to brief  
15 this, but it's the discretion of the Commission.

16 MS. HELTON: Well -- and I guess I feel  
17 compelled to say that whatever page limit -- and I  
18 think we could do that by the end of the day also  
19 by way of an email, Mr. Chairman. Whatever page  
20 limit, I hope that none of the parties feel  
21 compelled to meet all of those pages.

22 CHAIRMAN LA ROSA: Agreed. Okay. Excellent.

23 Well, are there any additional matters that  
24 need to be discussed?

25 MR. WAHLEN: I don't want to belabor it, but

1 Tampa Electric would like to thank the Commission  
2 and the staff and the parties for a smooth hearing.  
3 We appreciate it very much.

4 MR. MARSHALL: Just one additional  
5 housekeeping matter before we conclude. I believe  
6 we need to make sure the confidential exhibits make  
7 their way back to OPC and to us that were handed  
8 out. So just wanted to make sure that gets done.

9 CHAIRMAN LA ROSA: From the Commissioner's  
10 perspective, we have them all here on the dais, and  
11 make sure those -- or y'all can make sure those get  
12 collected.

13 Yes, sir.

14 MR. MOYLE: On that point, how is that going  
15 to work? If we are putting together briefs, we  
16 need access to those confidential exhibits.

17 MR. REHWINKEL: Well, the parties can keep  
18 theirs.

19 MR. MOYLE: Okay.

20 MR. REHWINKEL: We are just going to collect  
21 the binder and the Commission staff and aides'  
22 documents because we provided Mr. Schultz and the  
23 Clerk's office the official.

24 CHAIRMAN LA ROSA: Okay. And I am assuming  
25 you need to collect these as well, or -- yeah.

1 MS. HELTON: Just as long as the Clerk's  
2 office has one set, then we will file that as we  
3 follow with our confidential procedures, and the  
4 parties can collect back -- I guess it's just LULAC  
5 and OPC can collect the others that were  
6 distributed to staff and the Commissioners.

7 CHAIRMAN LA ROSA: Okay. Perfect.

8 MR. MOYLE: Thank you for that clarification.  
9 And FIPUG, like others, would also like to  
10 express their appreciation to you for running the  
11 hearing, and all the staff for everything that was  
12 provided, particularly to help with the new system.

13 CHAIRMAN LA ROSA: Sure. Thank you. Thank  
14 you.

15 MR. WRIGHT: Mr. Chairman, very briefly. I  
16 would like to thank you personally. You ran a  
17 really great hearing. Thank you very much.

18 I want to specifically recognize Mr. Schultz  
19 and Ms. Harrison and the legal staff with whom I  
20 interacted extensively, the attorneys and their  
21 support staff, for the wonderful job they did.

22 And I will just tell you, I think everybody on  
23 our side agrees that we are really impressed at how  
24 well Case Center worked. Thank you very much.

25 CHAIRMAN LA ROSA: Thank you.



1           MS. EATON: I would to say the same for  
2 Walmart. We appreciated really the collaboration  
3 of everybody so that we could get this done. Even  
4 though we were pretty tired, we definitely  
5 appreciated the extra hour today.

6           And a special thanks to our colleague over  
7 here for pulling up all the exhibits. That's as  
8 well as I have ever seen in any jury trial. So  
9 it's very good. I appreciate that.

10          CHAIRMAN LA ROSA: Excellent. Thank you.

11          Mr. Schultz has certainly been a rock star  
12 throughout. I always saw that he was kind of a  
13 step ahead of everybody and always knew where to  
14 pull. So thank you.

15          (Applause.)

16          CHAIRMAN LA ROSA: And thank you to everyone  
17 involved --

18          COMMISSIONER FAY: Just really quick, Mr.  
19 Chairman. I just make it clear that we will not  
20 allow anyone to take Mr. Schultz, including the  
21 clerk or the county.

22          CHAIRMAN LA ROSA: We are going to have to  
23 cement --

24          COMMISSIONER FAY: He did an okay job, in my  
25 opinion.

1           CHAIRMAN LA ROSA: We are going to cement them  
2           and handcuff them here, right. Yeah. For sure.

3           And I think everyone else involved in this  
4           process -- our court reporter, I know, thank you  
5           for sticking with us. We had some long nights, and  
6           I hope that I gave you the proper breaks to allow  
7           you to continue your job at your proficiency, you  
8           have done a phenomenal job. Thank you very much.

9           And I know there is a lot of stuff that  
10          happens behind the scenes. It's not just us up  
11          front of all this, so thank you all for the hard  
12          work.

13          To our Commission staff, thank you very much.  
14          I know I called timeout a few times, and everyone  
15          was quick to jump and give me great advice and  
16          allow us to continue to run smooth. I am just, you  
17          know, the person behind the microphone, so there is  
18          a lot of other things that are happening. So thank  
19          you all. To my Advisor, thank you very much. To  
20          Cristina, who is back in my office, running point  
21          for us. Certainly none of this could be done  
22          without all of them, so I want to make sure that  
23          everyone, of course, is being given the right  
24          recognition. So thank you all.

25          Again, great proceedings this week. We got

1           done on time, and if there is no other business  
2           before us, we are adjourned.

3                     Thank you.

4                     (Proceedings concluded.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## CERTIFICATE OF REPORTER

STATE OF FLORIDA     )  
COUNTY OF LEON     )

I, DEBRA KRICK, Court Reporter, do hereby  
certify that the foregoing proceeding was heard at the  
time and place herein stated.

IT IS FURTHER CERTIFIED that I  
stenographically reported the said videotaped  
proceedings; that the same has been transcribed under my  
direct supervision; and that this transcript constitutes  
a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative,  
employee, attorney or counsel of any of the parties, nor  
am I a relative or employee of any of the parties'  
attorney or counsel connected with the action, nor am I  
financially interested in the action.

DATED this 9th day of October, 2024.



DEBRA R. KRICK  
NOTARY PUBLIC  
COMMISSION #HH575054  
EXPIRES AUGUST 13, 2028.