

# I. Meeting Packet



**State of Florida**  
**Public Service Commission**  
**INTERNAL AFFAIRS AGENDA**  
Tuesday, February 3, 2015  
Immediately Following Commission Conference  
Room 105 – Gunter Building

---

---

1. Gas Turbine Technology by Powerphase LLC. (Attachment 1).
2. Legislative Update. (No attachment).
3. Executive Director's Report. (No attachment).
4. Other Matters.

BB/sc

OUTSIDE PERSONS WISHING TO ADDRESS THE COMMISSION ON  
ANY OF THE AGENDAED ITEMS SHOULD CONTACT THE  
OFFICE OF THE EXECUTIVE DIRECTOR AT (850) 413-6463.





PowerPHASE LLC  
Florida Public Service Commission  
February 3, 2015

Bob Kraft  
President & CEO



# Outline



## About Us

Florida company, power industry experts with a patented solution to Florida's electric power needs.

## Florida's Challenge

Florida needs new power to meet needs of growing population.

## Florida's Solution

More power to Florida's existing gas turbine plants. 50% lower capital cost. Helps grid operate more fuel efficiently.

## Benefits to Florida

Benefits to Florida's power grid: How many MW? Capital Cost Savings, Fuel Savings, Environmental Benefits.

# About Us



- PowerPHASE LLC designs & manufactures patented products that improve output and fuel efficiency at gas turbine power plants.
- Headquarters in Jupiter, FL; Creating high paying jobs in the state. Last company, PSM created 400 high paying jobs in Jupiter.
- Investors, contributing nearly \$5 Million in capital to the Company, are all Florida Residents.
- Flagship product, The Turbophase<sup>®</sup> System, has full commercial installation in 2014 at a power plant in Northern Illinois, generating 7.2 MW at a heat rate 20% better than gas turbine peakers.
- 63 patents in process

# The Team



Name	Experience
Bob Kraft	25+ years power industry, aerospace engineer GE, PW, Co-founder PSM, CT Parts & Upgrades, PSM sold to Alstom \$241 Million
Pat Conroy	40+ years power industry, Westinghouse w/ full P&L, SVP sales at PSM
Buz Barclay	40+ years power industry, senior advisor Marathon Capital, Partner Rimon, P.C
Steve Quisenberry	15 years power industry, Pratt + PSM Engineer, General Mgr. Alstom Middle East
Pete Sobieski	25 years power industry, GE field engineer, Calpine head of CT maintenance
Chris Hayes	25 years power industry, GC PSM, PW engineer, USPTO
Peter Perri	15 years startup marketing, operations & finance, Merrill Lynch, digital media
Jim Kraft	20 years accounting, Ernst & Young, PSM, Armellini, audit, cost accounting
Brian Foley	18 years power industry, GE global sales leader; \$1.6 Billion annual orders, PSM, Navy
Maik Hufft	13 years power industry, Commissioning & Field Service Alstom Middle East

# Florida's Electric Power Challenge



## Florida's Electric Power Challenge

- Florida needs more electric power
- Natural gas = best new source
- Gas turbines operate below their rated output

10,000 MW new gas turbines to be built in Florida to meet demand at a high capital cost to ratepayers.

## The Solution for Florida: Turbophase®

- 15-30% boost to GTs, all ambients
- 50% lower capital cost vs. OEMs
- + Fuel efficiency, - operating \$, - CO2
- 10 second on vs. 10 minutes = less spinning reserve
- 6 month lead vs. 3 years
- No new land, water, transmission vs. negative green impact

Turbophase = new natural gas power generation cheaper, faster, smarter than other solutions.



# TPM G13.0 Performance



FRAME	FIRING TEMP	INCREMENTAL POWER			
		5% INJECTION	# OF MODULES	10% INJECTION	# OF MODULES
6B	2055°F	4.5MW	1	9MW	2
7EA	2055°F	10MW	2	20MW	4
9E	2055°F	15MW	3	30MW	6
7FA	2400°F	27MW	5	54MW	10
501F	2460°F	27MW	5	54MW	10
501G	2600°F	33MW	6	66MW	12
9FA	2420°F	38MW	7	76MW	14
<b>AERODERIVATIVES</b>					
RB211 (6761)	2300°F	4MW	1	8MW	2
TRENT 60	2350°F	4.5MW	1	9MW	2
LM2500/6000	2300°F	4.5MW	1	9MW	2
H15/25/80	2150°F	3.5MW	1	7MW	2
TITAN 130/250	2200°F	3.5MW	1	7MW	2



# Turbophase in Florida

- *4,000 MW Potential*
- *\$1-2 Billion Capital Cost Savings* vs. New Plants
- *\$100+ Million Annual Production Cost Savings* (lower spinning reserve, few imports, better heat rate)
- *4.5 Million+ Tons Annual CO2 Savings* (equal to 1 million cars off the road)
- *Land & Wildlife Conservation*: Turbophase has no new water, land requirements
  - 4 x 1000 MW CCGT Plants approximate environment impact:
    - 12 Billion/gallons/year water for cooling
    - 300 acres new land
    - 1.5 million annual fish/invertebrates impingement
    - Turbophase uses no new water, no new land, cited at existing power plant grounds, uses existing plant infrastructure.

Ref: <http://www.ngsa.org/analyses-studies/beck-data-rev/>

<http://www.energy.ca.gov/2006publications/CEC-500-2006-034/CEC-500-2006-034.PDF>

<http://www.energy.ca.gov/2008publications/SWRCB-1000-2008-001/SWRCB-1000-2008-001.PDF>

<http://www.epa.gov/cleanenergy/energy-resources/refs.html>

# Summary



- Florida company with Florida investors creating high paying jobs in Florida.
- Patented product that can add 4,000 MW from natural gas to the Florida Power Grid, as needed, 6 months from order.
- Compelling Value Proposition to Florida Ratepayers:
  - *\$1-2 Billion Capital Cost Savings.*
  - *\$100 Million+ per Year Production Cost Savings.*
  - *1 Million Car equivalent CO2 Savings.*
  - *Land & Wildlife Conservation.*



## II. Outside Persons Who Wish to Address the Commission at Internal Affairs

***OUTSIDE PERSONS WHO WISH  
TO ADDRESS THE COMMISSION AT***

***INTERNAL AFFAIRS  
February 3, 2015***

**Speaker**

Peter Perri &  
Bob Kraft

**Representing**

PowerPhase, LLC

**Item #**

1

# III. Supplemental Materials for Internal Affairs

Note: The records reflect that there were no supplemental materials provided to the Commission during this Internal Affairs meeting.

# IV. Transcript

BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

PROCEEDINGS: INTERNAL AFFAIRS

COMMISSIONERS  
PARTICIPATING: CHAIRMAN ART GRAHAM  
COMMISSIONER LISA POLAK EDGAR  
COMMISSIONER RONALD A. BRISÉ  
COMMISSIONER JULIE I. BROWN  
COMMISSIONER JIMMY PATRONIS

DATE: Tuesday, February 3, 2015

TIME: Commenced at 11:00 a.m.  
Concluded at 11:33 a.m.

PLACE: Gerald L. Gunter Building  
Room 105  
2540 Shumard Oak Boulevard  
Tallahassee, Florida

REPORTED BY: LINDA BOLES, CRR, RPR  
Official FPSC Reporter  
(850) 413-6734

## P R O C E E D I N G S

1  
2           **CHAIRMAN GRAHAM:** Okay. Let record show it  
3 is Tuesday, February 3, 2015, and this is our Internal  
4 Affairs meeting, and it is about 11:00.

5           So let's get right to it, Item Number 1.  
6 Sir, you are on.

7           **MR. KRAFT:** So, good morning, and thank you  
8 for having us here. I just wanted to tell you a little  
9 story about, I'll say, how we got here. I used to work  
10 for Pratt & Whitney in West Palm Beach, and back in  
11 1997 they announced they were moving, you know,  
12 thousands of engineers to Connecticut. And I like to  
13 fish, so I started a new business in Jupiter, Florida.  
14 And that business today employees 550 people at an  
15 average salary of over 2X, the county average there.  
16 So a lot of high tech people. It's actually one of the  
17 biggest employers in Jupiter, if not the biggest. And  
18 after running that company for ten years, it's actually  
19 being purchased by General Electric today for probably  
20 \$1.2 billion.

21           **COMMISSIONER PATRONIS:** Really?

22           **MR. KRAFT:** We started this business with a  
23 vision to create a revolutionary product that would  
24 change how the grid was operated. As you guys are  
25 aware, a lot of gas-powered generation going in in

1 Florida. And I was looking at these pictures, I was  
2 saying we use that, gas, to make that, power, and we  
3 don't use that, water. As a matter of fact, our system  
4 produces water. So it's a very, very environmentally  
5 friendly piece of equipment, and it's call Turbophase.  
6 And the picture of the blue box there being installed  
7 is actually the Turbophase system, and it adds about  
8 20 percent more power to existing power plants, gas  
9 turbine power plants. So it leverages assets that the  
10 ratepayers have already paid for and just adds more  
11 power at 20 percent efficiency improvement to the gas  
12 turbine power or, on a combined cycle plant, the same  
13 efficiency as the most efficient gas turbine power  
14 plants combined cycle that are being installed in  
15 Florida today. So it's as efficient as the most  
16 efficient combined cycle power plants, or on simple  
17 cycle gas turbines it's 20 percent more efficient.

18 What's really revolutionary about this  
19 product is that it's fast. There is no other  
20 product in the world today that can enhance the  
21 power output of an existing power plant in seconds.  
22 That's what our product does.

23 And when you introduce that to a power  
24 plant on a grid, what that allows you to do is  
25 increase the output of the gas turbine, I'll say

1 seamlessly, while synchronized to the grid so that  
2 this extra power -- you know, the way power plants  
3 operate today, there's always a reserve, an ability  
4 to increase the power level, so that means the gas  
5 turbine is operating at a lower power level. And  
6 gas turbines, unlike, I'll say, other power  
7 generation equipment, they are most efficient at  
8 100 percent power. And as you reduce power, say,  
9 5 percent in power reduction is a 1 percent  
10 efficiency, 1 percent specific emissions increase  
11 and so on, and it accelerates as you reduce the  
12 power more.

13           So our system lets these power plants  
14 operate at maximum power and still have the reserve,  
15 and the reserve that you're getting, you're getting  
16 it at the same efficiency as these extremely  
17 efficient power plants. So there's no penalty in  
18 efficiency or emissions by having it. As a matter  
19 of fact, there's this bonus because you get to  
20 operate the power plants at a higher level. The  
21 extra power that's being generated on the grid with  
22 the power plants that are running at these higher  
23 power levels directly offsets power plants that are  
24 lower efficiency, more emissions, and, consequently,  
25 for about every seven gas turbine power plants



1 operating you could turn one off. If you turn one  
2 off, that's a reduction in fuel burned, a reduction  
3 in emissions and so on.

4 So just to put that -- before I get into  
5 the presentation, I'm kind of giving you the  
6 summary. Just to put that into emissions, we can  
7 add about 3,600 megawatts, 3.6 gigawatts in Florida.  
8 The product works on every gas turbine. It's  
9 literally the same blue box works on every gas  
10 turbine in Florida, and it would save the ratepayers  
11 about \$3 billion over the coming years in, in costs  
12 of energy. From an emissions perspective, the 11D  
13 regulation or --

14 **MR. PERRI:** 11D, yeah.

15 **MR. KRAFT:** -- is a very important  
16 consideration for a state where the state is looking  
17 for innovative solutions to address power plant  
18 emissions reduction, and this product fits perfectly  
19 into that scenario. And it basically is equivalent to  
20 taking a million cars off the Florida roads, which is  
21 about 7 percent of the cars, that's a pretty sizable  
22 number, or taking 80 of those -- I don't know if you  
23 guys have been to gas turbine power plants, but the  
24 biggest gas turbine power plants, turning 80 gas  
25 turbines off from an emissions standpoint. So it's --

1 the product has a very significant CO2 emissions  
2 reduction for Florida. And so that's a very high level  
3 summary of the system and what it offers.

4 So this is a picture of it actually being  
5 installed in Chicago on the PJM grid, which is the  
6 country's largest grid -- it might be the world's  
7 largest grid -- and it's the most advanced grid from  
8 the standpoint that there's payment mechanisms for  
9 fast-acting power generation equipment. So they  
10 really lead the charge in terms of, I'll say, paying  
11 for performance of how and maximizing efficiency on  
12 the grid.

13 So I mentioned we're in Jupiter, Florida,  
14 and we addressed the challenge that Florida has, you  
15 know, the increased population, increased power  
16 demand as it's coming, and there's significant fuel  
17 savings and emissions savings that I had outlined.

18 And the interesting thing about our  
19 business as well is we're a startup company, we're  
20 three or four years old now, and all of our  
21 investors are Florida-based private individuals.  
22 Most of them like to fish. So we have a myriad of  
23 patents and processes to cover this. My last  
24 business, we had, I think, 70 patents issue in the  
25 first seven years of business, and this business

1 will be similar. And the team of guys that are  
2 behind this business are the same team of guys  
3 behind my last business. We're very experienced in  
4 the power generation industry, we know the  
5 customers, the customers know us globally, and we're  
6 off to an extremely rapid growth pace right now.  
7 So, you know, the last company, it was 550 people.  
8 This company has the potential in revenue to be an  
9 order magnitude bigger than that.

10 It addresses the challenges, as I  
11 mentioned. The system can actually run on any type  
12 of fuel -- natural gas, biofuel, or landfill gas, or  
13 so on. And it's, it comes at a price point that's  
14 quite a bit lower than installing a new gas turbine,  
15 about half or less.

16 So I had a technical video, but I'm going  
17 to skip that. If you guys have some questions, I  
18 can answer it.

19 And I mentioned that same blue box works  
20 on every power plant literally in the world, any gas  
21 turbine power plant. And this is just a table that  
22 shows on the different frame engines which are, I'll  
23 say, the most popular frames out there making power  
24 today. The system -- each gas turbine has its own  
25 characteristics, so the box has its own

1 characteristics on that gas turbine. So maybe on a,  
2 on a new power plant, like I'm familiar with the  
3 Riviera Beach plant that just went in, it might make  
4 6 megawatts on a box; whereas, if you put it on the  
5 oldest gas turbine that's running in Florida that's  
6 been installed for 50 years, it might make 3.5 or  
7 4 megawatts per box.

8 So that's kind of a high level summary of  
9 what we're doing, and we just appreciate the  
10 invitation to come here and, I'll say, brag about it  
11 a little bit. So that's it.

12 **CHAIRMAN GRAHAM:** Well, thank you very much  
13 for the presentation.

14 Commissioners, any questions? Yes, sir.

15 **COMMISSIONER PATRONIS:** I'm just kind of --  
16 it's kind of funny, this past week I learned a lot  
17 about fire, so I'm sitting here looking at  
18 temperatures. But is, I guess there's a direct  
19 correlation to the efficiency and maximum output based  
20 on the higher temperature of firing?

21 **MR. KRAFT:** Yeah. The equivalent would be if  
22 you had a -- it's like a giant turbo charger for a  
23 power plant. As a matter of fact, it's the world's  
24 first turbo charger for a gas turbine power plant. So  
25 if you put your -- a turbo charger on your

1 three-cylinder Yugo, you would get, you know, five  
2 horsepower. If you put that same turbo on a Ferrari,  
3 you'd get six or eight -- you know, you'd get a lot  
4 more horsepower.

5 **COMMISSIONER PATRONIS:** Sure. Sure.

6 **MR. KRAFT:** Because of the higher pressure  
7 ratio and higher, you know, technology to convert the  
8 air and fuel into power. And gas turbines are no  
9 different.

10 If you look at -- I mentioned, like, a gas  
11 turbine that was installed 60 years ago, 50 years  
12 ago, they're still in operation today. For every,  
13 I'll say, cubic yard of air, they require a certain  
14 amount of fuel and they make a certain amount of  
15 power. You take that Riviera Beach plant, it needs,  
16 you know, maybe two-thirds that cube of air and, you  
17 know, half of the fuel, and it makes the same amount  
18 of power. So they're just more efficient with their  
19 air fuel.

20 So our system is a turbo charger. It puts  
21 air in. So what it does in that gas turbine on that  
22 modern plant, it makes more power. On the older  
23 plant, it makes a little less power. But still on  
24 the older power plant and on the newest power plant  
25 it's 20 percent more efficient than the gas turbine.

1 So when you put it on the old one, it's 20 percent  
2 more efficient than the old one. When you put it on  
3 the new one, it's 20 percent more efficient than the  
4 new one and so on.

5 **COMMISSIONER PATRONIS:** Follow-up?

6 **CHAIRMAN GRAHAM:** Sure.

7 **COMMISSIONER PATRONIS:** So, as you're kind of  
8 like doing an analysis of a potential turbine, I guess  
9 you'll go through all of the specs of its efficiencies,  
10 and then I guess you have to determine, you know,  
11 matching up the, the peak performance of your turbo  
12 charger with what marries with this particular turbine.

13 **MR. KRAFT:** So what's cool about this is -- I  
14 mentioned this box works on every power plant. And  
15 every gas turbine does the same thing; it takes in  
16 ambient air and compresses it to some pressure, which  
17 results in a temperature. Because when you're  
18 compressing air, it gets hot.

19 **COMMISSIONER PATRONIS:** Yeah.

20 **MR. KRAFT:** And we have a compression process  
21 that basically does the same thing on a smaller scale  
22 using a, I'll call it a more efficient technology of  
23 compressing air. And that's what basically allows us  
24 to put this air into the gas turbine more efficiently.  
25 So we actually generate air for the gas turbine 20

1 percent more efficiently than the gas turbine generates  
2 its own air.

3 **COMMISSIONER PATRONIS:** Last question.

4 **CHAIRMAN GRAHAM:** Sure.

5 **COMMISSIONER PATRONIS:** Does it -- do you  
6 play with the gas mixtures any?

7 **MR. KRAFT:** No. No.

8 **COMMISSIONER PATRONIS:** Okay.

9 **MR. KRAFT:** Gas turbines, today, on a day  
10 like today, cold, putting out a lot of power. Our  
11 system adds more air, more power, same amount.

12 **COMMISSIONER PATRONIS:** Yeah.

13 **MR. KRAFT:** When it's 100 degrees and the gas  
14 turbine power is down because the air density is  
15 thinner, not making as much power, we add the same  
16 amount of air, make the same power. So our system  
17 makes the same incremental power at the plant. So it's  
18 3,600 megawatts. You could add it on a day like today,  
19 you could add it on the hottest day in Florida.

20 **COMMISSIONER BROWN:** Like a peaker.

21 **MR. KRAFT:** Like a peaker. But we don't like  
22 to call it a peaker because there's connotations with  
23 peakers that they're inefficient.

24 **COMMISSIONER BROWN:** Right.

25 **MR. KRAFT:** You know, typically peakers are

1 the least efficient generation. Ours is 20 percent  
2 more efficient than a peaker and equal to the  
3 efficiency of the most modern combined cycle plant. So  
4 it's like a turbo charged peaker that's extremely  
5 efficient.

6 **COMMISSIONER PATRONIS:** That's fascinating.  
7 Thank you.

8 **CHAIRMAN GRAHAM:** Commissioner Brisé.

9 **COMMISSIONER BRISÉ:** Thank you, Mr. Chairman,  
10 and thank you for being here.

11 So the plant -- the turbo charger works to  
12 make the plants more efficient; right? Does it do  
13 anything to extend the life of the plant?

14 **MR. KRAFT:** It basically has no impact on the  
15 life of the plant. So like on a day like today, the  
16 power plant is making 20 percent more power than when  
17 it's hot out, for example. And there's no penalty or  
18 life reduction whether the gas turbines operate in cool  
19 or hot. Our system just adds more air, makes more  
20 power. Zero impact on life of the equipment.

21 **COMMISSIONER BRISÉ:** Okay.

22 **COMMISSIONER PATRONIS:** Mr. Chairman, that's  
23 kind of fascinating because all of -- at least the new  
24 cars rolling out right now, they're saying turbo charge  
25 is now, I guess, the cheap alternative, getting better



1 MPG, getting added horsepower without having to use  
2 anymore fuel. So that's fascinating.

3 **MR. KRAFT:** Right. We have a solution for  
4 that, too. That's our next business. Seriously.

5 **CHAIRMAN GRAHAM:** Commissioner Brown.

6 **COMMISSIONER BROWN:** So, and you actually  
7 guarantee the equipment and the output; right?

8 **MR. KRAFT:** Yeah. If -- one of the  
9 interesting things about our product is it's made up of  
10 name brand components. We use a Mercedes derivative  
11 engine. So everybody looks at the engine and says, oh,  
12 it's an engine, it'll last. They know how long it'll  
13 last. You look at the compressor we use, it's a  
14 production compressor. There's, you know, multiple  
15 manufacturers in the world that make this type of  
16 compressor. And then there's a shaft connecting the  
17 two. So when people look inside, they're like, wow,  
18 it's just an air compressor.

19 But what's unique about our process is the  
20 gas turbine requires hot air. When the gas turbine  
21 is compressing air, typically some of these gas  
22 turbines, the most popular ones in Florida here  
23 compress the air to about 200 psi and it's about 750  
24 Fahrenheit. So it's hot compressed air is what the  
25 gas turbine generates. This extremely efficient

1 compression process we use generates about 200  
2 degree air and it uses an inner cooling process to  
3 make it extremely efficient, but it results in this  
4 cool air. And then we take the exhaust of the  
5 engine that's driving the compressor through a heat  
6 exchanger, heat it up. So what results is air that  
7 looks almost identical to the gas turbine. There's  
8 200 psi and 750 Fahrenheit. So when you add that to  
9 the gas turbine, it just thinks the gas turbine just  
10 put more air in, didn't know where it's coming from.

11 The control systems at the power plant are  
12 already set up for -- and the way a gas turbine is  
13 controlled is based on effectively airflow. So when  
14 we put more air in, the gas turbine knows exactly  
15 what to do. We don't have to touch it. So we just  
16 connect literally one pipe to the gas turbine, and  
17 that's our installation. So it's really simple to  
18 see our system performance.

19 **COMMISSIONER BROWN:** I would love to see it.  
20 It sounds very interesting.

21 **MR. KRAFT:** If you want to travel to  
22 Chicago -- I wouldn't recommend going right now, but  
23 it's there.

24 **COMMISSIONER BROWN:** Can the technology be  
25 used for other, other avenues other than this super,

1 super charger? Can you use it for something else?

2 **MR. KRAFT:** Well, it works on all gas  
3 turbines, all, whether it's a pipeline gas turbine  
4 that's pumping gas, whether it's a gas turbine making  
5 power generation, whether it's a gas turbine, you know,  
6 driving some equipment. It works on any gas turbine.  
7 But, you know, as I kind of alluded to, there's some  
8 other applications actually in the aviation and the  
9 automotive industry where the concept in general  
10 applies that will be future businesses when we have  
11 time.

12 **COMMISSIONER BROWN:** Patent, the patents.

13 **MR. KRAFT:** When we have -- yeah, so.

14 **COMMISSIONER BROWN:** So you said that you've  
15 been in business three years, three, four years?

16 **MR. KRAFT:** We started March 2011.

17 **COMMISSIONER BROWN:** Okay. And you're -- are  
18 you negotiating deals around the country? Where are  
19 you guys primarily?

20 **MR. KRAFT:** We have, yeah, we have sales  
21 people around the world today. And I would say today  
22 we have about a half a billion dollars in orders in the  
23 pipeline that we expect to happen this year.

24 And what's cool about the product is we --  
25 you saw the picture. It's a blue box. It ships

1 like a shipping container. So we sell it with a  
2 six-month lead time so that the power plant -- and  
3 the first one was no exception. We put the  
4 foundation down, run all the piping. We have a  
5 little electrical cord for the auxiliary loads and  
6 some cooling water. So all the piping is done in  
7 the six-month lead time. We show up with the  
8 equipment, set it down on the pad, hook it up, and  
9 run it. Literally it's an air compressor that comes  
10 pretested. So we're not building anything at site.  
11 We just kind of set it down, put a couple of  
12 components together, the auxiliaries, and run it.  
13 So it's a couple of days, it's installed.

14 And I give the plant manager the handle to  
15 a manual valve and I say, when you open the valve,  
16 it's going to do this. What's up there on the  
17 chart, it'll make this many megawatts. When you  
18 close the valve, that'll go away.

19 So our performance is any ambient  
20 conditions -- humid, hot, cold, altitude -- we don't  
21 differ. Open a valve, it does -- it makes the  
22 power. Close the valve, it goes away. So unlike a  
23 lot of technologies in the gas turbine industry that  
24 require going into the gas turbine and major outages  
25 to -- and then there's always an argument at the end

1 looking for the 1 or 2 percent efficiency  
2 improvement, is it really there, was it from  
3 something else, this is really easy. You turn it on  
4 and turn it off and it's there.

5 **COMMISSIONER BROWN:** This is great. You get  
6 more out of what you're investing in, already invested  
7 in it sounds like.

8 **MR. KRAFT:** Yeah.

9 **COMMISSIONER BROWN:** So thank you for coming.

10 **MR. KRAFT:** Thank you for having us.

11 **CHAIRMAN GRAHAM:** Mr. Kraft, thank you very  
12 much for your coming and for your presentation. No  
13 other questions? Thank you. Appreciate it.

14 Okay. Item Number 2 on our agenda is  
15 legislative update.

16 **MS. PENNINGTON:** Good morning.

17 **CHAIRMAN GRAHAM:** Good morning.

18 **MS. PENNINGTON:** My apologies for not being  
19 here last month. But I watched the video and Mark did  
20 a great job, so no problems there.

21 I wanted to update you on a couple of  
22 bills that have been filed since Mark gave the last  
23 update. I'm not going to rehash the bills that  
24 we -- that he discussed at the last meeting because  
25 there's been no action on those bills since he last

1 spoke to you.

2           Committee meetings were held the week of  
3 January 22nd. Our substantive committees did not  
4 meet, and the appropriation subcommittees did meet,  
5 but they did not discuss PSC issues. We are having  
6 committee meetings this week. Again, our  
7 substantive committee meetings -- committees are not  
8 meeting.

9           The appropriations committees are hearing  
10 the Governor's recommended budget for '15/'16.  
11 Committee meetings are also next week, the next two  
12 weeks as well. The Senate is -- only has  
13 appropriations meetings next week, and so I guess  
14 Apryl and Braulio have a detailed agenda when and if  
15 the PSC budget may come up.

16           And then the week of February 16th through  
17 20th, the substantive committees are -- they have a  
18 time slot. But we are hearing that the Senate and  
19 the House will meet the week of the 16th of  
20 February, so we'll start to see some movement then.

21           A couple of new bills relating to the  
22 Nuclear Cost Recovery Clause have been filed.  
23 The -- both in the House. All the bills that have  
24 been filed on nuclear cost recovery are House bills.  
25 There are no Senate bills at this point.

1           473 by Representative Ahern repeals the  
2 Nuclear Cost Recovery Clause on September 1st, and  
3 it prohibits the utility from continuing to collect  
4 costs previously authorized under 366.93. That one  
5 is currently in the House Energy Committee. No  
6 Senate companion.

7           Representative Burgess has also filed  
8 House Bill 353, which provides that the PSC cannot  
9 approve cost recovery for more than one plant at any  
10 time for a utility, subjects the plants to quarterly  
11 review by the PSC. And if the PSC determines that  
12 the utility has a lack of intent to continue with  
13 building the facility, all costs previously charged  
14 and collected must be refunded, and the PSC will  
15 determine the manner and the time period for those  
16 refunds. That's also in House energy and there is  
17 no Senate companion.

18           I want to talk about the, some bills  
19 specific to the PSC. Senator Latvala has filed  
20 Senate Bill 288. It's almost pretty much identical  
21 to House Bill 219 by Representative Peters, Kerner,  
22 Latvala, and a few others. This one requires the  
23 PSC to hold at least one customer service meeting  
24 each year in the service territory for each electric  
25 utility. If a water or wastewater utility requested

1 with at least 10 percent of the customers, they  
2 would have to hold one for that water or wastewater  
3 utility as well.

4 All PSC meetings attended by two or more  
5 Commissioners must be streamed live on the Internet,  
6 and all meetings, workshops, hearings, or  
7 proceedings where a decision is made concerning the  
8 rights of any person must be streamed live on the  
9 Internet. We're looking at that one trying to  
10 determine if that requires live streaming of these  
11 customer service meetings that may be in some remote  
12 locations where that might be a little problematic.  
13 So we're kind of looking at the wording, trying to  
14 figure that out.

15 It requires any person lobbying the PSC  
16 Nominating Council to register as a legislative  
17 lobbyist. It requires Commissioners, beginning  
18 January of next year, to complete four hours of  
19 ethics training. Prohibits ex parte by  
20 Commissioners for any issue pending before the  
21 Commission or reasonably expected to come before the  
22 Commission within the next year. Those of you who  
23 were here in 2010, there was legislation where that  
24 would have also applied to Commissioners' aides.  
25 This bill does not. It just applies to



1 Commissioners.

2 Requires the Governor to remove a  
3 Commissioner from office on a finding by the  
4 Commission on Ethics of a violation. That's all it  
5 says.

6 Requires OPC to be a party to any  
7 settlement agreement before the PSC if they are a  
8 party to the proceeding. If they're not a party to  
9 the settlement agreement, it cannot be submitted,  
10 considered, or approved by the Commission. Both  
11 bills -- the Senate bill is in the Senate  
12 Communications Committee, the House Bill is in House  
13 Energy, and they both have an effective date of  
14 July 1.

15 Those bills also contain a couple of other  
16 provisions. They both contain a FEECA provision  
17 that requires monies received by a utility for the  
18 implementation of measures to encourage development  
19 of demand-side renewable systems must be used solely  
20 for those purposes. It also has language relating  
21 to billing cycles, prohibiting a utility from  
22 charging a customer a higher rate, a higher tier  
23 because of an increase in usage that's attributable  
24 to an extension of the billing period.

25 Prohibits the utility from charging or

1 receiving a deposit in excess of two months' average  
2 for existing customers and a two-month average of  
3 anticipated costs for new customers. If the utility  
4 has more than one rate class, one rate for any  
5 customer class, it must notify the customer about  
6 those available rates, and the bill requires them to  
7 work with the customers. Requires new tariffs and  
8 changes to existing tariffs to be approved by the  
9 Commission. So that's also in that big Senator  
10 Latvala and Representative Peters legislation.

11 One other bill I want to mention is House  
12 Bill 399 by Representative Dudley. It does not have  
13 a Senate companion at this point. Requires the  
14 Governor to appoint the Chairman of the PSC,  
15 prohibits ex parte consideration by Commissioners,  
16 just like the Senator Latvala and Representative  
17 Peters bill does, except this one says on any issue  
18 reasonably expected to come before the Commission in  
19 the foreseeable future. That bill also prohibits a  
20 utility from recovering charges or expenses incurred  
21 by a utility in exploring, gathering, drilling, or  
22 otherwise producing oil or natural gas. It's not  
23 specific to Florida. Those bills -- that bill has  
24 an effective date of July 1, and it's currently in  
25 the House Energy Committee.

1           Those are all I was going to touch on this  
2 morning, unless there are any questions about  
3 committee meetings or any of the bills that I talked  
4 about or any that I didn't talk about.

5           **CHAIRMAN GRAHAM:** Commissioners, any  
6 questions? Thank you very much for your update.

7           **MS. PENNINGTON:** Thank you.

8           **CHAIRMAN GRAHAM:** Very informative.

9           Executive Director's report.

10          **MR. BAEZ:** Thanks, Chairman. Commissioners,  
11 as Katherine alluded to earlier, the Governor's  
12 recommended budget was -- I'm sorry -- was released  
13 January 29th, and it has, can be summarized in three  
14 categories.

15           The first is an FTE reduction. The  
16 Commission, the Commission, as you recall, had  
17 provided an LBR or filed an LBR that included an FTE  
18 reduction of two positions. The Governor has  
19 recommended a reduction, a total reduction of 18.  
20 So a 16 position increase in reductions. That would  
21 be a reduction of approximately \$978,000.  
22 Reductions to general operating budget totaling, in  
23 various categories totaling about \$100,000, and a  
24 couple of technical issues that total \$4,500. So  
25 right around a million dollars.

1           As you, as you are aware, these are  
2       recommendations. We're still going through the  
3       budget process in the Legislature. Both Apryl and I  
4       have, are in regular contact with our, with our  
5       Appropriations Committee staff and chairs as well,  
6       and we will update you as you require and as issues  
7       come up.

8           The second item I had is actually better  
9       news. You may or may not be aware, I hope you are,  
10      last year the Commission began recognizing small  
11      businesses throughout the state that had implemented  
12      Commission-approved energy efficiency programs with  
13      their utility company's assistance. And each month  
14      we present what's known as the TripleE award --  
15      TripleE for energy efficiency efforts -- to local  
16      small business and announce the award on our website  
17      as well as in a press release. We thought it might  
18      be helpful and a good use of our platform as well to  
19      try and highlight these deserving businesses, so  
20      we'll be recognizing them at the Internal Affairs on  
21      our monthly IA meetings.

22           So our first award for 2015 went to  
23      Carmike Cinemas in Pensacola for upgrading lighting  
24      in its 18 movie theaters to save energy and reduce  
25      costs. Gulf Power Company worked with Carmike to

1 replace almost 400 incandescent lights with LED,  
2 saving the cinemas more than 300,000 kilowatts of  
3 power each year. We want to congratulate Carmike  
4 Cinemas and encourage all those other local  
5 businesses around the state to make, avail  
6 themselves of the programs available with their home  
7 utilities. Ms. Laura Larson, the General Manager of  
8 Carmike Cinemas, will be receiving this award  
9 plaque, and I've been given the plaque for everyone  
10 to see. It's a very nice looking plaque. It will  
11 be presented at a later date. Also, this is done  
12 through the offices of the Chairman's office, so we,  
13 we appreciate his participation as well.

14 That concludes the report, unless you all  
15 have any questions.

16 **CHAIRMAN GRAHAM:** Questions? I think it's a  
17 fine job you do.

18 **MR. BAEZ:** And a fine job you do. Thank you.

19 **CHAIRMAN GRAHAM:** Commissioner Brisé.

20 **COMMISSIONER BRISÉ:** A comment, I just, I  
21 just think that's an innovative approach to recognize  
22 energy efficient -- energy efficiency and the fact that  
23 this industry, that space that we are in is truly the  
24 economic driver within our, within our state. You  
25 can't do anything without the things that we regulate,

1 so.

2 **CHAIRMAN GRAHAM:** Is that it?

3 **MR. BAEZ:** We're done.

4 **CHAIRMAN GRAHAM:** Okay. Other matters?

5 Commissioners, any other matters? Commissioner Brown,  
6 no other matters? You sure?

7 **COMMISSIONER BROWN:** I'm set.

8 **CHAIRMAN GRAHAM:** Really?

9 **COMMISSIONER BROWN:** I'm set today.

10 **CHAIRMAN GRAHAM:** Okay. All right. Well, I  
11 do thank everybody for coming out, and travel safely,  
12 and we are adjourned.

13 (Proceeding adjourned at 11:33 a.m.)

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF FLORIDA )  
2 COUNTY OF LEON ) : CERTIFICATE OF REPORTER

3  
4 I, LINDA BOLES, CRR, RPR, Official Commission  
5 Reporter, do hereby certify that the foregoing  
6 proceeding was heard at the time and place herein  
7 stated.

8 IT IS FURTHER CERTIFIED that I  
9 stenographically reported the said proceedings; that the  
10 same has been transcribed under my direct supervision;  
11 and that this transcript constitutes a true  
12 transcription of my notes of said proceedings.

13 I FURTHER CERTIFY that I am not a relative,  
14 employee, attorney or counsel of any of the parties, nor  
15 am I a relative or employee of any of the parties'  
16 attorney or counsel connected with the action, nor am I  
17 financially interested in the action.

18 DATED THIS 9th day of February, 2015.

19  
20  
21  
22  
23  
24  
25  


---

LINDA BOLES, CRR, RPR  
FPSC Official Hearings Reporter  
(850) 413-6734