

# I. Meeting Packet



**State of Florida**  
**Public Service Commission**  
**INTERNAL AFFAIRS AGENDA**  
Tuesday, March 3, 2015  
Immediately Following Commission Conference  
Room 105 – Gunter Building

---

---

1. Staff Briefing—Status of Solar Energy in Florida. (Attachment 1).
2. Executive Director's Report. (No attachment)
3. Other Matters.

BB/sc

OUTSIDE PERSONS WISHING TO ADDRESS THE COMMISSION ON  
ANY OF THE AGENDAED ITEMS SHOULD CONTACT THE  
OFFICE OF THE EXECUTIVE DIRECTOR AT (850) 413-6463.





# Public Service Commission

CAPITAL CIRCLE OFFICE CENTER • 2540 SHUMARD OAK BOULEVARD  
TALLAHASSEE, FLORIDA 32399-0850

## -M-E-M-O-R-A-N-D-U-M-

**DATE:** February 27, 2015

**TO:** Braulio L. Baez, Executive Director

**FROM:** Walter Clemence, Public Utility Analyst II, Office of Industry Development and Market Analysis *w*  
David Dowds, Public Utilities Supervisor, Office of Industry Development and Market Analysis  
Mark Futrell, Director, Office of Industry Development and Market Analysis *mf*

**RE:** Overview of Solar Energy in Florida

**Critical Information:** Please place on the March 3, 2015 Internal Affairs.  
**BRIEFING ONLY**

This memorandum is to provide an informational overview of current and new solar deployments in Florida, cost trends for solar installations, and a discussion of customer-owned renewable generation and statistics on customer-owned installed capacity. No Commission action is requested.

### Existing Solar Resources

Florida has 218 megawatts (MW) of installed solar capacity as of December 31, 2013. Florida utilities have installed approximately 117 MW of solar photovoltaic (PV) and solar thermal capacity in Florida. Utilities have contracted for an additional 39.5 MW of installed capacity, and customers have installed approximately 60.5 MW of distributed solar generation behind their meters.

Utility Owned			Gross MW
FPL	Desoto Next Gen Solar Energy Center	PV	25
FPL	Space Coast	PV	10
FPL	FPL Juno Beach Living Lab	PV	0.0970
FPL	Business PV for Schools	PV	0.1600
FPL	Martin Solar	Thermal	75.0
TECO	Museum of Science & Industry	PV	0.0182
TECO	Walker Middle School	PV	0.0034
TECO	Manatee Viewing Center	PV	0.0372
TECO	Middleton High School	PV	0.0089
TECO	Tampa's Lowry Park Zoo	PV	0.0128

TECO	Florida Aquarium	PV	0.0086
DEF	Econlockhatchee Photovoltaic Array	PV	0.0070
DEF	DEF owned Installations	PV	0.9230
FMPA	NOAA Eco-Discovery Center	PV	0.0300
GRU	Small Distributed Rooftop PV Panels	PV	0.0086
OUC	OUC Reliable Plaza PV System	PV	0.0320
TAL	Multiple Utility-owned installations	PV	0.2230
JEA	Multiple Utility-owned installations	PV	0.2220
LAK	Airport Phase 1	PV	2.3000
LAK	Airport Phase 2	PV	3.0000
LAK	Sun Edison - Civic Center	PV	0.2500
	Source: Ten Year Site Plan	Utility Owned	117.34

<b>Existing Non-Utility Owned Generation</b>			<b>Gross MW</b>
FPL	Rothenbach Park	PV	0.2500
FPL	First Solar	PV	0.2000
GRU	Multiple Aggregated Distributed Facilities	PV	18.6
OUC	Fleet Solar Project	PV	0.3350
OUC	Gardenia Solar Project	PV	0.2680
OUC	Stanton Solar Farm	PV	5.1
JEA	Jacksonville Solar	PV	15.0
	Source: Ten Year Site Plan	Non-Utility	39.73

### **Customer-Owned Solar Generation**

In 2002 the Commission adopted Rule 25-6.065, Florida Administrative Code, to allow residential customers to interconnect customer-owned solar systems of up to 10 KW and provided that any excess energy generated by the customer's system would be purchased by the utility. In 2008, the FPSC approved a revised rule that applies to all customers and provides for an expedited interconnection process and allows for net metering of customer-owned renewable energy systems of up to 2 MW.

In 2008, the effective year of the revised rule, customer-owned renewable solar generation accounted for approximately 3 MW of renewable capacity. As of 2013, approximately 60.5 MW MW was customer-owned solar PV.

<b>Customer-Owned Solar Generation</b>												
	# of Customer-Owned Solar Systems						kW Gross Power Rating					
	2008	2009	2010	2011	2012	2013	2008	2009	2010	2011	2012	2013
<b>IOU</b>	383	1,045	1,855	2,803	3,799	4,818	1,696	7,653	12,442	19,441	30,401	43,876
<b>Municipal</b>	137	313	493	614	791	1,007	797	3,378	4,099	5,002	7,021	11,787
<b>Rural Electric Cooperative</b>	57	267	461	549	684	853	272	1,955	2,667	3,262	4,099	4,865
<b>TOTAL</b>	577	1,625	2,809	3,966	5,274	6,678	2,765	12,986	19,208	27,705	41,521	60,528

**Proposed Solar Resources**

The most recent Ten Year Site Plans showed that utilities planned to add 4.5 MW of solar PV during the 2014-2023 timeframe.

<b>Planned Utility-Owned Generation</b>			<b>Gross MW</b>
FPL	Business PV for Schools	PV	0.5000
FPL	CISP (Community Solar)	PV	3.8800
TECO	LEGOLAND	PV	0.0255
TAL	Multiple Installations	PV	0.1200
	Source: Ten Year Site Plan	Utility Owned	4.53

As part of the Ten Year Site Plan process, utilities also identified the as-available energy contracts that they plan to enter into within the 2014-2023 timeframe, as shown in the following chart.

<b>Planned Non-Utility Generation</b>			<b>Gross MW</b>
DEF	Blue Chip Energy Lake Mary	PV	10.00
DEF	Blue Chip Energy Sorrento	PV	40.00
DEF	National Solar Gadsden	PV	50.00
DEF	National Solar Hardee	PV	50.00
DEF	National Solar Suwannee	PV	50.00
DEF	National Solar Highlands	PV	50.00
DEF	National Solar Osceola	PV	50.00
TAL	TBD	PV	1.70
TAL	Innovation Park	PV	0.40
TAL	Yulee Street	PV	0.85

LAK	Sun Edison	PV	6.00
LAK	Sun Edison-Sutton	PV	6.00
LAK	Sun Edison-TBA	PV	7.50
LAK	Sun Edison-TBA	PV	5.00
	Source: Ten Year Site Plan	Non-utility	327.45

In addition to the aforementioned projects, staff highlights below a few projects that were announced subsequent to the release of the 2014 Ten Year Site Plans.

***Florida Power and Light Company’s Solar Projects***

- On January 26, 2015, FPL announced its plans to construct three 74 MW solar photovoltaic facilities by the end of 2016, at three sites:
  - Citrus Solar Energy Center – DeSoto County, near FPL’s existing 25 MW solar photovoltaic facility which opened in 2009.
  - Babcock Ranch Solar Energy Center – Charlotte County.
  - Manatee Solar Energy Center – Manatee County, on the site of FPL’s Manatee generating facilities.
- According to FPL, the three sites have sufficient transmission and substation infrastructure in place.
- FPL has not announced plans for the recovery of costs associated with the proposed facilities.
- As shown in the utility’s Ten Year Site Plan, the utility plans to add 3.88 MW of community solar in the 2014-2023 timeframe.
- On February 20, 2015, FPL announced its plans to construct a 1.7 MW grid-tied solar PV facility at Daytona International Speedway. Construction is to begin in the fall of 2015 with the goal that the system will be operational by the end of the year.

***Florida Power and Light Company’s Voluntary Solar Partnership Pilot Program<sup>1</sup>***

- Offers customers an opportunity to voluntarily contribute \$9.00 per month toward supply-side solar generation facilities owned by FPL in its service territory.
  - Available to all residential, commercial, and industrial customers.
- FPL will use the contributions to support the net revenue requirement of constructing and operating relatively small solar generating facilities.
- The electricity generated by the solar generation facilities will displace fuel that otherwise would have been used for generation, resulting in avoided fuel and emissions costs.
- The size of the solar projects will be determined based on the contributions received.
- Customers may enroll or cancel their enrollment at any time.

---

<sup>1</sup> See Order No. PSC-14-0468-TRF-EI, issued August 29, 2014 in Docket No. 140070-EI, In re: Petition for approval of voluntary solar partnership pilot program and tariff, by Florida Power & Light Company.

***Tampa Electric Company - Tampa International Airport Project***


- On September 30, 2014, Tampa Electric Company (TECO) announced it will construct 2 MW of solar PV at the airport.
- The project is to be completed by the end of 2015.
- TECO will own the solar PV and will lease the airport garage roof on which the solar PV is to be located for \$15,000/year.
- TECO will receive the 30% federal tax credit.
- Energy from the solar PV will be fed into TECO’s grid and not be consumed directly by the airport.

***Gulf Power Company’s Solar Petition – Docket No. 150035-EI***

- On January 22, 2015, Gulf Power Company filed for approval of three purchased power agreements totaling 120 MW for solar photovoltaic projects to be located at military installations:
  - Eglin Air Force Base, Okaloosa County – 30 MW
  - Holley Naval Landing Field, Santa Rosa County – 40 MW
  - Saufley Naval Landing Field, Escambia County – 50 MW
- A recommendation on the petition is currently scheduled for the April 16, 2015 Agenda Conference.

**Cost Trends**

The costs associated with the installation of solar PV have been steadily decreasing. The graph below shows that the declines have been seen in all three sectors -- residential, commercial, and utility scale installations. The graph shows that over the period 4<sup>th</sup> quarter 2009 – 4<sup>th</sup> quarter 2013, the bottom-up modeled system prices have declined by 52%, 50%, and 59% for residential, commercial, and utility scale installations, respectively.



Source: 2014 Edition of DOE’s Photovoltaic System Pricing Trends



Information provided by the investor-owned electric utilities in the 2014 goal setting proceeding also recognized the declining cost of solar PV for residential and commercial installations. For example, Duke Energy's witness testified that the cost of solar PV for residential installations declined from \$5.01/watt<sub>dc</sub> in 2011 to \$4.13/watt<sub>dc</sub> in 2013. Similarly, the cost of solar PV for commercial installations declined from \$5.33/watt<sub>dc</sub> in 2011 to \$3.89 in 2013. Gulf Power Company reported that the installed cost of solar PV systems (residential and commercial) dropped from an average of \$5.54/watt<sub>dc</sub> in 2011 to \$3.42/watt<sub>dc</sub> in 2014.

### **Demand Side Management Solar Pilot Programs**

Section 366.82, F.S., directs the Commission to adopt appropriate goals for increasing the development of demand-side renewable energy systems. In developing goals, the Commission is to take into consideration the benefits and costs to the consumer participating in the measure and the benefits and costs to the general body of ratepayers. In the 2009 goal setting proceeding, the Commission found that solar measures, including solar PV and solar thermal, did not pass the cost-effectiveness tests required by Rule 25-17.008, F.A.C. However, the Commission ordered the investor-owned electric utilities (IOUs) to develop solar pilot programs in order to address the intent of the Legislature to place added emphasis on demand-side renewable resources.<sup>2</sup> The Commission established a spending cap for the IOUs of approximately \$24.5 million per year total in order to protect ratepayers from undue rate increases. The approved solar pilot programs provide customer rebates to offset a portion of the installation costs for solar photovoltaic and solar hot water heating systems, and also provide solar energy equipment to low-income customers and to schools. The following data provides information on program participation, costs, and installed solar PV capacity.

### ***Solar Pilot Program Participation and Expenditures***

The table below shows that during the period 2011-2013, a total of nearly \$50 million was expended for the solar pilot programs and 5,845 customers participated in the programs.

<b>Solar Pilot Program Expenditures and Participation 2011-2013 (Includes both PV and Thermal)</b>		
	Expenditures	Participants
FPL	\$29,853,514	3,962
DEF	\$13,788,013	1,318
TECO	\$3,793,723	325
GULF	\$2,300,000	240
Total	\$49,735,250	5,845
Source: 2014 conservation goals proceeding.		

<sup>2</sup> See Order No. PSC-09-0855-FOF-EG, issued December 30, 2009, in Docket Nos. 080408-EG, 080409-EG, 080410-EG, 080412-EG, 080413-EG, In re: Commission Review of numeric Conservation Goals.

Internal Affairs Memorandum  
February 27, 2015

The following tables provide more detailed information on solar pilot program participation and expenditures during 2011-2013.

<b>Florida Power and Light Company 2011-2013</b>	Number of Participants	Total Expenditures	Average Expenditure/Participant
Solar Water Heating - Residential & Low Income New Construction	2968	\$4,469,845	\$1,506
Solar Water Heating - Business	38	629,408	16,563
Photovoltaic (PV) - Residential	774	11,045,895	14,271
Photovoltaic (PV) - Business	153	5,488,461	35,872
Photovoltaic (PV) - Business PV for Schools	29	4,057,967	139,930
Research & Demonstration	n/a	1,158,841	
Non-program Specific	n/a	3,003,097	
<b>TOTAL</b>	<b>3962</b>	<b>\$29,853,514</b>	<b>\$7,535</b>

Source: 2014 Energy Conservation Goals Proceeding.

<b>Duke Energy Florida, Inc. 2011-2013</b>	Number of Participants	Total Expenditures	Average Expenditure/Participant
Solar Water Heating Low Income	63	\$321,874	\$5,109
Solar Water Heating - Residential	847	587,132	693
Photovoltaic (PV) - Residential	346	5,522,911	15,962
Photovoltaic (PV) - Commercial	39	2,755,173	70,645
Photovoltaic (PV) for Schools	23	4,097,400	178,148
Research and Demonstration	n/a	504,523	
<b>TOTAL</b>	<b>1318</b>	<b>\$13,788,013</b>	<b>\$10,461</b>

Source: 2014 Energy Conservation Goals Proceeding.

<b>Tampa Electric Company 2011-2013</b>	Number of Participants	Total Expenditures	Average Expenditure/Participant
Photovoltaic (PV) - Residential	168		
Photovoltaic (PV) - Commercial	24		
PV Systems for Schools	3		
Solar Water Heating - Residential	120		
Solar Water Heating - Low Income	10		
<b>Total</b>	<b>325</b>	<b>\$3,793,723</b>	<b>\$11,673</b>

Source: 2014 Energy Conservation Goals Proceeding.

<b>Gulf Power Company 2011-2013</b>	Number of Participants	Total Expenditures	Average Expenditure/Participant
Photovoltaic (PV) - Residential & Commercial	132	\$1,289,000	\$9,765
PV Systems for Schools	2	209,000	104,500
Solar Water Heating - Residential	76	88,000	1,158
Solar Water Heating - Low Income	30	145,000	4,833
Administrative Expenses	n/a	569,000	
<b>TOTAL</b>	<b>240</b>	<b>\$2,300,000</b>	<b>\$9,583</b>

Source: 2014 Energy Conservation Goals Proceeding.

**Solar Pilot Program Costs – Incentives & Other Expenses**

The following tables provide data on program expenses divided between incentives and all other expenses. Incentives refer to the monetary rebates provided to qualifying customers who installed a solar PV or water heating system. Other expenses include payroll, marketing and other overhead.

<b>Solar Pilot Program Costs 2011-2013</b>					
<b>Duke Energy Florida, Inc.</b>					
<b>Program</b>	<b>Other Expenses</b>	<b>% of Total</b>	<b>Incentives</b>	<b>% of Total</b>	<b>Total</b>
Solar Water Heating with EM	\$153,187	26.1%	\$433,945	73.9%	\$587,132
Research and Demonstration	\$504,523	100.0%	\$0	0.0%	\$504,523
Solar Water Heating Low Income	\$78,970	24.5%	\$242,905	75.5%	\$321,875
Photovoltaic for Schools Pilot	\$161,299	3.8%	\$4,133,050	96.2%	\$4,294,349
Residential Solar Photovoltaic	\$370,971	7.0%	\$4,954,991	93.0%	\$5,325,962
Commercial Solar Photovoltaic	\$155,848	5.7%	\$2,599,325	94.3%	\$2,755,173
Total	\$1,424,798	10.3%	\$12,364,216	89.7%	\$13,789,014
<b>Florida Power and Light Company</b>					
<b>Program</b>	<b>Other Expenses</b>	<b>% of Total</b>	<b>Incentives</b>	<b>% of Total</b>	<b>Total</b>
Res. Solar H2O Heating Pilot	\$796,850	22.5%	\$2,752,000	77.5%	\$3,548,850
Res. Solar H2O Heating (Low Inc.) Pilot	\$131,990	14.3%	\$789,005	85.7%	\$920,995
Residential Photovoltaic Pilot	\$415,216	3.8%	\$10,630,678	96.2%	\$11,045,894
Business Solar H2O Heating Pilot	\$249,463	39.6%	\$379,945	60.4%	\$629,408
Business Photovoltaic Pilot	\$317,603	5.8%	\$5,170,859	94.2%	\$5,488,462
Business Photovoltaic for Schools Pilot	\$570,856	100.0%	\$0	0.0%	\$570,856
Renewable Research and Demo. Project	\$1,158,841	100.0%	\$0	0.0%	\$1,158,841
Solar Pilot Projects Common Expenses	\$2,075,160	100.0%	\$0	0.0%	\$2,075,160
Total	\$5,715,979	22.5%	\$19,722,487	77.5%	\$25,438,466
<b>Gulf Power Company</b>					
<b>Program</b>	<b>Other Expenses</b>	<b>% of Total</b>	<b>Incentives</b>	<b>% of Total</b>	<b>Total</b>
Renewable Energy Plan Common	\$569,452	100.0%	\$0	0.0%	\$569,452
Solar for Schools	\$139,906	100.0%	\$0	0.0%	\$139,906
Solar Thermal Water Heating	\$12,187	13.8%	\$76,000	86.2%	\$88,187
Solar PV	\$11,835	0.9%	\$1,277,330	99.1%	\$1,289,165
Solar Thermal Water Heating - Low Income	\$0	0.0%	\$144,776	100.0%	\$144,776
Total	\$733,380	32.9%	\$1,498,106	67.1%	\$2,231,486
<b>Tampa Electric Company</b>					
<b>Program</b>	<b>Other Expenses</b>	<b>% of Total</b>	<b>Incentives</b>	<b>% of Total</b>	<b>Total</b>
Renewable Energy Systems Initiative	\$598,495	15.8%	\$3,195,228	84.2%	\$3,793,723
Total	\$598,495	15.8%	\$3,195,228	84.2%	\$3,793,723

Source: Energy Conservation Cost Recovery Clause Schedules.

***Solar Photovoltaic Capacity Installed – 2011-2013***

The table below provides the capacity of solar PV systems installed by customers. Duke Energy Florida, Inc. and Gulf Power Company reported that some customers installed solar PV systems with capacity in excess of the capacity provided by the maximum rebate. Data is provided for the incentivized capacity and the total capacity installed.

<b>Solar PV Installed Capacity Funded by Solar Pilot Programs</b>				
<b>kW DC Rating 2011-2013</b>				
	2011	2012	2013	Total
<b>Duke Energy Florida, Inc.</b>				
	2011	2012	2013	Total
Residential Solar PV - Incentivized	557	733	1,205	2,495
Residential Solar PV - Total Installed	567	753	1,239	2,559
Commercial Solar PV - Incentivized	632	593	609	1,834
Commercial Solar PV - Total Installed	1,667	1,996	631	4,294
Solar for Schools - Incentivized	190	200	190	580
Solar for Schools - Total Installed	197	200	190	587
Total Incentivized	1,379	1,526	2,004	4,909
Total Installed	2,431	2,949	2,060	7,440
<b>Florida Power and Light Company</b>				
	2011	2012	2013	Total
Residential Solar PV	1,690	1,650	2,272	5,612
Business Solar PV	598	1,526	2,534	4,658
Solar for Schools	0	0	190	190
Total	2,288	3,176	4,996	10,460
<b>Gulf Power Company</b>				
	2011	2012	2013	Total
Solar PV - Incentivized	204	218	218	639
Solar PV - Total Installed	267	273	288	828
Solar for Schools	0	10	10	20
Total Incentivized	204	228	228	659
Total Installed	267	283	298	848
<b>Tampa Electric Company</b>				
	2011	2012	2013	Total
Residential Solar PV	311	495	479	1,285
Commercial Solar PV	74	61	90	225
Solar for Schools	10	10	10	30
Total	395	566	579	1,540
Source: FPSC staff data request.				

**2014 Goal Setting Proceeding - Cost-Effectiveness Analysis Results**

As part of the 2014 goal setting proceeding, the Commission evaluated the cost-effectiveness of the Solar Pilot Programs, solar PV and solar hot water heating measures. The tables below provide the results of the cost-effectiveness tests required by Rule 25-17.008, F.A.C. The Commission found that the programs are not cost-effective and experience gained since the 2009 goals proceeding indicates that consumers have continued to install systems without any rebates. The Commission noted that the rebates associated with the solar pilot programs represent a large subsidy from the general body of ratepayers to a very small segment of each utility's customers.

Florida Power and Light Company Solar Pilot Programs	Benefit Cost Ratio		
	RIM	TRC	Participant
Solar Water Heating - Residential	0.51	0.18	0.50
Solar Water Heating - Low Income New Construction	0.21	0.28	1.52
Solar Water Heating - Business	0.34	0.19	0.58
Photovoltaic (PV) - Residential	0.46	0.27	0.74
Photovoltaic (PV) - Business	0.64	0.33	0.67
Photovoltaic (PV) - Business PV for Schools	0.13	0.15	1.19

Source: 2014 Energy Conservation Goals Proceeding

Duke Energy Florida, Inc. Solar Pilot Programs	Benefit Cost Ratio		
	RIM	TRC	Participant
Solar Water Heating for Low-income Residential	0.274	0.454	1.83
Solar Water Heating with Energy Management	0.596	0.580	0.79
Photovoltaic - Residential	0.376	0.547	1.23
Photovoltaic - Commercial	0.422	0.628	1.35
Photovoltaic for Schools	0.141	0.163	1.18

Source: 2014 Energy Conservation Goals Proceeding

Tampa Electric Company Solar Measures	Benefit Cost Ratio		
	RIM	TRC	Participant
Residential PV	0.38	0.41	1.20
Commercial PV	0.40	0.39	1.10
Residential Solar Water Heating	0.56	0.28	0.71

Source: 2014 Energy Conservation Goals Proceeding

Gulf Power Company Solar Measures	Benefit Cost Ratio		
	RIM	TRC	Participant
Solar PV (combined residential and commercial)	0.88	0.67	1.005 – 1.05
Solar Thermal Water Heating (Single Family)	0.74	0.56	0.98

Source: 2014 Energy Conservation Goals Proceeding

cc: Lisa Harvey, Charlie Beck

## II. Outside Persons Who Wish to Address the Commission at Internal Affairs

***OUTSIDE PERSONS WHO WISH  
TO ADDRESS THE COMMISSION AT***

***INTERNAL AFFAIRS  
March 3, 2015***

**Speaker**

**Representing**

**Item #**

Alton Drew

Alton Drew Group

1

# III. Supplemental Materials for Internal Affairs

**Note:** The following material pertains to Item 1  
of this agenda.



State of Florida



# Public Service Commission

CAPITAL CIRCLE OFFICE CENTER • 2540 SHUMARD OAK BOULEVARD  
TALLAHASSEE, FLORIDA 32399-0850

**-M-E-M-O-R-A-N-D-U-M-**

---

**DATE:** March 2, 2015  
**TO:** Art Graham, Chairman  
**FROM:** Walter Clemence, Public Utility Analyst II, Office of Industry Development and Market Analysis  
David L. Dowds, Public Utilities Supervisor, Office of Industry Development and Market Analysis  
Mark A. Futrell, Director, Office of Industry Development and Market Analysis  
**RE:** Solar Payback Information

---

The charts below are illustrative of what a customer in Florida may use for an economic analysis to determine the benefits of installing solar photovoltaic. The chart provides a simple payback calculation of installing an average system for both a residential and commercial customer.

Residential 5kW		
	w/Utility Rebate	No Utility Rebate
System Cost (\$3290 kW)	\$16,450	\$16,450
Utility Rebate (\$2/watt)	\$10,000	\$0
Federal Tax Credit (30%)	\$1,935	\$4,935
Total Cost	\$4,515	\$11,515
Approximate monthly kWh produced	657	657
Approximate monthly value of energy	\$70	\$70
Years to recover investment	5.35	13.65

Parties/Staff  Handout   
Internal Affairs/Agenda  
on 03/03/2015  
Item No. 1

Commercial 200 kW		
	w/Utility Rebate	No Utility Rebate
System Cost (\$2540 kW)	\$508,000	\$508,000
Utility Rebate (Max)	\$50,000	\$0
Federal Tax Credit (30%)	\$137,400	\$152,400
Total Cost	\$320,600	\$355,600
Approximate monthly kWh produced	26,280	26,280
Approximate monthly value of energy	\$2,418	\$2,418
Years to recover investment	11.05	12.26

The investment cost data used in the charts above are an approximation of the costs found in the 2014 Edition of DOE's Photovoltaic System Pricing Trends. The cost is based on a bottom-up modeled PV system. IOU solar pilot program rebates were approved by the Commission for 2011-2015.

The utility rebate assumes a rebate of \$2.00/watt first 10kW, \$1.50/Watt 10-25KW, \$1.00/watt >25kW with a \$50,000 maximum rebate.

The Federal Tax Credit is 30% of the actual cost of the system, applied net of any utility-provided rebate. The Federal Tax Credit for residential and commercial solar installations is available until December 31, 2016. After that time, the residential credit drops to zero and commercial credit drops to 10%.

The value of the energy produced assumes that all the energy is used on-site. This provides the greatest benefit for the consumer. The energy being used on-site offsets the consumer's need to purchase power from the utility. Therefore, it is valued at the retail cost of electricity.

The estimated monthly system kWhs produced assumes an 18% capacity factor. The approximate monthly value of energy is based on a retail electricity price (excluding taxes) of \$0.107 per kWh for residential and \$0.092 per kWh for commercial. The Years to recover investment is derived by dividing the net system cost by the monthly values of energy, then dividing the result by 12 to yield payback in years.

The charts above show that the inclusion of the utility rebates greatly reduces the amount of time necessary to recover the investment in the solar generation for a residential or commercial

Chairman Graham Memorandum  
March 2, 2015

system. The inclusion of the utility rebate reduces the time to recover the investment from 13.65 years down to 5.35 for a residential installation. For a commercial installation the time to recover the investment is reduced from 12.26 years down to 11.05 years.

# IV. Transcript

BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PROCEEDINGS: INTERNAL AFFAIRS

COMMISSIONERS  
PARTICIPATING: CHAIRMAN ART GRAHAM  
COMMISSIONER LISA POLAK EDGAR  
COMMISSIONER RONALD A. BRISÉ  
COMMISSIONER JULIE I. BROWN  
COMMISSIONER JIMMY PATRONIS

DATE: Tuesday, March 3, 2014

TIME: Commenced at 10:30 a.m.  
Concluded at 11:00 a.m.

PLACE: Gerald L. Gunter Building  
Room 105  
2540 Shumard Oak Boulevard  
Tallahassee, Florida

REPORTED BY: LINDA BOLES, CRR, RPR  
Official FPSC Reporter  
(850) 413-6734



## P R O C E E D I N G S

1  
2           **CHAIRMAN GRAHAM:** All right, guys. We'll  
3 convene. We'll convene the IA meeting. Let the record  
4 show it is Tuesday, March the 3rd. It's about 10:30.

5           We might as well start with the first  
6 item. Staff.

7           **MR. CLEMENTS:** Good morning, Commissioners.  
8 I'm Walter Clements with the Office of Industry  
9 Development and Market Analysis. With me here this  
10 morning is also Mark Futrell.

11           Staff is here this morning to provide a  
12 brief overview of solar energy in Florida, including  
13 a discussion on existing resources, customer  
14 resources, proposed resources, cost trends, and a  
15 brief summary of the DSM solar pilot programs.

16           As of December 31st of 2013, Florida has an  
17 installed capacity of approximately 218 megawatts of  
18 solar. Approximately 117 of that is owned by the  
19 utilities in the form of solar PV and solar thermal,  
20 approximately 39 megawatts of contracted solar, and  
21 about 60.5 megawatts of customer-owned distributed  
22 generation.

23           Customers are currently permitted to  
24 interconnect up to 2 megawatts of renewable energy  
25 resources, including solar, to the grid. Growth in net

1 metering has grown from about 3 megawatts of installed  
2 capacity in 2008 to about the 60.5 we mentioned a  
3 minute ago.

4 At the beginning of page 3 of the IA memo we  
5 list several proposed projects that have been announced  
6 since the receipt of the last ten-year site plan  
7 filings from the utilities. Those most recent plans  
8 that we have include a projection of about  
9 4.53 megawatts of solar to be installed in the 2014 to  
10 2023 timeframe. The ten-year site plans also included  
11 some non-utility owned projects to be placed in service  
12 within that same timeframe.

13 Several projects, as I've said before, have  
14 been announced, and we expect to see some of those in  
15 the upcoming new ten-year site plan filings that will  
16 be filed in April.

17 In respect to the cost trends, costs have  
18 been steadily decreasing. As you can see in page 5,  
19 the costs have been declining by at least 50 percent in  
20 the 2009 to 2013 timeframe, and those cost decreases  
21 have been seen in all the sectors, residential,  
22 commercial, and the industrial.

23 With respect to the DSM solar pilot programs,  
24 expenditures and the number of participants can be  
25 found on page 6. Between 2011 and 2013, nearly

1 \$50 million was spent to install 5,800 systems. The  
2 money spent on each of the programs is available on  
3 page 7. The incentives paid you can find on page 8.

4 Page 9 shows the amount of the capacity  
5 installed as a result of the programs. For a couple of  
6 the utilities they provided information that the  
7 installed systems were larger than the maximum rebate,  
8 so some customers went ahead and put in larger systems.  
9 About 20, a little over 20 megawatts of power was, of  
10 capacity was installed due to the solar pilot programs  
11 up until 2013.

12 The tables on page 10 you'll remember from  
13 the DSM proceeding. They're the cost-effectiveness  
14 results from the solar pilot programs. At the time the  
15 Commission did note that the subsidy, the programs  
16 represented a subsidy for the general body of  
17 non-participating ratepayers to those customers who had  
18 installed systems, and the programs are set to run  
19 through the end of this year. And we're here to answer  
20 any questions you may have.

21 **CHAIRMAN GRAHAM:** Well, staff, number one, I  
22 want to thank you guys for putting this together. I  
23 know we started this debate or this conversation back  
24 when we went over the, when we talked about the solar,  
25 the solar pilot program back in November, and so I



1 appreciate you pulling these numbers together.

2           Commissioners, I don't know if you saw  
3 this handout that I had staff put together. Did you  
4 get a copy? I think the rest of them have one. And  
5 I don't know if anybody in the audience wants a  
6 copy. Do you have a copy of this stuff?

7           **MR. BAEZ:** I have a copy, but we can make them  
8 available.

9           **CHAIRMAN GRAHAM:** Because my concern about the  
10 current program that we have, and this kind of walks  
11 through, I think it articulates pretty well what I was  
12 looking at is, and staff said -- staff put this together  
13 and they just put down 5 kilowatts as something that  
14 would be maybe normal. I guess we can go -- according  
15 to -- statutorily they can get rebates all the way up  
16 to, is it 10 kilowatts? So just going with the  
17 5 kilowatts, you can see with the, with the rebate from  
18 the utilities and the rebate from the federal, the  
19 payback for a 5-kilowatt system on your roof is 5-1/3  
20 years.

21           And what, what do we anticipate the life  
22 of one of these systems is? Is it 15, 20 years?

23           **MR. CLEMENTS:** I believe it's more than 20.

24           **CHAIRMAN GRAHAM:** More than 20 years? And so  
25 even without the rebate, I mean, it's a 13-year payback,

1 and this thing is going to be there for longer than 20  
2 years.

3 And my concern is you have a lot of people  
4 out there that can't afford that initial \$16,000,  
5 and so those people that don't have that \$16,000  
6 upfront cannot participate in this program from the  
7 very beginning. And so that's, that's where I think  
8 the problem is, at least with this pilot program  
9 that was there, and that's why I asked staff to  
10 throw this together.

11 And it's interesting, I was going back  
12 over the, that docket, and I think it was page, I  
13 know which page, it was page 76 of that docket, and  
14 it was, of all people, the Sierra Club. It says,  
15 "The Sierra Club believes that a study should be  
16 conducted to investigate the effectiveness of the  
17 rebate program and the role of the utilities in  
18 solar PV. The Sierra Club also advocates an update  
19 of the marketing and incentives approaches for PV  
20 programs to minimize the amount of incentive paid,  
21 while installing as much PV as possible." And so I  
22 thought that was interesting.

23 I think as we move forward and -- well,  
24 I'll wait until I hear from the rest of you guys  
25 before I say anything else. I didn't know if there

1 was any other questions or comments from the rest of  
2 the Commissioners.

3 My suggestion, well, my suggestion to  
4 staff is -- I'm glad you brought this out. I -- and  
5 it's not just, it's not just the pilot program we're  
6 looking at. We're looking at basically this is a  
7 snapshot of where Florida is. And I would ask if  
8 staff would reach out to, almost like we did with  
9 the 111D, and reach out for comments from, you know,  
10 industry people, from all ratepayers, you know, as  
11 far as suggestions on things that maybe we should be  
12 looking at, things we should be doing. If we're  
13 going to start, if we're going to start another  
14 solar program, what sort of things we need to do  
15 differently. Because I don't think, I don't think  
16 this was what we were looking for because I don't  
17 think the cost-effectiveness is there for this, the  
18 old program.

19 And I don't know how you guys reached out  
20 to everybody before, but I know we got quite a few  
21 people that gave us feedback last time, and it was,  
22 it was, it was informative feedback.

23 Commissioner Edgar.

24 **COMMISSIONER EDGAR:** Thank you, Mr. Chairman.  
25 Two questions just to, two questions to follow up on

1 your comments.

2 This additional memo -- and I did receive  
3 it late yesterday, so thank you -- this is regarding  
4 the programs that we voted to not continue; is that  
5 correct?

6 **CHAIRMAN GRAHAM:** Well, actually the pilot was  
7 for five years, so we voted to finish out the pilot, but  
8 we weren't going to continue it past the pilot.

9 **COMMISSIONER EDGAR:** Right. Okay. And when  
10 you're asking staff to maybe solicit additional  
11 comments, which I'm all for, are you thinking things  
12 that could be done under the current statutory scheme or  
13 also suggestions as to statutory changes that would  
14 maybe be necessary, just to try to give some  
15 clarification?

16 **CHAIRMAN GRAHAM:** Well, I guess I'd be more  
17 reactionary because, as you've all read and we've been  
18 told that we don't have a program when it comes to  
19 solar. And these numbers, the numbers right here show  
20 that you really don't have to have much of a program  
21 because you see the payback is in the 13 years.

22 And so I guess I'm -- I want to solicit  
23 some, solicit some impact -- some input back from  
24 whoever wants to give it to us to see, okay, what is  
25 it that you think that we should be doing or how

1 should we be doing it?

2 I mean, this right here illustrates what  
3 we have been doing, and this, to me, illustrates  
4 that it's not cost-effective and it's not fair by  
5 any means.

6 I mean, you know, for example, if you're a  
7 renter and you don't have a roof to put it on, you  
8 know, how do you, how do you participate in the  
9 solar program?

10 **COMMISSIONER BROWN:** And I'll just add, in two  
11 years or less there will be no federal tax rebate for  
12 residential. So while the cost continues, from your  
13 numbers, continues to slightly decrease, the technology  
14 hasn't decreased exponentially to make that payback  
15 period in a period of time of reasonableness for a  
16 typical residential customer. So things will change  
17 over the next two years as well because there will be no  
18 federal rebate; correct?

19 **MR. CLEMENTS:** The current rebate is set to  
20 expire for residential customers at the end of next  
21 year.

22 **COMMISSIONER BROWN:** So that also changes the  
23 dynamics of this discussion.

24 **CHAIRMAN GRAHAM:** Well, wasn't that supposed  
25 to expire earlier and they extended it on to 2016?

1           **MR. CLEMENTS:** Yes.

2           **CHAIRMAN GRAHAM:** When was it supposed to  
3 expire the first time? Like '08, '09?

4           **MR. FUTRELL:** There's been several extensions  
5 through the years, Chairman. It's one of those kind of  
6 brinksmanship kind of things that gets caught up in  
7 other issues in Congress, and we've seen a history of  
8 extensions for various lengths of time. It's not to say  
9 this won't happen again, but Commissioner Brown is  
10 correct, it's scheduled to expire. And so there could  
11 conceivably be even a third column to those spreadsheets  
12 showing without the tax credit, which would change the,  
13 extend the payback even further out in the future.

14           **CHAIRMAN GRAHAM:** Commissioner Brisé.

15           **COMMISSIONER BRISÉ:** Thank you, Mr. Chairman.

16           I think the pilot has been very  
17 instructive to us as a state in terms of what, what  
18 our capacity is and what the, what the level of  
19 interest is at that particular level in terms of the  
20 rebate when we consider the payback and all of that  
21 for the consumer -- the customers and for the  
22 utilities to work within that fashion.

23           I think when we -- and I'll just speak for  
24 me -- but I think as a body when we voted to, not to  
25 continue the pilot, I think the idea was to, look,

1 let's look at the information that we have, have a  
2 conversation further on that would include as many  
3 stakeholders as possible so that we can then look at  
4 what are some possibilities moving forward to  
5 continue to keep solar viable here in Florida. And  
6 from my perspective, that means we put everything on  
7 the table and, and see what works, what can work for  
8 different types of consumers. And for me, that  
9 includes some of everything: It includes some  
10 community solar, it includes rooftop solar for  
11 individual households, and a lot of different  
12 dynamics associated with that.

13 And out of those conversations, whether  
14 it's a workshop or whatever we do moving forward,  
15 out of those conversations, those policymakers who  
16 have the ability to then make changes can be paying  
17 attention to those conversations and see if there  
18 are lines out of there that are taken out or  
19 information that's taken out that could then help  
20 address some of these challenges that may exist  
21 within our current reg -- our current statutory  
22 framework to move our process forward with that.

23 So from my perspective, the pilot has done  
24 exactly what it's intended to do. It's provided us  
25 the information. We made a decision as a regulatory

1 body based upon the information that we've gathered  
2 through the pilot that, look, what was done, when we  
3 looked at it and gathered information, is not the  
4 most cost-effective way of moving forward,  
5 considering what's in, in the future.

6 I just hope that as we go through this  
7 process, that we are open enough to, to establish a,  
8 establish parameters that allow for everyone to play  
9 in this space. And so hopefully we'll be able to do  
10 that, Mr. Chairman.

11 **CHAIRMAN GRAHAM:** Well, I thought it was  
12 interesting when we did this last round and when the  
13 utilities, let's just say, opened the floodgates so  
14 people that wanted to be part of the programs were  
15 allowed in, and then for -- every, every bit of the  
16 availability was gone, like, within like minutes. And,  
17 you know, it's, and that's supposed to be, that's  
18 supposed to last for the year and it was just gone just  
19 that fast.

20 Commissioner Brown.

21 **COMMISSIONER BROWN:** Getting back to your  
22 directive as to staff to address stakeholders, and I'm  
23 just -- to provide them more guidance, I think it's also  
24 beneficial to, to engage folks like OUC who have a solar  
25 farm and people of different -- and utilities that



1 possibly don't come within our purview that have  
2 explored creative ways to make it work, and possibly  
3 even open it up to businesses and whatever, if this is  
4 the direction that the Commission wants to go in, to at  
5 least gain some more ideas on how to make it work for  
6 customers.

7 **CHAIRMAN GRAHAM:** I mean, quite honestly, I  
8 think anybody that wants to send us an email, you know,  
9 because this stuff is all available online so they know  
10 how they can get back to us, anybody that wants to send  
11 us any information is more than welcomed to do it as far  
12 as I'm concerned. I mean, the more feedback, the  
13 better.

14 Speaking of which, is there anybody in the  
15 audience that has anything they want to, questions  
16 they want to ask or anything they want to add? Yes,  
17 sir.

18 **MR. DREW:** Good morning. Alton Drew. I  
19 represent the NAACP in the conservation docket. I'll  
20 violate the lawyer rule and be very brief.

21 (Laughter.)

22 We read with great interest about FP&L's  
23 voluntary partnership program where they're proposing a  
24 contribution of \$9 a month toward large scale solar. I  
25 think that provides a very good template.

1           Something, going back to what Commissioner  
2 Brisé said, putting everything on the table, there's a  
3 supply side option, but to combine supply side with  
4 demand, bottom line you may find yourselves including  
5 more consumers, especially low income consumers.  
6 Because \$16,000 upfront for residential versus  
7 nine bucks a month in participating solar, economically  
8 you don't need a Ph.D. in economics to say that's a  
9 good option. I'm brief. That's it.

10           **CHAIRMAN GRAHAM:** Thank you, sir. Anybody  
11 else?

12           Okay. Commissioners, are we, are we good?  
13 Staff, any questions?

14           **MR. BAEZ:** Mr. Chairman?

15           **CHAIRMAN GRAHAM:** Yes, sir.

16           **MR. BAEZ:** I guess I'll ask a question.  
17 After, after the call for comments, and I think we've  
18 got a good model for doing that now, we've got some good  
19 experience with that, how would you like us to report  
20 back to you? And do you have any, any thoughts? We'd  
21 be interested to know how you want, how you want the  
22 information to flow back, whether it's with a summary  
23 document again, some presentation by the staff, to let  
24 you know what we got back or --

25           **CHAIRMAN GRAHAM:** I think as the comments come

1 in, we'll just keep the dialogue going back, back and  
2 forth with my office.

3 **MR. BAEZ:** Okay.

4 **CHAIRMAN GRAHAM:** And at that point we can  
5 decide if there needs to be a summary document coming  
6 forward or if there needs to, if we need to create a  
7 direction, and then we'll bring it back here to IA and  
8 we'll talk about, you know, what, if anything, we want  
9 to do moving forward.

10 Commissioner Brisé.

11 **COMMISSIONER BRISÉ:** So, just so that my mind  
12 is clear, information coming into what? Right? So if  
13 we can explain where we are in the process.

14 **MR. BAEZ:** Well, what I would, what I would  
15 suggest -- what we did previously with what I'm calling  
16 a call for comments, I'm trying to remember, it was on,  
17 it was on 111.

18 **MR. FUTRELL:** Correct.

19 **MR. BAEZ:** Okay. So what I would propose is  
20 to use that sort of model, use our online resources, our  
21 website to receive comments from any stakeholders and  
22 the general public that wants to provide their  
23 thoughtful comments. And what, what I would propose to  
24 do beforehand is to actually set forth some questions to  
25 kind of guide, guide the comments that are going to come

1 back, the responses.

2 And we'll work with the Chairman's office  
3 to try and get, you know, the right solicitations,  
4 the right solicitation questions, if you will, to  
5 get the comments back that we, the subject matter  
6 that we'd like to hear about, the topics that we'd  
7 like to hear about.

8 If that, if that works for, for you all,  
9 that would be my initial suggestion. Taking the  
10 Chairman's comments to heart, I think we can work on  
11 the, on the next step, how do we present it back to  
12 you? I think that's a work in progress. You know,  
13 depending on what kind of comments we get back, I  
14 think that may dictate a lot about how we feed it  
15 back and for further discussions or any other steps  
16 you want to take.

17 **COMMISSIONER BRISÉ:** Okay.

18 **MR. BAEZ:** I don't know if I answered your  
19 question, but I think this being an initial, initial  
20 step --

21 **COMMISSIONER BRISÉ:** There's still a lot of  
22 fuzz, so -- at least for me.

23 **MR. BAEZ:** I feel your pain. I understand.

24 **COMMISSIONER BRISÉ:** Okay. So what I'm  
25 hearing is that we are opening up for comments on --

1           **MR. BAEZ:** On a set of, on a set of questions  
2 that staff will be drafting up and to kind of focus the  
3 comments. Much in the same way as we did receiving  
4 comments from stakeholders on the, on the proposed EPA  
5 rule, I would -- I think that model might work well in  
6 this situation.

7           So the first thing that we would do is  
8 staff would get together and, and come up with a set  
9 of questions to kind of guide those, the input that  
10 we're going to solicit. And we do it all online, we  
11 do it for a period of time, some, some determinant  
12 period of time, and that will give us a sense of, of  
13 what the best forum and what the best manner to, to  
14 relay the information and the content of those  
15 comments and responses back to you, and it may clear  
16 a path to what the next steps are.

17           **COMMISSIONER BRISÉ:** Okay.

18           **CHAIRMAN GRAHAM:** Commissioner Edgar.

19           **COMMISSIONER EDGAR:** Thank you.

20           I'm fuzzy still as well. I understand,  
21 Mr. Baez, the process that, I believe I understand  
22 the process that you're describing, and I do think  
23 that that worked well in the recent example that  
24 you've given.

25           **MR. BAEZ:** Right.

1           **COMMISSIONER EDGAR:** But I think there's a  
2 difference that I'm still trying to distinguish, which  
3 is for that process the end point, or maybe not the end  
4 point, but the next step was for staff to solicit  
5 comments to inform --

6           **MR. BAEZ:** Yes.

7           **COMMISSIONER EDGAR:** -- their review in  
8 putting together draft comments for us to consider as to  
9 whether we were going to formally comment during the EPA  
10 rulemaking period, and, if so, then, again, to inform  
11 the comments that the staff put together for us to  
12 discuss at a meeting similar to this.

13           I'm not sure what the next step would be.  
14 If staff is soliciting comments to inform their  
15 reviews and deliberations as they bring forward  
16 information and analysis to us, what then is the  
17 step that we are trying to get to?

18           **MR. BAEZ:** I agree with you. And I recognize  
19 that, that just by proposing the manner in which we're  
20 going to take input is really only half the sandwich.  
21 Right?

22           What we're -- what I don't want to say now  
23 as part of this discussion is to make a  
24 recommendation that perhaps you all -- on next steps  
25 that perhaps you all haven't had the discussion

1 about or not willing to take. So I'm not sure that  
2 it's, with what we know and with everything that's  
3 been said, that I can recommend to you what the next  
4 steps ought to be.

5 I think we were hoping, or at least I was  
6 hoping that the nature of the comments would, would  
7 help the staff construct perhaps an agenda for  
8 discussion amongst you all, an agenda for discussion  
9 with -- or next steps that involve a much broader  
10 section of commenters or participants. I'm trying  
11 to stay away from buzz words here. I hope you  
12 recognize that.

13 **COMMISSIONER EDGAR:** Sure. I guess what I  
14 would say as I'm thinking out loud -- always, always  
15 dangerous -- but in the conservation docket as part of  
16 our decisions and, as Commissioner Brisé has very well  
17 articulated, we made the determination after reviewing  
18 the pilot project information that good data had come  
19 forward but that for cost-effectiveness and other  
20 reasons to continue that program or that set of programs  
21 was not the direction that we wanted to go, but we  
22 wanted that information to, again, inform as we  
23 determined what next direction to go in. So I guess I  
24 would ask, as we're going through this process, that we  
25 keep those discussions in mind.

1           I also would ask again of our staff and as  
2 you reach out to others, it's very helpful to me to  
3 put comments in those two categories: What can we  
4 do under current statutes, and what would require a  
5 statutory change? Because often those things can  
6 get, get blurred. So I think that might be useful  
7 as you're, as you're reaching out.

8           You know, we have talked about it numerous  
9 times; this Commission has had multiple, multiple  
10 dockets and deliberations and discussions. I know  
11 we all want a continued diversity for the State's  
12 fuel portfolio. Solar is certainly an important  
13 part of that, will become an even more important  
14 part as we are required to make whatever changes  
15 necessary as the 111D rule becomes final and then  
16 the DEP works on an implementation plan. So we want  
17 diversity. Solar is an important part of that. But  
18 I would also reiterate, again, that we want  
19 reliability, we want cost-effectiveness, and we also  
20 want equity and an equitable process built in as we  
21 are proposing and reviewing possible programs. So I  
22 guess I would ask for that, that equitable piece to  
23 be a part of the discussions and information  
24 gathering.

25           **CHAIRMAN GRAHAM:** Yeah. This was just the



1 first step. As we said, you know, we had this  
2 discussion back in November when we went over the  
3 docket, and we, we've said that we don't have enough  
4 information in front of us, we don't have the data in  
5 front of us to make the, you know, to make bigger  
6 decisions. We decided we were going to pull this  
7 information together and figure out what the next step  
8 is going to be after that. So this is the information  
9 coming in. We're actually looking to pull even more  
10 information in, and when that comes in, we'll decide  
11 what the next step is past that.

12 And I appreciate the focusing of where  
13 we're going, but -- I don't know where the end goal  
14 is, but I think each one of these steps makes it  
15 clearer.

16 Commissioner Brown.

17 **COMMISSIONER BROWN:** And just to wrap it all  
18 up, and I appreciate you taking the initiative and  
19 getting with staff and having you present the material  
20 in one central location for us to look at, so thank you.  
21 But really this fuzziness really comes down to the  
22 question, so what is that question?

23 Looking at the analysis here, I looked at,  
24 you know, what the solar pilot programs, the  
25 participation, I looked at the cost-effective

1 analysis, and then I looked at the supplemental data  
2 with the economic analysis.

3 So is the question that we're asking the  
4 cost-effectiveness of potential solar projects? I  
5 just kind of want a generalization. Because,  
6 Mr. Baez, you did indicate that there were going to  
7 be questions that would be filtered through the  
8 Chairman's office. But to get an understanding of  
9 what we're supporting here today, the directive that  
10 we will be supporting, which I am in favor of, I  
11 just want an idea of what that specific general  
12 question is.

13 **CHAIRMAN GRAHAM:** I was going to say, I would  
14 say what's -- cost-effectiveness is going to be key to  
15 everything, so what is the best way to move forward when  
16 it comes to solar in the State of Florida as most  
17 cost-effective as possible. I think that's more the big  
18 question.

19 **COMMISSIONER BROWN:** That's what I was  
20 thinking.

21 **MR. BAEZ:** And, Commissioner, just to, just to  
22 add to that, I think Commissioner Edgar's comments are  
23 well taken. And what I would expect is that in the  
24 course of crafting these, these questions, if you will,  
25 for, for commenters to feedback on, a lot of the

1 principles that she enumerated will sort of shine  
2 through as part of the question. They'll be encapsuled  
3 in the questions. So thank you for that.

4 I appreciate, I appreciate your concerns  
5 that there, that there isn't a defined next step,  
6 and I think that that's sort of what we're working  
7 towards.

8 I think the Chairman's comments made a  
9 good point. This is a beginning, this is perhaps a  
10 continuation of a gathering of information, and it  
11 is our hope that, based on active input from the  
12 stakeholders, some, some next step, some appropriate  
13 next step is going to make itself evident to us  
14 what, what is necessary to do.

15 And at the same time, I mean, I would urge  
16 all of us to continue the discussion amongst  
17 ourselves to, to have that happen as well. I mean,  
18 if there's a, if there's a next step that you all  
19 can find consensus on, I think that would do a lot  
20 of the work for us as well. It doesn't, it doesn't  
21 end here and it doesn't have to come from the  
22 outside comments. This, this is a cooperative  
23 effort, if you will. So that work in progress, it's  
24 moving. What the next steps will be, we'll see what  
25 happens.

1           **CHAIRMAN GRAHAM:** And feel free to reach out  
2 to staff if you have a specific question that you're  
3 looking for an answer to. I mean, even though they're  
4 working -- because of Sunshine, you know, we all have to  
5 channel directly to staff and not through each other  
6 unless we bring it back to this forum.

7           Anything else for the good of the order?

8           Okay. Thank you very much.

9           Executive Director's report.

10          **MR. BAEZ:** Commissioners, very --

11          **CHAIRMAN GRAHAM:** Thank you, staff.

12          **MR. BAEZ:** Very quickly, if you recall, last  
13 month we recognized our first Triple E Award.

14                 The award for February goes to Highland  
15 Lakes Homeowners Association in Palm Harbor.  
16 They're Duke Energy customers and they worked with  
17 their local utility to install things like demand  
18 control ventilation and small energy efficient heat  
19 pumps, as well as upgrading their ceiling insulation  
20 and their lighting. That led to the  
21 2,500 homeowners of the association to save more  
22 than 60,000-kilowatt hours annually. And so we want  
23 to thank Chairman Graham for being involved in that,  
24 and our compliments to both the utility and the  
25 customer for working together. And these are some

1 of the kind of results that can happen when, when  
2 businesses and, and homeowners associations like in  
3 this case actually get involved, actively involved  
4 with their utility to find cost-efficient solutions.  
5 So thank you.

6 **CHAIRMAN GRAHAM:** Does that conclude?

7 **MR. BAEZ:** That concludes.

8 **CHAIRMAN GRAHAM:** Other matters.

9 **COMMISSIONER EDGAR:** Mr. Chairman, I have a  
10 question.

11 **CHAIRMAN GRAHAM:** Commissioner Edgar.

12 **COMMISSIONER EDGAR:** Mr. Chairman, how tall  
13 was that Jaguar player? Was he standing on a box?

14 (Laughter.)

15 **CHAIRMAN GRAHAM:** He was a big boy. I don't  
16 know if you know what she was talking about, but I did a  
17 photo shoot, photo op with one of the Jaguar players.  
18 And I don't consider myself a small man, but standing  
19 next to him, he looked like he was about a foot taller  
20 than I was and about at least a good 100, 120 pounds  
21 heavier than I was, bigger. But, yeah, he was, he was a  
22 large fellow, and I think he's probably 23, 24 years  
23 old.

24 **COMMISSIONER BROWN:** Only getting bigger.

25 **CHAIRMAN GRAHAM:** But I do appreciate the fact

1 that -- Cindy Muir and her people for putting that  
2 together, and for the Jaguar organization for allowing  
3 us to come visit their facility and to take pictures.  
4 It was fun.

5 Anything else? Seeing none, I thank you  
6 very much for your time and patience, and we are  
7 adjourned.

8 (Internal Affairs adjourned at 11:00 a.m.)  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 STATE OF FLORIDA )  
 : CERTIFICATE OF REPORTER  
2 COUNTY OF LEON )

3  
4 I, LINDA BOLES, CRR, RPR, Official Commission  
5 Reporter, do hereby certify that the foregoing  
6 proceeding was heard at the time and place herein  
7 stated.

8 IT IS FURTHER CERTIFIED that I  
9 stenographically reported the said proceedings; that the  
10 same has been transcribed under my direct supervision;  
11 and that this transcript constitutes a true  
12 transcription of my notes of said proceedings.

13 I FURTHER CERTIFY that I am not a relative,  
14 employee, attorney or counsel of any of the parties, nor  
15 am I a relative or employee of any of the parties'  
16 attorney or counsel connected with the action, nor am I  
17 financially interested in the action.

18 DATED THIS 6th day of March, 2015.

19  
20  
21  
22  
23  
24  
25  


\_\_\_\_\_  
LINDA BOLES, CRR, RPR  
FPSC Official Hearings Reporter  
(850) 413-6734